

UNITED STATES
NUCLEAR REGULATORY COMMISSION

+ + + + +

MEETING WITH THE ORGANIZATION OF AGREEMENT
STATES (OAS) AND THE CONFERENCE OF RADIATION
CONTROL PROGRAM DIRECTORS (CRCPD)

+ + + + +

TUESDAY,
APRIL 4, 2017

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Commission met in the Commissioners= Hearing Room at the Nuclear Regulatory Commission, One White Flint North, 11555 Rockville Pike, at 9:59 a.m., Kristine L. Svinicki, Chairman, presiding.

COMMISSION MEMBERS:

KRISTINE L. SVINICKI, Chairman

JEFF BARAN, Commissioner

STEPHEN G. BURNS, Commissioner

ALSO PRESENT:

ANNETTE VIETTI-COOK, Secretary of the Commission

MARGARET DOANE, General Counsel

OAS AND CRCPD LEADERSHIP PRESENT:

DAVID ALLARD, CHP, Director, Bureau of Radiation

Protection, Pennsylvania Department of

Environmental Protection, CRCPD Chair-Elect

SHERRIE FLAHERTY, MHP, DC, Supervisor, Radioactive

Materials Unit, Minnesota Department of

Health, OAS Past Chair

WILLIAM IRWIN, SC.D., CHP, Program Chief,

Radiological and Toxicological Sciences

Program, Vermont Department of Health, CRCPD

Past Chair

MATTHEW MCKINLEY, Director, Radiation Control

Program, Kentucky Department for Public

Health, OAS Chair

JARED THOMPSON, Program Manager, Radioactive

Materials Program, Arkansas Department of

Health, CRCPD Chair

DAVID TURBERVILLE, Assistant Director, Office of

Radiation Control, Alabama Department of

Public Health, OAS Chair-Elect

P R O C E E D I N G S

1 CHAIRMAN SVINICKI: Okay, thank you.

2 Then we will begin our topical session. And I invite the presenters to
3 please join us at the table.

4 While they are doing that I will again welcome everyone and note that
5 today the Commission will conduct a meeting that we generally try to hold on
6 an annual frequency. I think we're pretty good about holding to that. But it is
7 a meeting with the Organization of Agreement States and the Conference of
8 Radiation Control Program Directors. These are key partner organizations,
9 and the states that are represented are real partners to us in the important work
10 that the agency staff carries out. So, I know we always have a good diversity
11 of topics to discuss. And I always get a lot of good information out of this
12 meeting and our exchange and Q&A back and forth.

13 Do either of my colleagues have any opening comments?

14 COMMISSIONER BARAN: No.

15 CHAIRMAN SVINICKI: Okay, thank you.

16 Then we will move directly to hear from our panelists who, again, I thank
17 for being here today. I will just briefly give an overview of the panel and then
18 I will recognize the first speaker and ask you to then hand off to each other in
19 the order in which you've agreed to present.

20 So, this morning we have David Turberville, Assistant Director, Office of
21 Radiation Control of the Alabama Department of Public Health.

22 We also have Matthew McKinley, Director, Radiation Control Program,
23 Kentucky Department for Public Health.

1 Oh, I should have mentioned, I'm sorry, is that Mr. Turberville is the OAS
2 chair-elect. Mr. McKinley is the OAS chair.

3 We also have Sherrie Flaherty, Supervisor, Radioactive Materials Unit,
4 Minnesota Department of Health, who is the OAS past chair.

5 We are joined also by David Allard, the Director, Bureau of Radiation
6 Protection of the Pennsylvania Department of Environmental Protection, who
7 is the CRCPD chair-elect.

8 Joining us also is Jared Thompson, who is the Program Manager,
9 Radioactive Materials Program, Arkansas Department of Health, who is the
10 CRCPD chair.

11 And we're bringing up the final panelist here is Dr. William Irwin,
12 Program Chief, Radiological and Toxicological Sciences Program, Vermont
13 Department of Health, who is the CRCPD past chair.

14 Thank you all. And I believe we are beginning with Mr. Turberville.
15 Thank you.

16 MR. TURBERVILLE: Thank you.

17 Good morning, Chairman Svinicki and Commissioners. Appreciate you
18 having us here today. I just want to take a few minutes today to discuss the
19 Integrated Materials Performance Evaluation Program, or IMPEP.

20 As you're aware, NRC began implementation of IMPEP back in 1996 to
21 evaluate the agreement states in regional NRC materials programs to assure
22 a consistent level of protection of public health and safety in the use of nuclear
23 materials nationwide. The program has a set of, specific set of common
24 performance indicators that are reviewed and evaluated to determine
25 adequacy for the agreement states. Those indicators include the technical

1 staffing and training, the status of the Materials Inspection Programs, the
2 technical quality of the inspections program, technical quality of licensing
3 actions, and the technical quality of incidents' navigation activities.

4 Additional areas are identified as non-common performance indicators,
5 which may also be addressed in the evaluation of an agreement state. They
6 include the compatibility requirements, the sealed source and device
7 evaluation program, low level radioactive waste program, and the uranium
8 recovery program.

9 The range of possible findings for an agreement state include adequate
10 to protect public health and safety, adequate but needs improvement, or
11 inadequate. And then there are the compatibility requirements where you will
12 either be found compatible or non-compatible with NRC rules and regulations.

13 Currently, 34 of the 37 agreement states are considered adequate
14 based on their last IMPEP review. The remaining three are considered
15 adequate but needs improvement.

16 In the category compatibility, we have 33 agreement states that are
17 considered compatible at this time.

18 The IMPEP team that performed the reviews are made up of NRC and
19 agreement state representatives that are trained in the process. Personally,
20 I've been on both sides of the IMPEP process, both as an IMPEP team member
21 in past reviews of the Oklahoma, California, and Pennsylvania programs, as
22 well as part of the staff for the IMPEP reviews of our own program in Alabama.

23 Overall the experience, my experience both as an IMPEP team member
24 as well as part of the state being reviewed has been mostly positive. And it's
25 been very educational for me as I've tried to learn from other states to make

1 our program better.

2 In 2010, a comprehensive self-assessment of the overall IMPEP
3 program was conducted, with recommendations made at that time. One of
4 the recommendations that I felt was helpful and was a very common sense
5 approach was the idea of making reciprocity inspections more performance-
6 based, and removing from IMPEP the requirement to inspect 20 percent of the
7 reciprocity licensees.

8 In answer to this recommendation from the self-assessment, SA-101
9 reviewed the common performance indicator status, and Materials Inspection
10 Program was revised to allow agreement states to have an alternative
11 reciprocity inspection procedure. This was important, especially for Alabama,
12 because some of the states have different reciprocity requirements, and trying
13 to meet that 20 percent requirement was either nearly impossible or created an
14 unnecessary resource burden.

15 Also I want to point out the recent revision of SA-111, the formal
16 qualifications of IMPEP team members and team leaders which included more
17 detailed training and experience requirements for IMPEP team members and
18 the team leaders. The document not only outlines specific formal training, but
19 also outlines, identifies professional experiences needed.

20 As the IMPEP program is now over 20 years old, experienced team
21 leaders are now making way for a next group of leaders. The training process
22 outlined in SA-111 appears to focus on succession planning for the program
23 with a mentoring type program. That's what it appeared to me.

24 At this briefing two years ago, Mike Welling, who at the time was the
25 Chair of OAS, stressed the need for consistency of the reviews with IMPEP.

1 Currently, a focused self-assessment of IMPEP is being conducted by a
2 working group made up of NRC staff and agreement representatives,
3 agreement state representatives. The objectives of that group are to review
4 recommendations from the 2010 self-assessments, evaluate the program's
5 performance in two indicators, and that would be the technical staffing and
6 training, and the status of the Materials Inspection Program, where they're
7 focusing on consistency and effectiveness, and assess whether the experience
8 level of the team leader or other factors contribute to inconsistent review
9 findings.

10 This tells me that you in NRC are listening to us and taking our concerns
11 seriously. And for that, we greatly appreciate it. We at OAS look forward to
12 the results of this latest IMPEP. And our hope is that it will be one of the
13 presentations at this year's OAS annual meeting in Memphis.

14 As we move forward, I believe that all the agreement states want to be
15 found adequate and compatible. The success of any individual agreement
16 state program is largely dependent upon your support at NRC. Through
17 retirements, attrition, and budget cuts, many state programs have to do more
18 with less. And as we try to fill those vacancies that come up, the training we
19 receive through NRC-sponsored courses is an invaluable resource.

20 Speaking for my state, losing that resource would create a very difficult
21 hardship on our program. And I'm sure my colleagues here would have similar
22 concerns.

23 We also must rely on an open line of communication. This is where our
24 working relationship with state agreement officers and the NRC staff are
25 important. If there are any changes in NRC policies and procedures which

1 could affect a program and its status in the IMPEP review, such as the revised
2 training requirements that happened a few years back, or any future decisions
3 such as evaluating the state's response to non-military radium information that
4 was recently referred by NRC, we would greatly appreciate a timely heads up
5 to make sure the information gets to the right people within our program so we
6 can take appropriate actions.

7 And finally, in the matter of rule development and the compatibility
8 requirements, the agreement states can sometime be overwhelmed by the
9 number of rule packets coming down from NRC. In 2015 alone there were
10 five rule packets that were due for implementation in the agreement states
11 starting in January of next year.

12 Some of these packets include only minor corrections and clarifications,
13 but they hold the same requirements for implementation as a new or a major
14 revision of a rule. These minor rule packets require the same regulatory
15 process and resource burden to get it through the system and become a final
16 rule in at least some states. It would greatly benefit the states in their
17 allocation of resources to have some mechanism in place to allow for some
18 flexibility in the implementation period, especially for these minor rule changes.

19 So, in closing I want to say that the agreement states and OAS believe
20 the IMPEP program serves its purpose well. It is a positive example of federal
21 and state partners working together. We at OAS value our partnership in this
22 program.

23 I want to thank the Commission for allowing the OAS to be an active
24 participant in the program. And I appreciate your time today. Thank you.

25 CHAIRMAN SVINICKI: Thank you. And I'm sorry to interrupt but I

1 noticed that your name, I believe, is misspelled in the official scheduling notice
2 of the meeting which caused me to mispronounce it, not just once but twice.
3 So I apologize for that.

4 I assume that the nameplate that's in front of you, is that the correct
5 spelling?

6 MR. TURBERVILLE: That is, yes.

7 CHAIRMAN SVINICKI: Okay, thank you. Well, we'll get that
8 corrected.

9 MR. TURBERVILLE: You're not the first one to do that.

10 CHAIRMAN SVINICKI: Okay.

11 (Laughter.)

12 CHAIRMAN SVINICKI: I have more than a little bit of familiarity with
13 mispronounced last names, so. It's a good club to be in.

14 MR. TURBERVILLE: Yes.

15 CHAIRMAN SVINICKI: Okay. And I believe the next presenter is
16 Matthew McKinley; is that correct?

17 MR. McKINLEY: Yes.

18 CHAIRMAN SVINICKI: Thank you. McKinley. Did I pronounce that
19 correctly?

20 MR. McKINLEY: That is correct, yes.

21 (Laughter.)

22 MR. McKINLEY: My topic that I chose to speak on today is the policy
23 statement for the Agreement State Program. I knew it had been around a long
24 time. I didn't realize quite how long when I started researching this.

25 It actually started back in 2010 which, incidentally, was the year that the

1 iPad was introduced. So, for a little perspective, it has been in the process for
2 quite a while. It actually started with a rather innocuous-sounding directive
3 from the Commission to add security considerations in the policy for adequacy
4 and compatibility. It was more of an IMPEP update, essentially. And it's
5 blossomed from there.

6 In 2014, the Commission recognized how much of an impact this set of
7 changes, as it was evolving, was going to impact not only the policy statement
8 for the adequacy and compatibility but also the statement of principles and
9 policy for the Agreement State Program which at the time was a separate
10 policy. So, the decision was made by the Commission to combine,
11 consolidate those two policies into one. And that's what we're working with
12 now since 2014. That has been the scope of the policy statement for the
13 Agreement State Program.

14 Of note, at the time a comment was made by the OAS basically saying
15 that we think it was a good idea, but that was a decision that should have been
16 discussed among all the partners involved. But having said that, I think the
17 message was received and we've gone forward. It was, in fact, a good idea
18 to do. And I think we would have been very supportive of it, and are very
19 supportive of it

20 So, the other big issue that came up, and this came to a head in 2014,
21 was the issue of the compatibility Category B. It seemed to be kind of an
22 inflection point for discussion. Compatibility Category A was fairly well
23 established and there wasn't really any controversy there. Category C, again
24 the same thing.

25 But with Category B, this was another opportunity for NRC rulemaking

1 to be imposed on states in a more verbatim way. And we, as the states, were
2 interested in trying to minimize that. And there was a lot of semantic
3 conversation surrounding it. But I think at the end the intent, our intent was
4 met in the policy language as it exists right now. And I think, I think that
5 controversy has been laid to rest, or controversy with the semantics issues.

6 So, without going through the 7-year history of the development of this
7 policy, I thought I would spend a little bit of my time, the rest of my time
8 discussing really the two key components to any of these policies and any of
9 the interactions between the NRC and the agreement states, and that is
10 adequacy and compatibility. From the very beginning that has always been
11 the key elements to our relationship.

12 And so what I wanted to do -- I'm trying not to read too much -- but I do
13 want to read what the policy language is in its description of Section 274's
14 assessment of our roles and responsibilities with respect to it.

15 Number one is to establish and maintain agreements with states under
16 Subsection 274(b) that provide for discontinuance by the NRC and assumption
17 by the state of responsibility for administration of a regulatory program for the
18 safe and secure use of agreement material.

19 Two, to ensure that post-agreement interactions between the NRC and
20 agreement states, agreement state radiation control programs are
21 coordination.

22 And, three, to ensure agreement states provide adequate protection of
23 public health and safety and maintain programs that are compatible with the
24 NRC's regulatory program.

25 Obviously, the first statement deals with states that are not yet

1 agreement states.

2 The second statement is just a general statement saying that we need
3 to cooperate through our involvement together.

4 The third statement is really where I think the focus comes down to, you
5 know, what is the relationship? And that is the assessment and maintenance
6 of adequacy and compatibility.

7 So, about five years ago I was asked by a friend and then board member
8 of OAS to speak at the 2012 OAS board meeting. And the topic was the
9 Agreement State Program and, presumably, the history of the Agreement State
10 Program as I understood it because I am from Kentucky. We were the first
11 agreement state. First state to sign an agreement. And that was the year
12 that we were going to be turning 50 as a program.

13 And so I was a little bit uncomfortable, we'll say, trying to talk about the
14 history of the Agreement State Program in a room full of people that had written
15 the documents that were my reference material. So I went in a little bit
16 different direction and I pulled some old articles, law review articles that were
17 written by people in the early -- late '50s and early '60s that really discussed
18 the basis and the foundation of the Agreement State Program.

19 And it was fairly interesting to take that approach. And what I found out
20 was it can kind of be summarized really in the following analogy or series of
21 events.

22 In World War II era all of the materials were controlled by the military,
23 as it should have been based on what they were trying to do. After the war
24 was over there was an Atomic Energy Act of 1946 which took jurisdiction from
25 the military, not of everything but of a lot of things, and placed it in civilian

1 control, civilian government control.

2 In 1954 the next step was taken where the private sector was able to
3 come in and be a part of the process. But, again, the Federal Government
4 maintained jurisdiction over a lot of the materials.

5 And then the next sequential step was to have the Federal Government
6 actually discontinue its regulation and pass it to the states. And when you look
7 back at the documents it really was a constitutional question that as the X-ray
8 program had come up and always been under state jurisdiction, materials
9 would have been, had it not been for the Manhattan Project and all of the
10 military applications.

11 So, so that was the beginning. But there was also a concern that it
12 would stymie industry if there was, you know, 51 plus or minus, you know,
13 different programs out there, different policies that had to be followed. So the
14 real problem addressed by Section 274 was how do we actually shift this
15 control, this jurisdiction? And again it came down to adequacy and
16 compatibility. Clearly, states needed to be adequate to protect public health
17 and safety. And they also needed to be compatible so that there was one
18 continuous program throughout the country so that industry could continue to
19 thrive and develop.

20 So, so on those issues -- and this is not meant to be any kind of a
21 comment on the policy. I think the policy is very well written. -- just maybe
22 raising a few questions, points for discussion.

23 First is that adequacy has been an evolving concept. The policy says
24 that in order to be adequate to protect public health and safety, the best way to
25 ensure that is to timely adopt federal rulemaking, which makes perfect sense.

1 That ensures that you're compatible. It also ensures that you're adequate.

2 But if you look at what was considered to be adequate, a broader
3 objective interpretation of adequacy in 1962 was a little bit different. There
4 was no security requirements. There were far fewer health and safety
5 requirements on the books. And so as the process, as the industry and the
6 regulatory community evolved, so does the objective criteria for adequacy.

7 So, I think it's been stated before on several occasions here already this
8 morning that agreement states typically have more to their program than just
9 the materials program. And, of course, those issues are not covered under
10 adequacy, or compatibility for that matter.

11 So just again, food for thought on adequacy, I think that we're -- there's
12 no issues there but I just wanted to make the point that adequacy is one of
13 those concepts that's very difficult to define and is continually changing.

14 On compatibility, going back into the history compatibility was obviously
15 a big part of it, and reciprocity was spelled out specifically in each state's
16 agreement. But I have always considered compatibility to be a little more than
17 just making sure that our regulations are compatible. I believe that
18 compatibility, personally believe that compatibility is more along the lines of
19 having a compatible program, which means training and enforcement actions
20 and other aspects of the program that are not necessarily covered specifically
21 under the regulations. So, again, just more, more to consider.

22 But as it stands, the agreement state policy that we're discussing is, it's
23 purpose is to bring around and define the relationship that we have between
24 the states and the NRC. And in the big picture scheme it is certainly good at
25 ensuring that all the agreement states will remain compatible or have a

1 pathway to compatibility while allowing us the flexibility as regulatory agencies
2 to interact on a closer level with our licensees.

3 The relationship that we have clearly is unique. And we should all feel
4 fairly fortunate to be a part of it. And I think, again speaking for myself, and
5 I'm certain that most people would agree, we are -- we understand how
6 fortunate we are to be in this kind of a relationship with the Federal Government
7 and very much appreciate it. Thank you.

8 CHAIRMAN SVINICKI: Thank you very much.

9 Dr. Flaherty.

10 MS. FLAHERTY: Thank you. Chairman Svinicki and Commissioners,
11 thank you for the opportunity to be here again. This is my third and final time
12 with you. I'm happy to be here today representing the Organization of
13 Agreement States and discussing the topic of Category 3 sources and
14 accountability.

15 Those of us regulating and using radioactive material are quite familiar
16 with the most recent Government Accountability Office's audit of the NRC's and
17 the agreement states' licensing programs. During this audit, and using a false
18 company, the GAO was able to obtain a radioactive materials license for well
19 logging sources. They altered that license and placed an order that would
20 have allowed them to obtain quantities of material that were greater than
21 Category 2.

22 I think it's important to note that two of the three attempts that the GAO
23 made have failed. And their success in obtaining a license appears to be
24 related more to a failure in following procedure rather than a gap in the current
25 system.

1 As a result of the audit, the GAO had made three recommendations.
2 First was to add Category 3 sources to the National Source Tracking System,
3 or NSTS.

4 Second was to require transfers of Category 3 quantities confirm the
5 validity of a license with the regulating authority or using the NRC's License
6 Verification System, or LVS.

7 And then the third was to enhance the pre-licensing guidance
8 requirements for Category 3.

9 It's obvious that the NRC has taken these requirements quite seriously.
10 And working groups were immediately formed to address these
11 recommendations. And the OAS appreciates the opportunity to have
12 members serving on these working groups as we continue as part of the
13 National Materials Program to ensure public health and safety and security
14 associated with the use of these sources.

15 The working groups are continuing their efforts in offering
16 recommendations to the Commission. And there has been much outreach to
17 manufacturers, licensees, and agreement states for input.

18 From the OAS perspective let me address the two GAO
19 recommendations related to the addition of Category 3 sources and to NSTS,
20 and then a possibility of requiring licensees to use LVS or the regulating
21 agencies for license verification prior to transferring Category 3 sources.

22 So, first, looking at the NSTS, OAS does not believe that there is a need
23 to include Category 3 sources into NSTS. There does not really appear to be
24 any supporting evidence that the current regulatory practices are inadequate
25 for Category 3 source security. Inspectors are regularly checking these

1 sources and the licensees' inventories as they're out on their routine
2 inspections.

3 The additional burden to licensees and agreement statements would
4 add very little to the safety and security for these sources, one example being
5 the medical licensees using high dose rate after loaders and the manufacturers
6 and distributors of these sources. We feel that they would be particularly
7 burdened by such a requirement.

8 Since these sources are changed at approximately 3-month intervals
9 and between well-known entities, there seems to be unnecessary impediment
10 with very little security gain.

11 Additionally, if NSTS is at Category 3 levels, industrial radiographers
12 might be burdened with additional shipment tracking requirements for their
13 returns. At this time, radiographers are not subject to the high level tracking
14 requirements for return shipments or transfers typically, because when they
15 ship these sources they decayed below the Category 2 levels. So if the
16 required tracking system goes to Category 3 levels, the licensees will now have
17 to return their transfer -- track their returning transfer shipments to a much lower
18 level. And, again, with another burden, with questionable levels of benefit.

19 And then regarding the license verification system, one of the other
20 considerations for Category 3 sources is requiring license verification beyond
21 the current methods to be equivalent to those in Part 37. This would require
22 transfers to verify a license with the regulating authority or through the license
23 -- or through the NRC's License Verification System prior to each transfer.

24 License verification is important for public health and safety. And this
25 has always been a requirement at some level. OAS does not believe that

1 there is evidence to suggest that the current system for license verification for
2 Category 3 is inadequate in protecting public health and safety. We believe
3 that increasing level verification might result in unnecessary delays of source
4 transfers.

5 We'd like to see the NRC perform a cost\benefit analysis prior to making
6 such a regulatory change to license verification for Category 3 sources.

7 Having all the licenses and licensees use LVS prior to transferring
8 material seems a lofty and worthy goal. We understand this would be a very
9 large technological undertaking and take a lot of coordination with the state
10 agencies. At some point this might be very valuable. But without additional
11 evidence to the threat and the potential impact to health and safety surrounding
12 these sources, OAS believes that the current process is adequate.

13 One additional comment regarding the potentially adding NSTS and
14 LVS from a state perspective for Category 3 sources. States would look at
15 this as additional workload to the state programs, and it might be difficult for
16 the states to bear. As you are aware, staffing resources are often a limiting
17 factor for agreement state programs. And as Matt has mentioned that most of
18 us have additional requirements beyond the Agreement State Program,
19 changes in our staff levels sometimes it's difficult to get those positions filled.

20 And many of our programs struggle in maintaining adequate levels of
21 trained and qualified staff, especially states with a smaller staff. Adding these
22 regulatory requirements for Category 3 sources might have a negative impact
23 on some of the states and their overall performance.

24 I thank you for the opportunity to speak and your time today. And I will
25 turn it over to Mr. Allard.

1 MR. ALLARD: Madam Chair, Commissioners, it's always a pleasure
2 and honor. Just before I get started, my theme today is radiation protection
3 standards. I just want to express my mutual condolences to the Commission;
4 we recently lost our good friend and colleague Frank Costello, member of
5 ACMUI, a good man.

6 I had a few slides. Oh, right. Good. Okay, next slide, please. That's
7 only the disclaimer for the lawyers.

8 (Laughter.)

9 CHAIRMAN SVINICKI: Be careful now. On this side, I'm on this side
10 of the table.

11 MR. ALLARD: I know, I know. May be disclaimer by intimidation. It's
12 a standard slide.

13 (Laughter.)

14 MR. ALLARD: So, the NCRP report 160 is I think a good illustration of
15 what the states, in addition to the Agreement State Program, with material
16 licensing, what the states have to deal with is for sources of radiation exposure
17 that we deal with. Obviously, we can't do anything with the cosmic rays and
18 natural background, but we're often dealing with huge issues with radon and
19 X-ray.

20 The sources of exposure are numerous. And that's one of the things I
21 wanted to talk about, try to standardize the approach to radiation protection
22 standards.

23 Next slide, please.

24 This is a slide I kind of brought in from an open meeting I attended a
25 number of years ago. The radiation protection system obviously has lots of

1 experience with biological effects. Developed these standards through the
2 years from these observed effects and animal models and such. Obviously
3 our goal is to protect workers, the public, the environment from the detrimental
4 effects or potential detrimental effects of radiation.

5 Have these very sensitive instruments. And we have these feedback
6 loops. Clearly we've got on the left-hand side here, the societal and political
7 influences to our decision making. Because we always have to weigh the
8 balance, the risks, societal benefit, from our radiation protection standards.
9 And, of course, the cost.

10 So this is today, as has been said, we obviously have all these
11 constraints, and now in these times of fiscal constraints with Federal
12 Government and state government.

13 Next slide.

14 This is a quote. Lauri Taylor some of you may know. Lauri was the
15 founding father of the NCRP. Goes back to the '20s with the ICRP setting
16 international standards for X-ray and radium. And I thought this quote was a
17 -- I saw this a few years ago and I thought it was a great, great quote.
18 "Radiation protection is not only a matter of science. It is a problem of
19 philosophy, morality and utmost wisdom." And I just thought that really
20 captures a lot of the things we have to deal with over the years.

21 Next slide.

22 So our radiation protection standards as they've evolved, the early
23 standards on radium and X-rays, they sort of came together in the '50s. We've
24 had ICRP Report No. 2, circa 1960. Then I got in the field in the mid-'70s.
25 ICRP 2630 came into line. At that point President Reagan, actually I think it

1 was an executive order, instructed all the federal agencies to update their
2 standards. We were working to ICRP 2 type standards.

3 Then along the '90s we had ICRP 60. And now, more recently, about
4 2005-2007, ICRP 103 was developed which updated a lot of the weighting
5 factors tissue, radiation rating factors.

6 So we have these evolving standards from early simple models, ICRP
7 2, one-compartment type of models, to these multi-compartment models.
8 And, again, looking at the science over the years and developing these new
9 standards. Clearly the ICRP has developed a, I think, a very good system
10 here with justification, optimization, ALARA here in the states, and limitation,
11 dose limitation.

12 And the three types of exposure scenarios: existing conditions; planned
13 scenarios, material licensing for example; and emergencies. This is where in
14 the states we have to deal with all these types of scenarios

15 Next slide.

16 So, as you all know, the regulatory framework here since the end of the
17 Federal Radiation Council in the '60s when the EPA took over these goals, and
18 again, in the mid-'80s President Reagan instructed all the federal agencies to
19 update their standards. Nuclear Regulatory Commission did that. In 1991
20 we've got the ICRP 2630, codified in the new 10 CFR Part 20.

21 DOE also through their 10 CFR Part 85 also codified those, those new
22 standards. However, some of the agencies -- well, let me just skip ahead --
23 DOT always in line, tries to line up with the IAEA international standards for
24 harmony in transportation. And, of course, the states tier off the NRC's
25 regulations.

1 But some of the agencies such as OSHA did not. And, in fact, even
2 NRC Part 50, I think Appendix I, was back, still back to ICRP 2.

3 So we have some disconnects.

4 Next slide.

5 So, here in the states we've got, we've got NRC standards for external
6 exposure. We've got OSHA type standards. We've got ICRP
7 recommendations that are out there.

8 It was very helpful with the movement that NRC was going to be in the
9 lead on updating Part 20. And of course, again, with fiscal constraints you
10 folks have had to back off on that at this point in time.

11 Next slide.

12 Another illustration would be in the radon, occupational radon world with
13 NRC at 30 picocuries per liter for workers with source material, whereas OSHA
14 is at 100 picocuries per liter.

15 Next slide, please.

16 The other more recent, I think it's Commentary 26, the Commission's
17 asked NCRP to look at this. We have a new lens of the eye dose limit. So
18 NCRP is now recommending dropping the lens of the eye dose limit from 15
19 rem to 5 rem. So we have another sort of confounder in here with radiation
20 protection standards.

21 Next slide.

22 So just to keep us on time here and sort of wrap this up. So, I'm glad
23 to see the NRC going to NCRP requesting these reviews of these various
24 issues. I think we have a mechanism with the ISCORS, the Interagency
25 Standing Committee on Radiation Standards, to sort of look at these and

1 review these. I'm hopeful that at some time we will see all of these standards
2 sort of normalized for radiation protection of workers, the public and such.

3 And, again, I think the NCRP and the INSCORS is the mechanism.
4 And I hope that at some point in the future the NRC will find the time and the
5 resources to get back to Part 20 and looking at that. And the rest of the
6 agencies also catch up with the radiation protection standards.

7 Thank you.

8 CHAIRMAN SVINICKI: Thank you.

9 Mr. Thompson.

10 MR. THOMPSON: Thank you, Chairman Svinicki and fellow
11 Commissioners. I want to take the opportunity to talk with you all briefly about
12 10 CFR Part 61, the final rule.

13 Most, if not all, my comments were from comment letters provided by
14 CRCPD during the open comment period. So a lot of this may not be fresh
15 new news of what you'll be hearing.

16 These comments were prepared by the E5 Committee on Radioactive
17 Waste Management. They did a very good job in reviewing and looking at
18 what particular areas of concern for the sited states.

19 The CRCPD supports the proposal to set the regulatory compliance
20 period at 1,000 years because it is a reasonable, practical, and achievable
21 approach for short-lived and most long-lived nuclides and is consistent with the
22 UMCRTA timelines.

23 We understand there is a balancing act between managing uncertainties
24 over long periods of time, particularly 10,000 to 50,000 years, and that there's
25 concern over long-lived inventories, including in-growth. The sited states

1 have completed 1,000-year or more performance assessments for regulatory
2 compliance. Compliance period for sites accepting significant quantities --
3 quantities of long-lived material with in-growth nuclides should have two
4 components, even if the future component has significant discussion on those
5 uncertainties.

6 At least two of the sited, at least two of the existing sited states will not
7 receive significant quantities of depleted uranium and, therefore, will not have
8 issue with the in-growth of the daughter products. Because the compliance
9 period defines the time period for a site to meet performance objectives, 1,000
10 years is adequate for short-lived nuclides. However, if a site were to accept
11 depleted uranium, a much longer compliance period is necessary.

12 The CRCPD board continues to believe the states should be given
13 flexibility whenever possible within the requirements of this regulation based
14 on site-specific conditions. A Category B for all the changes in Part 61
15 seemed to create an unnecessary reach, even for consistency. Agreement
16 states can accept Category B for the definitions and dose limits, but it's difficult
17 to understand Category B for all parts of 61.

18 Flexibility for a site-specific performance assessment to set Class A, B,
19 and C waste concentration limits is being proposed. And it appears that it will
20 work. These Class A, B, and C limits will be very dependent on the site
21 characteristics.

22 A Category C would allow flexibility to meet site-specific program needs
23 and any unique critical regulatory situations and site conditions. NRC and the
24 agreement states, especially the sited states, should collaborate to determine
25 an appropriate compatibility designation for some of the new sections of the

1 final Part 61.

2 In conclusion, I appreciate the opportunity to discuss aspects of the final
3 Part 61. It is acknowledged that the final rule is being reviewed by the
4 Commission and approval is pending. There has been improvements made
5 in this final rule. And this will only prove to be beneficial to the sited states and
6 the impacted regulatory community. The sited states have the low level
7 radioactive waste operation experience. And NRC has made it possible to
8 bring the low level radioactive waste policy into the risk-informed, performance-
9 based approach.

10 The states desire to continue to work collaboratively with the NRC on
11 these low level waste issues. Thank you. Bill Irwin.

12 MR. IRWIN: Thank you.

13 Thank you, Chairman Svinicki, Commissioner Burns, Commissioner
14 Baran for this opportunity to speak with you again for the Conference of
15 Radiation Control Program Directors.

16 In this time of transition from one administration to another, and with
17 renewed efforts of our Congress to debate federal programs and decide
18 funding priorities, the CRCPD wants to be heard loudly and clearly today: do
19 not diminish investments in efforts that improve the quality of skills and
20 knowledge required of the people who administer the National Materials
21 Program.

22 Of all the investments that could be made, investments in training the
23 people entrusted with inspecting and licensing the use of radioactive materials
24 and ionizing radiation are the last ones that should be made and considered
25 for cuts -- sorry, should be considered for cuts. The CRCPD believes instead

1 that now is the time for more investment.

2 We further recommend that more investment in training as part of
3 professional development is needed and from all of the partners in radiation
4 protection and radioactive materials security.

5 I consider the NRC exemplary in its current investment levels and
6 successful implementation of highly-effective training content. A collective
7 increased investment in the skills and knowledge of radiation protection
8 professionals is needed now because technological advancements in medicine
9 and other industries are occurring at an accelerating pace. Increases in
10 investment are needed, too, because there are very few means by which
11 people can learn what is needed to administer the National Materials Program.

12 It's not just nuclear physics, radiological instrumentation, internal and
13 external dosimetry, and biological effects that must be taught more broadly and
14 more often -- and it's not taught very many places -- it's also training on how
15 government works, how we can effectively work with people to improve
16 conditions where improvements are needed, and how licensing and inspection
17 can be done effectively without stifling medical treatment, intellectual
18 discovery, and technological advancement.

19 Today is a great opportunity to make these comments. I'm here before
20 the U.S. Nuclear Regulatory Commission in this collection of men and women
21 who have provided the radiation protection community with what I think is a
22 nearly perfect model of how radiation protection training should be done.

23 The key components are subject matter experts who develop the
24 lessons and teach the students with undeniable authority; classroom and field
25 experiences that immediately transfer to the real world where very hard-

1 working people are doing brilliant things every day; funding, so every
2 jurisdiction in the United States can send their students, and so every place
3 where people use radioactive materials the verification of safety and security
4 is done consistently.

5 Where expectations for training are clear to students, and instructor
6 verification and expectations are met is reliable.

7 More recently, periodic webinars to reinforce fundamentals and discuss
8 lessons learned. And especially most recently, making online study versions
9 of the health physics fundamental courses open to all radiation protection
10 professionals in our jurisdictions.

11 I have the good fortune of delivering this message today with very
12 recent, very relevant experience. As you know, Vermont is submitting its draft
13 application to become an agreement state in the next few months. To assume
14 this role we need skilled and knowledgeable people to administer the
15 responsibilities of the agreement. Like all states, we've had some difficulty
16 finding trained people to do the job early after hire. Those with the best
17 experience and knowledge are often attracted to much higher-paying jobs, or
18 they are reaching the end of their careers and retiring.

19 There are also many bright young people, some fresh out of college, but
20 they've never worked with radiation, never studied physics, have limited math
21 and engineering skills, and are naive when it comes to the ways of government.

22 I'm very proud to testify here today from my own experience in classes,
23 and as well from the reports of my staff who have taken even more courses
24 than I, that the NRC Agreement States Training Program ideally meets the
25 needs of the people we need to attract to our employment vacancies, very often

1 young scientists, with little or no radiation knowledge of experience.

2 I firmly believe that were it not for the agreement, the NRC Agreement
3 State Training Program, Vermont would not be applying to become an
4 agreement state. The existence of the NRC Agreement State Training
5 Program, especially as our people return better prepared, is a great comfort to
6 my management as well.

7 Now again, my primary point is that we need to increase our investments
8 in training our staff, not reduce them. And that all partners in radiation
9 protection engage in this effort more diligently than ever before.

10 Again, I applaud the NRC for the recent developments -- webinars for
11 continuing education; online self-study of the health physics fundamentals --
12 but our whole radiation protection community must work together to find ways
13 to leverage our different strengths as the NRC has. One area for focus is the
14 continuing education element for our professionals in the National Materials
15 Program. This is vital not only to maintaining our skills and knowledge, but to
16 use it as professional development for those we initially trained.

17 The CRCPD can partner with the NRC, the Food and Drug
18 Administration, the Environmental Protection Agency, and the Department of
19 Energy to collectively create meaningful, professional development
20 opportunities. And as an example, we would appreciate more opportunities to
21 send our well-trained people to more elective courses in environmental
22 sampling, decommissioning and emergency response within the NRC
23 Agreement State Training. Doing that, they make it more likely for us to
24 sustain our staffing, maintain those professionals we've invested so much in
25 already.

1 As another example, we could partner on creating case studies from
2 state and NRC experience to incorporate in the current and additional
3 continuing training. Not only are the experiences shared, but the
4 responsibilities and cost of developing the case studies and even implementing
5 training in them could be shared.

6 In the end this means it reinforces state and federal cooperation, which
7 is vital. And concurrent with the joint development of continuing education
8 content, I believe it's likely that a lot of enrichment will occur in the professional
9 lives of those state and federal people working together on this project.

10 Thank you very much for your time.

11 CHAIRMAN SVINICKI: Thank you. And as I forecast at my opening
12 remarks, you all have teed up a lot of really interesting discussion points. So,
13 in that vein we will begin the question and answer period with Commissioner
14 Burns.

15 COMMISSIONER BURNS: Thank you, Chairman. And again
16 welcome here today.

17 Thanks, Dave, for acknowledging Frank Costello's recent passing. He
18 was one of those guys in my early days, which is some time ago, under the
19 Constitution not the Articles of Confederation, but that I learned not only the
20 Agreement State Program but learned about materials, as a young lawyer
21 learning materials. This was up in Region 1. And as I've said on some other
22 occasions, I think the materials licensees in many ways are always more
23 interesting, particularly in the oversight and enforcement. But Frank was one
24 of those guys who sort of brought me along.

25 MR. ALLARD: And he was key when we became --

1 COMMISSIONER BURNS: Yes.

2 MR. ALLARD: -- an agreement state in March 2008.

3 COMMISSIONER BURNS: Yes.

4 MR. ALLARD: Frank retired from NRC and he came on board with us

5 --

6 COMMISSIONER BURNS: Yes.

7 MR. ALLARD: -- about 10 years ago. I met Frank 35 years ago, and
8 he inspected me. Friends and colleagues ever since.

9 COMMISSIONER BURNS: Well, thanks for that acknowledgment.

10 And thanks, Mr. McKinley, for giving this sort of overview and reminding
11 us of sort of the history of the program. This really is -- you know, I do
12 appreciate the work of the agreement state partners to ensure the health and
13 safety of the public and the complementary, not only compatible, but
14 complementary programs that we have both as a federal agency but as a state
15 agency in this idea.

16 And one other sort of memory down Memory Lane, I used to work for
17 Admiral Ken Carr, who was a commissioner and chairman. He was proudly a
18 native of Kentucky and he was very proud that Kentucky was the first of the --
19 first agreement state.

20 And you acknowledged over the course of sort of the history of the
21 development, and I think very aptly you sort of pointed out some of the
22 interesting things in terms of how, basically how the regulation of nuclear
23 materials to the extent it was associated with military programs and then grew
24 up that way where you had, earlier between things like X-ray or radium, other
25 naturally-occurring materials, developed a state regulation.

1 A couple things, just sort of reflections on what you were saying, is that
2 a couple events after in terms of the development of the Agreement State
3 Program, I think of the really 2000's, and basically after 9/11, and I remember
4 there were some hard spots between NRC, I think, and the agreement states
5 over some of the orders issued with respect to security.

6 At the same I remember, you know, right about 9/11, that IAEA had just
7 adopted its code of conduct, which was really focused at that time on lost
8 sources or abandoned sources, particularly in the former Soviet Union. But
9 9/11 came, sort of brought us back to the circle of things we probably weren't
10 thinking about or didn't think as much of a threat in 1962 or earlier, even after
11 that in terms of the program. But how we sort of worked through, worked
12 through those things.

13 So, you know, it's an interesting history. And, again, I think, as all of
14 you have mentioned, I think it's an important engagement that we have
15 something we all I think need to be advocates for in terms of the continued
16 safety and safety of the American people in the use, to allow the safe use in
17 various types of fields of radioactive sources.

18 As I think particularly, you know, Bill Irwin noted in his presentation, one
19 of the things that has been an ongoing issue for a number of years, certainly
20 since I came back to the NRC, is this question about, you know, funding, and
21 not only, you know, for us as the Federal Government but also for you in the
22 states and the challenges, I think one of the good things has been sort of the
23 creativity, particularly in the training programs. Because I've heard that time
24 and time again when I've been either here in these meetings or some of your,
25 you know, the national meetings, that the importance of that training as sort of

1 a base, you know, a foundation on which to build our programs is extremely
2 important.

3 And I know that's something I've tried to support and I will continue to
4 advocate for. Because we really do get, I think, leverage on it. And I know
5 we've been more creative in, you know, like everywhere in terms of education,
6 in terms of web-based or sort of online learning as well as, you know, face-to-
7 face, you know, things we can do. But it's one way of maybe making a little
8 more, if you will, economic, if that's the right word, but it's something I think we
9 continue to need to pay attention to.

10 A couple, just maybe a couple questions. Mr. Turberville, in terms of
11 your remarks, I think you noted a couple areas. Perhaps one area for us to
12 focus on as an agency is some of our communications. And I put this not just
13 to you but to anyone. If there are areas where you think perhaps we could do
14 a little bit better on the communications?

15 And sometimes it sounded to me like from your presentation, it might be
16 sort of the timing or the length of time you get sort of notice from us that we got
17 some bright idea or that we're coming down the pike with some new issue.

18 MR. TURBERVILLE: And in reference to that, that is some of the
19 issues I believe, and others can speak of that, but some of it is -- is timing in
20 itself, in that for our situation, we had a -- the -- the letters, the RCPD letters
21 that come down sometimes don't get to the right individuals. They get to our
22 director, and they never get down, so that's really on us, but it would be nice
23 for when your -- the State Agreement Officers, if they know that that is
24 something that we need to know, it would be great to pass it on down to the
25 inspection director or something of that nature.

1 We had -- our issue was more of our director was retiring, and he was
2 more worried about his retirement papers than actually getting information --
3 but I shouldn't say that.

4 (Laughter.)

5 COMMISSIONER BURNS: Yes. I know we still get letters
6 sometimes, you know, they're like from three chairman ago. I think I --

7 (Laughter.)

8 COMMISSIONER BURNS: -- you know, between Chairman Svinicki
9 and me, I can understand that, but we were still getting -- I think I was getting
10 even last year something to Chairman Macfarlane, you know, who had been
11 gone almost two years, so yeah, I think you're right.

12 It is sometimes -- you know, the official letter has to go to the top, you
13 know, goes to the senior-most official, but, you know, the people who are on
14 the ground really, you know, okay, that is helpful.

15 MR. TURBERVILLE: And -- and that's a two-way --

16 COMMISSIONER BURNS: Okay.

17 MR. TURBERVILLE: -- communication. That is where we need to
18 also be more proactive in making sure that, especially at the OAS meetings,
19 we need to have some avenue there and -- and to talk to the NRC staff at that
20 --

21 COMMISSIONER BURNS: Oh --

22 MR. TURBERVILLE: -- time.

23 COMMISSIONER BURNS: -- yes, okay. Good. Sherrie, you talked a
24 bit on the Category 3, the issues regarding Category 3 and sort of the policy
25 issue back and forth about inclusion in, you know, the National -- National

1 Source Tracking System or in the license verification system, and I know that
2 is -- that is sort of ongoing. Have you, or in terms of your state or any others,
3 have -- have looked at this in terms of the information on sort of the economic
4 impact?

5 I know -- I appreciate the concern that depending on where you go on
6 this, this could have in terms of another impact on limited state resources, but
7 do you know -- any of you know of any specifics people have looked at?

8 MS. FLAHERTY: We have not done -- in my state in particular, we
9 have not done the -- the resource calculation. It -- it is going to really depend
10 on how -- how much -- how detailed we're going to be asked to put things into
11 NSTS. Is it everything into --

12 COMMISSIONER BURNS: Yes.

13 MS. FLAHERTY: -- LVS? Is it everything? Are we --

14 COMMISSIONER BURNS: Okay.

15 MS. FLAHERTY: -- going to look at a graduated approach? And, you
16 know, that is tens of thousands of sources between all of our states, and it -- it
17 is going to depend on what -- how -- how deeply we're going to go. I don't
18 know if you guys have any other -- if you guys have looked at the impact to
19 your states in particular or not. Dave, you seem to --

20 MR. ALLARD: Yes, we I think in our letter, our formal letter that came
21 in, we figured for the National Source Tracking System it was going to be at
22 least an FTE --

23 MS. FLAHERTY: Yes.

24 MR. ALLARD: -- for just Pennsylvania.

25 MS. FLAHERTY: And I think we were looking maybe at a half-time.

1 MR. ALLARD: Yes.

2 COMMISSIONER BURNS: Yes, okay. Okay. All right. Thanks.

3 And I know that issue will -- we will continue to be looking at related to number
4 of issues on the -- on the, you know, source security, and our follow-up in the
5 GAO report, and some other initiatives that we have.

6 In terms of the -- I know we're looking at the -- in terms of the IMPEP
7 guidance or guidance on conducting the IMPEP, but are there any particular
8 issues you think maybe are, you know, sort of high -- you know, high impact or
9 might be high value in terms of potential improvements to the IMPEP program?
10 Anything particular?

11 MR. TURBERVILLE: Well, when I was researching for my speech --

12 COMMISSIONER BURNS: Yes.

13 MR. TURBERVILLE: -- the things that I was thinking about was making
14 sure that we have consistency, and everything that was in that charter that is
15 going on now, self-assessment, was pretty much answering everything that I
16 said, so I said, well, I am -- I am very --

17 COMMISSIONER BURNS: Yes.

18 MR. TURBERVILLE: -- pleased, and as I say, I wanted -- and we --
19 and not only that, we have good representation from the Agreement States with
20 the working group.

21 COMMISSIONER BURNS: Yes.

22 MR. TURBERVILLE: So I will just say when I -- I have been doing this
23 for 27 years. A lot of that was as an inspector. And when the IMPEP program
24 was implemented in '96, we all had the issue of is this going to be consistently
25 evaluated regional as well as Agreement States? The same concerns were

1 back there in 1996 and --

2 COMMISSIONER BURNS: Yes.

3 MR. TURBERVILLE: -- '95 when this was being talked about, and --
4 and as I say, Mike Welling discussed it a few years back, so -- but as I say,
5 you're addressing it, that is was my biggest concern as far as over the years,
6 and I think some -- some states have expressed the same concerns for that,
7 but if -- if -- I don't know what else you can do other than what you're doing.

8 COMMISSIONER BURNS: Okay. Great. Dave?

9 MR. ALLARD: I just want to say I have only had two and did a couple
10 period meetings, but we -- we look at it as a real positive. I mean, we have --
11 and having had, you know, eight years of DOE audit experience in the '90s
12 before I came to the commonwealth, I always, you know, I think look at these
13 things as a positive thing. No program is perfect, so, you know, we always
14 benefit from -- from things like that.

15 COMMISSIONER BURNS: Great. Thank you. Thank you.

16 CHAIRMAN SVINICKI: All right. Again, thank you each for your
17 presentation, and it was very thought-provoking. To some of the
18 presentations I maybe have not so much a question as a comment or an
19 observation that I would offer. I was trying to decide whether to go in reverse
20 order or what. I don't know. I am -- maybe I will start at the left and then go
21 down.

22 So Mr. Turberville, I appreciate that you did touch upon the comment of
23 implementation time frames. This has been a pretty consistent interest of
24 mine, and in looking -- in preparation for the meeting as I do each time -- at the
25 status information that the NRC staff provides about the state regulations being

1 put in place, it is a mixed picture. I think, you know, some states, the
2 legislature meets on a certain schedule or meets less frequently, and so I look
3 across this and state that there's good and substantive reasons why some
4 states, it takes them a little bit longer.

5 I would express that, as in the process of developing requirements, it is
6 my observation that NRC is always very interested in input on implementation
7 time frames. I think we exhibit a relatively good flexibility there. One thing
8 that makes almost all of these issues complex, though, is that we are trying to
9 strike that really good balance, and some states, it is a lot more straightforward.
10 So do you want to deprive earlier implementation for the states that traditionally
11 have more hoops to jump through in order to have a state regulation?

12 And I think we try to navigate that as best we can, but I just -- I would
13 encourage either collectively from your organizations or as individuals wanting
14 to supplement the OAS or CRCPD input, letting us know that, you know, for
15 my state, this is you just missed a cycle of our legislature, and it is -- you know,
16 it is unlikely that we could come into compliance, so I encourage the feedback.
17 I think we always have to balance different input, but I think -- I think we have
18 real sensitivity to that, that that is something really outside of your control to a
19 great extent.

20 Mr. McKinley, I appreciate again the background. I would note that the
21 former NRC historian, Sam Walker, has a series of written histories of the NRC
22 that I found very informative. I don't know how available they are. They are
23 available to NRC staff who are newer from the library, but they do touch upon
24 the evolution of -- of some of these concepts that manifested in the Atomic
25 Energy Act, and I find it fascinating. I enjoy history. But I found what you

1 presented very consistent with having studied some of the documentation of
2 that history.

3 But the one thing on policy statements, whether we have two or one, the
4 benefit -- one of the chief benefits of them is creating a common understanding,
5 and in cases where it touches on something where there are multiple
6 participants such as the Agreement State program, I think at least beginning
7 with an articulation at a very high level of what we can expect from each other
8 I think is very helpful. I know that we'll always be looking to have a better
9 articulation of what it is that we expect, but I do think that policy statements as
10 related to the Agreement State program are particularly beneficial in that
11 aspect, so I appreciate your -- I don't know how we got disconnected from you
12 on combining them.

13 I am willing to own some portion of that and say that maybe we viewed
14 that as more of an internal matter, and that we would engage externally on the
15 content, so that could be that we just didn't maybe realize that the whole notion
16 of combining two policy statements is something we could have reached out
17 on, but I appreciate your honest feedback, and, you know, we can take that in
18 and learn from that. That is very helpful.

19 Sherrie, on the GAO sting and the history, you mentioned something
20 that is very central to me, and I know we continue to look and re-look at this
21 issue, but having worked for lawmakers in the Congress for 12 years and then
22 coming here, I always struggle when there is a -- a basis articulated for
23 modifying something that is at its heart a failure to comply with what is already
24 required. I used to joke with congressional staff colleagues when there was
25 an amendment or something to a federal law, and I would say the way to get

1 compliance with this law is not to pass another law that says well, I meant it,
2 you know, when I said it in the initial law.

3 So where some aspects of the stings over the course of years have been
4 writing a combination for a safe on the door of a doorjamb or something like
5 that, so clearly prohibited already that I -- I don't know that an accretion of
6 additional requirements -- fundamentally, to me, that is a programmatic
7 failure, perhaps. It is perhaps a failure of inspection and enforcement, and we
8 need to look at all of those things when these things happen because
9 something clearly went wrong. But I don't know that it -- it -- lacking more, to
10 me, it is not enough to indicate that the fundamental system in place is
11 inadequate, and often, it would indicate other problems that you should go look
12 for because they are important problems.

13 So I kind of hit on -- you can see I have a lot of energy around that topic,
14 but it's just that we need to direct our limited resources towards fixing the right
15 problems, so I appreciate your very pragmatic focus on that.

16 And then Mr. Allard, I appreciate the Lauriston Taylor quote. I was not
17 familiar with that gentleman, but it seems to me also -- also in issues of health
18 physics and radiation protection, which is not my area of expertise,
19 communicating these complex topics, so it's a matter of philosophy, but it is
20 often a matter of communication. I was confronted just last week with an
21 international colleague talking about different units of communication and post-
22 Fukushima, the challenges in understanding with the public that were created.

23 I want to once again thank OAS and CRCPD for being involved in the
24 federal look at lessons learned after Fukushima where communication of the
25 states and state experts was front and center, and I know we found a number

1 of things that we could learn and do better. And hopefully we won't have an
2 opportunity to put it into play, but if we do, I think that that lessons learned was
3 very important.

4 And Mr. Thompson, on Part 61, I will confess, as I listened to you, I
5 thought well, that is an excellent articulation of why I am taking some time with
6 the final rule. I will say that final rules for me are among the most sober
7 responsibilities that I confront here because subsequent to my action and the
8 remainder of the Commission, there will be compulsory actions taken by
9 people, and so Part 61 is just a basket of such things, and there's -- speaking
10 of striking this balance of different interests and inputs, it is elusive to find that
11 perfect balance between, you know, disposal facilities and then generators and
12 then, you know, states that want to be representing that they have a posture of
13 protection of their people, and then also the suppressing effect on the
14 development of disposal if states can't be responsive in a really direct way to
15 their own citizenry by saying we're going to make an assessment, and we might
16 have a standard that is slightly different.

17 So that is a very complex topic, and I know that the rule has been
18 pending for some time. You were diplomatic enough not to ask exactly when
19 it is that you can expect action on it, but it is tough.

20 And then Dr. Irwin, as I listened to your commentary, I was reminded of
21 something I read just yesterday, which was a piece -- the headline -- we all
22 have so much to read that we can't read all the things that we get -- but it was
23 a trade publication, and it was something about addressing the MEGO
24 syndrome, which I didn't know what that was, but it's MEGO, and it is "my eyes
25 glaze over" syndrome.

1 And it was about making regulatory policy and regulatory activities more
2 interesting and the complexity of what they bring. You mentioned that they
3 teach you about governance. They teach you about process, about law. The
4 underlying scientific subject matter also has to be addressed. But I would
5 argue that they also teach you a little bit about core democratic principles. I
6 mean, I think it is all in there.

7 And so yes, some people's eyes glaze over, but the most directly
8 relatable thing between this piece and -- and your presentation was that the
9 fundamental argument was because of all this, it is more necessary than ever
10 to attract the best people into this area where perhaps at initial blush their eyes
11 do glaze over. But it's a tremendous opportunity to work on important things,
12 and I know that -- that domestically and internationally, agencies struggle to
13 retain competent individuals. The pay scales differ. The training and
14 advancement opportunities might be different than they would be outside the
15 regulatory bodies.

16 I think that -- that at least providing high-quality training is an important
17 -- it is, as you said, the investment in people, and that was a core element of
18 this particular article, was that investing in the people and attracting and
19 keeping the best people is more important than ever.

20 So I have consumed my time, as I like to do, but as I told you, you have
21 teed up a lot of things. If any of you feel super compelled that you would like
22 to react, I have just a few seconds left, and with the indulgence of my
23 colleagues, I might go a little bit over. Is there anyone -- Dr. Irwin, you've got
24 to have something to say to that about --

25 (Laughter.)

1 DR. IRWIN: I really appreciate all of your comments. I really
2 appreciate all of the comments made so far, and I look forward to
3 Commissioner Baran's as well.

4 I think specific to your last point relative to training, we have to find other
5 ways to make this work more rewarding. We are competing not only with a
6 wide variety of exciting occupations in this world, but with a lot of dramatic
7 priorities. We see, and I work in a health department, that there are new
8 emerging issues that transplant last year's emerging issue, and radiation
9 protection is a very well-managed hazard. And if we don't find other ways to
10 enrich the processes that we engage in to continue to manage it well, it is going
11 to be unattractive.

12 So we need to merge it with a variety of other activities, and that is why
13 I think that the continuing education beyond once you get your foundation is
14 vital. You know, we want to have that solid foundation, but then we want to
15 grow these individuals so that they are more valuable to their organizations as
16 well as the National Materials Program, and one of the most rewarding ways
17 that has occurred for me is to work with people like you, with people in other
18 federal agencies.

19 And that is why these partnerships are so valuable, because those of us
20 who come from the states where we have a somewhat smaller -- much smaller
21 sphere in Vermont for sure of influences, it enriches us, and that enrichment is
22 what is going to attract people to this work as opposed to the day-to-day tasks.

23 CHAIRMAN SVINICKI: All right. Thank you for that. Commissioner
24 Baran?

25 COMMISSIONER BARAN: Thank you. Well, thank you all for

1 traveling to be here with us today and for your continuing partnership. We
2 really appreciate it.

3 I would like to follow up on Sherrie's discussion of Category 3 radioactive
4 source accountability. As the Chairman mentioned, GAO identified some
5 issues with training and adherence to guidance, but I think the more significant
6 finding related to the ability of a potential bad actor to produce counterfeit
7 Category 3 possession licenses.

8 Right now, Category 3 sources are not tracked in the National Source
9 Tracking System, and there is no regulatory requirement for a vendor to verify
10 the authenticity of a license prior to transfer before selling them. And I see
11 that -- I see that as a regulatory gap.

12 The Commission has directed the NRC staff to examine the different
13 options for closing that gap. One option is to include Category 3 sources in the
14 MSTS, but there may be other approaches that would resolve this issue. For
15 example, we could require vendors to verify Category 3 licenses prior to a
16 transfer through the License Verification System or directly with the licensing
17 authority, either NRC or their Agreement State.

18 I have an open mind about how we address this issue. I think we
19 should look at the pros and cons of the potential solutions, and then decide
20 what makes sense. And as we try to figure out the best course of action, the
21 views of the states are extremely helpful. 11 states, including Alabama and
22 Pennsylvania, provided individual written comments on several questions
23 recently posed by the staff in a Federal Register notice, and I see today's
24 meeting as a great opportunity to hear additional perspectives and get further
25 thoughts on the comments that were made in writing.

1 Let me start with a threshold question for Sherrie, and you can answer
2 this for OAS or for Minnesota or I guess even just for yourself, whatever you
3 feel most comfortable with: do you agree that the ability of a potential bad actor
4 to alter a paper license and get vendors to sell it more Category 3 sources than
5 it is entitled to obtain is a problem? Do you see it as a -- a vulnerability in the
6 current system that could be exploited?

7 MS. FLAHERTY: I -- it could be. I mean, it is a vulnerability, but I think
8 you have to kind of take a look at what is the -- what is the overall risk --

9 COMMISSIONER BARAN: Yes.

10 MS. FLAHERTY: -- and how many Category 3 sources would be
11 required to create a really big problem? I mean, have we -- have we taken a
12 look at that? And, like you said, if we're going to establish a threshold, what
13 should that threshold be?

14 COMMISSIONER BARAN: Yes.

15 MS. FLAHERTY: Do we do a graded approach? And I don't know
16 gentlemen if -- if any of you guys have anything else that you would like to add
17 from your own state's perspective?

18 DR. IRWIN: So I'm not an Agreement State. We are working on that.
19 But I think counterfeit money is a big problem, so if there are counterfeit
20 licenses, that's a big problem. We should look at a simple solution, maybe
21 that it is something that is more unique and has that uniqueness that increases
22 the reliability of all users of that license, all viewers of that license.

23 It is an incredibly valuable item to have a radioactive materials license,
24 and it should have the weight of currency like our money does. And to invest
25 in just its form may prevent some additional bad actors from what may be in

1 some cases too simple to counterfeit.

2 MR. ALLARD: I was just -- Bill just made me think of something, and I
3 did this at work because I was going to make a donation to something, and I
4 tried to make a copy of a \$20 bill. These new machines prohibit that. I don't
5 know if have ever tried this, but it just came up dark. It was prohibited, or I got
6 a flag.

7 So maybe some sort of a coating -- I know we use watermarks and such
8 -- but some sort of coating that would actually prevent that license from actually
9 being photocopied, so a technological answer might be an approach.

10 COMMISSIONER BARAN: This reminds me a little bit of Alabama's
11 comments because, you know, the sense I got from the letter was your office
12 was not comfortable calling this a regulatory gap, and I -- and I read North
13 Carolina's comments the same way. And both Alabama and North Carolina
14 argued that license validation is the real issue.

15 And I think that is right. I think that is -- I think that is the heart of the
16 issue. I see that as a weakness in the system, though. Do you see, and this
17 is a question for David or -- for the other David or others -- do you see a way
18 for NRC to ensure proper validation of Category 3 licenses without a regulatory
19 change?

20 MR. TURBERVILLE: In reference to Alabama, I know our director is
21 working with people within the health department to see if we can come up with
22 the same type of paperwork or paper to make it harder for this to actually be --
23 to occur, so I don't have the -- I am not in the front of that, so I can't answer
24 more than that, but yes, I think that is the way to go for us.

25 COMMISSIONER BARAN: Do you have thoughts about that, Dave?

1 So I mean I see the point. I mean, as I look at it, I thought coming into today,
2 I could think of at least three options. One is, you know, include the Category
3 3 sources in NSTS; one is to include them in the license certification system;
4 one is, you know, require contacting the licensing authority, picking up the
5 phone and saying, hey, I've got someone here with a license, is this a valid
6 license?

7 MR. ALLARD: Right.

8 COMMISSIONER BARAN: I guess you could do that, or LVS is a third
9 option. I guess this is a potential fourth option, which is make the licenses
10 themselves less susceptible to --

11 MR. ALLARD: Forgery.

12 COMMISSIONER BARAN: -- forgery or --

13 MR. ALLARD: Yes.

14 COMMISSIONER BARAN: -- modification.

15 MR. ALLARD: Yes.

16 COMMISSIONER BARAN: Sherrie actually mentioned maybe that is a
17 fifth option of some kind of graded approach on this. Maybe one of these other
18 things, but only to a certain set of Category 3s. Is -- you know, if we wanted
19 to have assurance that paper licenses all across the country were in fact
20 resistant --

21 MR. ALLARD: Right.

22 COMMISSIONER BARAN: -- to being modified, is there a way to get
23 there without making a change to the regulation?

24 MR. ALLARD: Yes, I am not sure on the technological approach, but
25 for sure, I mean, we are on record, I mean, the -- the National Tracking System

1 would be a huge burden on us, but the license verification, I mean, it would be
2 doable. But, you know, it's going to be initial work.

3 And again, for all the states, I mean, we've got -- even though we've got
4 restricted funds and have fee-based, we have no general funds coming into
5 our program. We are still with everybody else as far as the hiring ceilings now
6 and -- and maybe an early out. The work -- I can't underestimate, you know,
7 the concerns about staffing, and as Bill brought up, we, you know, polled all
8 the -- all the states a few years ago as part of this NCRP work meeting, where
9 are the radiation professionals going to come from? Don Cool was the NRC's
10 rep at that big meeting.

11 We are looking at 30, 40 percent staff turnover in the next few years,
12 just -- just from us baby boomers waving out, and so the training is key, and
13 then, you know, with additional, you know, burdens as far as workload, it is real
14 important.

15 COMMISSIONER BARAN: I am very sensitive to that --

16 MR. ALLARD: Yes.

17 COMMISSIONER BARAN: -- thanks for bringing that up. I -- you
18 know, that was one of the questions that the staff had in their Federal Register
19 notice, which is on the -- you know, on the license verification side, either
20 through LVS or through some kind of --

21 MR. ALLARD: Right.

22 COMMISSIONER BARAN: -- other communication with the licensing
23 authority, what would the resource impact be for the agencies? And some
24 states responded --

25 MR. ALLARD: Yes.

1 COMMISSIONER BARAN: -- that they thought it would be pretty
2 minimal. Texas, Illinois had that view. Florida had a different view. They
3 thought it would be more resource-intensive. Do others have a thought about
4 that? If the question is more on the license verification side, how resource-
5 intensive do folks view that as being?

6 MR. ALLARD: The other thought we had, and we put this in our letter,
7 was do we T&R the RSOs for Category 3s? Is that one way to screen, you
8 know, the T&R, the radiation safety officer, for that license?

9 COMMISSIONER BARAN: Others have thoughts on the verification
10 side, whether that would be -- kind of the resource intensity of that type
11 approach for your agency, is that something you have a sense of?

12 MS. FLAHERTY: Well, we are in WBL, so for us, it wouldn't be as
13 intense because the licenses would already be there.

14 COMMISSIONER BARAN: And maybe that is why I am seeing the kind
15 of differences of opinion of that --

16 MS. FLAHERTY: Right.

17 COMMISSIONER BARAN: -- depending on where the states are in
18 terms of WBL already.

19 MR. ALLARD: Yes. We have a custom, since we're talking about this
20 at coffee just a little while ago, we have a custom system where all of our
21 permits for the whole agency, water, air, waste, radiation, are all in one system,
22 and there is just no way, you know, we can tap into the web-based licensing.

23 COMMISSIONER BARAN: Go ahead.

24 MR. THOMPSON: Commissioner Baran, one thing with the licensing:
25 sometimes, it is the way the licenses are written. Now, I have large paper mills

1 in Arkansas, and they have 50, 60 gauges. The license is not written for 50
2 or 60 gauges. It's a maximum possession limit, which allows them the
3 flexibility to be able to change, replace, add as their -- as their operation sees
4 fit. That is one of the problems with relying on the license. It's not necessarily
5 written for the inventory they may actually have.

6 COMMISSIONER BARAN: Yes. That is a good point. A common
7 theme from nearly every state that submitted comments was that general
8 licenses are not a good idea for Category 3 sources. I think 9 of the 11 states
9 recommended eliminating general licenses for Category 3 sources and
10 requiring specific licenses instead. The other two didn't say anything one way
11 or the other. They might also be against general licenses.

12 What do you all think about this? You know, for those of you who did
13 have written comments, do you want to elaborate a little bit about why you think
14 general licenses are a bad idea? For those of you who didn't have written
15 comments, do you have views on that?

16 MR. ALLARD: We are on record.

17 (Laughter.)

18 MR. ALLARD: But I will tell you, having seen a lot of these, you know,
19 show up in scrap yards and such, the hazard is serious, so I think it is -- sadly,
20 a lot of these sources, they're out there, but moving forward, I would definitely
21 recommend, you know, moving away from these GLs --

22 COMMISSIONER BARAN: Just don't the accountability we need with
23 --

24 MR. ALLARD: Yes, that's it.

25 COMMISSIONER BARAN: -- the general licenses.

1 MR. ALLARD: That's it right there, accountability.

2 PARTICIPANT: Yes.

3 COMMISSIONER BARAN: Okay. Well thank you very much. I
4 appreciate the discussion, and I don't know if I have all the comments yet. I
5 have read all the ones that I have seen, and I look forward to reading the rest,
6 and I know the staff will do a good job reaching out to you all and getting further
7 thoughts from you on this issue. Thank you.

8 CHAIRMAN SVINICKI: All right. Thank you. Did anyone have
9 anything else?

10 (No audible response.)

11 CHAIRMAN SVINICKI: Well, with that, I do want to thank you all again
12 for the work you do for those who support you in that work in your organizations
13 and back in our agencies. These aren't issues that we tackle year-to-year in
14 these meetings, and there is a lot of continuity, but I do appreciate Dr. Irwin's
15 comments that this state/federal relationship kind of models something a little
16 different than you might see elsewhere, or certainly something different than
17 you might see these days. Generally, it is I think a real partnership, and -- and
18 I think that is to the benefit of the public everywhere that it is that way.

19 So with that, we're going to be adjourned, but please don't run from the
20 room because my understanding is some of us have agreed to be in a group
21 photo, and we all wore our best today for that reason. Thank you. We are
22 adjourned.

23 (Whereupon, the meeting went off the record at 11:23 p.m.)