

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
 Plant License Renewal Subcommittee

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Thursday, March 23, 2017

Work Order No.: NRC-2955

Pages 1-230

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

UNITED STATES OF AMERICA
 NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

PLANT LICENSE RENEWAL SUBCOMMITTEE

+ + + + +

THURSDAY

MARCH 23, 2017

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Subcommittee met at the Nuclear Regulatory Commission, Two White Flint North, Room T2B1, 11545 Rockville Pike, at 1:01 p.m., Gordon R. Skillman, Chairman, presiding.

COMMITTEE MEMBERS:

GORDON R. SKILLMAN, Chairman

RONALD G. BALLINGER, Member

DENNIS C. BLEY, Member

CHARLES H. BROWN, JR., Member

MICHAEL L. CORRADINI, Member

WALTER L. KIRCHNER, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
 1323 RHODE ISLAND AVE., N.W.
 WASHINGTON, D.C. 20005-3701

JOSE MARCH-LEUBA, Member

DANA A. POWERS, Member

PETER RICCARDELLA, Member*

JOHN W. STETKAR, Member

MATTHEW W. SUNSERI, Member

DESIGNATED FEDERAL OFFICIAL:

KENT HOWARD

ALSO PRESENT:

PAUL AIKEN, Dominion

ERIC BLOCHER, Dominion

STEVEN BLOOM, DLR

BENNETT BRADY, NRR

DONALD BRITTNER, DLR

ANGELA BUFORD, NRR

SHERYL BERNHOFT, EPRI

CLIFF DOUTT, NRR

MICHAEL GALLAGHER, Exelon

JERUD HANSON, NEI

ALLEN HISER, DLR

BOB HOFFMAN, NRR

BILL HOLSTON, DLR

HEATHER JONES, NRR

BRYCE LEHMAN, DE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

NANCY MARTINEZ, DLR

JIM MEDOFF, NRR

SEUNG MIN, NRR

JEFF POEHLER, DE

JASON REMER, NEI

BILLY ROGERS, DLR

MOHAMMAD SADOLLAH, NRR

ANDREA D. VEIL, Executive Director, ACRS

GEORGE WILSON, DLR

*Present via telephone

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

C-O-N-T-E-N-T-S

Opening Remarks by Chairman Skillman.....	5
Staff Introduction by Mr. Wilson.....	7
Overview of Project by Mr. Bloom.....	8
NRC Staff Presentation	
Licensing Background by Ms. Brady.....	14
Subsequent License Renewal Guidance by.....	20
Mr. Holston	
SLR Technical Issues by Mr. Medoff.....	45
Changes to Address Significant Issues by.....	57
Mr. Min	
SLR Optimization.....	2
Steven Bloom.....	2
Bill Rogers.....	2
Nancy Martinez.....	49
Heather Jones	
NUCLEAR ENERGY INSTITUTE PRESENTATION.....	53
Jerud Hanson.....	
Eric Blocher.....	56
Sherry Bernhoft.....	60
OPPORTUNITY FOR PUBLIC COMMENT.....	70
(None)	
SUBCOMMITTEE DISCUSSION.....	70

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P R O C E E D I N G S

1:01 p.m.

CHAIRMAN SKILLMAN: Ladies and gentlemen, this meeting will come to order. Welcome to all of you.

This meeting is about subsequent life renewal, sometimes called life beyond 60. My name is Dick Skillman. I am Chairman of this meeting, and I am Chairman of the Plant License Renewal Subcommittee. In attendance are, by phone, Dr. Peter Riccardella; around the table, Dr. Dana Powers, Dr. Ron Ballinger, Matt Sunseri, John Stetkar, Dr. Walt Kirchner, Charlie Brown, Dr. Dennis Bley, Dr. Mike Corradini, and Dr. Jose March-Leuba. Colleagues, thank you for attending. Kent Howard is the ACRS Designated Federal Official.

The ACRS was established by statute and is governed by the Federal Advisory Committee Act. As such, this meeting is being conducted in accordance with provisions of FACA. That means that the committee can only speak through its published letter reports. Interest parties -- interested parties who wish to provide comments can contact our offices requesting time in accordance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with the Federal Register notice and make those
2 comments and speak on time. That said, we also set
3 aside ten minutes for spur-of-the-moment comments
4 from members of the public who are in attendance or
5 who are listening in to our meetings. Written
6 comments are also welcome.

7 The ACRS section of the U.S. Nuclear
8 Regulatory Commission public website provides our
9 charter, our bylaws, our letter reports, and full
10 transcripts of our full and subcommittee meetings,
11 including all slides presented at the meetings.
12 This afternoon, we will hear presentations from the
13 Division of License Renewal and the Nuclear Energy
14 Institute regarding subsequent life -- subsequent
15 license renewal. This Subcommittee will gather
16 information, analyze relevant issues and facts, and
17 formulate proposed positions and actions as
18 appropriate for deliberation by the Full Committee.

19 The rules for participation in today's
20 meeting have been announced as part of the notice
21 of this meeting previously published in the Federal
22 Register. We have not received written comments or
23 requests for time to make oral statements from
24 members of the public regarding today's meeting.
25 The entire meeting will be open to public

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 attendance.

2 There is a phone bridge line currently
3 open. To preclude interruption of the meeting, the
4 phone will be placed in a listen-in mode during the
5 presentations and during committee discussion. A
6 transcript of this meeting is being kept and will
7 be made available, as stated in the Federal
8 Register notice. Therefore, I ask that
9 participants in this meeting please use the
10 microphones located throughout the meeting room
11 when addressing the Subcommittee.

12 The participants are also requested to
13 please identify themselves and please speak with
14 sufficient volume and clarity so that they can be
15 readily heard. I also request that all meeting
16 attendees please silence your electronic devices.

17 We will now proceed with the meeting,
18 and I call upon George Wilson to begin the
19 presentations. George?

20 MR. WILSON: Good afternoon. I am
21 George Wilson, the Director of the Division of
22 License Renewal in the Office of Nuclear Reactor
23 Regulation. We appreciate the opportunity to come
24 to you today. Our goal is to update you on our
25 activities and the changes that we have made to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 draft subsequent license renewal guidance
2 documents, which are the Generic Aging Lessons
3 Learned for Subsequent License Renewal, or GALL-
4 SLR, and the Standard Review Plan for the Review of
5 Subsequent License Renewal, SRP-SLR, and also to
6 brief you on an effort within the division to
7 evaluate the overall process for subsequent license
8 renewal and to develop recommendations of how the
9 process could be made more efficient and more
10 effective.

11 Our goal is to publish the guidance
12 documents by the middle of July for the upcoming
13 letters of intent that we have that we plan on
14 receiving some subsequent license renewal
15 applications in Fiscal Year '18. I will now turn
16 it over to Steve Bloom for his presentation.

17 MR. BLOOM: Good afternoon, and thank
18 you, George. Members of ACRS Subcommittee for
19 Plant License Renewal, my name is Steve Bloom. I
20 am the Branch Chief in charge of the Subsequent
21 Renewal Guidance and Operations Branch in the
22 Division of License Renewal in the Office of
23 Nuclear Reactor Regulation.

24 I would like to first give a quick
25 recap of our project. You may recall that we met

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with this Subcommittee in November of 2015 to brief
2 you on the status of research on the major
3 technical issues or concerns during the period of
4 operation from 60 to 80 years. Staff from the
5 Offices of Nuclear Reactor Regulation and Nuclear
6 Regulatory Research, as well as representatives
7 from the Department of Energy, Electrical Power
8 Institute, and NEI met with this Subcommittee to
9 discuss current and future research activities in
10 the major technical areas.

11 As planned, we again met with you in
12 February 2016 to discuss the most significant
13 changes in the draft GALL-SLR report and SRP-SLR
14 from the documents which were from the initial
15 license renewal. We issued these documents for --
16 as draft for public comment in December of 2015.
17 We were in the public period -- comment period at
18 that time. During that period, we received over
19 300 pages of comments, which had 500 comments in
20 total. We therefore reconvened our expert panels
21 and have dispositioned all of our comments.

22 We held nine public meetings during
23 this period to inform interested stakeholders on
24 those changes and the technical basis for these
25 changes and other comments that we received.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 During today's meeting, we will focus on the
2 significant changes we made to those documents
3 following the public comment period.

4 We will begin our discussion with a
5 little background on the principles of license
6 renewal, how these documents maintain the
7 principles and Commission's direction to the staff.
8 We will discuss our schedule and future plans. We
9 will then talk about some further generic changes
10 that we made to our documents and then discuss
11 significant changes in the four major technical
12 issues for subsequent license renewal.

13 As George stated, we plan on issuing
14 the documents in July of 2017. As he also stated,
15 we have some licensees who have already told us
16 that they are going to come in during the letters
17 of intent. With that, I would like to introduce
18 Mike Gallagher, who is the Vice President of
19 License Renewal, Exelon Utilities, and Paul Aiken,
20 who is the Manager for Second License Renewal for
21 Dominion, to give a quick, quick update on the
22 status of their -- of getting ready for their
23 applications.

24 MR. GALLAGHER: Okay. Thanks, Steve.
25 Yes, I am Mike Gallagher. I am Vice President of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 License Renewal and Decommissioning at Exelon, and
2 as Steve said, we have been -- as the industry, we
3 have been working on a plan since 2009 to be ready
4 for subsequent license renewal, and Exelon and
5 Dominion had stepped up to have lead plants in that
6 area. And so we are on track, and we appreciate
7 the NRC, you know, being on track on getting the
8 guidance out because it was always envisioned that
9 the guidance would be coming out in the middle of
10 2017, so we really do appreciate that.

11 We think we are well-positioned to do
12 second license renewal, or subsequent license
13 renewal, because, you know, as far as Exelon goes,
14 we have 22 of our 23 units are in -- have renewed
15 licenses, so we do -- we feel we have a lot of
16 experience in doing license renewal, and the -- and
17 the second -- subsequent license renewal is really
18 a continuation of the original process.

19 We have 13 units in the period of
20 extended operations, we have a lot of aging
21 management experience that we're building off of,
22 and we have participated in the EPRI long-term
23 operation committee and the NEI initiatives. As
24 Steve said, there was extensive commenting, and it
25 wasn't -- extensive commenting on a high-quality

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 document is what I would say is what it was because
2 we had a lot of industry experience, a lot of staff
3 experience, and I think we -- we were able to get
4 some good commenting process in, and I think there
5 was a good exchange to the whole process, and I
6 thought that went rather well, so that was a
7 reflection of I think a high-quality initial
8 product that I think is -- is going to end up as a
9 good, high-quality product.

10 And, you know, with that, we think we
11 do understand the -- the expectations for license
12 renewal and second renewal, and we are looking
13 forward to submitting an application for Peach
14 Bottom in the third quarter of 2018, which is --
15 was our original plan, and we're on track to do
16 that. We are in process on our project, and we
17 will be submitting in the third quarter of 2018.

18 And one thing I -- well, let me just
19 end it there because I am going too long, so -- .

20 MR. AIKEN: Thank you, Mike.

21 MR. GALLAGHER: Paul?

22 MR. AIKEN: Good afternoon. I am Paul
23 Aiken from Dominion. Can you hear me okay? Yes,
24 okay.

25 I appreciate the opportunity to speak

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in front of the distinguished panel here. Just to
2 amplify on Mike and Steve and George's comments, we
3 have been working long and hard for the last couple
4 of years with the staff, and a lot of that is a
5 testament to the folks up at the front of the room
6 and the folks in the audience here. We have been
7 meeting, several public meetings, and we'll discuss
8 areas when we get into our presentation later on,
9 but it is that transparency that allowed us to get
10 us to where we are today, and it has been that
11 transparency that has given us the building blocks
12 to move forward.

13 So with every issuance of this
14 document, believe me, Mike and I and our
15 organizations are turning on it and we're working
16 to it, so we want to get the best document we can.
17 It has been a high-quality document. We have had
18 comments. We have had healthy discussions and
19 debates, and I think we have come to a common
20 resolution on -- on most of the issues, so we look
21 forward to proceeding. Surry is on track. Our
22 project team has been fully staffed since 2015, so
23 we have actively been working on the project, and
24 we are on schedule and looking forward to the July
25 issuance, and we think with this final round, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think we will be where we need to be. So --

2 CHAIRMAN SKILLMAN: Paul, if I could,
3 when do you anticipate submitting your subsequent
4 life renewal application for Surry?

5 MR. AIKEN: Yes, our letter of intent
6 was for the first quarter of '19.

7 CHAIRMAN SKILLMAN: First quarter of
8 '19?

9 MR. AIKEN: Yes sir.

10 CHAIRMAN SKILLMAN: Yes sir, thank you.

11 MR. AIKEN: Okay, fair enough.

12 CHAIRMAN SKILLMAN: Thank you.

13 MR. BLOOM: Thank you, Mike and Paul.
14 As they stated, they are already generating their
15 documents, but they are using the latest draft
16 document that we gave them, and so therefore, they
17 both are anticipating the final version of this
18 document as soon as we can get it.

19 Next, I would like to turn it over to
20 Bennett Brady, who will now discuss the NRC's
21 activities related to subsequent license renewal.

22 MS. BRADY: Good afternoon. My name is
23 Bennett Brady.

24 CHAIRMAN SKILLMAN: Microphone, please?
25 Little green light, please? Okay, just pull it a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 little closer to you please, Bennett.

2 (Pause.)

3 MS. BRADY: Is that better?

4 CHAIRMAN SKILLMAN: There you go.

5 Thank you.

6 MS. BRADY: Yes, thank you.

7 CHAIRMAN SKILLMAN: Thank you, Bennett.

8 MS. BRADY: Before we get into our
9 discussion of the technical issues, I would just
10 like to take a few minutes to talk about the
11 License Renewal Rule, the two principles of license
12 renewal, and how our document fits into this
13 background.

14 In 1991, the Commission established the
15 License Renewal Rule. They again reviewed it in
16 1995 and reaffirmed the License Renewal Rule.
17 Slide 3, please.

18 They -- they also established two --
19 two -- the two principles of license renewal:
20 first, the regulatory process ensures that the
21 current licensing basis provides and maintains an
22 acceptable level of safety. The only possible
23 exception to this is the effects of aging
24 degradation, and that's what we're about. The
25 second principle was each plant's licensing basis

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 must be maintained to the extent and in the same
2 manner as it was for the first four years of the
3 operating period.

4 Our subsequent license renewal thus is
5 focusing on the aging management differences that
6 will be in the period from 60 to 80. Next slide,
7 please.

8 MEMBER CORRADINI: You may want to keep
9 it off the speaker.

10 MS. BRADY: Thank you.

11 MEMBER CORRADINI: No problem.

12 MS. BRADY: For this period, we have
13 developed the two documents that you have heard
14 about: the Generic Aging Lessons Learned for
15 Subsequent License Renewal, the GALL-SLR report,
16 and NUREG-2191. This document provides an
17 evaluation of the various activities and programs
18 for maintaining at adequate aging control. It also
19 establishes aging management programs that the NRC
20 feels acceptable for maintaining safety during the
21 60 to 80 period. Of course, plants may choose to
22 use a plant-specific program that they have in
23 place of these, and our staff is certainly capable
24 of reviewing plant-specific programs.

25 We also have the Standard Review Plan

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for Review of Subsequent License Renewal
2 Applications for Nuclear Power Plants, which we
3 call the SRP-SLR. That provides guidance to the
4 staff on reviewing applications for subsequent
5 license renewal to ensure their quality and
6 uniformity. It also provides guidance for
7 reviewing plant-specific programs.

8 As Steve mentioned, in our first
9 meeting -- second meeting with you in last
10 February, we talked about the changes from the GALL
11 to the draft guidance documents. Today, we are
12 mainly focusing on the changes from the draft that
13 we have presented to the final document that we
14 gave you. Of course, we can go back and talk about
15 any of the changes that you would like. Next
16 slide, please.

17 These are the four technical issues
18 that we have identified as being the most
19 significant for subsequent license renewal. They
20 were first laid out in two international meetings
21 on long-term operation back in 2008 and 2011. We
22 have gone through our review, and these -- still
23 maintain that these are the four major issues for
24 subsequent license renewal. They will not be
25 completely resolved by the time the first

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 applications come in, and this will mean that the
2 first applicants will have to do a little more in
3 developing their own plant-specific programs to
4 address these issues. That will not prevent us
5 from continuing. We have a lot of experience in
6 reviewing plant-specific applications, and we are
7 ready to review the applications today, if need be.
8 Next slide, please.

9 These are our next steps of subsequent
10 license renewal. That will be a Full Committee
11 meeting of the ACRS on April 6th, a Commission
12 meeting on April the 25th to talk about our
13 preparations for subsequent license renewal, and as
14 we have mentioned several times, mid-July is when
15 we plan to issue the two documents. There will
16 also be two NUREGs that we will be issuing at the
17 end of the year, one that will provide the
18 technical basis with all the changes we have made.
19 The second NUREG will be on the public comments.
20 It will provide all the comments verbatim, telling
21 also our resolution of these comments and the
22 technical basis for these comments.

23 And you have already heard about the
24 schedule for Peach Bottom and Surry. They seem to
25 be doing well. They have been telling us these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dates since the very beginning.

2 CHAIRMAN SKILLMAN: Bennett, please say
3 more about the April 26th Commission meeting.

4 MS. BRADY: It will be --

5 MR. BLOOM: Dick, I am sorry, what do
6 you specifically want to know about it?

7 CHAIRMAN SKILLMAN: Is the sole topic
8 of that meeting subsequent life renewal?

9 MR. BLOOM: Yes.

10 MS. BRADY: Yes.

11 MR. BLOOM: Yes sir. So we are going
12 to have ourselves talk about the documents
13 themselves. The Office of Research will be talking
14 about the research related to this, and actually,
15 Mike and -- and Paul will actually be there to talk
16 about their applications, along with Sherry and
17 Rich Reister to talk about research that is going
18 on in the industry as a collaborate effort.

19 CHAIRMAN SKILLMAN: Is there any
20 expectation that there will be an ACRS product
21 prior to that meeting, a letter report from the
22 ACRS?

23 MR. BLOOM: I was assuming the answer
24 would be yes. I would like to get -- say that I
25 would like that letter before that meeting, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's not a necessity.

2 CHAIRMAN SKILLMAN: I am just making
3 sure we are clear on what we're doing here, what we
4 --

5 MR. BLOOM: Right.

6 CHAIRMAN SKILLMAN: -- would be doing -
7 -

8 MR. BLOOM: I mean, I would like the
9 letter --

10 CHAIRMAN SKILLMAN: -- for the Full
11 Committee --

12 MR. BLOOM: -- before --

13 CHAIRMAN SKILLMAN: -- meeting.

14 MR. BLOOM: -- then, after our April
15 6th Full Committee meeting, but if -- if it can't
16 be done, then I understand --

17 CHAIRMAN SKILLMAN: Okay.

18 MR. BLOOM: -- but I would like one.

19 CHAIRMAN SKILLMAN: Just trying to make
20 sure I am fully aware of what is going on. Thank
21 you.

22 MR. BLOOM: Yes sir.

23 MS. BRADY: I think you will find that
24 the ACRS Full Committee meeting will be very much
25 the same topics as the Commission meeting.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SKILLMAN: Thank you, Bennett.

2 MS. BRADY: Yes.

3 CHAIRMAN SKILLMAN: Okay. Please
4 proceed.

5 MS. BRADY: That completes my
6 presentation. Thank you. Are there any questions?

7 MR. BLOOM: Now I would like to start
8 the technical kind of part of our discussion. Bill
9 Holston will start off with a discussion on some
10 generic changes and burden reductions which are in
11 the documents, and then the other three panel
12 members, who will introduce themselves when they
13 get to them, will talk about mechanical AMPs that
14 have been revised based on -- since the -- the
15 draft GALL that we submitted to you back in
16 February.

17 MR. HOLSTON: Okay. This is Bill
18 Holston. I am a technical reviewer in Division of
19 License Renewal. Steve already adequately
20 introduced what I will be talking about here, so we
21 can focus on the first slide, slide 8.

22 As we were reviewing across several of
23 the aging management programs trying to drive to
24 consistency across those where that was possible,
25 we noted that there was sometimes a different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 approach with protecting the extent of degradation
2 discovered during inspections, so we developed
3 common wording for the appropriate aging management
4 programs. Some programs already had built-in
5 projections. For instance, Section 11, if you
6 detect -- have an indication, evaluate it to the
7 flaw evaluation, that factors that in within the
8 ASME code itself.

9 So if we -- depending upon whether the
10 program is a periodic program or a one-time
11 program, we built into the recommendations that the
12 degradation was projected to the next inspection or
13 the end of the subsequent period of extended
14 operation. The changes are focused on inspection
15 results which are quantifiable versus
16 inconsequential degradation, so some of the
17 walkdowns for example, if you're doing for in
18 accordance with external surfaces program where the
19 system engineer walkdown, you see some corrosion on
20 a pipe pretty much to the point where you take your
21 glove and wiped it off, it would be gone, we're not
22 going to quantify that.

23 But however, instead, if you're doing
24 volumetric wall thickness measurements, those can
25 certainly be quantified. If you're doing masonry

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 wall observations and you saw some minor cracking
2 in your last inspection, you go back and inspect
3 again, it is maybe an inch longer, you can continue
4 to project those. That is the type of inspection
5 results that we're talking about projecting.

6 And the acceptance criteria for that
7 will be that it needs to meet the intended function
8 for either the remainder of the period of extended
9 operation, if it's one-time inspection, or until
10 the next inspection interval in a periodic program.
11 Any questions on slide 8?

12 (No audible response.)

13 MR. HOLSTON: Okay. Slide 9: we went
14 through all of the UFSAR supplement descriptions to
15 revise them to cover key aspects of the aging
16 management programs. We noticed that some of those
17 supplements had the -- had that rigor in them, but
18 some of the other ones didn't, and so those were
19 added. So if you can picture a three- or four-page
20 AMP, you're not going to put three or four pages in
21 that FSAR summary, but you want to pick out the key
22 characteristics of that program.

23 So using buried pipe, one of the ones I
24 work with quite a bit, we want licensees to have in
25 their current licensing basis that they're going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 do cathodic protection monitoring annually, they
2 are going to inspect their backfill, they are going
3 to inspect the coatings, and that their inspections
4 will be informed based upon the conditions that
5 they encounter.

6 Timing of inspections is -- was built
7 into the FSAR supplements, and another example is
8 citing industry consensus documents, so a key
9 aspect of the fire water system program is tests
10 and inspections that are conducted in accordance
11 with NFPA, National Fire Protection Association,
12 Standard 25, which is for water-filled systems, so
13 that is cited now in the FSAR supplement.

14 Closure bolting inspections for air-
15 filled and gas-filled systems, probably about four,
16 maybe four, four-and-a-half years ago, we
17 recognized and started addressing submerged bolting
18 via requests for additional applications -- or
19 information with the applicants. Submerged bolting
20 is difficult to detect leakage, and that was the
21 whole basis of the GALL reporting on bolting
22 integrity, and so through working with several
23 plants over the RAI process, we arrived at some
24 acceptable recommendations.

25 Well, when we were putting that into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the subsequent license renewal guidance document,
2 we recognized we hadn't ever addressed air-filled
3 or gas-filled systems. Again, the basis of the
4 program is looking for leakage. You are not, you
5 know, necessarily going to see air- or gas-filled
6 leakage. Sometimes you might. If you've got a
7 diesel exhaust pipe, certainly if you have some
8 loss of pre-load or if you have some degradation of
9 the bolting that is causing some separation, you
10 will see soot, right, but instrument air system,
11 you might be able to hear if you have a leak, but
12 you might not.

13 So we added specific recommendations
14 for that, provided about six options, examples for
15 possibly thermography if there's a difference
16 between the air and the environment. Soap bubble
17 testing, sometimes those systems are dead-ended.
18 In other words, you have an accumulator here and
19 you have a valve over here, a check valve in
20 between. You could monitor the degradation of the
21 pressure in that piping system to tell you what is
22 going on with the bolting at that flange, whether
23 it is leaking.

24 And then we developed common wording
25 for inspection parameters. This one was actually

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 based upon some operating experience. We were
2 working with a regional inspection team that had
3 observed a couple of inspections. The pre-job
4 brief was wholly lacking in what we would call
5 inspection parameters. Nobody talked about
6 lighting. Nobody talked about distance, what angle
7 could you be looking at. These are not code
8 inspections in many of the AMPs, but, you know, you
9 still have to have adequate lighting to see. You
10 can't be, you know, 50 feet away and maybe detect
11 cracking in a -- in a pipe.

12 So that -- we built those common
13 wording into all the AMPs. Of course, where you
14 had ASME Section 11 AMPs, we didn't need to build
15 that in. Any questions on slide 8?

16 PARTICIPANT: That was 9, though.

17 MR. HOLSTON: Oh, it was what?

18 PARTICIPANT: Number 9.

19 MR. HOLSTON: I am sorry.

20 MEMBER BLEY: Is there kind of common
21 agreement on that last one you talked about?

22 MR. HOLSTON: The last --

23 MEMBER BLEY: The common wording?

24 MR. HOLSTON: The common wording for
25 inspection parameters?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: Yes, did you get any --

2 (Simultaneous speaking.)

3 MEMBER BLEY: -- feedback from
4 licensees and others about that?

5 MR. HOLSTON: No, I don't recall
6 getting any comments on that, and we had that in
7 the -- in the -- the edition that was put out in
8 December --

9 MEMBER BLEY: Right.

10 MR. HOLSTON: -- yes sir.

11 MEMBER BLEY: Okay.

12 MR. HOLSTON: Sorry. I just couldn't
13 read. That was slide 9 from here. Yes, could you
14 go to 10? Yes, thank you.

15 All right. Some of you are probably
16 well aware, we added a lot of recommendations to
17 the -- the GALL report, but we were also able to
18 identify some burden reductions.

19 So the first one I am going to talk
20 about is we went through six recent license renewal
21 applications, so you would have aging management
22 review line items that are consistent with the
23 GALL, and it is very easy for a licensee to write
24 those up. It is very easy for the staff to review
25 those. If you're -- if you have a material

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 environment aging effect and recommended program,
2 you're aligning with that. The reviews go pretty
3 quickly.

4 However, if you have a unique material
5 or unique environment, those take a lot more time
6 for the licensee to develop those line items. It
7 takes us longer to evaluate them, and then each of
8 those individual line items have to be written up
9 in the SER, so you're talking quite a bit of effort
10 to do that.

11 So we identified about 100 line items.
12 Now, when I say 100 line items, that is not 100
13 material environment aging effect program
14 combinations, but some were around about 40 or so
15 of what we called notes F through J. So generic
16 notes A through D are for -- those are the
17 consistent ones. Those, F through J, are, you
18 know, well, the material was not in the GALL, or
19 the environment was not in the GALL, or the aging
20 effect was not in GALL, so we built those into the
21 GALL, and it will reduce our review time and of
22 course the licensee's time in putting the GALL
23 report together.

24 CHAIRMAN SKILLMAN: Were those
25 additions generally agreed to by licensees? These

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 came out of prior license renewal apps, and so
2 these were, if you will, consensus findings for
3 applicants, is that --

4 MR. HOLSTON: Yes sir, yes, yes. What
5 -- what we did was we reviewed the license renewal
6 applications. We didn't take one-offs. If the
7 client had a unique material, okay, that is fine,
8 but where there were two or more, we reviewed the
9 license renewal application, went to the safety
10 evaluation report to see how we addressed it to
11 ensure that we're in alignment with what -- you
12 know, because the license renewal application might
13 have had a, well, there is no aging effect and no
14 recommended AMP, and --

15 CHAIRMAN SKILLMAN: Yes.

16 MR. HOLSTON: -- well, wait a second,
17 this is an elastomer and it's in your containment,
18 I think there is an aging effect, and so, you know,
19 we went from the SER final staff output to build
20 the tables from those.

21 CHAIRMAN SKILLMAN: Okay. Thank you.

22 MR. HOLSTON: Yes.

23 We eliminated a significant number of
24 line items that cited a plant-specific AMP, so the
25 vast majority of the line items in the GALL report

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cite a particular AMP or two AMPs, but we did have
2 several that were cited of plant-specific AMPs, so
3 licensee, you figure out what it is, and then we'll
4 review it, and if we're happy with it, then
5 everything is fine. And we got an -- I believe
6 this is an informal comment from the industry,
7 well, can you look at those plant-specific AMPs,
8 identify when you really have in your mind what you
9 want? And again, as you asked, Mr. Skillman, built
10 out with what goes in the safety evaluation
11 reports, and let's, you know, cover those.

12 So I will give you an example. We had
13 for the regenerative heat exchanger, exchanger
14 tubing. That was a plant-specific AMP. But, you
15 know, for the plants that had to address that, what
16 did they do? Well, they did radiation monitoring
17 of the component cooling water side and looked for
18 temperature deltas, right? What program could you
19 build that into? You easily build that into the
20 closed cycle cooling water program.

21 CHAIRMAN SKILLMAN: Wait a minute. You
22 had radiation monitors, and you were doing
23 temperature monitoring?

24 MR. HOLSTON: Well, both.

25 CHAIRMAN SKILLMAN: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BALLINGER: Yes, people, yes,
2 they --

3 CHAIRMAN SKILLMAN: Because --

4 MR. HOLSTON: -- radiation --

5 CHAIRMAN SKILLMAN: -- radiation --

6 MR. HOLSTON: -- monitoring, they did
7 temperature monitoring. Obviously --

8 CHAIRMAN SKILLMAN: Okay.

9 MR. HOLSTON: -- the radiation
10 monitoring is probably more sensitive, right?

11 CHAIRMAN SKILLMAN: Just making sure we
12 got the right --

13 MR. HOLSTON: Yes, yes --

14 CHAIRMAN SKILLMAN: -- discussion item
15 --

16 MR. HOLSTON: Yes --

17 CHAIRMAN SKILLMAN: -- here.

18 MR. HOLSTON: -- yes, that is --

19 CHAIRMAN SKILLMAN: Thank you.

20 MR. HOLSTON: -- that is --

21 CHAIRMAN SKILLMAN: Okay.

22 MR. HOLSTON: Yes.

23 CHAIRMAN SKILLMAN: Okay.

24 MR. HOLSTON: And so we revised that
25 line item now to cite the AMP 21-A, which is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 closed cycle cooling program, and we have the
2 guidance in there. There is no second-guessing.

3 Also, when we have plant-specific AMPs,
4 the -- the staff had to write up each of those
5 aging management review line items specifically
6 talking about the plant-specific AMP. Now there is
7 a consistent AMP in there, it flows through much
8 quicker.

9 CHAIRMAN SKILLMAN: Okay.

10 MR. HOLSTON: We reviewed -- the third
11 bullet, we reviewed a good deal of industry and of
12 course outside-the-nuclear-industry information on
13 copper alloys and determined that exposure to air,
14 concrete, there were no aging effects. And you
15 might say, well, that is pretty obvious, Bill. We
16 see a lot of copper around out there. We see the
17 green patina, you know, and, you know, it is fine.
18 But that is now documented in the GALL. There are
19 no aging effects there.

20 In contrast, though, we did find that
21 copper alloys exposed to well water -- well water
22 potable, which is principally municipal water
23 supplies, wastewater and soil and underground,
24 would be subject to general corrosion. The
25 advantage though of taking general corrosion out of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 other environments such as treated water, close
2 cooling water cycle, fuel, lube oil, was that a lot
3 of times, these are engaged, the copper tubings --
4 or copper alloys associated with heat exchanger
5 tubing. How are you going to tell general
6 corrosion except to do eddy current testing, right?

7 Well, by taking away the general
8 corrosion as a mechanism for those other
9 environments, that then leaves you with just
10 cracking -- or crevice and pitting, which you can
11 observe with a borescope instead of doing an eddy
12 current test.

13 MEMBER BALLINGER: But M33 still has
14 leaching in it, selective leaching is still --

15 MR. HOLSTON: Absolutely, yes,
16 selective leaching for the copper alloy greater
17 than 15 percent or greater percent -- 8 percent
18 aluminum, that is still selective leaching
19 inspections, yes sir.

20 MEMBER BALLINGER: Okay.

21 MR. HOLSTON: And then the last one we
22 did was we eliminated the potential one-time
23 inspection for fuel or piping materials constructed
24 as the same material as a fuel tank. That's a lot
25 of words, but if you go into the aging management

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 program for the fuel system, the tanks are required
2 to be inspected every ten years, so if you have a
3 tank that is not internally coated and you have a
4 whole lot of piping that is not internally coated,
5 then there is no need to be doing one-time
6 inspections for the piping if every ten years you
7 are looking at the entire inside surfaces of the
8 fuel storage tank, and so we changed -- changed
9 that.

10 So are there any questions on that
11 slide?

12 MEMBER KIRCHNER: Yes Bill. So you
13 looked at six recent LRAs and you're doing burden
14 reduction. Did anything pop out that wasn't in the
15 current AMP programs?

16 MR. HOLSTON: No. We --

17 MEMBER KIRCHNER: I mean, unforeseen or
18 unexpected or --

19 MR. HOLSTON: No. We -- no. We -- we
20 didn't see -- I mean, we saw those -- the addition
21 of those 100 line items, and like I am saying, it
22 is about maybe 40, you know, material environment
23 aging effect combinations, but we didn't see
24 anything unusual. We have been pretty much
25 evaluating, even amongst some plants where they are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pretty common materials, we just didn't have them
2 in GALL Rev. 2, or materials in environments.

3 MEMBER KIRCHNER: Thank you.

4 MEMBER BALLINGER: Back to the one-time
5 inspection for the fuel oil tanks and the like: has
6 there been any operating experience where they have
7 had failures, leaks in the tanks in particular,
8 earlier than ten years? I mean, my experience is
9 that sometimes, you get water in there that you
10 don't know, and there's sand or something, and
11 underneath that, you get accelerated corrosion, and
12 it doesn't take ten years, it takes a heck of a lot
13 longer than that.

14 MR. HOLSTON: Well yes --

15 MEMBER BALLINGER: A lot shorter than
16 that --

17 MR. HOLSTON: Sorry.

18 MEMBER BALLINGER: -- excuse me.

19 MR. HOLSTON: Yes. No, we -- from
20 looking at the operating experience at the plants,
21 we have not seen any through-walls in the fuel
22 tanks, so the -- the inspection interval of every
23 ten years is -- seems to me pretty appropriate.
24 And also recognize that the plants that are going
25 into subsequent license renewal would have had this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as a requirement in their first period of extended
2 operations, so they are building up a pretty good
3 monitoring and trending history.

4 MEMBER BALLINGER: Thank you.

5 MR. HOLSTON: Yes.

6 MEMBER BALLINGER: Thank you.

7 MR. HOLSTON: Okay. I guess we're
8 ready for slide 11?

9 So we looked at the number of buried
10 pipe inspections that are being conducted, and over
11 time, we had had the opportunity to review
12 somewhere on the order of 90 to 100 individual
13 buried piping inspections. We have had folks
14 attending the EPRI buried pipe conference, either
15 myself or another individual, Brian Alec
16 (phonetic), and so of course we saw a lot of
17 industry operating experience in regard to buried
18 piping.

19 And in contrast to 2009, where the
20 picture did not look very good, the -- the facts of
21 the inspections were we weren't seeing any threat
22 to a loss of intended function. We were seeing,
23 you know, minor coating damage, as you might expect
24 to see, but even where we saw minor coating damage,
25 there were -- there were no cases where there was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significant enough -- well, there was one case, but
2 -- and I will talk about that separately -- but,
3 you know, there was no -- except for that one case,
4 there was no real through-wall. And in all cases,
5 even where we had the one through-wall, which is at
6 a plant up in northeast, there was no loss of
7 intended function, and that was in the auxiliary
8 feedwater system, they actually, you know, it was
9 very well-documented the analyses they did and all
10 that.

11 So we recognized that the number of
12 inspections that we were recommending in the GALL
13 report were -- were probably excessive for the
14 state of the industry of what we had seen.

15 So there's four categories of
16 inspection, categories you can get yourself into in
17 the buried pipe program, and the first category is
18 your cathodic protection system is -- you have an
19 installed cathodic protection system. It is
20 meeting the performance goals. The performance
21 goals are it is online 85 percent of the time and
22 that 80 percent of the points when you do your
23 annual cathodic protection surveys are meeting the
24 acceptance criteria of -850 millivolts or some of
25 the other criteria we developed since then.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And for that category, you do one
2 inspection every ten years. We didn't change that.
3 That seems reasonable. It's a check and adjust
4 just to make sure.

5 We had a second category which is when
6 you can prove you don't need cathodic protection.
7 We have not had a plant yet that has gone for that
8 category. It is probably a pretty difficult row to
9 hoe, but it is there, but I won't cover that any
10 further.

11 The third category is you have cathodic
12 protection installed, but it is either less than 85
13 percent of the time online over the last inspection
14 interval or it is not meeting the 80 percent, and
15 so we call that cathodic protection not meeting
16 performance goals. We used to recommend 29
17 inspections over the 30-year period. We reduced
18 that to nine. Where do we get that nine number?
19 Well, NEI 09-14 was a buried and underground piping
20 initiative. We have talked about that at other
21 times in ACRS, but it required the entire industry
22 to upgrade their buried pipe programs.

23 One thing they did in there was they --
24 they had a flow chart that said if you have done,
25 you know, indirect inspections and the results are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 such, then you would do X number of inspections,
2 and the highest number it really got to was three.
3 They allowed guided wave inspections to qualify to
4 get those numbers down below. We are not
5 comfortable yet with the guided wave. We have been
6 down to EPRI several times. We appreciate the
7 value of guided wave in telling you where possibly
8 to look, but not to tell you the pipe is going to
9 meet structural integrity requirements. So we used
10 that three value, three -- three every, you know,
11 every ten years, basically aligned ourselves with
12 what 09-14 was suggesting at the maximum.

13 So the next category was the cathodic
14 protection was not meeting performance goals --

15 CHAIRMAN SKILLMAN: So -- so Bill,
16 before --

17 MR. HOLSTON: Oh --

18 CHAIRMAN SKILLMAN: -- you go --

19 MR. HOLSTON: -- yes sir?

20 CHAIRMAN SKILLMAN: -- on --

21 MR. HOLSTON: Yes?

22 CHAIRMAN SKILLMAN: -- how does three
23 every ten years relate to the nine?

24 MR. HOLSTON: Well, the three every ten
25 years, then there's -- so it would be three times

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the three because we -- we start those inspections
2 in the 50th to 60th year. So you've got a whole
3 lot of GALL Rev. 1 and GALL Rev. 0 plants that
4 basically had one inspection in their whole period
5 of extended operation, and so they will come along
6 in the 50th to 60th year, even though they are not
7 going into the subsequent period of extended
8 operation, and have to do those three inspections.

9 CHAIRMAN SKILLMAN: Okay, then, the
10 three 60 to 70, and then three 70 to 80?

11 MR. HOLSTON: Yes sir.

12 CHAIRMAN SKILLMAN: I understand now.
13 Thank you.

14 MR. HOLSTON: Okay. Yes.

15 CHAIRMAN SKILLMAN: Okay.

16 MR. HOLSTON: Okay.

17 CHAIRMAN SKILLMAN: Thanks.

18 MR. HOLSTON: So the next category was
19 likewise cathodic protection not meeting
20 performance goals, but in this case, you have
21 adverse operating experience or soil conditions are
22 corrosive, and we originally had 60 inspections
23 over that 30-year period, and we shifted those to
24 18 inspections, in other words, six in each
25 inspection interval.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We will continue to monitor operating
2 experience. This is a significant part of our AMP
3 audits when we go out and look at those. We
4 continue to attend EPRI to look at -- keep an eye
5 on the entire industry and what is going on with
6 buried piping. If we have to adjust them back
7 upwards again, we will adjust them back upwards
8 again, but these seem to be those that will provide
9 reasonable assurance that intended functions be
10 met.

11 Since that was a rather long one, does
12 anybody have any comments or questions on that one
13 before I shift to the next one, next bullet?

14 (No audible response.)

15 MR. HOLSTON: Okay. And then since --
16 when we first issued back in December and we
17 briefed you all, we were -- had added aluminum and
18 stainless steel cracking to our external surfaces
19 program and our above-ground tanks program, and at
20 the time we did, we said that the licensees would
21 have to do surface examinations, or they could do a
22 visual examination if they performed stress
23 calculations that would demonstrate, well, I can
24 see this big of a crack, and if I see this, by the
25 time of the next inspection interval, it is not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to grow big enough to cause a loss of
2 intended function. And after, we received an
3 industry comment on that and we looked more closely
4 at the VT-1 inspections mandated by ASME Section 11
5 and added that as an additional option to those
6 surface exams, or the visual supported by stress
7 calculated.

8 With that, if anybody doesn't have any
9 other questions, I will turn it over to Jim.

10 MEMBER KIRCHNER: So Bill, may I ask --

11 MR. HOLSTON: Yes sir, yes.

12 MEMBER KIRCHNER: -- more a -- I will
13 call it an intuitive engineering question? The
14 recommended frequency or intervals for inspections,
15 say you have a piece of equipment. Over the course
16 of its lifetime, you expect it to be used in some
17 way, so there is some -- and there is usually
18 adequate margin. But in general, you expect a
19 diminished state from initial installation or after
20 it had been repaired or whatever. So are you still
21 comfortable with the frequency that you're doing,
22 or does the aging beg the question of more frequent
23 or periodic inspections, especially when you go
24 from 60 out to 80?

25 MR. HOLSTON: Well, we built in a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 couple --

2 MEMBER KIRCHNER: That's a
3 philosophical --

4 MR. HOLSTON: Right, yes. First off,
5 we are comfortable. I mean, not everything is ten-
6 year based. There's five-year based inspections,
7 there's refueling-outage-based inspections. We
8 base those upon the potential for that degradation
9 to occur more rapidly, and we built into -- if you
10 find an adverse inspection result and you -- you
11 haven't opted to replace all of that material that
12 is exposed to that environment aging effect, then
13 the -- the -- each of the programs now has an
14 increased inspection.

15 So for example, let's say you go out
16 and you have done a wall thickness measurement in
17 accordance with our one-time inspection program,
18 and out of the 25 wall thickness measurements you
19 do, one of them, when you project it out, would
20 have challenged the intended function of the
21 system. Then you have to do five more wall
22 thickness measurements. You know, we basically say
23 you go in a corrective action program, you
24 determine how many, but it can't be less than five
25 more.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So we are -- and then if you find one
2 more in that five more, then you have to do an
3 extent of cause, an extent of condition. If you're
4 familiar with Appendix B, corrective action, that
5 is basically cause analysis territory, right, to
6 determine how many more you've got to look at.

7 So we believe coupled with the
8 frequency of the inspections, the number of
9 inspections, then those follow-up corrective action
10 provisions, we are pretty comfortable, anything --
11 you are going to know what is going on at your
12 plant, and you're going to take action with
13 Appendix B.

14 MEMBER KIRCHNER: Thank you.

15 MR. HOLSTON: Yes.

16 MEMBER SUNSERI: So I had one follow-up
17 question as well: you mentioned that you're working
18 with the industry on the guide wave technology.
19 You haven't accepted it as a -- or can't remember
20 exactly what you said, but what -- do you all know
21 what it is going to take to get comfortable with
22 using that technology? I mean, what --

23 MR. HOLSTON: We don't --

24 MEMBER SUNSERI: -- information or data
25 or research you're going to need?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HOLSTON: Yes, we don't know -- we
2 don't know yet, and I apologize for giving you an
3 answer of that nature. We have -- we have been
4 down -- it has been about two years since we've
5 been down at EPRI. We went down at EPRI, I went
6 down, some other folks, but two people are very
7 heavy in ultrasonic examination techniques, and
8 because of the -- you can have changing coating
9 conditions, you can have changing compression of
10 backfill or changes of backfill that can kind of
11 fool you, and we're not convinced that it will give
12 you a quantifiable value that will tell you, you
13 know, when you project your wall loss, that kind of
14 thing, it just -- it isn't there yet.

15 It is excellent for telling you where
16 to look, and -- but it is not -- it is not there,
17 and it is probably -- we're probably about due time
18 to go down there and see what EPRI has developed
19 further, and, you know, see if they have quantified
20 it a bit better.

21 MEMBER SUNSERI: Okay. So what I am
22 hearing you say, it's like there may be a change in
23 state in where the pipe is, in the geometry or
24 something, and --

25 MR. HOLSTON: Yes sir.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SUNSERI: But I mean so that
2 kind of becomes then a question of placement of the
3 collars for, you know, extending your links, right?
4 And if you get that right, I mean, are you good in
5 the interval, or -- or are you just not happy with
6 setting the right interval, or --

7 MR. HOLSTON: Well, yeah, and a lot of
8 plants put permanent collars in. They do the
9 effort the dig up, and then they put the permanent
10 collars in so they can take the readings. We are
11 just -- we are not -- we are not comfortable with
12 that range yet.

13 MEMBER SUNSERI: Okay. The only reason
14 I am kind of pressing it is it's a very efficient
15 methodology, so it would be a benefit. All right.
16 Thank you.

17 MR. HOLSTON: Yes.

18 MEMBER BLEY: Just to follow on that,
19 because I haven't followed this in any detail, is
20 this widely used in the field now, and are we
21 getting reports back so that you can develop some
22 confidence here, or not a lot of confidence?

23 MR. HOLSTON: Well, the -- yes, there
24 are more folks using it. As a matter of fact,
25 folks are using it for above-ground piping also.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: Yes.

2 MR. HOLSTON: There is one Exelon plant
3 that is using it with pretty good results in above-
4 ground. They quantify it. They can then go zero
5 in to look.

6 But again, our bottom line comes down
7 to what we're interested in is either if the
8 coating is gone, how much wall loss have you lost?
9 Project that, because, you know, buried pipe is not
10 like above-ground pipe that your operators can see
11 every day, right? And we just don't believe that
12 the guided wave is there yet to do that. We're not
13 going to give up on it. I agree that, you know,
14 hey, that's a lot easier technique than digging up
15 piping. You dig up, put a collar on, you can look
16 at 50, 100 feet of pipe, and -- but we are just not
17 there.

18 MEMBER RICCARDELLA: Yes, this is Pete
19 from Denver. I think that the -- you know, the
20 experience has shown that the -- the guided wave
21 attenuates much more rapidly in buried piping than
22 it does in above-ground --

23 MR. HOLSTON: Oh --

24 MEMBER RICCARDELLA: -- piping.

25 MR. HOLSTON: -- yes, it does, yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SKILLMAN: Please proceed.

2 MR. HOLSTON: All right. I'll turn it
3 over to Jim Medoff.

4 MR. MEDOFF: Okay. Slide show up,
5 please?

6 Hi. I am Jim Medoff. I was one of the
7 few technical leads for the -- the AMPs, the AMRs,
8 the TLAs for the reactor coolant system. I am
9 going to talk about changes to 4 AMPs, and I am
10 going to start off with two of them for the
11 boilers. If we can go to slide 13 please?

12 The prior reports, GALL reports,
13 inclusive through Gall Revision 2 had -- from their
14 start had a couple of AMPs for BWR feedwater
15 nozzles and BWR CRD return line nozzles. Those are
16 AMPs XI.M5 and XI.M6. Both of these AMPs were
17 similar in that they used some augmented inspection
18 guidelines in NUREG-0619 to recommend aging
19 management protocols for looking for cracks in the
20 nozzles that could be induced by cyclical loading
21 and fatigue. The NUREG methodology has basically
22 augmented the code requirements for performing the
23 volumetric examinations on these components by
24 maybe tweaking the frequency or tweaking the
25 coverage requirements for the inspections.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 When we looked at the update for the
2 GALL report, we initially in the draft document got
3 rid of the XI.M6 because we felt that the code
4 requirements, meaning not only those in ASME
5 Section 11 but also the performance demonstration
6 requirements in 10 CFR 50.55(a), would be adequate
7 for these nozzles. We received a perspective and
8 some comments back from the industry that we could
9 also get rid of AMP XI.M5, which is the one for the
10 feedwater nozzles, as well, because it is based on
11 the same NUREG reports.

12 We basically consulted with the
13 Division of Engineering to talk about the PDI, the
14 performance demonstration initiative, requirements
15 to see whether they were adequate when coupled to
16 the ASME Section 11 code exams, and the consensus
17 was that they were, so therefore, we -- we agree
18 with the industry that we can get rid of the other
19 AMP as well, which is XI.M5.

20 What we did is we now recommend that
21 you use the ISI AMP, which is AMP XI.M1 for aging
22 management. We adjusted the AMRs to indicate that,
23 so I think the industry and the staff are well-
24 aligned on this at this point. Any questions on
25 that?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (No audible response.)

2 MR. MEDOFF: Okay. If not, we will go
3 to slide 14.

4 The next AMP I am going to talk about
5 are the changes to AMP XI.M16, 16A. This is the
6 AMP for pressurized water reactor vessel internals.
7 This was a new AMP in GALL Revision 2. It is based
8 on the industry augmented inspection methodology in
9 EPRI report MRP-227-A and ISG -- LR-ISG-2011-04.
10 We updated that AMP to be consistent with the
11 approved methodology.

12 When we got around to the GALL-SLR
13 report, we -- we were struggling with -- with
14 whether we wanted to continue use of this AMP in
15 the updated guideline because the MRP methodology
16 isn't based on an assessment of aging that is
17 evaluated through 60 years of operation. EPRI has
18 yet to update that methodology to cover an 80-year
19 period, so we didn't know whether to keep it, and
20 if we kept it, what to do initially, and we decided
21 against it. So in the draft document, we basically
22 decided not to retain the AMP, and then instead to
23 write a further evaluation section in the SRP for
24 SLR where we would recommend that a plant pose a
25 plant-specific aim for the internals.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 When we put the guidelines out for
2 public comment, we received an alternative
3 perspective from the industry. They felt that they
4 should be able to use the old AMP as the starting
5 basis for the AMPs they would develop for their
6 applications --

7 CHAIRMAN SKILLMAN: When you say you
8 received an alternative, an alternative --

9 MR. MEDOFF: To the plant-specific --

10 CHAIRMAN SKILLMAN: -- message from
11 industry, was this a what are you, out of your
12 mind? Or was this hey, we -- we would prefer you to
13 do this?

14 MR. MEDOFF: I --

15 CHAIRMAN SKILLMAN: What was the tone
16 of the industry?

17 MR. MEDOFF: I think it was like we
18 were out of our mind, sort of, because --

19 CHAIRMAN SKILLMAN: They were saying
20 leave well enough alone?

21 MR. MEDOFF: Yes, but we had a lot of
22 dialogues with the industry on this, and I will
23 probably discuss that in a little bit, but they
24 felt that they should at least be able to use that
25 AMP, even though it was only a 60-year basis, as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the starting point for their AMPs. The concern we
2 would have had was since the EPRI has yet to update
3 that methodology to cover an 80-year period, since
4 a lot of the aging mechanisms that were evaluated
5 were based on time-dependent aging effects like
6 cycles or fluents, we wouldn't really know what
7 type of changes would have to be made to the
8 augmented inspection methodology if EPRI were to
9 assess this over an 80-year period, so that is sort
10 of what we were struggling with.

11 We had a -- a -- dialogues with the
12 managers of the staff here in the Division of
13 License Renewal as well as those in the Division of
14 Engineering to -- to figure out how to sort of
15 adjust this more in line with the industry
16 perspective, and we decided to put the AMP back in,
17 but not the version that we had before because we
18 are still struggling with the 80-year question.

19 What we decided was we -- we had an
20 associated further evaluation section in the SRP,
21 so what we did was we kept the plant-specific
22 option in the further evaluation, but we also put
23 in an adjustment of the further evaluation which
24 would allow an applicant to use the old AMP in the
25 MRP report as its starting basis for the AMP they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would develop for the applications, but then we
2 told them that they -- in the further evaluation
3 section, that they would have to subject this to a
4 gap analysis, and the gap analysis would be
5 performed by the applicant to see if -- if they
6 assessed aging over 80 years relative to their
7 plant design for the internals, whether they would
8 have to do some adjustments of the aging management
9 protocols in the MRP report.

10 And that is sort of how we adjusted the
11 protocols for this. We took the AMP, we modified
12 it to include criteria for the gap analysis, we
13 discussed the gap analysis in the further
14 evaluation guideline, and so we put the AMP back
15 in, and then we adjusted the AMRs to say yes, you
16 need further evaluation on this as subject to the
17 gap analysis.

18 CHAIRMAN SKILLMAN: Okay. Thank you
19 for that explanation.

20 MR. MEDOFF: Okay.

21 CHAIRMAN SKILLMAN: Thank you.

22 MR. MEDOFF: So we --

23 CHAIRMAN SKILLMAN: Okay.

24 (Simultaneous speaking.)

25 MR. MEDOFF: -- this out with EPRI and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the industry so they know where we stand on this,
2 and I think the industry and the staff are aligned
3 at this point.

4 MEMBER SUNSERI: So just kind of
5 following up on that discussion that you just
6 provided, as we go into the extended period of
7 operation, the current period, I am sure we're
8 going to learn some things over the next 20 years
9 that we may not have thought about when we put the
10 programs in place, and I suspect a similar kind of
11 learning may occur for the subsequent 20 years.

12 So my question is as these AMPS are
13 constructed, are you comfortable that as we learn
14 new things like baffle bolt failures or whatever,
15 they would be picked up and included in the aging
16 management strategy for the going-forward time
17 period?

18 MR. MEDOFF: Absolutely. We already
19 have Revision 1 to the report, which is still 60-
20 year basis, but EPRI is proposing some change.
21 That report is under review right now. We -- in
22 the SE for the report, if that is approved, we will
23 figure out how to factor that into license renewal.
24 There may be some portion of the SE that addresses
25 that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 EPRI always says this is an augmented
2 inspection program. It is implemented under the
3 protocols of NEI Report 03-08. They say it is a
4 living program. Every time something happens --
5 like the baffle bolts is a perfect example. The
6 industry really worked hard. They got some --
7 Westinghouse did an NSEL alert letter to tell the
8 industry what to do if their plant -- based on the
9 vintage design of their baffle bolts, they had some
10 adjustments that they are recommending for the
11 industry to follow based on their design.

12 EPRI went out and put out some
13 additional alert letters too that were more in
14 lines with the Westinghouse, so when this happens,
15 the industry is very quick to -- to get on the
16 issue and figure out what they need to do to the
17 report methodology, so right, as things occur, the
18 -- the methodology would be tweaked. And then if
19 it was altered a lot, then we may assess the need
20 for writing an ISG and updating things.

21 MEMBER BALLINGER: So what you're
22 saying is that you expect surprises, but that the
23 system is capable of dealing with that --

24 MR. MEDOFF: Right.

25 MEMBER BALLINGER: -- event?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MEDOFF: Right, because the minute
2 something happens like the baffle bolts, the staff
3 is already talking to the industry, Westinghouse,
4 the affected licensees, and EPRI to figure out what
5 to do with it.

6 MEMBER SUNSERI: Thank you.

7 MR. MEDOFF: Any other questions on
8 this? Okay.

9 CHAIRMAN SKILLMAN: Proceed.

10 MR. MEDOFF: Next slide.

11 The final AMP I want to talk about is a
12 new AMP that we developed. It is AMP X.M2. This
13 is one of the AMPs that -- that, and it's a new AMP
14 for us, but it's one of the AMPs that is used to --
15 if an applicant wants to approve a given TLA with
16 the TLA acceptance criteria in 10 CFR
17 54.21(c)(1)(iii). That is the acceptance criteria
18 that says, okay, I have this time limit aging
19 analysis. It is evaluating an aging effect, but
20 we're going to find the acceptable by taking an
21 approach that is going to manage the aging effect
22 that was evaluated in the report. So like the
23 analogous one would be X.M1, which is the fatigue
24 monitoring program. You can monitor cycles and use
25 that for cyclical loading assessments.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This was an AMP that relates back to
2 the neutron embrittlement TLAs for the reactor
3 vessel. We addressed that in some of the
4 subsections in the SRP that are further evaluation
5 sections. These are the TLAs that relate to
6 embrittlement of the reactor vessel. They have
7 neutron fluence as their time-dependent input.

8 The reason we developed this AMP is we
9 had something like fatigue monitoring where we were
10 monitoring cycles for the fatigue TLAs, but we
11 didn't have that for the neutron embrittlement
12 TLAs, and there are a number of them in Section 42
13 of the SRP, PTS upper shelf, PT limits, maybe some
14 of the relief or that type of TLAs for the RP,
15 reactor pressure, vessel circ welds for the
16 boilers, all these have neutron fluence as the
17 time-dependent parameter. So we developed this in
18 a manner that you could use X.M1 for the fatigue-
19 related TLAs.

20 We did get some comments on that. They
21 didn't -- the industry didn't initially understand
22 why we were doing this. They thought we were
23 forcing an AMP down their throat, and one of the
24 things I want to say, that just because we
25 developed the new AMP does not mean we're forcing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it down the industry's throat.

2 What we decided is if you had a TLA,
3 and -- and you wanted to manage the TLA using the
4 iii criterion in 10 CFR 54.21(c)(1), you could use
5 this type of AMP, so that was sort of the
6 perspective of the AMP. We --

7 CHAIRMAN SKILLMAN: As you say that, it
8 sounds almost as if this new AMP is an optional
9 AMP.

10 MR. MEDOFF: Yes, yes.

11 CHAIRMAN SKILLMAN: And is it clear
12 that this an option?

13 MR. MEDOFF: Well, the -- the fact --
14 well, actually, the fact of the matter is any AMP
15 in the GALL is not a mandated AMP. An applicant
16 develops its LRA and picks those AMPs that -- out
17 of the GALL that it finds that are conducive to
18 development of their license renewal application.
19 Just because we have an AMP in the GALL does not
20 force an applicant into using it. They can always
21 develop a plant-specific AMP, or for that
22 component, they can always propose a different AMP
23 in the -- in the GALL if they felt that was good
24 enough, so the applicant always has options.

25 CHAIRMAN SKILLMAN: Okay. Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Okay.

2 MR. MEDOFF: The one thing I wanted to
3 say about this AMP is we also included reactor
4 internals in that -- in -- in the scope of the AMP.
5 The reason for that is a lot of these other AMP
6 internals, like the one I just talked about,
7 XI.M16A, which is based on the MRP report, XI.M9
8 for the BWR vessel internals, since it is based on
9 a number of BWRVIP reports, a lot of those reports
10 have bounding fluences on -- on their internal
11 components, so if you're using one of those other
12 AMPs for like as a condition monitoring AMP, an
13 inspection AMP for those components, this is a case
14 where if an applicant wanted to, they could sort of
15 look -- use this AMP to sort of make sure that the
16 fluences for their internals would still be bounded
17 by the assumptions in the -- in the industry
18 reports.

19 So that is the reason we added vessel
20 internals into the scope of this AMP. It was not
21 to put in an additional burden -- burden on the
22 applicant. If they do decide to use it for either
23 the vessels or the internals, we do expect them to
24 have approved fluence methodologies for those types
25 of components.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Any other questions on this AMP?

2 CHAIRMAN SKILLMAN: Please proceed.

3 MR. MEDOFF: That completes my
4 presentation. I will turn this over to Dr. Seung
5 Min.

6 MR. MIN: Thank you, Jim.

7 The next slide, slide 16, discusses the
8 change to AMP XI.M19 steam generator program.
9 Consistent with recently issued license renewal ISG
10 2016-01, the staff added visual inspections of
11 steam generator head interior surfaces, including
12 divider plates and tubesheet primary side. These
13 inspections are intended to identify signs that
14 cracking or loss of material may be occurring, for
15 example through identification of rust stains.

16 This guidance also addresses the
17 potential that cracking, any cracking in divider
18 plates or tube-to-tubesheet welds are made
19 propagating to adjacent reactor coolant pressure
20 boundary components such as steam generator heads
21 or tubesheets. Based on this change, the steam
22 generator program is used as existing program to
23 manage aging effects of primary water stress for
24 the cracking for divider plate assemblies and tube-
25 to-tubesheet welds and loss of material due to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 boric acid corrosion for steam generator heads and
2 tubesheets. Any questions on this topic?

3 CHAIRMAN SKILLMAN: Yes, I do. For the
4 -- for the RSGs, Westinghouse and combustion,
5 you've got one primary face. On a BMW, you've got
6 two.

7 MR. MIN: That is correct.

8 CHAIRMAN SKILLMAN: What -- are there -
9 - that's a bad question.

10 MR. MIN: So --

11 CHAIRMAN SKILLMAN: What does that
12 difference create in terms of difficulty for the
13 licensee?

14 MR. MIN: So first of all, before
15 addressing the question, we used the term "steam
16 generator head" as a generic term to reference,
17 refer to channel heads Westinghouse recirculating
18 steam generator as well as ones through steam
19 generator involving two heads, bottom and top
20 heads. In that case, those work through steam
21 generator heads, two heads.

22 So as indicated in the line item, we
23 call aging management items in the ISG. In this
24 case, visual inspections are applied to channel
25 heads and also one through steam generator heads,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bottom and -- upper and lower heads, both of the
2 case, and then we haven't received any comment --
3 public comment on that position during public
4 comment disposition period.

5 CHAIRMAN SKILLMAN: I am -- I am having
6 a flashback to what it takes to look at a tubesheet
7 from the inside, and this is not an easy task, so I
8 guess there are people that are very very smart
9 that know how to do this, and this is commonly
10 applied technology these days, but it sounds like a
11 very high hurdle.

12 MR. MIN: In relation to the comment
13 from Member Skillman, when steam generator head
14 interior areas are accessed to perform technical-
15 specification-related tube inspections, any probing
16 guide should be guided through the steam generator
17 tubes, and that -- those type of activities should
18 involve a certain level of visual means to identify
19 the positions of poles and the implement utilized.

20 So the staff does not view that there
21 should be a significant burden to perform this type
22 of general visual examination to identify ghost
23 cracking or abnormal conditions involving gross
24 stains or degradation of tubesheets, and also, we
25 would like to point to that lately, U.S. PWRs have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been performing these type of general visual
2 inspections as part of their steam generator task
3 force initiated activities based on floating
4 operating experience specifically described in
5 Information Notice 2013-20.

6 So considering the ongoing industry
7 activities and also the, you know, inspection-
8 related activities, tubesheet inspection to us is
9 not really burden, and also, we believe that
10 industry agreed to this type of general visual
11 inspection.

12 CHAIRMAN SKILLMAN: Thank you.

13 MR. MIN: Thank you.

14 CHAIRMAN SKILLMAN: Thank you. Okay.

15 MR. MIN: And the next slide --

16 MEMBER KIRCHNER: May I ask, so you've
17 added something, so that often suggests that you've
18 seen issues in the existing plants. Is that the
19 case, that suggested adding this requirement? It
20 seems like the industry's doing it already. Have
21 you uncovered serious problems of aging-related
22 degradations in the steam-generator heads?

23 MR. MIN: Thank you for the comment,
24 and as I previously mentioned, NRC information mode
25 is 2013-20 describes one major event from an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 initial plant. It's, that is the cavity formation
2 in the bottom area of steam generator head.

3 But I'd like to mention that to, for
4 that type of aging degradation, basically it is
5 most likely loss of moisture due to boric acid
6 corrosion. For of all, cladding of the, interior
7 cladding of the base material of the steam
8 generator head should be degraded to an extent, so
9 that the access, I mean exposure of the base
10 material to treated water conditions should occur.

11 So at this point until now, the
12 specific costs of that operating experience, once
13 again fully operating experience, has not been
14 identified. But potentially manufacturing defects
15 and/or potential interruptions of the cladding with
16 loose parts might be likely cause, actually.

17 So in terms of operating, it's a major
18 one came from foreign experience. But the industry
19 and the NRC staff agree that it is prudent and
20 needed for us to look at, you know, periodically
21 we'll get internal conditions, not just, I mean,
22 not just specifically identify a shallow cracks or
23 detailed crack texturization, but indications of
24 degradation like, you know rusting, or some
25 degradation, which might lead to structurally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 challenging conditions.

2 So we believe that this is necessary
3 and that what we pretty much establish aligns with
4 the industry positions too.

5 MEMBER KIRCHNER: Thank you.

6 MR. MIN: Thank you, the next slide
7 describes a change to the proposed staff position
8 described in, include, that had been included in
9 the draft guidance. So there was a staff-proposed
10 position provision for bottom-mounted
11 instrumentation nozzle, and its susceptibility to
12 primary water stress cracking.

13 So staff had proposed one-time
14 baseline, volumetric inspection, of susceptible
15 bottom-mounted instrumentation nozzles, which are
16 susceptible to primary water stress and cracking.

17 And during the public comment period,
18 the staff received public comments, industry
19 comments, indicating that that provision is not
20 necessary. And the basis of the comment can be
21 summarized like first, existing bare metal visual
22 examinations as required by 10 CFR 50 55RFA, in-
23 service inspection requirements have been effective
24 for aging that is meant to manage this potential
25 aging effect.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And the current operating experience
2 have not revealed any significant aging-related
3 degradation requiring additional inspections.

4 So originally, staff focused on the
5 benefit of performing volumetric examination that
6 is capable to detect cracking before crack makes a
7 through wall cracking or leakage, so that any
8 indication detected by vulnerability utilization
9 can be proactively monitored and trended before
10 leakage happens.

11 So originally, we focused on that
12 benefit, but based on the current operating
13 experience, including two leakage events such as
14 South Texas Project and Palo Verde more recently,
15 basically even though leakage events happens
16 through wall cracking in the BMI nozzles, they're
17 showing no degradation, aging-related degradation
18 has been identified or detected in the adjacent
19 lower head base material.

20 So based on that, and the staff agreed
21 to public comments, industry comments, and we moved
22 that proposed provision from the draft items.

23 MEMBER BALLINGER: So this would also
24 apply to, for example, South Texas, the repair as
25 well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MIN: Yes, that's right.

2 MEMBER BALLINGER: Thank you.

3 MR. MIN: And also they applied
4 casting, the examinations to all the BMI nozzles.
5 There was only, I believe, one or two, yeah, two
6 cases.

7 MR. MIN: Two leakage leaking yards.

8 MR. POEHLER: I'm going to talk about
9 aging management program XIM12, that's thermal
10 aging embrittlement of cast austenitic stainless
11 steel. And the purpose of this aging management
12 program is to manage loss of fracture toughness due
13 to thermal aging embrittlement of cast austenitic
14 stainless steel or CASS, as we abbreviate it,
15 components.

16 This program is mainly focused on
17 reactor coil and system piping. However, it also
18 includes pumps, pump casings, and valve bodies.
19 And I'd like to point out that the way this program
20 basically works is you start out by screening for
21 thermal embrittlement based on the chemical
22 composition and ferrite content of the CASS
23 material.

24 If you fail the screening, in other
25 words, the material is determined to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 potentially, or thermal embrittlement could be
2 potentially significant, you have to do either an
3 augmented examination, which would typically be
4 ultrasonic, and/or a flaw tolerance evaluation.

5 So in the draft GALL for subsequent
6 license renewal, we removed the exemption for pump
7 cases. Pump cases were firmly exempt from having
8 to go through the requirements of this aging
9 management program, and that was based on virtually
10 all plants having implemented code-cased N-481.
11 And at least, I want to say all PWR plants.

12 N-481 was a code case that provided an
13 alternative to volumetric examination of pump
14 casings, using a combination of visual examination,
15 plus a flaw tolerance evaluation for the pump
16 casing.

17 Code case N-481 has been withdrawn by
18 ASME, and some but not all the provisions of the
19 code case were incorporated into, directly into
20 ASME Section 11. Specifically, one that was not
21 incorporated was the provision to do the flaw
22 tolerance evaluation for the pump casings.

23 Next slide.

24 MEMBER RICCARDELLA: Excuse me, before
25 we leave that slide, this is Pete Ricardella.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. POEHLER: Go back one.

2 MEMBER RICCARDELLA: We just completed
3 a research review of a NUREG, an update of the data
4 on this CASS material, NUREG/CR-7185. I assume
5 that this updated AMP will take into account the
6 new data correlations that are in that document?

7 MR. POEHLER: The NUREG -- can you
8 repeat, the NUREG you were referring to?

9 MEMBER RICCARDELLA: CR-7185. It's a
10 Argonne National Lab review of (telephonic
11 interference) aging and (telephonic interference)
12 radiation on crack growth and fracture toughness of
13 cast stainless steel.

14 MR. POEHLER: Yeah, well, first, this
15 AMP that I'm discussing only applies to non-rated
16 material.

17 MEMBER RICCARDELLA: (telephonic
18 interference) -- thermal aging, it covered both
19 thermal aging and --

20 MR. POEHLER: Yeah, so yeah, when we
21 were developing this AMP, the panel was aware that
22 there was a revision. At the time, that revision
23 to the NUREG had not been issued. Actually,
24 NUREG/CR-4513 Rev. 1 was the basis for the
25 screening criteria in the original GALL and also in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this version of the AMP.

2 There is now a Rev. 2 of that NUREG
3 that has been issued as well, and I think the data
4 for thermal aging is the same or very similar to
5 what's discussed in the NUREG/7185. And yes, we
6 are aware that there was some new data and there
7 was new, there was a recommendation made as far as
8 changing the screening criteria a bit.

9 But at the time, we had not, the NRC
10 had not formally taken a position on the content of
11 the NUUREG. So at the time we were developing
12 this, the existing screen, there was no obvious
13 reason to change the existing screening criteria.

14 Now, of course, in the future, we do
15 intend to determine whether these revised, the
16 revised data on CASS merits a change to the
17 screening criteria. So if that's necessary for
18 safety, we would do that in a future revision, I'm
19 sure. But at this point, we haven't changed the
20 screening criteria.

21 MEMBER RICCARDELLA: Okay, thank you.

22 MR. POEHLER: Hopefully I answered the
23 question.

24 MEMBER RICCARDELLA: You did. I just,
25 I'm assuming that at some time in the (telephonic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interference)

2 CHAIRMAN SKILLMAN: Hey, Pete, you're
3 breaking up pretty significantly. If you just
4 perhaps speak more slowly or back away, we can hear
5 your full transmission.

6 MEMBER RICCARDELLA: Okay, I will.

7 CHAIRMAN SKILLMAN: Thank you, Pete.

8 MR. POEHLER: Next slide please. So in
9 the final version of the GALL-SLR, we added some
10 language to allow for alternatives to the screening
11 and other actions for pump casings. And we also
12 clarified that no further actions are needed for
13 pump casings.

14 If the applicants demonstrate that the
15 original flaw tolerance evaluation performed as
16 part of code case N-481 implementation remains
17 bounding and applicable for the SLR period, or is
18 revised to be applicable to 80 years.

19 The reason we added this language was
20 because we had some comments from industry, and
21 they pointed out that everybody has already done an
22 evaluation. Basically, if you did, if you wanted
23 to implement this code case, you had to do this
24 flaw tolerance evaluation. Plants have it in their
25 records.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 However, the staff, we still had some
2 concerns that those evaluations would not take into
3 account thermal embrittlement for 80 years, because
4 most of them were only done for the initial 40-year
5 operating term.

6 But this was back in the early 90s,
7 when most plants were implementing this code case.
8 So that's why we require them to go back and make
9 sure it's applicable for 80 years or revise it.

10 Also, the last bullet here in the
11 slide, this was an additional change we made to the
12 AMP in the detection of aging effects area, and
13 this is actually a good change, because the AMP now
14 references code case N-824, which is a code case
15 that provides a methodology for doing ultrasonic
16 examination of CASS piping.

17 And that code case is actually
18 incorporated by reference directly into the
19 forthcoming rulemaking for 10CFR 5055A, which
20 should be coming out any day now. And there are
21 some conditions on the use of that code case in the
22 forthcoming rulemaking, so that applicants would
23 have to follow those conditions.

24 But they can use this code case if they
25 have to do ultrasonic examination on piping that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doesn't meet the screening criteria.

2 That completes my presentation. Are
3 there any more questions?

4 MR. BLOOM: We need now to change the
5 panel members at the front, so give us a second to
6 change our members out. We will have members out
7 talking about the --

8 MEMBER BLEY: Before everybody leaves -
9 -

10 MR. BLOOM: I'm sorry.

11 MEMBER BLEY: Just a quick question for
12 Bennett Brady.

13 MS. BRADY: Yes.

14 MEMBER BLEY: You indicated on your
15 last slide that you're going to issue a NUREG late
16 this year that provides the technical bases. Now,
17 as I read through the GALL report, every section
18 has technical bases. So what's the difference, and
19 what's coming at the end of the year in the
20 technical bases that are already given in the GALL
21 report?

22 MS. BRADY: In the GALL report, we tell
23 what we're doing and we do some, present some
24 reason for why we're doing it. The technical basis
25 document will compare what was in GALL 2 for first

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 license renewal with what is in the GALL-SLR now,
2 and say we made this change, why did we make this
3 change, and what was the technical basis for --

4 MEMBER BLEY: So it's a comparison and
5 justification for the change.

6 MS. BRADY: Yes, for everything we do.
7 We did have a NUREG, one NUREG before GALL 2,
8 NUREG-1950, that had both the technical basis and
9 the public comments. But we got too big and they
10 say we had to make two documents.

11 MEMBER BLEY: Fair enough.

12 MR. BLOOM: Okay, thank you. As I
13 said, now we're going to be talking about reactor
14 pressure vessel, we'll have a conversation on
15 structural AMPs, and then finally we'll have one on
16 electrical AMPs which have had significant changes.
17 So if you bear with us a second while we change out
18 our players.

19 CHAIRMAN SKILLMAN: Cliff, by your feet
20 there's a blue package. Does that belong to
21 somebody? Thank you, Cliff.

22 MEMBER BLEY: I notice that all the
23 green lights are on on the front table.

24 CHAIRMAN SKILLMAN: Okay Steve, back to
25 you, sir.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: Before they go ahead, all
2 your green lights are on at the front table. You
3 ought to only have them on if you're talking.
4 Otherwise, it makes noise on the phone lines. So
5 turn them off unless it's your turn, please.

6 MR. BLOOM: Okay, as I said, the first
7 one is reactor pressure vessel AMP, and that'll be
8 Dr. Alan Hiser.

9 MR. HISER: I guess first thing, I'm
10 not Carolyn Fairbanks. She prepared the material
11 but was unable to be here. So next slide. And
12 what I will talk about is XI.M31, Reactor Vessel
13 Materials Surveillance Program.

14 First thing I want to do is talk about
15 some of the challenges with this program. Many of
16 the AMPs, the plants have a similar situation, the
17 have buried pipe, similar materials. Reactor
18 Vessel Surveillance Program is a little bit more of
19 a challenge overall.

20 First of all, there's significant
21 diversity in the conditions between the programs at
22 different plants. First of all, the program design
23 requirements changed over a function of time, so
24 some plants were tied to different versions of ASTM
25 standards, and that has an impact on the materials,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the number of capsules that are in the programs.

2 Secondly, the operating periods,
3 neutron fluences, the leak factors for the capsules
4 vary significantly. Some plants have leak factors
5 that may be up to an order of maybe three or four,
6 and the leak factor in that case is the ratio of
7 the neutron flux at the capsule relative to the
8 peak location of the vessel.

9 In other cases, actually, it's sort of
10 a negative leak factor, it's less than one. So
11 that creates a difficulty in trying to project what
12 the embrittlement will be because the capsule
13 really related to a prior year.

14 A third issue relates to, in some
15 cases, they're plant-specific programs, where a
16 plant has capsules within its own reactor vessel.
17 And other cases that they don't have a plant-
18 specific program but there's an integrated
19 surveillance program.

20 For example, for the BWR plants, there
21 is one BWR program, that ISP integrated
22 surveillance program, that has the materials for
23 all the BWRs. And that program is responsible then
24 for providing data that is applicable to all of the
25 BWRs.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Last item that I'd like to cite is that
2 the number of capsules that were originally in the
3 program, how many capsules have been withdrawn and
4 tested, how many capsules have been placed in
5 storage, and how many capsules are still in the
6 vessel varied widely from plant to plant. And I'll
7 show a couple of examples that I think will
8 illustrate some of these differences.

9 Therefore, the status of plant programs
10 is the plants and/or subsequent license renewal
11 vary significantly. So it's very difficult to come
12 up with a generic program that meets all the types
13 of situations that may occur.

14 Some of the specific concerns that the
15 staff had relative to plant-specific circumstances
16 are listed in these three bullets. First would be
17 long periods of time and large range of neutron
18 fluence values between capsule data.

19 Again, the purpose of the surveillance
20 programs is to provide a look ahead as to what the
21 embrittlement of the vessel is. If the data are
22 lagging the vessel, then that's not really an
23 optimum condition.

24 In addition, if you have a substantial
25 period of time between your withdrawal and testing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of your last capsule and the next planned test and
2 withdrawal, then that's really not optimum. You
3 want to periodically monitor the embrittlement of
4 your vessel materials.

5 Let's see, and I guess the last bullet
6 there, which I'll show an example of, is in some
7 cases for license renewal, we allowed a plant to
8 take its original license 40-year capsule and push
9 it out to a higher fluence to accumulate data for
10 60 years. In at least one case that I'll show,
11 that creates a very substantial time gap for the
12 plant.

13 Next slide. And what I'll do the next
14 two slides is just show two examples and what's
15 illustrated here is the capsules for a plant. Five
16 capsules have been tested, they're indicated by the
17 filled circles. There is one untested capsule for
18 this plant.

19 Now the, what's shown on the chart is
20 neutron fluence on the Y axis and the date on the X
21 axis. Plant started operation in this case in
22 1969. As you can see, every, what, ten, fifteen
23 years, they pulled a capsule. So they have a very
24 consistent tracking of the material performance,
25 both as a function of fluence and also as a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 function of time.

2 Now, what I've shown in orange solid
3 lines are the neutron fluence and the time frame at
4 which the plant would hit 80 years of operation.
5 The blue dash lines represent 60 years. So you can
6 see the fifth data point that was roughly ten years
7 ago, little less than ten years ago, provides the
8 data needed for the 60-year fluences.

9 Now, the one untested capsule in this
10 case is, I believe, today still in the vessel. But
11 the licensee plans to withdraw it when it exceeds
12 the 80-year fluence. So that would enable it then
13 to have a data point that meets the 80-year fluence
14 requirement. That is not a part of their current
15 program, a part of their, if you will, Appendix H
16 surveillance program.

17 But it's a spare capsule that they have
18 that's available to them. So in this case, I would
19 say this plant has a very good program from the
20 perspective of the number of capsules first of all,
21 the spacing of the data, and the ability to test a
22 capsule to achieve the 80-year fluence. Next
23 slide.

24 In other cases, such as this plant, the
25 situation's a little more difficult. Right now,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there are four capsules that have been tested, the
2 peak fluence is equivalent to just over 20 EFPY of
3 fluence, or 20 years of operation. Last capsule
4 was tested almost 20 years ago.

5 In this case, the license renewal
6 application proposed to take the capsule that would
7 have been tested in around 2011 at fluence, it
8 would have met the 40-year fluence but not the 60-
9 year fluence. Instead, this capsule was just, the
10 testing of it was delayed for about ten, fifteen
11 years. So they would now achieve the 60-year
12 fluence.

13 Now, one of the concerns we had with
14 this program was that this capsule should not also
15 be delayed again to meet the 80-year fluence, what
16 -- and as I'll talk on the next slide, one of the
17 issues that we wanted to deal with was to not allow
18 capsules to continue to be delayed, to have the
19 testing of them delayed.

20 So in this case, the capsule, to
21 achieve the license renewal fluence, will be tested
22 in about ten years, and that plant will have
23 confirmation of its embrittlement level for that
24 fluence level.

25 CHAIRMAN SKILLMAN: Allen, just a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 simple question. What's the anomaly here in that
2 1980-1990 data point? It's a different location?

3 MR. HISER: Yeah, it's a different
4 location. The peak fluence occurs at roughly eight
5 locations around the vessel. The holders for these
6 surveillance capsules are affixed either to the
7 pressure vessel, maybe the thermal shield.

8 And so they are fixed in time, and just
9 depending on what the ratio of the neutron flux at
10 that location versus the vessel -- so the fourth
11 capsule that was tested obviously was just a lower
12 flux location. So the fluence was a little bit
13 lower.

14 MEMBER BALLINGER: Could this plant be
15 lucky enough to be similar to another plant with
16 the same chemistry and the like, and be able to
17 take advantage of some data, not from them but
18 close enough to add value?

19 MR. HISER: Yeah, there are
20 requirements in the PTS rule.

21 MEMBER BALLINGER: Yeah.

22 MR. HISER: NCFR 50.61, that require
23 that plants consider data from other plants that is
24 relevant to their vessel. So in this case, if this
25 is, for example, a Lindy 80 weld, which I don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know if it is or not, but there would be
2 potentially data from other plants that could fill
3 in the trend as a function of fluence.

4 MEMBER BALLINGER: Because there's a
5 chart that I recall in 50.61 presentations which
6 identified plants which may or not have to deal
7 with PTS in 60 or 80 years. And the column to the
8 right had a few plants that said maybe. It didn't
9 say for sure.

10 MR. HISER: Yeah, so, but plants are
11 required by the rule to consider all of the
12 available information for their materials. Next
13 slide.

14 MEMBER RICCARDELLA: Al, this is Pete,
15 can you hear me?

16 MR. HISER: Yes.

17 MEMBER RICCARDELLA: Are these, are
18 both these examples you just cited PWRs?

19 MR. HISER: Yes, they are.

20 MEMBER RICCARDELLA: Okay, thank you.

21 MR. HISER: Okay, now the changes that
22 are implemented in the GALL-SLR that was made
23 available to the committee, so that would represent
24 our final version. Some of the changes are
25 indicated here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 First of all, there has been a
2 longstanding provision in GALL that you should have
3 data that's a factor of one to two times the
4 projected vessel fluence at the end of the PEO, or
5 in this case, a subsequent period of extended
6 operation.

7 So that provision is still there.
8 The one clarification that we made is that that
9 fluence should address the time that limited aging
10 analyses for the plant as described in the plant
11 COB and as described in the standard review plan
12 for SLR.

13 For PWRs, for example, that's always
14 going to be the surface fluence, because PTS
15 consideration looks at the vessel, the fluence on
16 the vessel surface. For BWRs, depending on the
17 circumstances, it may be the fluence at a quarter T
18 through the vessel wall.

19 So that would be a substantially lower
20 fluence in some cases. We don't tell plants what
21 their COB is because, again, COB differs from plant
22 to plant. So they have to make that determination
23 for themselves and identify the fluence that they
24 are targeting for their surveillance program.

25 The second relates to having a capsule

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that has data for fluence that exceeds the
2 subsequent PEO fluence. So what we're looking for
3 is that in some cases, maybe a plant already has a
4 data point that addresses the 80-year fluence.

5 If that's the case, we don't think that
6 it's necessary for the plant to do more testing.
7 If they had not done a test at the 80-year fluence,
8 then they would be, AMP indicates that they should
9 withdraw and test at least one capsule during the
10 subsequent PEO.

11 And the last bullet there is just a
12 note that says, Don't plan to take your 40-year or
13 your 60-year capsule and push it out to 80 years.
14 So you would be, the program would specify that you
15 should continue to test your capsule that's in your
16 license renewal, or in your renewed license
17 program. And then added an additional capsule, if
18 necessary, for the subsequent license renewal.

19 And that's all that I have.

20 MEMBER RICCARDELLA: Al, you know, for
21 plants that find themselves in a tough situation
22 with regard to remaining capsules, is it possible
23 to take a capsule and remove just some of the
24 samples for testing and then put it back in to get
25 more fluence?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HISER: I think many things are
2 possible. Some of the things that are available
3 are what are called reconstitution, where samples
4 that have already been tested may be welded onto
5 end tabs to create new samples. And then that
6 capsule could go back into the vessel to accumulate
7 additional fluence.

8 I would not want to speculate about the
9 number of things or the ingenuity that plants may
10 have in trying to come up with a program that
11 provides reasonable assurance. Certainly, I think
12 that the case that you cited would also be one that
13 would be a reasonable approach.

14 MEMBER RICCARDELLA: Thank you. Yeah,
15 so the plant that got into the situation, the last
16 example you just cited, would have some options.

17 MR. HISER: Absolutely. I think
18 there's numerous options.

19 MEMBER RICCARDELLA: A longer period of
20 time.

21 MR. HISER: Yes, that's correct. If
22 there are no more questions, then turn it over to
23 Bryce Lehman.

24 MR. LEHMAN: All right, good afternoon,
25 my name is Bryce Lehman, and I'm going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 summarizing the significant changes to the
2 structurally AMPs. And these are changes to the
3 draft document, so not since Rev. 2, but since the
4 draft document. Next slide.

5 The first AMP I'll start with is AMP XI
6 ASME Section XI, Subsection IWE, which covers in-
7 service inspection of metal containments and metal
8 liners. The first change, significant change, was
9 the guidance on liner plate bulges.

10 In the proposed draft, there was a
11 requirement in there for quantitative exceptions
12 criteria for the bulges. And based on industry
13 comments, we removed that explicit requirement or
14 recommendation, and now rely on the acceptance
15 criteria that's already in the ASME code program.

16 However, there's still a discussion,
17 discernable liner plate bulges need to be
18 monitored. So it draws the attention of applicants
19 to the fact that it is an issue, but then it
20 defaults to the IWE acceptance criteria for that.

21 CHAIRMAN SKILLMAN: So what does that
22 mean to a licensee? So you do your walk-down,
23 you're heading into the PEO, and you find this
24 bulge. And so you disposition the finding in
25 accordance with the ASME code, but you still have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this bulge. So you're saying keep an eye on it, or
2 walk away from it?

3 MEMBER BLEY: That's basically a keep
4 an eye on it. I mean, like you said, they would
5 have to do something under the IWE code. And I
6 think the concern from the industry comments was,
7 Well, what is the NRC expecting now? Do you want
8 us to -- how do you want us to quantitate these
9 bulges and then accept them?

10 And so we just wanted to sort of draw
11 attention to the fact that if you have a bulge, you
12 need to be aware of it under IWE, and address it.
13 And the IWE is a visual inspection, so if we didn't
14 expect them to go do laser mapping of the
15 containment and find bulges that are not, you know,
16 visible to the eye.

17 But if there's a bulge there, you
18 should be tracking it and be aware of it. And
19 they've accepted it under their program, and they
20 have a justification for why it's acceptable,
21 that's fine, as long as it's not changing through
22 the subsequent period of extended operation.

23 CHAIRMAN SKILLMAN: Thank you.

24 MR. LEHMAN: Now, and so the next
25 issue, there was some clarification on volumetric

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 examinations. There was a recommendation in the
2 draft to do volumetric examinations if there had
3 been corrosion on the liner from the inaccessible
4 side.

5 So we clarified what exactly the staff
6 was expecting there. And it's a one-time
7 examination if corrosion has initiated on the
8 inaccessible side and it's been identified since
9 issuance at the first renewed license.

10 And the examination should provide 95-
11 95 confidence level. The accessible portions of
12 the liner are not experiencing corrosion. And I
13 realized as I was reading that just now that's a
14 little bit confusing with the accessible and
15 inaccessible.

16 So by accessible, we mean, like, with
17 the liner, the accessible area from one side should
18 not be experiencing corrosion from the backside.
19 It's inaccessible. That's what the intent of the
20 examination is.

21 So, not necessarily completely
22 inaccessible areas, like under the base mat, or the
23 concrete in the containment. That's it for the
24 IWE. We can go to the next slide.

25 The next one is XI.S3, ASME Section XI, Subsection

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 IWF, which is the in-service inspection program
2 that covers supports for ASME glass piping. This
3 is a sampling program, and the draft guidance
4 proposed -- it's a sampling program that keeps the
5 sample, the guidance keeps the sample throughout
6 the life of the plant.

7 So the draft guidance proposed a new
8 inspection of five percent of additional supports
9 outside the existing sample. In the final
10 guidance, we clarify that that new inspection
11 supports should be five percent of the sample size,
12 not five percent of the entire population of
13 supports.

14 And that the inspection is a one-time
15 inspection that should occur within the period of
16 five years prior to the subsequent period of
17 extended operation.

18 CHAIRMAN SKILLMAN: Approximately how
19 many sites would a five percent new population
20 bring into the review category?

21 MR. LEHMAN: Well, it's the sample for
22 class one is 25%, and class two is 15, and class
23 three is 10%. So of that sample, it would be five
24 percent of that.

25 CHAIRMAN SKILLMAN: So in round

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 numbers, how many more locations would need to be
2 inspected? We're talking ten or a hundred or a
3 thousand?

4 MR. LEHMAN: I mean, it would depend on
5 each class, but it would not be a thousand, no.
6 I'm not positive on numbers, I'm going to have to
7 get back to you on that.

8 CHAIRMAN SKILLMAN: I'd sure like to
9 get that number. I mean, are we talking about a
10 colossal effort, or one that is, if you will, in
11 the stride of the normal inspection programs where
12 --

13 MR. LEHMAN: Yeah, within --

14 CHAIRMAN SKILLMAN: Individuals with
15 qualification and credentials can handle this, you
16 know, with some confidence.

17 MR. LEHMAN: Yeah, I'd like to turn it
18 over to Angie Buford, maybe she can provide a
19 better answer.

20 CHAIRMAN SKILLMAN: Okay.

21 MS. BUFORD: Class three inspections
22 have the most for the IWF program. Currently in
23 the program, there's on the order of a couple
24 hundred currently. And so then five percent more
25 of that would be, say, ten to twenty. And the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 additional five, of the five percent that they
2 would do prior to the subsequent period of
3 operation.

4 CHAIRMAN SKILLMAN: Thank you.

5 MR. LEHMAN: We'll move on to the next
6 slide, XIS 5, masonry wall. And this is actually
7 kind of a minor change that we talked about at the
8 last meeting, so I just wanted to close the loop
9 there.

10 We removed the recommendation that
11 unreinforced non-braced walls be inspected on
12 three-year frequency. Now, this change was sort of
13 based on public comments and the lack of operating
14 experience, so it's gone back to what it is in Rev.
15 2 now, which is a five-year frequency like the rest
16 of the masonry walls.

17 And if there's no other comments on
18 this or other structurally issues, this was my last
19 slide.

20 CHAIRMAN SKILLMAN: Thank you. All
21 right, electrical.

22 MR. SADOLLAH: Good afternoon, my name
23 is Mohammed Sadollah. I'll be talking about the
24 basic significant highlighted changes in the
25 electrical AMPs.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So the first slide, slide number 30,
2 talks about the EQ. So EQ program is one of the
3 aging management programs that the previous GALL
4 has, and the new SLR GALL also has that aging
5 management program.

6 So EQ basically, yeah, it's covered
7 under 10CFR 5049, and every plant has an EQ
8 program. As in license renewal field, that program
9 is credited as an aging management program, and we
10 audit it to make sure it meets the ten elements of
11 an aging management program.

12 So moving to subsequent license renewal
13 period, you're drawn into a couple of situations
14 where from the 40-60 years, a lot of the EQ
15 programs, they took advantage of the some of the
16 conservatives, and some of the margins, some of the
17 original assumptions that were in the EQ
18 calculations that may have been too broad, too
19 conservative.

20 And some of those numbers were re-used
21 in re-analysis to recalculate and gain extra life.
22 As you go from 40 to 60, to 60 to 80, now some of
23 these assumptions, some of these margins, they kind
24 of tighten up. So now you're faced with a couple,
25 two, three different options.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Either replace the part, or re-analyze,
2 or go through what's called ongoing qualifications
3 and decide what's the best, or do some repairs to
4 get more life out of the equipment that you have,
5 or replace them.

6 So the basic changes that we had to
7 propose for subsequent license renewal has to do
8 with things like environmental monitoring, or
9 looking at the original assumptions, looking at
10 uncertainties. And we added a discussion of what's
11 called adverse localized environments.

12 Because if you have an adverse
13 localized environment in a given part of the plant,
14 or there's a huge run of cable, but then parts of
15 that cable run might be exposed to a localized hot
16 spot or extra radiation because some insulation was
17 removed, some of the pipe, so obviously that
18 affects that particular component or device in that
19 area, and that might throw some of your
20 calculations off.

21 So we defined, we added definitions of,
22 and expanded definitions of adverse localized
23 environments, and kind of made attempt to draw
24 attention to that, to be monitored and maintained.

25 Also, in terms of environmental data

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 collection gathering and analysis, there's a little
2 more clarification and expansion on better
3 monitoring, so it helps you maintain your
4 qualifications through the period of 60-80 in a
5 more effective way. And if there are no questions
6 on that slide, we can go to the next, slide 31.

7 So the next slide talks about, this is
8 the aging management program that has to do with
9 potentially -- submerged or potentially submerged
10 cables, cables that run on the ground, basically.
11 So this originally was one aging management program
12 that covered all cables that are in scope of
13 license renewal.

14 In subsequent licenses, 60-80, we took
15 this AMP and split it in to three different parts.
16 We basically segregated the medium voltage into,
17 cables into one AMP, instrumentation and controls
18 into another one, and then low voltage power
19 cables, less than 1,000 volts, into another AMP.

20 And the main reason is different cables
21 and different cable constructions, different
22 material, and different voltages and applications,
23 they tend to age differently, they tend to react
24 differently to the environment. They tend to have
25 various testing or considerations when you're aging

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 managing them.

2 So we separated them to create a,
3 hopefully a more effective aging management
4 program. And hopefully it will be easier for the
5 plants to maintain and monitor each one and it will
6 be easier for us to audit them and later on maybe
7 inspect them.

8 And as part of that, being that low
9 voltage and ISC cables were kind of a little bit of
10 a controversial area, whereas, is there really
11 enough of a operating experience to indicate that
12 those cable deteriorations, degradations, are
13 serious? Or do they really degrade that they
14 deserve to have an aging management program?

15 One of the things that the plants can
16 do, according to this aging management program,
17 they can take credit for existing testing that they
18 do, other testing they do, existing surveillance,
19 existing calibrations. So if these cables are
20 looked at for other reasons under other programs,
21 either maintenance rule or tech spec surveillance,
22 they can take credit for those testings.

23 But otherwise, the programs are
24 designed so you do a visual inspection, and
25 depending on the visual inspection results, what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you find in the visual inspection, you may be
2 prompted into doing some testing to get better
3 confidence or a better feel for actual conditions
4 of the cables.

5 Also, there's a couple of known cables,
6 like Vulkene and Raychem, cross-linked polyethylene
7 cables that are kind of known to be prone to issues
8 with submergence, issues within wet environments.

9 So those, we're recommending that if
10 you have those, you might as well just test them
11 from the beginning. Just do a onetime test and
12 take a look at it and keep track of the degradation
13 that way. Because we know those are, have been
14 identified as potential issues. And not many
15 plants have those.

16 And it would be up to the applicant,
17 it's the applicant's responsibility to determine
18 the type of testing. There's a variety of
19 electrical, mechanical, chemical, physical testings
20 out there. And none of these AMPs, they do not
21 prescribe a particular temperature condition
22 monitoring testing to be done.

23 It's up to the plants to decide which
24 ones they use, which one is more relevant, more
25 applicable, which one would be best for that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 particular application. And then document what
2 they need and justify it, and we will look at that
3 justification, we will review those justifications.

4 CHAIRMAN SKILLMAN: Mohammed, let me
5 ask this question. Back in 2014, the topic of
6 electrical cables was one of the focus areas for
7 EPRI. Here we are, about two and a half years
8 later, hearing that this AMP has been divided into
9 three sub-AMPs, into several AMPs that really get
10 to the heart of cable life for life beyond 60.

11 How has this AMP and the new AMPs been
12 informed, how have these been informed by the EPRI
13 work that was advertised back in 2014?

14 MR. SADOLLAH: So one of the things
15 that kind of drove this, and that prompted this, is
16 that, so EPRI has guidelines for low voltage and
17 ISC cables, and they have guidelines for submerged
18 cables, and guidelines for cables in medium voltage
19 applications. There are not many high voltage
20 cables, hardly any, in operating plants.

21 So yes, so yeah, EPRI has been focusing
22 on various applications, various cable makes,
23 models. We are looking at more and more
24 information and studies that are out there. As you
25 know, DOE has been doing a lot of cable research.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So a lot of all these things are kind of coming
2 together within the next two or three years, we
3 hope.

4 All the research efforts by DOE, by
5 EPRI and by us -- we meet once, sometimes twice a
6 year in the cable users group meeting to discuss
7 and to understand what are the latest and greatest
8 condition monitoring techniques, what is the latest
9 lessons learned and operating experiences to feed
10 into these aging management programs.

11 As we speak today, as I said, these
12 AMPs do not prescribe a certain test or a certain
13 condition monitoring, I said, because we don't have
14 all that data yet, data that would strongly protect
15 or support a statement of saying, Yeah, this cable
16 is good or this cable has six years more life or 50
17 years more life.

18 That kind of information and research
19 is still being done as we speak. There's a lot of
20 good work being done by a lot of testing service
21 companies that they look at the existing data and
22 the existing testing that has been performed for a
23 number of years, for one or two decades, such as
24 frequency reflectometry, time delay reflectometry.

25 They're looking at these data and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 putting them in algorithms and translating that
2 information into, and correlating it with chemical
3 and mechanical tests to create like these bands of
4 green, yellow, and red for cables. Nobody, as of
5 yet, had come up with a method, with a model that
6 says, I can predict the life of this cable.

7 But we're getting closer in the sense
8 that we know that we can at least maybe within the
9 next two or three years, have certain testing that
10 could categorize this cable into whether it's in
11 the green region or yellow region or a red region.

12 CHAIRMAN SKILLMAN: Let me ask the
13 question, that question differently. What changes
14 in GALL-SLR reflect learnings from EPRI, recent
15 learnings from EPRI? I get a green light here.

16 MR. DOUTT: Cliff Doutt, DLR.
17 Actually, the, next slide please, actually the
18 three AMPs are a reflection of that. The guidance
19 that has come out is separated, the testing, and
20 the material and voltage and stresses are
21 different. So the tech acceptance criteria, the
22 tests that may be run, that's all a reflection of
23 why that's been split.

24 The other thing too is a kind of
25 preparatory to, when it's in three sections, as we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 go forward, we've already broken that out. So if
2 tests are applicable to B and C, or just C,
3 whatever, that guidance is out there.

4 The other thing that has occurred,
5 besides EPRI work, I mean, there's obviously DOE
6 work, there's PNL work. The NRC's issued Reg Guide
7 2118 on condition monitoring. There's 7000, NUREG-
8 7000 was issued. So a lot of that's reflected in
9 these changes here, from that point of view, is
10 that helpful?

11 CHAIRMAN SKILLMAN: That's very
12 helpful. What I was really going after is 2014, we
13 had about seven items that were, the long-range
14 items that EPRI was focusing on. My question was,
15 okay, two and a half years have passed, what is in
16 GALL-SLR and GALL-SRP that reflects that research.

17 And I think what you just told me is
18 this reflects updates as a consequence of that
19 research from EPRI. I may have overstated it, but
20 I think that that's what you were trying to
21 communicate.

22 MR. SADOLLAH: Yes, so, the work is
23 ongoing. There's more knowledge being gained as we
24 speak. But yeah, so splitting it is one step into
25 going to the ultimate goal of having a good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 condition monitoring for a given application.

2 CHAIRMAN SKILLMAN: When Bennett opened
3 with her slides, she showed four items that are
4 still waiting further attention. There were
5 actually seven on the original list, and this is
6 one of the original seven. So I'm wondering, has
7 this become an orphan? And you're saying, No, it's
8 not.

9 MR. DOUTT: It's actually a
10 combination. EQ was one issue, and then after that
11 was condition monitoring cable health type issues,
12 which is actually -- EQ currently going forward, it
13 would be nice to know qualified life.

14 And to maintain qualification, you
15 could do either ongoing qualification per 5049
16 procedure, or a condition-type approach, or there's
17 analysis and replacement. But no, those options,
18 we're trying to keep those options available. That
19 work is going on in different EPRI, DOE, you know,
20 us, we're doing work as well.

21 CHAIRMAN SKILLMAN: Okay, let's back
22 up. Number one, you've answered my question, thank
23 you. Now, let's march, let's keep on going. Okay.

24 MR. SADOLLAH: Next slide. So this is
25 a new AMP, so we created a new aging management

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 program for high voltage insulators.

2 So high voltage insulators in the
3 previous, in the GALL Rev. 2, they were not
4 addressed under an AMP. They were treated as
5 further evaluation site-specific, that every site
6 would look at it and they would decide whether they
7 needed an aging management or the kind of
8 maintenance they do is adequate.

9 In SLR, we felt that --

10 CHAIRMAN SKILLMAN: Question, high
11 voltage insulators, these are output breaker
12 insulators, these are 230,000 volt, 400,000 volt,
13 500,000 volt --

14 MR. SADOLLAH: Right, typically in the
15 run between the switch yard and usually the first
16 transformer, auxiliary transformer, start-up
17 transformer, that run, it could be 120 KV, it could
18 be 35 KV, it could be high, it could be 230 KV.
19 That run of transmission conductors would have high
20 voltage insulators supporting the transmission.

21 CHAIRMAN SKILLMAN: Yeah, I was onsite
22 when one exploded. And I will tell you, it is a
23 startling event.

24 MR. SADOLLAH: They can be nasty.

25 CHAIRMAN SKILLMAN: So I understand.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Go ahead, keep on going.

2 MR. SADOLLAH: So yes, so these high
3 voltage insulators, among other things, they're
4 susceptible to building a coating or build-up of
5 contaminations that comes from cooling tower
6 plumes, salt sprays, dust, other contaminants,
7 industrial effluents, industrial pollutants from
8 nearby factories that can -- and these cause flash-
9 overs and ultimately failures.

10 We've seen that, and there's more
11 recently, looks like, I'm not going to say there's
12 been an uptick of issues, but we've seen Oconee and
13 a couple other plants reporting some failures of
14 these insulators.

15 Also, mechanical movements that they
16 experience under windmill conditions can cause loss
17 of material due to fatigue, due to movement of
18 parts. And that can also result ultimately into
19 failure.

20 So for those reasons, and for the
21 operating experience, and for the fact that we
22 think that it's important of an issue enough to
23 have its own aging management program, this aging
24 management program has been included in SLR. And
25 so, but then again, these are only in-scope

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 insulators.

2 Usually, there aren't that many of
3 them, which is, it's only the path that's on the
4 SBO recovery path. It's in the loss of offsite
5 power path to the plant.

6 CHAIRMAN SKILLMAN: Well, what's
7 important is these can create a loss of offsite
8 power.

9 MR. SADOLLAH: Absolutely.

10 CHAIRMAN SKILLMAN: I mean, these can
11 be the origin of the loss of off --

12 MR. SADOLLAH: Or when you need them,
13 they can fail on you.

14 CHAIRMAN SKILLMAN: Exactly.

15 MR. SADOLLAH: And are there any other
16 questions on this slide? Next.

17 So next slide, this is basically the
18 changes to SLR3.6. And it's basically bringing SLR
19 SRP in line with the GALL. So the changes that
20 were made into the AMPs in GALL are reflected into
21 SRP, that's one item.

22 Another item that was changed, like for
23 instance, this high voltage insulators that used to
24 be in SRP as a further evaluation site-specific,
25 now it's shown as an AMP and it's reflected in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there.

2 And also, there was one item that was
3 kind of left out in the past, that didn't have
4 either an aging management program and did not have
5 a prominent mention in the further evaluation, and
6 that was the cable boss.

7 Some plants, not many, they have an
8 arrangement that doesn't fall under a metal
9 enclosed boss or isolated phase, iso-phase boss.
10 They're called cable boss, which is a combination
11 of runs of medium voltage cable in boxes that look
12 like cable trays, but they're actually a little bit
13 more to it than just a cable tray and some cables.

14 They're called cable boss. And some
15 plants have a lot of them, some plants don't have
16 any. Most plants don't have any. So in the past,
17 it was not specifically mentioned.

18 In this SLR SRP and the GALL, they're
19 mentioned as a site-specific further evaluation
20 item. So that was an addition. And also, any AMR
21 line items that were affected because of a change
22 in the GALL were also changed in SRP SLR. And
23 that's about all the electrical changes,
24 significant changes, in SLR.

25 CHAIRMAN SKILLMAN: Well, thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BLOOM: We have one more
2 presentation from the staff. Are you ready to keep
3 going?

4 CHAIRMAN SKILLMAN: I would say we are
5 going to take a 15-minute break.

6 MR. BLOOM: That's fine with me. Okay.

7 CHAIRMAN SKILLMAN: We are in recess
8 until 3:15 on that clock.

9 (Whereupon, the above-entitled matter
10 went off the record at 3:01 p.m. and
11 resumed at 3:14 p.m.)

12 CHAIRMAN SKILLMAN: The meeting will
13 come back into session. We are on the record.

14 Steve, please proceed.

15 MR. BLOOM: Okay, I'm sorry, yes.

16 So, the next presentation, actually,
17 our last part is on what we have called
18 optimization, SLR optimization, which I know kind
19 of has caused some confusion.

20 What it is, we have had our staff look
21 and evaluate the SLR application review process and
22 develop recommendations on how to make the process
23 more efficient and effective.

24 With that, I will turn it over to Billy
25 Rogers and Nancy Martinez.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROGERS: Good afternoon, everyone.

2 My name is Bill Rogers. I'm a Senior
3 Reactor Engineer with the Division of License
4 Renewal, and I was the staff lead for the
5 Subsequent License Renewal Optimization Working
6 Group.

7 And to my left is Nancy Martinez, who
8 evaluated the staff's review of the Applicant's SLR
9 environmental review. And that has been performed
10 along with the review of the subsequent license
11 renewal application and is used in development of
12 the Environmental Impact Statement. So, those two
13 work in tandem for the completion of the staff's
14 review.

15 Okay. Slide 2, then, please. Okay.

16 So, the purpose of this presentation is
17 to inform the ACRS Subcommittee of the additional
18 activities performed by the Division in preparation
19 for the receipt and review of the subsequent
20 license renewal applications and to share items
21 that may affect the ACRS Subcommittee and ACRS full
22 Committee reviews, and might be of general
23 interest.

24 I will provide an overview of the
25 activities, communications with utilities and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 stakeholders, and then, we will discuss several of
2 the staff's recommendations for both the safety
3 review and the environmental review.

4 The Division of License Renewal
5 established a Subsequent License Renewal Working
6 Group in 2015 in order to evaluate the subsequent
7 license renewal application review process, as
8 Steve said, and develop recommendations as to how
9 the process could be made more efficient and
10 effective, and to optimize the staff's performance
11 relative to timeliness application of staff
12 resources and quality of products.

13 The Working Group evaluated both the
14 safety and environmental reviews, since both
15 reviews produced products, the Safety Evaluation
16 Report and the Environmental Impact Statement, that
17 are both required to be completed prior to issuance
18 of a renewed license.

19 Okay, next slide, please.

20 Okay. This is a list. It shows the
21 activities at the Subsequent License Renewal
22 Optimization Working Group. I would like to refer
23 to that as the SLR Working Group from now on, if
24 that is okay.

25 These are the activities performed by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the staff during the license renewal review, and we
2 evaluate those to consider how these activities
3 impacted the length of the license renewal review.

4 As shown on this slide, most of the
5 activities and tools are at the operational level.
6 These were managed by Branch Chiefs and also
7 subject to NRR Office instructions. There are day-
8 to-day activities and the building blocks of how we
9 produce the documents.

10 Along with the concept of optimization
11 was that of assuring that the activities in the
12 subsequent license renewal review process will be
13 aligned with the NRR Office instructions. So, we
14 wanted to realign and to be in alignment with other
15 activities in the office that follow the same
16 guidances and are the same size, impact, and review
17 structure.

18 Finally, after evaluating the SLR
19 activities, tools used and the products, the SLRO
20 Working Group evaluated the timeline to determine
21 whether the timeline should be modified. The
22 important point there was we did not start with a
23 target review top line and, then, try to build
24 towards that. And we have shared this with other
25 interested parties. We evaluated all the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 activities against the current timeline to see how
2 long the appropriate length would be.

3 CHAIRMAN SKILLMAN: Speak more about
4 what you mean when you use the word "appropriate".
5 Appropriate for the staff? Appropriate for the
6 licensees?

7 MR. ROGERS: Yes.

8 CHAIRMAN SKILLMAN: What are you really
9 talking about?

10 MR. ROGERS: Okay. Well, we started
11 with the licensees suggesting a date, a timeline
12 date, a period of review. And we take that into
13 consideration as a comment, but our initial
14 response to that was that we would have to review
15 all the activities and, then, we would place them
16 on the timeline to see what the appropriate length
17 would be.

18 And the question of appropriate is
19 there are ways that we could do things more
20 efficient. There are ways that we might align
21 activities to be in parallel as opposed to in
22 sequence, to adjust the length of the timeline.

23 As you will see, later on there is one
24 key component that took quite a bit of time, and we
25 decided that we could perform the process without

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one of the middle products. And that allowed us to
2 reduce the timeline.

3 But the answer is we didn't work
4 towards a length of time. We built the model and,
5 then, we could determine what the length of the
6 model that we built would be.

7 CHAIRMAN SKILLMAN: Thank you.

8 MR. ROGERS: You're welcome.

9 Okay, next slide.

10 Okay. The SLRO Working Group evaluated
11 the areas identified with the support of the
12 majority of DLR, Division of License Renewal,
13 technical staff, the DLR management, the regional
14 staff, and regional management. The ideas were
15 formulated, discussed, and, ultimately, developed
16 into a set of recommendations as to how the SLR
17 review process might be modified.

18 The Working Group recommendations were
19 compiled into several areas: project management,
20 technical review and inspections, and, ultimately,
21 were presented to the DLR senior management for
22 review and establishment of proposed staff
23 positions to be presented to the public. So, we
24 formulated the ideas as recommendations and ran
25 them through the various managers prior to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 presenting them to the public.

2 Subsequently, the SLRO Working Group
3 held several public meetings with NEI, potential
4 applicants, and other stakeholders to discuss the
5 proposed staff positions. So, we have had three
6 meetings, public meetings, in 2016 in the spring,
7 the summer, and the fall. In addition, there were
8 related discussions between DLR and NEI during
9 several NEI quarterly meetings.

10 The staff received comments from NEI
11 stakeholders during these public meetings. They
12 have considered all comments.

13 I also want to note that the first
14 point of discussion was prompted by the potential
15 applicants and the industry related to the
16 structure of the subsequent license renewal
17 application. So, we discussed that promptly in-
18 house. And I think the first presentation of the
19 information was the Director of DLR at the time
20 presented the response in a forum with the
21 utilities, that we anticipate the structure not
22 being different, the structure for the subsequent
23 license renewal application not being different
24 from the structure of the license renewal
25 application.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The reason that was important to the
2 utilities to know that quickly was that they were
3 in the process of building their structure for
4 those subsequent renewal applications. So, that
5 was one of the earliest communications.

6 Okay, next slide now, please.

7 Okay. I would like to discuss several
8 of the proposed recommendations that impact the
9 staff, the utilities, and would be, I think, of
10 interest to stakeholders and the Subcommittee.

11 The first item relates to the staff's
12 safety review bases. The SLRO Working Group
13 reaffirmed that the staff safety review requires
14 the evaluation of all information contained in the
15 SLRA and will be performed in accordance with 10
16 CFR Part 54, the Standard Review Plan, SLR, the
17 Generic Lessons Learned SLR Report, and the Office
18 of Nuclear Reactor Regulation Guidance.

19 This reaffirmation was based on the
20 review of the license renewal statements of
21 consideration; the SLR staff requirement
22 memorandum; pertinent regulations, including the
23 license renewal rule, and NRR and NRC policy and
24 guidance documents.

25 The first recommendation I would like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to discuss concerns the top line. So, concerning
2 the SLR, a review timeline. After completion of
3 the Working Group evaluation for both safety and
4 environmental, the staff recommended a subsequent
5 license renewal review timeline of 18 months, which
6 will begin at the completion of the staff's SLRA
7 acceptance review. And I will discuss the basis
8 for this modification to the top line in the next
9 slide.

10 But I will make a point of note here.
11 The 18-month timeline, which begins at the
12 completion of the acceptance review, will add one
13 month to that review in practicality approximately.
14 Because, currently, the way the timeline is set up
15 for license renewal applications, it is the clock
16 starts when we receive the application and it is
17 docketed. So, to be in alignment with NRR Office
18 policy, we propose to start the top line at the
19 completion of the acceptance review.

20 CHAIRMAN SKILLMAN: And how long does
21 the acceptance review currently take?

22 MR. ROGERS: Yes, there is, in the LIC
23 guidance, the office guidance, there are
24 requirements for completion of the acceptance
25 review. However, there is also an exception for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 large-scale products.

2 And I am going to ask Steve to address
3 what our typical timing is for the acceptance
4 currently.

5 MR. BLOOM: Currently, it is about 45
6 days to do an acceptance review. But, as we said,
7 I mean, what you want to get it done in doesn't
8 mean you can't get it done faster than that.

9 MR. ROGERS: So, having asked that
10 question, I will make a point that this process is
11 still fluid to some degree. We are still working
12 towards nailing down the operational aspects of the
13 review cycle. And that would be one area that
14 still could be modified, I mean, if we chose to.

15 CHAIRMAN SKILLMAN: Bill, you
16 highlighted or you emphasized without a hearing.
17 Why did you emphasize that, please?

18 MR. ROGERS: Well, as you know, now the
19 hearing adds a bit of time to the schedule that we
20 propose. So, if we have a hearing, there will be,
21 most likely, an automatic lengthening of the
22 schedule.

23 CHAIRMAN SKILLMAN: So, the purpose for
24 that highlight is just a heads-up to industry? Is
25 that what that is?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROGERS: Yes.

2 CHAIRMAN SKILLMAN: Okay.

3 MR. ROGERS: And stakeholders, yes.

4 CHAIRMAN SKILLMAN: Okay. Thank you.

5 MR. ROGERS: You're welcome.

6 Go to the next slide, please.

7 The next area is the Draft Safety
8 Evaluation Report. Staff has proposed not to issue
9 a Draft SER with Open Items for SLRA reviews.
10 Well, when we reviewed the timeline, one thing that
11 was obvious was that the SER with Open Items adds
12 approximately four months to the 3G timeline. So,
13 the elimination of the Draft SER with Open Items
14 was the primary contributor or the bases for the
15 reduction of the staff review timeline from 22
16 months to 18 months without a hearing.

17 What we didn't need to do to reduce the
18 timeline was to compress the amount available for
19 technical review. That was a key element, that
20 there was a desire not to squeeze the staff any
21 further in the timeline than what we currently do,
22 you know, with a little bit of movement back and
23 forth. But where we could get the most efficiency
24 relative to the timeline was the removal of that
25 SER with Open Items.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KIRCHNER: So, that begs the
2 question, then, Bill, or it presumes a very high-
3 quality application. Are you thinking that you can
4 anticipate no open items because of the previous
5 license renewals and/or that you have been working
6 closely with industry and you anticipate that they
7 anticipate what you expect in terms of a submittal?
8 I mean, there are some assumptions here, right,
9 that you are making to say I can do away with open
10 items?

11 MR. ROGERS: There are. There
12 definitely are. And we have had that discussion,
13 and I would say it is still ongoing to a bit, on
14 what is the definition of a quality application, as
15 you called it, that would allow us to not have any
16 open items.

17 And the answer to that is there are a
18 couple fundamental starting points. One would be
19 that the application has considered all RAIs that
20 are issued that are applicable to that plant with
21 their operating experience up to this point, and
22 have addressed those in the application that is
23 presented.

24 Now that is not to say that utilities
25 don't do that or attempt to do that up to this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 point, but that would be a minimum requirement for
2 not having RAIs that could have been more easily
3 addressed prior to receipt of the application
4 during the initial construction of it.

5 MEMBER KIRCHNER: So, what would the
6 optics of this be to a critic, the public, as a
7 going-in presumption? I mean, why do you have to
8 say this? Why wouldn't you just say, "We expect a
9 best estimate for completing such a Draft SER would
10 be 18 months," and let it go at that, rather than
11 say, "We're eliminating open items."?

12 MR. ROGERS: Okay. Well, the way I
13 would answer that question -- and this is my
14 opinion based on my years in this business -- if
15 you think about what a Draft SER with Open Items
16 is, it is a little bit of a construct in the middle
17 of the review cycle. Because it moves back and
18 forth, in that where you set the SER up determines
19 whether the technical issues are closed or they are
20 still open.

21 And we have had ongoing conversations
22 with the Advisory Committee that we can only really
23 do so many open items in a meeting. We have talked
24 about that. We can't have 20 or 30. It is just
25 too onerous and it indicates that we are not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 farther along in the review process to have the
2 meeting be of benefit to everyone, to maximize the
3 benefit of the meeting.

4 So, we work for a rough shot of maybe
5 five open items in the past, something on that
6 order. And that is certainly not anything
7 prescribed, but it is a working-level establishment
8 of when you can develop the SER with Open Items.

9 This doesn't fully address your
10 question, but that is where that construct came
11 from, presenting on a certain timeline and showing
12 where we were in the review. I don't see that that
13 is -- and I was planning on addressing this -- if
14 you were able to close all of the open items, the
15 Final SER with the items closed contains all the
16 information used to address anything that might
17 have been an open item in a different process. So,
18 all that information has to be contained in the
19 Final SER.

20 MEMBER BLEY: Is it just the formalism
21 of issuing the Draft with Open Items that takes you
22 four months or are you anticipating you won't have
23 as many RAIs and issues in the future?

24 MR. ROGERS: It is really more of the
25 formalism. That is a big task to --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: Sure.

2 MR. ROGERS: -- to develop that Draft
3 SER with Open Items. That is a feat. It is
4 actually developing an entire SER with the
5 exception of some pieces. So, it is a big task.

6 MEMBER BLEY: But you still have to do
7 the same thing, except it is when it is all done.

8 MR. ROGERS: Yes.

9 MEMBER BLEY: I guess that is not even
10 something that -- from my point of view, having sat
11 here, I don't think we have -- my impression had
12 always been you wanted to do that because you
13 thought it would expedite the schedule, coming in
14 and getting a partial review partway through. But
15 it is usually down, as you say, to four or five at
16 most. So, for us, it doesn't make any difference,
17 I don't think. Do you, Dick?

18 CHAIRMAN SKILLMAN: You know, to me
19 this is a good news/bad news story. The good news
20 is the body of evidence, the track record of the
21 license renewals, the state of knowledge and the
22 current practice gives an excellent starting point
23 for being able to, for the staff being able to pull
24 together a safety evaluation, in my view, quite
25 handily. I mean, this is not new. This is not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rocket science. The staff knows how to do this,
2 and they do it quite well, by the way.

3 The bad news is they have got to do it
4 right the first time. And so, the staff just needs
5 to know, if they come in with a bunch of surprises,
6 our charter would have us react quite strongly and
7 we would write that in a letter. You know, we
8 would say, "This is nice, but it doesn't cut it,
9 and here's why."

10 So, as long as the staff is aware that
11 that is a potential outcome for what I would say a
12 B- effort on the safety evaluation, then I think we
13 are off to the races. But I think, when you say,
14 "Guess what? We're going to cut out four months,"
15 with that decision comes the accountability to make
16 sure that what comes before this Committee is
17 excellent.

18 MR. ROGERS: I understand that, sir,
19 yes. Yes, I think that the development of the
20 Draft SER with Open Items does not relate directly
21 to the quality of the staff's review. I think the
22 staff's review is what it is and documenting it in
23 two pieces or one piece does not, in my experience,
24 impact that.

25 CHAIRMAN SKILLMAN: And it may also,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this may also require additional effort or maybe
2 different effort with the licensees to make sure
3 that the application has really shaken down the
4 AMPs and the TLAAAs to where the staff is not
5 surprised, to where you are very comfortable with
6 the quality of the information that you are
7 receiving, so that you are, then, able to write
8 your Draft Safety Evaluation that becomes your
9 Final Safety Evaluation, to do with great
10 efficiency.

11 So, there may be some changes that are
12 required on your part to make sure that the
13 licensees are giving you a thoroughly excellent
14 product, so that when you begin, you have got
15 something excellent to start with.

16 MR. ROGERS: Understood.

17 CHAIRMAN SKILLMAN: Dennis, to your
18 question, I don't have a negative reaction to not
19 having an SER with Open Items. I just think there
20 needs to be caution in how the staff interacts with
21 the licensees and how the staff prepares their
22 document for the record, the SER.

23 MEMBER BLEY: Yes, and I think we have
24 seen over the last 10 years or so the processes,
25 except for weird things that have turned up, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 processes work pretty well.

2 CHAIRMAN SKILLMAN: Yes.

3 MEMBER BLEY: And I didn't see a lot of
4 advantage to the open items, bringing us a report
5 on open items.

6 CHAIRMAN SKILLMAN: Yes.

7 MEMBER BLEY: It is typically been
8 three to five months usually until you get back
9 with a final one.

10 CHAIRMAN SKILLMAN: Yes.

11 MEMBER STETKAR: The only benefit is
12 when those occasional --

13 CHAIRMAN SKILLMAN: Surprises.

14 MEMBER STETKAR: -- weird things, as
15 you characterize them, it could be beneficial to
16 get some early discourse with the Subcommittee or
17 the full Committee.

18 CHAIRMAN SKILLMAN: You might say, what
19 kind of a weird thing? We had a couple of folks
20 come in here and say, "You know, we have these
21 studs, but we're not going to use a couple of
22 them." Well, that has a visceral reaction for some
23 of us. I think when you go into your PEO, your
24 reactor vessel ought to be fully intact, just the
25 way it was intended to be designed. I would say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that is a surprise. We have had a number of those,
2 just for example. So, in my view, things like that
3 need to be shaken down very, very well before they
4 come in here.

5 MEMBER BLEY: I think maybe where John
6 was coming from, we have done this on other kinds
7 of issues, not on license renewal. Going ahead
8 this way probably makes sense, but there might be a
9 case where you see a real technical issue that you
10 want to come in and just talk about that one issue
11 for the Subcommittee.

12 MEMBER STETKAR: Yes, it might not
13 require a formal, you know, 700-and-however-many
14 pages they run to SER with Open Items on them. It
15 might require just a discussion of that issue.

16 MR. ROGERS: That is a good point.

17 CHAIRMAN SKILLMAN: And thank you for
18 alerting us to it. Let's keep on going.

19 MR. ROGERS: Okay, sir.

20 CHAIRMAN SKILLMAN: Okay.

21 MR. ROGERS: Okay. So, that would lead
22 to the fundamental change anticipated relative to
23 this is that the Draft Final SER will be presented
24 at the ACRS Subcommittee and, also, the ACRS full
25 Committee meetings, with any necessary revisions

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 made to the SER between the meetings.

2 Okay, the next slide, then, please.

3 So, that leads us to the -- let's see
4 if I'm in the right spot. Okay. Thank you.

5 Okay. With the presentation of the
6 Draft Final SER presented at both the Subcommittee
7 and the full Committee meetings, the staff will
8 propose scheduling of the ACRS Subcommittee meeting
9 and the ACRS full Committee meetings to occur in
10 consecutive months, if possible.

11 And the basis for this request will be
12 that the staff anticipates the Draft Final SER not
13 to be significantly revised between the ACRS
14 Subcommittee and the full Committee meetings, and
15 this scheduling would contribute to the staff's
16 efficiency for the SLR application review
17 timeline.

18 MEMBER STETKAR: Bill, that efficiency
19 is, again, if there is any technical issue that you
20 are struggling with, it behooves the staff to come
21 to us earlier rather than later.

22 MEMBER CORRADINI: Particularly if it
23 is a technical issue --

24 MEMBER STETKAR: No, that's what I
25 said, a technical issue, whether it is generic or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 even plant-specific. I mean, we have had some
2 pretty plant-specific things that we have
3 discussed.

4 MR. ROGERS: Does this relate back to
5 the earlier suggestion of --

6 MEMBER STETKAR: Yes, it does--

7 MR. ROGERS: Okay.

8 MEMBER STETKAR: -- because, you know,
9 this presumption that you are going to come in, the
10 Subcommittee is going to say, "Yes, everything
11 looks good," and bring it to the full Committee
12 within the next month, month-and-a-half, something
13 like that, pretty much presumes that there aren't
14 going to be any surprises from Subcommittee
15 discussions, which pretty much presumes there
16 aren't going to be any difficult plant-specific or
17 potentially generic technical issues.

18 MR. ROGERS: I understand. This all
19 went through my mind a few times when I have been
20 doing this. So, I understand that things have to
21 fall in place smoothly --

22 MEMBER STETKAR: I mean, just remember
23 that everybody, the staff, the ACRS, and the
24 industry, on first license renewal are now well
25 past the hump on the learning curve. So, things

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are going pretty smoothly. The industry knows what
2 to expect. You know, very few surprises, if any.

3 MR. ROGERS: May I offer a thought on
4 that? Considering what you heard earlier before us
5 relative to the technical issues, those are some
6 things that clearly will require focused effort.
7 But we, for much of the SLA application, this is
8 mature; we are really familiar with the plants.
9 So, we have a high level of familiarity and,
10 hopefully, we will have fleshed out a majority, if
11 not all, of those issues during the first license
12 renewal review, and we are focusing on the
13 differences, the technical aspects of the review,
14 not the information or the content of the
15 application, but just which parts would be maybe
16 difficult, would have been more difficult to
17 address in the aging management area. I guess we
18 will see on this, you know.

19 MEMBER SUNSERI: So, let me offer maybe
20 a devil's advocate perspective. I am a new member
21 to the Committee and have been with this about a
22 year now and see how things work. And the one-
23 month delay from Subcommittee to full Committee is
24 a pretty normal sequence of things.

25 But realizing that you perhaps remove

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some of the margins to success by eliminating the
2 first review, why would we continue to press for
3 the standard process? I mean, wouldn't you not
4 consider maybe moving up the Subcommittee meeting a
5 month, hold the full Committee fixed, and give
6 yourself some margin to resolve any concerns that
7 the Subcommittee might have before the full
8 Committee? I mean, it is just a thought.

9 MEMBER BLEY: You probably don't want
10 to come to the full Committee and get a letter
11 saying, "Come back after you resolve the following
12 issue. We can't support this at this time."

13 MR. ROGERS: No, we would not want to
14 do that. That's true, yes.

15 MR. BLOOM: I guess the idea would be
16 that, if we come to the Subcommittee and there are
17 a lot of issues, we would cancel the full Committee
18 and reschedule that for later. If we thought we
19 came and we thought everything was going to be
20 great, but we show up and it is not, we won't have
21 the full Committee. We are not going to ask to
22 have that. We will cancel it.

23 CHAIRMAN SKILLMAN: Thank you.

24 MR. ROGERS: So, I understand you would
25 do that, but, I mean, you know, you can kind of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 probably lay these things out in a sequence to
2 support your 18 months. So, the scheduling of the
3 full Committee is a critical -- I don't want to
4 belabor this thing any more, but I have made my
5 point.

6 CHAIRMAN SKILLMAN: Okay, Matt, thanks.
7 That's a good point. Thank you. It is something
8 for you to consider on your 18-month schedule.
9 Maybe you want to be just vigilant with the idea
10 that you do not want to come before this Committee
11 and have this Committee, for a lot of reasons, say,
12 "We cannot support this."

13 And there are a lot of ways to get in
14 front of that, by having pickup meetings, by
15 notifying the staff members of emergent issues that
16 are more difficult than you had anticipated, or
17 areas of friction that you think could derail a
18 Subcommittee meeting. So, I think there is a way
19 to work our way through this.

20 MR. ROGERS: Okay. Yes, I think these
21 have been helpful. Thank you.

22 CHAIRMAN SKILLMAN: Let's continue.

23 MR. ROGERS: Okay.

24 CHAIRMAN SKILLMAN: Thank you.

25 MR. ROGERS: Okay. The next area is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regional inspections. For this one, I am going to
2 actually read through a bit of a prepared document,
3 because I would like to lay out the basis, the
4 thought process of how we got here, because I think
5 this might be helpful.

6 So, this is related to, actually, the
7 first bullet, although they both get addressed in
8 this. The staff proposed that the pre-licensing
9 inspection, IP-71002 license renewal inspection,
10 which was previously performed during the initial
11 license renewal application review, will not be
12 reperformed for a subsequent license renewal
13 application review. So, that is the IP-71002.

14 So, the basis -- it has a number of
15 parts to it -- the IP-71002 is a pre-implementation
16 inspection that was previously performed for all
17 initial license renewal reviews except for --

18 MEMBER BLEY: I don't know --

19 MR. ROGERS: Please.

20 MEMBER BLEY: -- these by number. Is
21 this the inspection that is, for every license
22 renewal, we have had the Regional Inspector come
23 and present the inspection results?

24 MR. ROGERS: Yes, that is that one.

25 MEMBER BLEY: So, even after 20 years,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we are not going to have them go back and take a
2 look? We found those extraordinarily helpful in
3 understanding the conditions at the plant. Without
4 that, that seems kind of surprising to me, anyway.

5 MR. ROGERS: Disappointing --

6 MEMBER BLEY: By the way, I know after
7 the full Committee you are looking for a letter in
8 this area. Is this material included or is it just
9 the draft on the --

10 MR. BLOOM: I'm not sure I understand
11 the question.

12 MEMBER BLEY: -- SRP?

13 MR. BLOOM: You said it is just in a
14 draft. I didn't understand. You said --

15 MEMBER BLEY: I'm sorry?

16 MR. BLOOM: I don't understand what you
17 mean by a draft.

18 MEMBER BLEY: My understanding is
19 you're coming to the full Committee to seek a
20 letter on issuing the SRP and the GALL.

21 MR. BLOOM: Correct. But this really
22 is not part of those documents. This is --

23 MEMBER BLEY: Are you looking for us to
24 respond to this material as well in our letter?

25 MEMBER STETKAR: We can ask them to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 present it to the full Committee.

2 MEMBER BLEY: We certainly can, and I
3 think I would ask that right now.

4 CHAIRMAN SKILLMAN: Well, that is why I
5 asked for this to be part of this briefing, and I
6 would ask that it be part of the full Committee
7 briefing.

8 MR. BLOOM: Understood.

9 CHAIRMAN SKILLMAN: This is a process
10 change.

11 MEMBER BLEY: Yes, this is significant.
12 I'm looking forward to hearing why we don't need
13 this inspection. You were about to tell us.

14 MR. ROGERS: Yes.

15 MEMBER BLEY: And it is troublesome.

16 MR. ROGERS: Okay. I think I will
17 address at least some of your questions in the
18 following information.

19 MEMBER BROWN: Can I make an
20 observation? This one stuck out at me the same way
21 it did you all for one reason. I come from the
22 Naval Nuclear Program and had experience -- I mean,
23 we operated an aircraft carrier, the Enterprise,
24 for over 50 -- 52 years. And the Nimitz, the first
25 of the CDN68 class, I believe was commissioned

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 around 1974 or 1975. So, we are approaching 43
2 years on those. And I was directly responsible for
3 a large number of areas, the electrical areas,
4 reactor plant electrical areas, for 22 years and
5 with the Nimitz class for about 28 years.

6 And I can speak from experience that we
7 achieved those times not through -- I mean, it was
8 literally through inspecting the hell out of these
9 plants every time they came in. I mean, this was
10 on a two-year -- you know, they would go out and
11 deploy. They would come back in, and we would have
12 people down going through it.

13 And the maintenance, we performed
14 maintenance just like crazy. We increased our
15 maintenance levels, made sure stuff was working
16 right, and inspections and maintenance are the key
17 to me. And it says we can do that.

18 And those ships, those plants, were
19 operated in a manner that was far more stressful
20 than any of these commercial plants, which that is
21 a positive aspect in that materials are materials.
22 I mean, we haven't invented eternium to put into
23 naval vessels and we don't have it in the
24 commercial plants.

25 But I am really on edge about it, not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doing inspections to see what the level of
2 maintenance is and what things look like, as well
3 as I would think you are just going to have to have
4 an extended type of inspections and maintenance
5 periods to ensure that everything stays up-to-
6 snuff. I'm just throwing that in just from an
7 experience standpoint.

8 MEMBER STETKAR: Bill, just for the
9 record, this inspection is where we generate things
10 like scoping and screening audit reports and
11 content.

12 MR. ROGERS: Yes.

13 MEMBER STETKAR: Okay. It is not
14 inspection of the actual materials or anything?

15 MR. ROGERS: No.

16 MEMBER STETKAR: Thank you.

17 MR. ROGERS: Yes, I think good points.
18 I will address some of these.

19 MEMBER STETKAR: But I will echo what
20 Dennis said. I have, in 10 years, I have found
21 those reports, those audit reports extremely useful
22 because they have identified site-specific things
23 that in some cases are not particularly evident
24 when you look at the SER.

25 MEMBER BLEY: And our ability to have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussion with the inspector has given us very
2 useful information and helped us build our
3 confidence as well.

4 CHAIRMAN SKILLMAN: Okay, Billy, please
5 proceed.

6 MR. ROGERS: All right. So, the 71002
7 inspections, a pre-implementation inspection, was
8 previously performed for all the initial license
9 renewal applicants with the exception of Calvert
10 Cliff, although Calvert Cliff did receive
11 significant levels of inspections during the review
12 process. It just was not categorized as an
13 IP-71002 at the time.

14 MEMBER STETKAR: Is that because
15 Calvert Cliffs -- was Calvert Cliffs the pilot?

16 CHAIRMAN SKILLMAN: Yes, they were No.
17 1.

18 MR. ROGERS: Yes, the first
19 application.

20 And then, as you said it, Mr. Stetkar,
21 the two primary areas inspected during the 71002
22 inspection are the scoping and screening
23 methodology with a focus on non-safety affecting
24 safety, and the aging management programs.

25 So, I will focus on scoping and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 screening first. The first area of scoping and
2 screening methodology with a focus on non-safety
3 affecting safety, that was during the initial
4 application reviewed by both the Regional
5 Inspectors and Headquarters staff, including
6 walkdowns during the initial license renewal
7 reviews.

8 The staff has determined that the
9 overlap between the two types of reviews, the
10 inspection and the technical review audit, can be
11 reduced by having the Headquarters staff perform
12 the technical review of this area for subsequent
13 license renewal with walkdowns performed as
14 necessary during the onsite audit.

15 I personally have been the team leader
16 for the majority of the scoping and screening
17 methodology audits for probably 10 or more years.
18 And we have had inspectors on the audits. We have
19 had a variety of interactions with each other.

20 But the scoping and screening
21 methodology will be similar between both
22 applications. The A2 information should be
23 similar. It was pretty solid early on in the
24 review cycle. I was part of the ad hoc committee
25 that established the information which ended up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 getting codified in NEI 95-10, Appendix F. That's
2 a non-safety affecting safety, the guidance that
3 the utilities use. I was part of that group.

4 And I have gone back recently and
5 looked at early applications, and I have read what
6 we accepted in the scoping and screening results
7 and the A2 review, and it looked good to me today.
8 In general, I still think the SERs looked no
9 different than current staff positions in those
10 areas. So, with that being in mind, I think that
11 that piece we can do with the Headquarters staff to
12 verify that.

13 MEMBER BALLINGER: I have a question.
14 Since the subsequent license renewal will probably
15 be dominated by the aging management programs --

16 MR. ROGERS: Yes.

17 MEMBER BALLINGER: -- and this
18 inspection, you just said that it is not going to
19 be done, and part of that inspection is related to
20 the aging management programs.

21 MR. ROGERS: Yes.

22 MEMBER BALLINGER: Do you run the risk
23 of having a gap here that you end up getting
24 surprised?

25 MR. ROGERS: Well --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BALLINGER: That seems to me,
2 boy, that is a tank trap.

3 MR. ROGERS: Maybe I can address that
4 then. I think I can. That is the area with the
5 scoping and screening piece.

6 Now I will move on to the aging
7 management programs next.

8 CHAIRMAN SKILLMAN: While you are
9 talking with us, would you please make clear what
10 it is you are speaking about relative to the
11 difference of 71002 and 71003? You have already
12 said you are not going to do 71002. We understand
13 71002 was, quite candidly, the recon that we used,
14 and that we use, for our license renewal
15 activities. You're saying, "We're not doing that.
16 We're doing 71003."

17 So, for the comments that you are
18 making, please make clear whether those comments
19 are related to what you are proposing as the path
20 forward.

21 MEMBER STETKAR: Bill, just for clarity
22 for the record, the thing you talked about for the
23 scoping and screening report is part of 71002, is
24 that correct?

25 MR. ROGERS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER STETKAR: Okay. Thank you.

2 MR. ROGERS: Yes.

3 MEMBER STETKAR: And what you are going
4 to eventually get to perhaps, the aging management
5 audit, is also part of 71002?

6 MR. ROGERS: Yes.

7 MEMBER STETKAR: Okay.

8 MR. ROGERS: That's the two fundamental
9 pieces --

10 MEMBER STETKAR: Yes.

11 MR. ROGERS: -- that relate to this
12 activity, yes. Yes. Yes. Okay.

13 MEMBER STETKAR: Speak quickly or we'll
14 forget.

15 (Laughter.)

16 MR. ROGERS: Okay. Okay. So, the AMPs
17 now, we will begin with that. The initial license
18 renewal aging management programs that were
19 expected in accordance with the IP-71002 procedure
20 have now been fully implemented. They have also
21 been subject to an IP-71003 inspection, proper to
22 the receipt of -- they have to be subjected to that
23 prior to going to PEO. So, our plants that are PEO
24 went all through the 71003 inspections also.

25 So, when they come in for subsequent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 license renewal, they will have gone through
2 another set of inspections. The 71003 does have an
3 AMP review component to it. And then, if they are
4 NPO, they will be active programs. That is an
5 important piece.

6 Yes, sir?

7 MEMBER KIRCHNER: Bill, just a quick
8 question. The 71003, that is done after the
9 license is approved?

10 MR. ROGERS: That's correct.

11 MEMBER KIRCHNER: Okay. And then, how
12 frequently is that revisited or is it?

13 MR. ROGERS: So, the way that 71003 is
14 set up -- well, first of all, I will go back. The
15 71002 is done during the initial review when we are
16 establishing whether they will receive a license by
17 the review process. And at that point, the AMPs,
18 some of the programs are actually operational; some
19 are not, but it is considered pre-implementation
20 for the aging management programs.

21 So, then, the license is issued. And
22 then, the 71003 is performed. Phase 1 and phase 2
23 is done just prior to PEO. I think it is the last.
24 Refueling outage is No. 1. And then, within I
25 think three months -- is that correct, Heather? I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just looked at Heather Jones, one of the License
2 Renewal staff people. That is done within three
3 months.

4 So, with the refueling outage, you can
5 get certain areas into your inspection, and then,
6 the rest can be done and followed up on. The two
7 phases, Part B, a third phase following PEO.

8 MEMBER KIRCHNER: And just for the
9 record, what does the third phase include?

10 MR. ROGERS: I think Heather is going
11 to address that. She stood up.

12 MS. JONES: So, as Bill said, yes,
13 there are two phases that are performed in the PEO.
14 The first phase is done at the last outage or the
15 second-to-the-last outage prior to PEO to look at
16 any areas that are normally inaccessible. The
17 second phase, that is the large phase performed
18 three months prior to PEO, typically, three months
19 prior, where you are looking at the implementation
20 of all the AMPs and all the license renewal
21 activities.

22 Then, you have a third phase, which is
23 optional, but it is typically performed a year into
24 the PEO. That is where you follow up on any --
25 sometimes we have license renewal activities that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are due to be completed during the PEO. So, we
2 will go back and we will look at those.

3 And we have just recently updated the
4 procedure to add a fourth phase. That is performed
5 five to ten years into the PEO. And that is where
6 it is really looking at AMP health and AMP
7 effectiveness, and it is really useful actually for
8 the SLR applications because that is where we get
9 to see -- you know, we have had some runtime with
10 the AMPs. We have had a couple of outages into the
11 PEO. We get to see how the AMPs are actually
12 working, how the licensee is identifying any aging
13 management issues, and how they are characterizing
14 those issues in their corrective action program.

15 MEMBER KIRCHNER: So, I was asking a
16 leading question. Coming up at the end, towards
17 the end of this first license renewal, initial
18 license renewal, you've got 20 years under your
19 belt. But what is going to be submitted for the
20 subsequent license renewal is going to build
21 strongly on those very same programs. So, the
22 presumption is the health and execution of those
23 programs is an important component of the SLR. So,
24 if you don't inspect -- you said phase 3 is 5, 10,
25 15 years?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. JONES: No, the phase 3 is
2 typically one year into the PEO. It is the phase 4
3 where we look five to ten years into the PEO and we
4 are looking at the AMP health that could ultimately
5 form what they are going to do for a subsequent
6 license renewal or how they are doing for
7 subsequent license renewal.

8 CHAIRMAN SKILLMAN: Heather, would you
9 identify yourself for the record.

10 MS. JONES: My name is Heather Jones.

11 CHAIRMAN SKILLMAN: Thank you, Heather.

12 MS. JONES: And I would like one more
13 comment. Please don't -- we do have, you know,
14 these plants are being inspected by the Regions
15 under the ROP, and we have updated a lot of the
16 baseline inspection procedures to include aging
17 management inspection guidance. And we continue to
18 update those inspection procedures. So, it is not
19 like these plants are never going to be inspected
20 again. So, they continue to be inspected.

21 MR. ROGERS: Yes, if I may, I think
22 that was in response to Mr. Brown's question,
23 correct?

24 MS. JONES: Yes. Yes.

25 MEMBER BROWN: No.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROGERS: Or at least partially?

2 MS. JONES: No, I'm sorry, the
3 gentleman next to him.

4 MR. ROGERS: I think the earlier
5 question that he asked --

6 MS. JONES: Yes.

7 MEMBER BROWN: I was focusing as much
8 not only on the inspection, but the maintenance.
9 Just maintenance has to be -- the inspections
10 should be ensuring that the maintenance is being
11 properly done, that small things aren't being put
12 off. You've got periodic refueling periods that
13 are coming up, you know, that are done
14 periodically. So, you have got opportunities to
15 get those done.

16 And that is what we found to be very
17 important to keep these ships operating, was making
18 sure the maintenance was not deferred. And it is a
19 heck of a lot less expensive to get that
20 maintenance done than it is to build a new plant.
21 That is why we did it on these carriers. They are
22 not cheap. All you have to do is read the paper.

23 CHAIRMAN SKILLMAN: Bill, what I am not
24 hearing in the presentation that you are making is
25 why IP-71003 is at least as good, and maybe better,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 than 71002 for the time at which it is presented.

2 Again, the tool that we have been using
3 for years for life renewal, for 40 plus 20, has
4 been that 71002 that has been giving us the
5 inspector's point of view at fine detail. And that
6 has discovered all kinds of issues that likely
7 would never have been raised to this Committee.

8 And so, when you say we are not going
9 to do that inspection module IP-71002, we are going
10 to use inspection procedure 71003, it seems that
11 the words we need to hear from you in sum are words
12 that communicate here is why 71003 gives you all
13 that you wanted in 71002 plus here's why it is the
14 right tool for going into life after 60. We are
15 not hearing that, and that is an important message
16 that we need to hear.

17 MEMBER STETKAR: Bill, again, this is a
18 Subcommittee meeting, so personal experience. The
19 most valuable stuff that I have ever seen from
20 those AMP audits or inspections, whatever they are
21 called, is the inspector's characterization of
22 plant-specific operating experience and how it
23 dovetails into their proposed programs.

24 And from what we just heard, part of
25 that is operating experience in terms of normal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 maintenance and that kind of stuff, and part of it
2 will be some of the staff's experience from the
3 71003 inspections in the first renewal period that
4 we at the ACRS never see. I mean, we don't see the
5 71003 things. I think we have been briefed on
6 them, but I could be making that up. And if we
7 have, it has been, you know, just a general
8 briefing by an inspector.

9 But the really valuable stuff, from my
10 perspective, has been how the actual plant-specific
11 now operating experience dovetails with the
12 adequacy of those aging management programs, not
13 the programmatic part. And I think losing that
14 somehow, from my perspective, will make our lives a
15 lot more difficult in terms of understanding the
16 adequacy of the programs going forward.

17 MR. ROGERS: Well, I have some more
18 information to present.

19 CHAIRMAN SKILLMAN: Yes, please go
20 ahead.

21 MR. ROGERS: With the idea of the
22 implementation review being performed on AMPs that
23 are now currently fully operable and in place, it
24 seems like the 71002 activities would duplicate
25 certain activities previously performed for AMPs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 during the initial 71002 inspections, because they
2 are implemented now. It is not a pre-
3 implementation. It wouldn't be a pre-
4 implementation, generally speaking.

5 For the SLR applications, there will be
6 several AMPs. I think we have five new AMPs and
7 they will be plant-specific AMPs that have not been
8 subject to the inspection. For those AMPs, we
9 consider this following information:

10 The overlap of activities between 71002
11 and the Headquarters staff's technical review of
12 audit activities, both the 71002 inspectors and
13 Headquarters staff perform a review of the AMPs and
14 also performs necessary walkdowns. For SLR, this
15 would be most applicable to the small population of
16 AMPs that have not yet been implemented. So, for
17 pre-implementation, this is going to neck down to a
18 small collection of AMPs.

19 And then, the next part would be the
20 initial license renewal 71002 activities performed
21 by Headquarters staff and the Regions resulted in
22 similar outcomes and the documentation of issues.
23 For the initial license renewal, the inspection
24 outcomes for identification of questions, issues
25 related to AMPs, documentation of these issues was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the form of RAIs, and the resolution got
2 collected and documented in the SER.

3 The point is, when the inspections were
4 performed, they did not result in inspection
5 findings; they resulted in changes to the
6 application and potentially modification to the
7 aging management programs. So, in this particular
8 case, these inspections resulted in similar
9 outcomes to a technical review or an audit. That
10 is not a common circumstance, but it is applicable
11 to this process.

12 Therefore, the staff determined that
13 the new GALL SLR AMPs and the new plant-specific
14 AMPs could be reviewed during the Headquarters
15 technical review and the onsite audit.

16 Now we have had a lot of discussions
17 with the regional staff and management on this
18 issue. Heather Jones was the lead for the Working
19 Group on working with the Regions, and I
20 participated in many of the telecom meetings.

21 So, to support this review, it was
22 agreed with the regional staff that they would be
23 requested to participate in the AMP onsite audit
24 and perform AMP evaluations and plant walkdowns.
25 So, the inspectors were requested to participate in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the aging management program onsite audit. They
2 seemed enthusiastic and generally agreed to it.

3 The difference is that we will be in
4 the audit process at that point and not an
5 inspection process. We will not be in 71002. We
6 will be under an audit plan as part of the
7 technical review. But the Region will have an
8 onsite presence during that AMP audit. That is our
9 expectation.

10 MEMBER BALLINGER: I suppose I am going
11 to expose my ignorance here, but, for process, from
12 the point of process, we have had a lot of
13 discussion about trying to basically establish a
14 baseline for the subsequent license renewal. This
15 inspection, I presume that you would know long
16 before that licensee is going to submit. So, they
17 are not just going to come in on a Monday and say,
18 "Here's my submittal." So, you will have knowledge
19 that they are going to submit long before that.
20 Can something be done to -- I don't know what kind
21 of inspection you would call it -- to do an
22 additional inspection before even the submittal, so
23 that you have a baseline to go from maybe? I am
24 probably not saying it correctly, but -- because
25 there is the one-year and the five-year.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. JONES: Yes, and that is where I
2 was going to head. I think that is where the phase
3 4 is -- my name is Heather Jones -- I think that is
4 where the phase 4 is going to really come in handy
5 there, because you are doing it, you know, five to
6 ten years in a PEO. And if you look at the
7 timeline, that can bump up against right before an
8 applicant is about to submit an SLR application. I
9 know for Peach Bottom it is going to be pretty
10 close. So, we can leverage that phase 4
11 inspection, is what I am saying.

12 But it would be, you know, as part of
13 the 71003, and I am sure that the auditors could
14 use that information in the report, so that it
15 informs some of the reviews. But just keeping in
16 mind it wouldn't necessarily be part of the
17 subsequent license renewal application review. It
18 would be an inspection for the IP-71003, but a lot
19 of useful information can be gained from it.

20 MEMBER BALLINGER: Thank you. Okay.

21 MEMBER KIRCHNER: And I wanted to note
22 here I am all for efficiency. That is not your No.
23 1 objective. It is effective determining an
24 acceptable level of safety.

25 It would seem to me -- you know, I am

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 trying to look at this as the lay public -- what
2 they want is confidence, right? We are extending
3 the life of these plants.

4 It would seem to me that a good -- and
5 I will probably not use the correct terms -- audit
6 inspection, as part of the application, would
7 enhance confidence that the applicant had well-
8 managed the aging management programs, and that
9 would, then, allow you to focus on the five new
10 AMPs and any open -- oops, I won't say "open items"
11 -- any issues that might be plant-specific and,
12 hence, allow an expeditious review, thorough but
13 expeditious, and then, issuance of the SER. That
14 is my thinking about how one builds sufficient
15 confidence that you are addressing the acceptable
16 level of safety in a process sense. So, maybe this
17 phase 4 does that for you.

18 MR. ROGERS: Yes, I think that is the
19 idea.

20 MEMBER KIRCHNER: Allow you to accept
21 almost on paper, because that is what you are
22 dealing with with the SER part, that the substance
23 is behind this in terms of the applicant's programs
24 for managing his or her facility and, hence, the
25 confidence that would go with it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I am just looking at what I will call
2 optics from the public perspective.

3 MR. ROGERS: Well, I agree. I think
4 that the idea of having, actually, the idea of
5 having a phase 4 which is going increase, in
6 addition to the inspection, collection of
7 inspections for plants in PEO, is exactly that. It
8 builds your confidence level that AMPs are meeting
9 their intended desire. The results tell you that,
10 because that is what we were trying to do with
11 that.

12 MEMBER KIRCHNER: Thank you.

13 MEMBER BLEY: If I understand what you
14 have said, and I have quickly been reading through
15 71003, it is really pretty thorough. It covers all
16 the things we care about, although it is done
17 before they enter the period of extended operation
18 and verifies these things. So, the Committee
19 wouldn't see this at the time of the approval of
20 the subsequent renewal application.

21 MR. ROGERS: That's correct.

22 MEMBER BLEY: Okay. That is what I
23 thought.

24 MR. ROGERS: Yes. I did want to note
25 another thing related to my last point. So, I just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 focused on the new AMPs, the plant-specific GALL
2 AMPs, but that is not to -- my point is not to
3 imply the review is limited to the new AMPs.
4 Actually, all AMPs, AMR line items, and TLAs are
5 subject to technical review and will be part of any
6 aging management audits to cover the entire
7 application.

8 Yes, that's all I was going to say
9 here.

10 MEMBER BLEY: So, at the time a
11 licensee brings forward its application and you
12 review it, there will have been audits? I mean,
13 first of all, we have been issuing the first
14 license renewal. We haven't had AMPs and that sort
15 of thing. Now they will have had them for some
16 period of time, and you will have had the ability
17 to have audits and see how they are doing on them.

18 You can apply for this at any time, I
19 assume?

20 MR. BLOOM: Excuse me. You can only
21 apply for it within the 20 years prior to your
22 needing it.

23 MEMBER BLEY: Okay. So, we have seen
24 people apply pretty early for first renewal. So,
25 somebody who just starts into the period of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extended operation on their first license renewal
2 could immediately apply --

3 MR. BLOOM: Technically, yes.

4 MEMBER BLEY: -- and you will have no
5 history of how they are doing on the AMPs at that
6 time?

7 MR. BLOOM: Correct. Correct. And
8 that goes back to a point that I wanted to make
9 sure, and I think maybe we didn't say this clearly
10 enough. The 71002 was supposed to say, are they
11 ready to implement, and 03 was, now that they have
12 implemented, how did they do?

13 MEMBER BLEY: Yes.

14 MR. BLOOM: And so, that is the
15 distinction. So, our thinking was with the SLR,
16 since they have already implemented the programs
17 and we have looked at phase 1, 2, 3, and 4 and seen
18 how they did really long-term, you can say, well,
19 do they really need to -- do we need to see them,
20 see if they are ready to implement again? Because,
21 as Billy said, for the majority, the program is
22 already in existence, and for the others, we can do
23 more of a spot-check and look at those with an
24 audit as opposed to starting from scratch and
25 saying, can this licensee implement a --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: Please silence your
2 phone.

3 CHAIRMAN SKILLMAN: Hey, Pete, put it
4 on silence.

5 MR. BLOOM: So, we already know they
6 can do it because they are in the PEO. So, we know
7 they can do it. So, that was our thinking on it.

8 I think what we want to do, I know
9 Billy -- I don't know if he has any more to say on
10 it. I think I have taken the action item that, for
11 the full Committee, we will come back to you with
12 more information to better explain why we got rid
13 of 71002, but, then, to explain in different terms
14 what we are doing to take its place. And I think
15 that is part of what maybe we didn't do as good of
16 a job today to explain to you what is taking the
17 place.

18 MEMBER BLEY: I think beyond 71003. I
19 have been looking through that. That is pretty
20 darn good, I think.

21 MR. BLOOM: Okay.

22 MEMBER BLEY: But that might not happen
23 for a long time. That might not happen until just
24 before they go into their next period --

25 MR. BLOOM: So, we will be ready for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the full Committee to have that explanation.

2 MEMBER BLEY: Yes.

3 CHAIRMAN SKILLMAN: Good. Steve, thank
4 you. Billy, thank you.

5 Let's keep on going. We've got a few
6 more important presentations we want to get through
7 this day.

8 MR. ROGERS: Well, that concludes my
9 presentation, but Nancy is going to do a
10 presentation.

11 CHAIRMAN SKILLMAN: Nancy, you're next,
12 please.

13 MS. MARTINEZ: Thank you, Bill.

14 Good afternoon. My name is Nancy
15 Martinez. I'm an Environmental Tech Reviewer in
16 the Division of License Renewal.

17 As Bill mentioned, the Working Group
18 evaluated also the environmental review process to
19 identify areas that can be optimized for the review
20 of the SLR application. The staff identified four
21 major areas, and we did present these at public
22 meetings last year in the spring and the fall.

23 The major areas consist of staff
24 encouraging and recommending that applicants
25 consider requesting pre-application meetings with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the NRC to make the staff aware of any new and
2 significant information, issues not previously
3 assessed during the initial license renewal,
4 changes in environmental conditions specific at the
5 plant site, or new site-specific information.

6 The next area pertains to incorporation
7 by reference. As part of the review, the staff
8 will develop an Environmental Impact Statement, and
9 the staff anticipates implementing incorporation by
10 reference of relevant information in the SLR
11 Environmental Impact Statement from prior EISes,
12 environmental assessments, or environmental
13 reports, in accordance with 10 CFR Part 51. And
14 this will eliminate repetition and, also, the size
15 and length of the Environmental Impact Statement
16 and, similarly, the environmental report.

17 Staff encourages the applicants to
18 provide updated or new biological surveys to
19 support and increase the efficiency of the staff's
20 consultation with other agencies.

21 And the last area consists of or
22 pertains to alternatives. In accordance with 10
23 CFR Part 51, the staff will evaluate alternatives
24 to the proposed action. And for SLR Environmental
25 Impact Statements, the staff will focus on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 evaluation of replacement power alternatives in the
2 Environmental Impact Statement that were not
3 previously assessed or that have changed since the
4 initial license renewal.

5 MEMBER BROWN: What does that mean?
6 You mean you are going to have investigate solar
7 panels and windmills on the sites, the existing
8 sites, as alternative power or --

9 MS. MARTINEZ: As part of the
10 environmental review, we do look at a range of
11 reasonable alternatives to nuclear power. That
12 analysis is contained in our Environmental Impact
13 Statements.

14 MEMBER CORRADINI: So, I guess I'm not
15 going to repeat what Charlie said. But I thought,
16 isn't that more a Public Service Commission or a
17 Public Utilities Commission state issue than a
18 federal issue? Am I missing something?

19 MS. MARTINEZ: It's required. It is
20 required for us to address alternatives to the
21 proposed action. While we do not make a decision
22 on those alternatives, we look at the range for a
23 comparison to the proposed action.

24 MEMBER CORRADINI: Based on what
25 forecasting, though?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: EIA?

2 MEMBER CORRADINI: I mean, so you use
3 the EIA forecasting mechanisms? I mean --

4 MS. MARTINEZ: Correct. We look at a
5 range of energy portfolios, state regulations.

6 MEMBER CORRADINI: Okay. I was going
7 to say something, but I won't say it.

8 Economic, though, forecasting?

9 MS. MARTINEZ: I would actually like to
10 request if Bob Hoffman can address some of these
11 questions. He is our expert on alternatives.

12 MR. HOFFMAN: Yes, cost and economics
13 get factored in, but in the environmental report
14 that the applicant submits they will often refer to
15 their innovative resource plans or planning
16 documents that the transmission, for the
17 transmission organizations. And that gets factored
18 into what looks like a reasonable mix.

19 Should the nuclear plant not get
20 relicensed, the review of alternatives satisfies
21 the National Environmental Policy Act requirements,
22 and the agency looks at, satisfies that requirement
23 to look at alternatives to the proposed action by
24 looking at other power technologies.

25 MEMBER CORRADINI: Colleagues, thank

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you.

2 Nancy, thank you.

3 MS. MARTINEZ: Thank you.

4 MEMBER CORRADINI: We are coming to the
5 end of this portion of the meeting. I would ask my
6 colleagues if they have any questions for Billy or
7 for Nancy.

8 (No response.)

9 Hearing none, Steve, back to you. Any
10 more from your team?

11 MR. BLOOM: No, there's nothing left.
12 I will now turn it over to NEI who has a quick
13 presentation.

14 MEMBER CORRADINI: There's a lot left,
15 but let's get NEI up here.

16 (Laughter.)

17 MR. BLOOM: As we leave, yes, we will
18 turn it over to them to give a presentation as to
19 what is going on from their standpoint.

20 CHAIRMAN SKILLMAN: Yes, sir. Thank
21 you.

22 So, we are inviting NEI to the front of
23 the room, please.

24 Jerud, welcome. I ask you to please
25 proceed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HANSON: Thank you, sir.

2 Everyone can hear me?

3 Thank you. I'm Jerud Hanson with the
4 Nuclear Energy Institute. I represent the industry
5 in second license renewal. I am the lead for SLR
6 for NEI. I am going to provide an update that
7 mainly focuses on the progress and activities we
8 have made or had over the past year mainly. And at
9 the end, I am going to get into some information
10 regarding an unofficial survey we have conducted
11 regarding application submittals.

12 Next slide, please.

13 As Steve noted earlier, Steve Bloom,
14 industry submitted over 300 pages of comments to
15 the NRC staff on the Draft GALL that was published
16 in February of last year. Within those over 300
17 pages, we had identified 23 significant, what we
18 considered significant, technical concerns, and we
19 participated in nine public meetings over the next
20 year in 2016, to focus mainly on those significant
21 concerns we had.

22 This was an extremely beneficial
23 process and interaction for us, because what it did
24 is it allowed us the opportunity to sit down with
25 the NRC staff and discuss while the Draft GALL was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 being rewritten some of the concerns we had with
2 the language. We were able to provide our
3 position. We were able to hear the NRC position.
4 We were able to talk those out and come to an
5 understanding, which I think in the end will result
6 in a much better document. So, I just wanted to
7 make a note of that, that that was a very important
8 process for us, and we think it will pay off.

9 In the end, ultimately, we did feel
10 satisfied that all of our concerns that we had
11 identified were resolved to our satisfaction. And
12 we did conduct a drop-in with Bill Dean to discuss
13 some of these issues, as well as a couple of
14 concerns we had. Leading up to the meeting, we
15 were able to get our technical concerns resolved.
16 So, we were able to speak to Mr. Dean about some
17 other areas we were concerned about concerning
18 staffing within NRR, optimization for the
19 application review process, as well as the survey
20 that I am going to get to at the end of this
21 presentation.

22 MEMBER KIRCHNER: Jerud?

23 MR. HANSON: Yes, sir?

24 MEMBER KIRCHNER: Could you just give a
25 synopsis of what the major 23 industry concerns

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were? I haven't read your 300 pages of commentary.
2 I mean, what were the real crux issues?

3 MR. HANSON: With the majority of
4 those, we thought that some of the language within
5 the Draft GALL was going beyond the scope,
6 necessary scope, for aging management programs.
7 And that was, to sum it up, we thought it was going
8 a bit too far. So, I think Eric Blocher can
9 provide a little more insight on that. So, I will
10 turn it over to him.

11 MEMBER BLEY: Before you do --

12 MR. HANSON: Yes?

13 MEMBER BLEY: -- from both of you, I
14 guess, right here, are you talking about what you
15 did in the past or the way you believe it is right
16 now?

17 MR. HANSON: This first section of the
18 slides, sir, is talking about the past.

19 MEMBER BLEY: The past?

20 MR. HANSON: Yes.

21 MEMBER BLEY: Okay. So, these don't
22 apply to the new draft?

23 MR. HANSON: No. I'm going to get to
24 that in the next bullet there, sir.

25 MEMBER BLEY: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HANSON: Eric?

2 MR. BLOCHER: I'm Eric Blocher, License
3 Renewal Team.

4 The 23 issues that were identified, the
5 staff have addressed each of those in their
6 presentation. So, many of the comments you heard
7 from the staff, for example, in the structural area
8 of Bryce Lehman's discussion of the UT one-time
9 inspections for inaccessible areas. That was one
10 of our comments. The same with a number of the
11 comments that Bill Holston presented in his
12 presentation. They have all been addressed.

13 And of those 23 comments, with the
14 exception of one, all have been addressed with the
15 industry. One way or the other, we have come to an
16 understanding of the requirements.

17 CHAIRMAN SKILLMAN: Thank you, Eric.

18 Jerud?

19 MR. HANSON: Okay. So, last month the
20 semi-final GALL was published ahead of this
21 meeting. So, we took an opportunity to conduct a
22 review of that. We have provided the NRC DLR with
23 some feedback based on our review. And this
24 focuses on ensuring that those 23 technical issues
25 that we previously identified are appropriately

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 addressed, and we are working with the NRC right
2 now to work those out or ensure that is the case.

3 So, the environmental report. We had a
4 meeting with the NRC to discuss optimizing the SLR
5 NEPA review process. This was in May of last year.
6 The Environmental Task Force for NEI has drafted a
7 model SLR New and Significant Assessment Approach
8 for Severe Accident Mitigation Alternatives, and we
9 have been working on this with the NRC since July
10 of 2016. The final version will provide a
11 consensus approach for SLR applicants regarding
12 compliance with the regulatory exclusion for
13 providing SAM analysis in SLR environmental
14 reports.

15 Next slide, please.

16 This is some of the activities and
17 progress. So, in 2015, we began hosting some site
18 visits focusing on SLR, specifically aging
19 management programs that were being conducted at
20 various facilities throughout the United States.

21 The first one began at Salem Hope
22 Creek. We went to Oak Ridge National Lab, Pacific
23 Northwest National Lab, AREVA, EPRI, Westinghouse,
24 and we are specifically looking at AMPs on
25 concrete, cables, and metal. This just gave us the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 opportunity, industry and NRC, to go out and take
2 more of a hands-on approach and get a look, some
3 presentations, on some of the aging management
4 programs that are going on in these facilities.

5 And we were able to have some very good
6 meetings as a result of that and, if anything, see
7 some additional resources as we move forward past
8 60 years.

9 Our next one is scheduled next month at
10 the University of Tennessee in Knoxville, where we
11 are going to be looking at some concrete-focused
12 aging management research.

13 MEMBER CORRADINI: Is this going to
14 result in some sort of NEI or EPRI document that
15 says like all this is helpful and is going in the
16 right direction or there are things that should be
17 changed or improved? What is going to be the
18 result of all these visits?

19 MR. HANSON: It won't result in an
20 actual document. What I think it results in that
21 we have found beneficial is the discussions that we
22 are able to have. I will give an example of that.

23 When we took a trip out to Oak Ridge in
24 2015, some of the information that we saw at Oak
25 Ridge, it made some of the NRC and some of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 industry realize there were some additional
2 questions that needed to be asked and some
3 additional information, basically, some
4 conversations that needed to be had.

5 So, we scheduled a series of deep-dive
6 meetings. I think we had six total. And they
7 focused on concrete, cables, and reactor vessel
8 research. And over the series of those
9 discussions, I think the NRC was able to gain some
10 additional information that they didn't have in the
11 past. So, that was one of the good results just of
12 having one of these meetings and going out to a
13 site.

14 I think Sherry wants to add some
15 additional information.

16 MS. BERNHOFT: Yes. Yes, this is
17 Sherry Bernhoft with EPRI.

18 A partial response to that, too, is, as
19 the research results complete, we roll those into
20 the EPRI reports. So, you're seeing the research
21 in action when you go out on these site visits, but
22 the final results do get rolled into the EPRI
23 reports.

24 CHAIRMAN SKILLMAN: Okay. Thank you,
25 Sherry.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HANSON: Thank you, Sherry.

2 CHAIRMAN SKILLMAN: Okay, Jerud, go
3 ahead.

4 MR. HANSON: All right. So, our next,
5 we'll call this a milestone, is NEI 1701. This is
6 a rewrite of NEI 9510, which is the guidance for
7 the industry on submitting an application for
8 license renewal. The industry took that document
9 and conducted a rewrite specifically to address
10 submitting an application for second license
11 renewal. We have finished that this month and
12 submitted it to the NRC for endorsement earlier
13 this month. So, we are expecting that, hopefully,
14 within the next couple of months.

15 We have a final meeting to address SLRA
16 optimization on May 11th. We have participated in
17 three public meetings with the NRC so far to look
18 at optimizing the application review process,
19 providing our own information and recommendations
20 on streamlining the process, as we just heard
21 through the last presentation.

22 As was already noted, NRC has agreed to
23 an 18-month SLRA review objective. And industry,
24 we know that the ball is in our court regarding
25 ensuring we have a quality application, so that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can be sure to do everything we can to meet that
2 18-month goal.

3 Next slide, please.

4 So, for the lead plant update, we heard
5 from Mike Gallagher and Paul Aiken. Peach Bottom
6 is on track for BWRs for a submittal in third
7 quarter 2018. Their peer reviews are scheduled for
8 April of 2018. Surry Station is on track for PWR
9 submittal the first quarter of 2019. They are
10 working with Westinghouse to form a site-specific
11 gap analysis to address MRP-227 this year. And
12 their peer reviews and workshop are scheduled to
13 take place in the May 2018 timeframe.

14 So, the next bullet refers to a recent
15 presentation that was provided by NEI to the NSIAC
16 committee with NEI, which is the Nuclear Strategic
17 Initiatives Advisory Committee. And the point of
18 the presentation was to ensure industry commitment
19 to supporting the success of lead plants to ensure
20 the success of subsequent license renewal.

21 Specifically, we emphasized the
22 importance of conducting peer reviews. We have a
23 very good process that we are using to complete
24 these applications. And what has proven to be a
25 very valuable part of that is conducting peer

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reviews. And we have Peach Bottom and Surry
2 scheduled, and we ensured we had industry
3 commitment to supporting these peer reviews, so we
4 could get the feedback that will ultimate produce
5 an even higher-quality application to be submitted
6 to the NRC.

7 CHAIRMAN SKILLMAN: Are the peers,
8 Jerud, that will participate in those peer reviews
9 prospective peers to also do subsequent life
10 renewal? In other words, are they utilities that
11 intend to have some skin in the game?

12 MR. HANSON: I would say yes. Yes,
13 that's the group we are looking at.

14 CHAIRMAN SKILLMAN: Okay. Thanks.

15 MR. HANSON: All right.

16 So, moving on to the survey, just to
17 give some background on the slide we are about to
18 see, last year in May, NEI conducted an unofficial
19 survey. The purpose was just to try to gain some
20 insight on how many applications, SLR applications,
21 we could potentially be expecting and when.

22 So, on the next slide we have the
23 results of that survey. And just to go into a
24 little detail on the nature of the survey, our
25 objective was to keep it as generic as possible.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That is why you don't see any site names up here.
2 And the numbers you see refer to plants. It is not
3 reactor-specific. This is nuclear power plants.

4 The survey asks, basically, two
5 questions. If you don't have any plans to submit
6 for second license renewal at this time, check this
7 box. And if my memory is correct, I received about
8 13 responses that said no plans to submit at this
9 time.

10 Then, you had another section that
11 said, if you plan to submit for second license
12 renewal, how many plants and when? And this was
13 the result of that.

14 So, we had three parts of this as far
15 as responses. We had the people who checked the
16 box that said no plans to submit. We had the
17 people who responded and gave us the results. And
18 then, we had people who didn't respond at all. So,
19 this is what you are seeing, and this add up to 20
20 plants going from 2018 to 2047.

21 This was done in May 2016. And the
22 plan right now is to reconduct this in the late
23 summer or fall of this year.

24 CHAIRMAN SKILLMAN: And, Jerud, this
25 indicates --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HANSON: Yes?

2 CHAIRMAN SKILLMAN: -- approximately
3 when they would submit their applications?

4 MR. HANSON: Yes, by years.

5 CHAIRMAN SKILLMAN: By years? Okay.

6 MR. HANSON: So, the 2019, 2020, all
7 the way up to 2047, and how many within each year.
8 So, you will see in 2022, in 2026, that is when we
9 have the most plants submitting right now, three in
10 one year.

11 So, this served a couple of purposes.
12 One, it was for us, just so we had something, even
13 if it wasn't even official, so we knew what to
14 expect. But it could also, the hope was it could
15 be used as a tool, even to provide to the NRC, to
16 say this is what we were expecting, and so, we can
17 give you a heads-up for staffing purposes, budget,
18 everything. This is what we can give you for now.

19 So, the good news is we are planning to
20 resubmit this in late summer or fall this year. It
21 is a very important timeframe that we chose to do
22 that. Most importantly is that the GALL, the
23 final GALL, will be issued in July. So, we are
24 giving time, at least a little bit of time, for the
25 industry to realize that, okay, this is what the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 GALL looks like. We know what to expect. As long
2 as they know what to expect, they can determine how
3 predictable it is, and it can add some additional
4 confidence.

5 And even more importantly, Bennett made
6 a comment earlier during her presentation. She
7 referred to the dates that Peach Bottom and Surry
8 had provided a couple of years back as far as when
9 they were going to submit. Third quarter 2018;
10 first quarter of 2019. And after everything we
11 have been through, after all the work that has been
12 done, they are still on track to meet those dates.

13 So, being able to go to the CNOs and
14 provide that information should be very, very
15 helpful when we reconduct the survey. And I'm
16 about 99 percent sure, about 99.9 percent sure that
17 the numbers on the survey are going to go up.

18 So, when a plant is on track, we will
19 have the GALL that is finished. We will have
20 industry guidance on submitted application that
21 should be endorsed by that time, and everyone
22 should have a very clear set of expectations as far
23 as what we have to look at going forward with
24 second license renewal.

25 CHAIRMAN SKILLMAN: Jerud, thank you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 very much for coming here.

2 MR. HANSON: All right. Thank you.

3 CHAIRMAN SKILLMAN: Colleagues, any
4 comments, please?

5 MEMBER BLEY: Yes, I have a question.

6 CHAIRMAN SKILLMAN: Please.

7 MEMBER BLEY: And it is not for you
8 directly, Jerud; maybe staff, maybe industry.

9 Some years ago when we wrote our first
10 letter, at that time we had recommended that there
11 only be one GALL and that it just be expanded to
12 cover these new things. Last year, staff anyway
13 told us that, no, there's going to be two. And the
14 reason is there is only a handful of plants that
15 have to go through first license renewal. So, that
16 will be over with and we won't need it anymore.

17 It could be as early as 10 years from
18 now you could be getting applications for first
19 license renewal for a new generation of plants that
20 are still under construction. What is your intent?
21 Are you going to keep the old GALL? Are you going
22 to turn this into GALL for everything? We don't
23 want to lose what we have got when we are going to
24 need it again in the not too -- that is not very
25 far in the future, actually.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BLOOM: So, to address your
2 question, sir, the GALL Rev 2, which is based on
3 going out to 60 years, will stay in existence.
4 Like you said, Watts Bar still has to come in, all
5 the new generation plans. Vogtle and Summer 3 and
6 4 and 2 and 3 have to come in eventually, if they
7 do come in.

8 So, that document will be used to go
9 from 40 to 60, and then, we will have the SLR which
10 goes from 60 to 80. And the reason is that we have
11 information -- now, if at some time in the future
12 we get to the point where we have so much
13 information because of all the research, and we can
14 realize that the program is actually the same,
15 well, then, maybe we will make changes and we only
16 will have one document.

17 But, right now, when we only have data
18 out to 60 that we are definitively sure of, and
19 then, the data that goes out to 80 is still in
20 flux, so to speak, that is why we have the plant-
21 specific programs or further evaluations. That is
22 why you have to have them differently.

23 I really don't think we want to impose
24 having further evaluations or plant-specific ones
25 in the GALL SLR and have to impose that on a plant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that is coming in for the first one, when we
2 already have the data that would make it where we
3 already know what generically you want out to 60
4 years. It just would be putting more onus on a
5 plant where you don't need to.

6 MEMBER BLEY: It strikes me -- two
7 things. And I thought we talked about this a year
8 or so ago. You have learned some things in coming
9 up with the GALL SLR that you probably would want
10 to put back into the original GALL or GALL 2, I
11 guess. And maybe that gets done.

12 I am just a little nervous about the
13 whole focus is going to be on GALL SLR for a while
14 as we get applications and fine tune that. And the
15 other one is going to kind of lie dormant. Just I
16 don't want you to -- you don't need to respond to
17 this --

18 MR. BLOOM: Well, for the next five
19 years that is true.

20 MEMBER BLEY: -- but I hope you have
21 been thinking about this.

22 MR. BLOOM: For the next five years,
23 actually, we have River Bend coming in later this
24 year. We have one plant coming in 2020 and one in
25 2021 and 2022. So, we still have a couple of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plants that are still coming in for their first
2 one.

3 MEMBER BLEY: No, agree.

4 MR. BLOOM: So, you saying "laying
5 dormant for the next five years". That is not
6 actually true. We are going to have two different
7 documents that will be used for those individual
8 reviews for those plants.

9 MEMBER BLEY: Okay.

10 MR. BLOOM: And maybe, like you said,
11 you know, if we learn something, it will get
12 incorporated by using our Interim Staff Guidance,
13 which, then, will be rolled in at the next
14 revision, if we need to.

15 MEMBER BLEY: Okay.

16 CHAIRMAN SKILLMAN: Steve, thank you.
17 Jerud, thank you. Thank you, everyone. You may go
18 back to your seat.

19 Before we proceed, colleagues, do you
20 have any questions?

21 (No response.)

22 Now, while we are opening the phone
23 line, is there anybody in the room that would care
24 to make a comment or raise a question?

25 (No response.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Hearing none, on the phone line, good
2 afternoon. This is the ACRS License Renewal
3 Subcommittee. If you are there, would you please
4 indicate your presence just by saying hello? The
5 bridge is open.

6 MEMBER RICCARDELLA: Hello.

7 CHAIRMAN SKILLMAN: Okay. Would
8 anybody care to make a comment, please?

9 (No response.)

10 Hearing none, please close the bridge
11 line.

12 Colleagues, let us go around and have
13 any final comments.

14 Charlie, would you start today, please?

15 MEMBER BROWN: I have nothing else at
16 this time. Good presentation. I appreciate it.

17 CHAIRMAN SKILLMAN: Charlie, thank you.

18 Walt?

19 MEMBER KIRCHNER: Nothing to add.
20 Thanks to the presenters. Thank you.

21 CHAIRMAN SKILLMAN: Thank you.

22 John?

23 MEMBER STETKAR: Nothing more. Thank
24 you.

25 CHAIRMAN SKILLMAN: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Dr. Bley?

2 MEMBER BLEY: Nothing more for me.

3 Thanks.

4 CHAIRMAN SKILLMAN: Thank you.

5 Dr. Corradini, sir?

6 MEMBER CORRADINI: Thanks to the
7 presenters. I don't have anything else.

8 I would, if you are getting eventually
9 to what should be in a letter, I do think a
10 presentation by the last group, by staff, in
11 addressing what has happened relative to -- I get
12 all the phases confused about --

13 CHAIRMAN SKILLMAN: The process.

14 MEMBER CORRADINI: The process --

15 CHAIRMAN SKILLMAN: The process.

16 MEMBER CORRADINI: -- I think ought to
17 be part of the letter, so we can have that clearly
18 in our recommendations.

19 CHAIRMAN SKILLMAN: And we have asked
20 for that for the full Committee meeting that will
21 be in April.

22 Very good. Thank you.

23 Dr. Powers, sir?

24 MEMBER POWERS: Nothing.

25 CHAIRMAN SKILLMAN: Matt?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SUNSERI: I appreciate all the
2 presentations that were, obviously, thoughtfully
3 done, and I think we have a good opportunity here
4 to build on the existing program and successfully
5 implement a subsequent license renewal process.

6 Thanks.

7 CHAIRMAN SKILLMAN: Matt, thank you.

8 Ron?

9 MEMBER BALLINGER: Nothing.

10 CHAIRMAN SKILLMAN: Okay. Thank you.

11 Oh, yes, Pete? Hello, Pete.

12 (Laughter.)

13 MEMBER RICCARDELLA: I'm here.

14 CHAIRMAN SKILLMAN: I was not going to
15 forget you, Pete. Any comments, sir?

16 MEMBER RICCARDELLA: Actually, I am
17 pleased to see the staff and industry progressing
18 cooperatively on this program.

19 And I would like to speak a little bit
20 about OE. I see that operating experience is used
21 extensively to define the time-limiting aging
22 mechanisms and to inform the aging management
23 programs.

24 But I would like to emphasize the
25 importance of ongoing OE during the period of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 continuing operation to ensure that the AMPs are,
2 and continue to be, effective. And even though it
3 wasn't covered at the meeting today, I am happy to
4 see that this topic is addressed in Appendix 84 of
5 the Standard Review Plan, which requires
6 programmatic activities for the ongoing review of
7 plant-specific and any experience that might affect
8 AMPs or even require new ones.

9 That's all I have.

10 CHAIRMAN SKILLMAN: Hey, Pete, thank
11 you very much. Thank you for sticking with us for
12 the whole meeting. Thank you.

13 Colleagues, anything else for today?

14 (No response.)

15 To all of the presenters, to all the
16 travelers, thank you very much. Safety in your
17 travels home.

18 We are dismissed. We are adjourned.

19 (Whereupon, at 4:47 p.m., the meeting
20 was adjourned.)

21

22

23

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701



**Subsequent License Renewal
Final Generic Aging Lessons Learned Report
and Standard Review Plan
Guidance Documents**

*ACRS Subcommittee on Plant
License Renewal*

March 23, 2017

Agenda

- Licensing Background
- Subsequent License Renewal (SLR) Guidance
- Schedule
- Significant Generic Changes and Burden Reduction
- SLR Technical Issues
 - Mechanical
 - Reactor Pressure Vessel
 - Structural
 - Electrical

Safety Continues to be Maintained Beyond 60 Years

- License renewal principles would continue to be effective to ensure safety
 - Regulatory process ensures that the current licensing basis provides and maintains an acceptable level of safety
 - Each plant's licensing basis must be maintained
 - Additional focus on aging management effects is achieved through the verification of aging management programs (AMPs) implementation

SLR Guidance

- **Generic Aging Lessons Learned for Subsequent License Renewal (GALL-SLR) Report (NUREG-2191)**
 - Provides generic evaluation of existing aging management programs
 - Acceptable method to manage aging effects, plant-specific alternatives may be proposed
- **Standard Review Plan for Review of Subsequent License Renewal Applications for Nuclear Power Plants (SRP-SLR) (NUREG-2192)**
 - Provides guidance to NRC staff reviewers to perform safety reviews of SLR applications

SLR Significant Technical Issues

- Neutron embrittlement of the reactor pressure vessel at high fluence
- Stress corrosion cracking of reactor internals and primary system components
- Concrete and containment performance after long-term irradiation and high temperature exposure
- Environmental qualification, performance, and inservice testing of cables

SLR Guidance Schedule

Timeframe	Description
April 6, 2017	• ACRS Full-Committee Meeting
April 26, 2017	• Commission Meeting
July 2017	• Issuance of final GALL-SLR Report and SRP-SLR NUREGs
December 2017	• Issuance of Technical Bases and Public Comments NUREGs
2018	• SLR Application – Peach Bottom
2019	• SLR Application – Surry



Significant Generic Changes And Burden Reduction

Office of Nuclear Reactor Regulation
Division of License Renewal
Bill Holston

Significant Generic Changes Since the Prior Meeting

- Common wording for projecting extent of degradation
 - Projected to next inspection or end of subsequent PEO
 - Focused on inspection results with quantifiable versus inconsequential degradation
 - Acceptance criteria – meet intended function

Significant Program Changes Since the Prior Meeting (cont.)

- UFSAR Supplement Summary descriptions revised to cover key aspects of AMPs
 - Periodicity of inspections
 - Timing of inspections
 - Citing industry consensus documents
- Closure bolting inspections for air-filled or gas-filled systems
- Common wording for inspection parameters

Burden Reduction

- Reviewed six recent LRAs and added ~ 100 line items.
- Eliminated a significant number of line items citing a plant-specific AMP.
- Copper alloy exposed to air and concrete, no aging effects
- Copper alloy cites general corrosion only with exposure to raw water, raw water (potable), waste water, soil, underground
- Elimination of OTI for fuel oil piping materials constructed of same material as the fuel oil tanks

Burden Reduction (cont.)

- Reduced buried pipe inspections based on a significant review of industry OE (audits, attendance at EPRI conferences)
 - Cathodic protection (CP) not meeting performance goals from 29 to 9
 - CP not meeting performance goals and adverse OE/soil conditions: 60 to 18.
- Additional flexibility to perform inspections for aluminum/SS for cracking
 - As issued for comment – surface examinations or visual if supported by stress calculations
 - Added VT-1



Mechanical AMPs Significant Changes

Office of Nuclear Reactor Regulation
Division of License Renewal
Jim Medoff
Seung Min
Division of Engineering
Jeff Poehler

AMP XI.M5, BWR Feedwater Nozzle, and AMP XI.M6, BWR Control Rod Drive Return Line Nozzles

- Staff retired these AMPs in the final version of the GALL-SLR Report

- AMP XI.M1 (ISI) acceptable for management of cracking in these components
 - XI.M1 will implement volumetric inspection basis in the ASME Section XI

 - XI.M1 will implement NRC NDE performance requirements (10 CFR 50.55a)

AMP XI.M16A, PWR Vessel Internals

- The staff retained a revised version of AMP XI.M16A in the final GALL-SLR Report
 - The AMP permits MRP-227-A to be used as the starting point for AMP
 - A gap analysis will be needed in conjunction with the AMP
 - Criteria for performing the gap analysis were incorporated into the program elements for the AMP

New AMP X.M2, Neutron Fluence Monitoring

- New AMP was included to provide one method that may be used to accept RPV neutron embrittlement TLAAs in accordance with 10 CFR 54.21(c)(1)(iii)
- Analogous to use of AMP X.M1, Fatigue Monitoring, for fatigue TLAAs
- If used in an SLRA, the AMP is to be used in conjunction with GALL-SLR AMP XI.M31, Reactor Vessel Material Surveillance
- May be used for non-TLAA bases (e.g., AMPs for reactor vessel internals)

AMP XI.M19 Steam Generators

- Consistent with LR-ISG-2016-01, the staff added visual inspections of steam generator head interior surfaces (including divider plates and tubesheet primary side)
- These visual inspections are intended to identify signs that cracking or loss of material may be occurring (e.g., through identification of rust stains)
- The steam generator program is an existing program to manage aging effects of: (a) primary water stress corrosion cracking for divider plate assemblies and tube-to-tubesheet welds and (b) boric acid corrosion for steam generator heads and tubesheets.

AMP XI.M11B: Cracking of Nickel-Alloy Components and Loss of Material Due to Boric Acid-Induced Corrosion

- Removed one-time baseline volumetric inspection of susceptible bottom mounted instrumentation (BMI) nozzles from the draft GALL-SLR Report, based on the following:
 - Existing bare metal visual inspections have been effective for aging management
 - Current operating experience has not indicated significant aging-related degradation requiring additional inspections

AMP XI.M12: Thermal Aging Embrittlement of Cast Austenitic Stainless Steel

- Screens for thermal embrittlement based on chemical composition and ferrite content, augmented examination and/or flaw tolerance evaluation if screening criteria not met
- In GALL-SLR, removed exemption for pump casings
 - Pump casings formerly exempt from screening, etc., based on implementation of Code Case N-481
 - Alternative to volumetric examination, using visual examination, plus a flaw tolerance evaluation
 - Code Case N-481 was withdrawn, some but not all provisions incorporated into Section XI

AMP XI.M12: Thermal Aging Embrittlement of Cast Austenitic Stainless Steel (Cont.)

- Added language to allow for alternatives to the screening and other actions for pump casings and clarified that no further actions are needed for pump casings if applicants demonstrate that the original flaw tolerance evaluation performed as part of Code Case N-481 implementation remains bounding and applicable for the SLR period, or is revised to be applicable to 80 years.
- AMP now references Code Case N-824 as conditioned by 10 CFR 50.55a as an acceptable method for volumetric examination of CASS piping



Reactor Pressure Vessel AMP Significant Changes

Office of Nuclear Reactor Regulation
Division of Engineering
Carolyn Fairbanks

XI.M31: Reactor Vessel Materials Surveillance Program

- Significant diversity of conditions between plant programs:
 - Program design requirements at time of vessel purchase
 - Operating periods/neutron fluences/lead factors
 - Plant-specific program or participation in integrated surveillance program
 - Number of capsules/withdrawn and tested capsules/capsules placed in storage/in-vessel capsules
- Therefore, the status of plant programs entering SLR vary significantly.
- Staff concern for plant circumstances:
 - Long periods of time and large range of neutron fluence values between capsule data.
 - Not bounded by data for the current operations/P-T limits.
 - Compounded by “double counting” of “40-year” and “60-year” capsules.

XI.M31: Reactor Vessel Materials




United States Nuclear Regulatory Commission

Protecting People and the Environment


Surveillance Program

Surveillance Program – Plant A



XI.M31: Reactor Vessel Materials Surveillance Program

Surveillance Program - Plant B



XI.M31: Reactor Vessel Materials Surveillance Program

- Test results from surveillance capsules with 1-2 times the projected reactor vessel neutron fluence of interest at the end of the subsequent period of extended operation (PEO) should address the time-limited aging analyses for BWRs and PWRs as described in the SRP
- If a capsule that meets this criterion has not been tested prior to entering the subsequent PEO, then the program includes the withdrawal and testing of at least one capsule addressing the subsequent PEO to meet this criterion
- Note that it is not acceptable to redirect or postpone a surveillance capsule identified and scheduled for withdrawal and testing to address the PEO in order to achieve a higher neutron fluence that meets the subsequent PEO neutron fluence criterion



Structural AMPs Significant Changes

Office of Nuclear Reactor Regulation
Division of Engineering
Bryce Lehman

AMP XI.S1, ASME Section XI Subsection IWE

- Liner plate bulges
 - Removed explicit requirement for quantitative acceptance criteria for bulges
 - “Discernible liner plate bulges” should be monitored
- Volumetric examinations of shell/liner one-side inaccessible
 - One-time examination if corrosion initiated on inaccessible side identified since issuance of first renewed license
 - Examination should provide 95-95 confidence level that accessible liner is not experiencing corrosion

AMP XI.S3, ASME Section IX, Subsection IWF

- Clarified that the new inspection of additional supports is 5% of the IWF sample (not the entire support population)
- The inspection is a one-time inspection occurring within the period 5-years prior to subsequent PEO

AMP XI.S5, Masonry Wall

- Removed recommendation that unreinforced and unbraced walls be inspected on a 3-year frequency
- Change based on public comments and lack of operating experience



Electrical AMPs Significant Changes

Office of Nuclear Reactor Regulation
Division of License Renewal
Cliff Douth
Mohammad Sadollah

AMP X.E1 – Environmental Qualification (EQ) of Electric Equipment

- Added Adverse Localized Environment (ALE) identification and assessment
 - ALE impact on Data collection and reduction methods, and underlying assumptions reanalysis attributes (includes visual inspection walkdown)
- Expanded environmental data collection discussion (data gathering, analysis, and justification)
- Clarified re-analysis environment service conditions to be considered (also applies to ongoing qualification)
- Expanded ongoing qualification discussion including conceptual implementation and examples

AMPs XI.E3A, B, C – Electrical Insulation for Inaccessible Cables

- XI.E3 was expanded with three new AMPs to address aspects of industry and NRC guidance related to potentially submerged cables:
 - XI.E3A: Medium Voltage Power Cables
 - XI.E3B: Instrument and Control Cables
 - XI.E3C: Low Voltage Power Cables (both alternate and direct current)
- Provides inaccessible cable inspection and test method as applicable to each AMP cable type (adds in-situ or laboratory electrical, physical, or chemical testing)
- Added provisions for credit taken for other tests and surveillance as part of maintenance programs.

NEW AMP XI.E7 – High Voltage Insulators

- New AMP to adequately age managed high voltage insulators that are in-scope and credited for recovery of offsite power
 - Transferred from “further evaluation” based on operating experience:
 - Loss of safety function
 - Corrosion
 - Coating failure
 - Designed to periodically visually inspect high voltage insulators susceptible to adverse environments.
 - Monitors insulator and conductor connector aging effects including support degradation and surface contamination caused by salt, dust, fog, cooling tower plume, industrial effluent

GALL-SLR Report Chapter VI – Electrical Components and SRP SLR 3.6

- - Added or revised aging management review line items:
 - Revised line items for new High Insulators AMP
 - Added line items for Cable Bus for new further evaluation
 - Revised SRP to be consistent with changes to corresponding AMPs and line items



Subsequent License Renewal Optimization

Office of Nuclear Reactor Regulation
Division of License Renewal
Bill Rogers
Nancy Martinez

Purpose of the Subsequent License Renewal Optimization Working Group

- Division of License Renewal (DLR) established a subsequent license renewal optimization working group (SLRO-WG) in 2015.
- Purpose of the SLRO-WG: To evaluate the subsequent license renewal application (SLRA) review process and develop recommendations as to how the process could be made more efficient and effective and to optimize the staff's performance relative to timeliness, application of staff resources and quality of products.
- The SLRO-WG considered both the safety review and environmental review when developing recommendations.

SLRO-WG Activities

Subsequent License Renewal – Areas Evaluated

- The SLRO-WG evaluation included the following activities and products for both the safety review and environmental review, as applicable:
 - Acceptance review
 - Project management
 - Communications with the applicant
 - Requests for additional information (RAI)
 - Use of portals
 - Audits
 - Inspections
 - Safety evaluation reports (SER)
 - Environmental impact statements (EIS)
 - Development of the SLRA review timeline required to accomplish the staff's review

SLRO-WG Activities

Staff Communications

- SLRO-WG engaged numerous NRC technical and environmental review staff and management during the evaluation process.
- SLRO-WG has presented the results of the evaluation to DLR management and incorporated comments and direction.
- SLRO-WG has presented proposed staff positions to industry and stakeholders during several public meetings and considered comments.

SLRO-WG Recommendations

Staff Safety Review Bases

- Staff safety review requires the evaluation of all information contained in the SLRA and will be performed in accordance with 10 CFR Part 54, the Standard Review Plan-SLR, the Generic Lessons Learned-SLR Report and Office of Nuclear Reactor Regulation (NRR) guidance.

SLRA Review Timeline

- SLRA review timeline, for both safety (SER) and environmental (EIS), will be eighteen months (without a hearing), which begins at the completion of the acceptance review.

SLRO-WG Recommendations

Safety Review

Draft Safety Evaluation Report

- Staff does not intend to issue a draft SER with Open Items.
 - Elimination of the draft SER with Open Items was the primary contributor to the reduction of the staff review timeline from 22 months to 18 months (without a hearing).
 - Staff intends to present a draft Final SER to the Advisory Committee on Reactor Safeguards (ACRS) Subcommittee and a draft Final SER to the ACRS Full Committee (revised as necessary).

SLRO-WG Recommendations

Safety Review

ACRS Subcommittee and Full Committee Scheduling Request

- Staff will request scheduling of the ACRS Subcommittee meeting and ACRS Full Committee meeting to occur in consecutive months.

Inspections

- Pre-licensing IP-71002, “License Renewal Inspection,” which was previously performed during the initial license renewal application review, will not be re-performed.
- Post-licensing IP-71003, “Post-Approval Site Inspection for License Renewal,” will be performed in accordance with the inspection procedure.

SLRO-WG Recommendations

Environmental Review

- Staff will expand the use of pre-application meetings with applicants.
- Staff anticipates the use of incorporation by reference in the applicant's environmental report and staff's environmental impact statement.
- Staff will request applicants to provide new or updated biological surveys to support staff's consultation with other agencies.

SLRO-WG Recommendations

Environmental Review

- Staff will focus the evaluation of replacement power alternatives on energy portfolio trends and technologies that have changed or were not previously assessed in initial license renewal environmental reviews.

Subsequent License Renewal Update

For Submittal to
Advisory Committee on Reactor
Safeguards
March 2017

Nuclear Energy Institute



NUCLEAR ENERGY INSTITUTE

nuclear. clean air energy.

SLR-GALL Report & SRP

- Over 300 pages of industry comments submitted on the Draft GALL in February, 2016
 - 23 significant industry concerns
 - Industry participated in nine GALL-focused public meetings with NRC in 2016
 - Drop-in with Bill Dean in August, 2016 to discuss significant technical concerns
 - Significant industry concerns have been resolved with original draft
- Final SLR-GALL Report & SRP provided for stakeholder review Feb. 8
 - Industry team has conducted review and submitted feedback to NRC/DLR
 - Feedback focused on ensuring significant technical concerns have been addressed
- Environmental Report
 - Meeting with NRC Staff to discuss optimizing SLR NEPA review process – May 2016
 - Draft “Model SLR New and Significant Assessment Approach for Severe Accident Mitigation Alternatives” developed by NEI and reviewed by NRC Staff - July 2016 to Present

SLR Activities

- NEI has hosted six SLR site visits since 2015 at ORNL, PNNL, AREVA, EPRI, Westinghouse and Salem/Hope Creek
 - Concrete, cables and metal SLR AMP research and development were observed
 - April 19-20, 2017 DLR and RES staff participating in concrete AMP research focused site visit and tour at the University of Tennessee in Knoxville
- NEI 17-01 – Industry guidance for submitting SLRA has been completed and submitted for NRC endorsement
 - Previously NEI 95-10 for LR applications; rewritten to address SLR applications (SLRA)
- Final meeting to address SLRA optimization on May 11
 - Industry has participated in three public meetings with NRC
 - Efficiency improvements to streamline review process include use of portals, elimination of scoping meeting; overall objective of reducing RAIs
 - NRC/DLR has agreed to 18-month SLRA review timeline goal

SLR Lead Plant Update

- Peach Bottom on track for BWR SLRA submittal 3rd quarter 2018
 - Peer reviews scheduled for April 2018 timeframe
- Surry Station on track for PWR SLRA submittal 1st quarter 2019
 - Site specific gap analysis to address MRP-227 to be conducted in 2017
 - Peer reviews and workshop scheduled for May 2018 timeframe
- Industry aligned in commitment to dedicating resources needed for success of lead plant SLRAs
 - Application submittal prior to scheduled lead plants would require additional industry resources be drawn to ensure effective peer reviews are performed
 - On March 13th, industry CNOs on the Nuclear Strategic Initiatives Advisory Committee (NSIAC) committed to supporting lead plant SLRA peer reviews scheduled in 2018
 - Peach Bottom, Surry or other(s)
 - NEI SLRA industry survey will be conducted again in Fall 2017 to determine how many plants may take advantage of SLR

Anticipated SLRAs Per Year

(Survey Conducted in 2016)

