

ORIGINAL

OFFICIAL TRANSCRIPT OF PROCEEDINGS

**Agency:** Nuclear Regulatory Commission

**Title:** Meeting Between NRC and Messrs.  
Lochbaum and Prevatte on Effects  
of a Loss of Spent Fuel Pool  
Colling at Susquehanna Steam  
Electric Station, Units 1 and 2

**Docket No.**

**LOCATION:** Rockville, Maryland

**DATE:** Friday, October 1, 1993

**PAGES:** 1 - 89

**ANN RILEY & ASSOCIATES, LTD.**

1612 K St., N.W., Suite 300

Washington, D.C. 20006

(202) 293-3950

9310250120 931019  
PDR ADDCK 05000387  
T PDR



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES

NUCLEAR REGULATORY COMMISSION

\*\*\*

MEETING BETWEEN NRC AND MESSRS. LOCHBAUM AND PREVATTE  
ON EFFECTS OF A LOSS OF SPENT FUEL POOL COOLING  
AT SUSQUEHANNA STEAM ELECTRIC STATION, UNITS 1 AND 2

\*\*\*

Room 2-F-17  
Nuclear Regulatory Commission  
One White Flint North  
Rockville, Maryland

Friday, October 1, 1993

The above-entitled meeting commenced, pursuant to  
notice, at 1:05 p.m.



## 1 PARTICIPANTS:

2

3

Dick Clark, NRC Projects Manager

4

Ashok Thadani, NRR/DSSA

5

Jose Calvo, NRR/DRPE

6

Conrad McCracken, NRC/SPLB

7

John White, Region I/DRP

8

Michael Boyle, NRR/DRPE

9

Dave Lochbaum, Self Representation

10

Don Prevatte, Self Representation

11

George Hubbard, DSSA/SPLB

12

John Kopeck, NRC Public Affairs

13

David Shum, NRR/DSSA/SPLB

14

Michael Blood, AP

15

Paul Gunter, Nuclear Information and Resource  
Service

16

17

Jon Block, New England Coalition on Nuclear  
Pollution

18

19

Tilda Liu, NRR/PDI-2

20

Lisa Finnegan, Allentown Morning Call

21

Joanne Royce, Government Accountability Project

22

James Kenny, Pennsylvania Power &amp; Light

23

Herb Woodeshick, Pennsylvania Power &amp; Light

24

David Ney, Pennsylvania Department of

25

Environmental Resources

ANN RILEY & ASSOCIATES, LTD.  
Court Reporters  
1612 K Street, N.W., Suite 300  
Washington, D.C. 20006  
(202) 293-3950



1 PARTICIPANTS [continued]:

2

3

Larry Nicholson, NRC Region I

4

Ken Eccleston, NRR/DRSS/PRPB

5

Morton Fleishman, NRC/OCMRR

6

Mark Wigfield, O'Hawy News Service

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

ANN RILEY & ASSOCIATES, LTD.  
Court Reporters  
1612 K Street, N.W., Suite 300  
Washington, D.C. 20006  
(202) 293-3950

## P R O C E E D I N G S

[1:05 p.m.]

1  
2  
3 MR. CLARK: Good afternoon. My name is Dick  
4 Clark. I'm the NRC's Office of Nuclear Regulation Project  
5 Manager for the Susquehanna Steam Electric Station, which is  
6 operated by Pennsylvania Power & Light.

7 On November 27, 1992, Mr. David A Lochbaum and Mr.  
8 Donald C. Prevatte filed a Part 21 report with the NRC  
9 asserting that the design of the spent fuel pool cooling  
10 system at Susquehanna fails to meet regulatory requirements.  
11 The initial Part 21 report has been supplemented by six  
12 additional letters.

13 The purpose of this meeting is to afford Mr.  
14 Lochbaum and Mr. Prevatte the opportunity to personally  
15 present the technical issues in their Part 21 report to the  
16 NRC staff.

17 Don and Dave, we would really like to welcome you  
18 here today. We look forward to hearing from you.

19 Just for the record, we have previously held two  
20 meetings with Pennsylvania Power & Light on this issue, the  
21 first of which was attended by the two individuals we are  
22 meeting with this afternoon. We have also had the benefit  
23 of a number of written submittals by the licensee.

24 There is an attendance list circulating and when  
25 everyone has signed it, we will get copies made for each of

1 you. I would also like to note that this meeting is being  
2 transcribed and a copy of the transcript will be available  
3 in about two weeks.

4 Before we start this meeting, I would like to  
5 request that we go around the room and have everyone  
6 introduce themselves and identify what group they are with.  
7 When the introductions are completed, Mr. Thadani, here to  
8 my right, our Director of System Safety and Analysis, will  
9 make some opening remarks before we turn the meeting over to  
10 you, Don and Dave.

11 At the end of this afternoon's meeting, there will  
12 be an opportunity for any observers to offer comments or  
13 statements on the issues.

14 MR. THADANI: I'm Ashok Thadani, the Director of  
15 the Division of System Safety and Analysis, NRR.

16 MR. CALVO: Jose Calvo. I'm the Assistant  
17 Director for the Division of Projects in Region I.

18 MR. McCracken: Conrad McCracken, Chief of the  
19 Plant Systems Branch.

20 MR. WHITE: John White, Region I, Section Chief of  
21 the Division of Reactor Projects.

22 MR. BOYLE: I'm Michael Boyle. I'm the acting  
23 Project Director, NRR.

24 MR. LOCHBAUM: I'm Dave Lochbaum, co-wrote the 10  
25 CFR Part 21 report.

1 MR. PREVATTE: I'm Don Prevatte. I'm the other  
2 person who wrote the 10 CFR 21 report.

3 MR. HUBBARD: George Hubbard with the Plant  
4 Systems Branch.

5 MR. KOPECK: John Kopeck, NRC Public Affairs.

6 MR. SHUM: David Shum, Plant Systems Branch.

7 MR. BLOOD: I'm Michael Blood with the AP.

8 MR. GUNTER: Paul Gunter, Nuclear Information and  
9 Resource Service.

10 MR. BLOCK: Jon Block, New England Coalition on  
11 Nuclear Pollution.

12 MS. LIU: Tilda Liu, Project Director for NRR.

13 MS. FINNEGAN: Lisa Finnegan with the Allentown  
14 Morning Call.

15 MS. ROYCE: Joanne Royce, Government  
16 Accountability Project.

17 MR. KENNY: Jim Kenny, Pennsylvania Power & Light  
18 Company.

19 MR. WOODSHICK: Herb Woodshick, Pennsylvania  
20 Power & Light Company.

21 MR. NEY: Dave Ney. I'm with the Department of  
22 Environmental Resources in Pennsylvania.

23 MR. NICHOLSON: I'm Larry Nicholson with the NRC  
24 Region I.

25 MR. THADANI: First, let me thank you for the

1 effort that you have put in. I know it's been a  
2 considerable effort on this issue and to bring this issue to  
3 our attention. We do appreciate that and we want to thank  
4 you for that.

5 As Dick mentioned in his opening remarks, we met  
6 with Pennsylvania Power & Light and we received from them  
7 their assessment of this issue. As you probably know, we're  
8 reviewing that information.

9 We're also very anxious to hear from you. So I  
10 look forward to this discussion in the next two hours, to  
11 try and make sure we understand your perspective on this  
12 issue, the analyses and assessments that you have done. I  
13 assure you we are going to take this information that you  
14 give us very seriously. We will review it very carefully.

15 It will be your information and the information we  
16 received from Pennsylvania Power & Light and some of the  
17 studies that we're doing ourselves that will form the basis  
18 of our final conclusion.

19 It would be very helpful, if it is possible, as  
20 you go through your discussion and presentation, if you can  
21 kind of give us your perspective on the safety significance  
22 of the issue. After all, I think that should be what should  
23 drive us.

24 But other than that, we're very anxious to hear  
25 from you.

1 MR. PREVATTE: Thank you very much. We appreciate  
2 everyone being here. We appreciate the introduction. As  
3 was mentioned, the purpose of this meeting is for Dave and  
4 myself to make a presentation to the Nuclear Regulatory  
5 Commission.

6 There were two primary issues that we originally  
7 intended to address. One was the technical issue with  
8 regard to the spent fuel pool at Susquehanna. The second  
9 was Pennsylvania Power & Light's handling of this issue when  
10 we were contract employees.

11 We have agreed with the NRC. As of this week, we  
12 were requested not to present the second issue in this  
13 public forum and we have agreed to that, under the condition  
14 that at some point in the future, when they've had  
15 additional time to consider it, that it would also be  
16 presented in a public forum.

17 Our technical concerns are as follows. If you  
18 would like to follow along in the handout, it's the page  
19 after the cover letter. Susquehanna Steam Electric Station  
20 has serious design defects for handling of loss of fuel pool  
21 cooling events associated with design basis loss of coolant  
22 accidents.

23 For design basis loss of coolant accident  
24 conditions, defects in the plant design could produce  
25 potentially catastrophic results, as follows; fuel meltdown

1 outside containment, failure of all reactor building safety-  
2 related systems and result in core meltdown, failure of all  
3 containment systems in the plant, and result in off-site  
4 radiation doses thousands of times greater than the 10 CFR  
5 100 limits.

6 We consider this to be a very high risk accident.  
7 You asked that we address the safety significance. Risk in  
8 the nuclear power business is defined as a product of  
9 probability and consequences. In this particular accident,  
10 the probability is the same as the design basis LOCA, ten-  
11 to-the-minus-six per year.

12 The reason it's the same is because it is  
13 mechanistically caused by LOCA. The failure of the fuel  
14 pool cooling system is caused by the LOCA. The consequences  
15 of this accident are much worse than a LOCA, as described  
16 above. You have failure of containment. You have an off-  
17 site dose significantly higher than what 10 CFR 100 allows  
18 for anything that was ever analyzed. The product of those  
19 two things gives you a risk that's much, much higher.

20 Because the reactor building is inaccessible post-  
21 LOCA, the operators can't get inside to intervene and do  
22 anything that might prevent this accident from happening.  
23 They also can't get to the instrumentation that normally  
24 monitors the fuel pool conditions. Those conditions are  
25 temperature and level.

1           That instrumentation is inside the reactor  
2 building and they can't get to it. Therefore, they are  
3 unable even to monitor what's going on or to do anything  
4 about it. Basically, all they can do is stand back and  
5 watch it happen.

6           Most BWRs in this country have the same basic  
7 containment design, the BWRs with the Mark I and Mark II  
8 containment. That's approximately a third of the plants in  
9 the United States. We are concerned that this particular  
10 accident scenario that we've discovered is likely to be  
11 common to all of those plants.

12           At this point, Dave will give you an outline of  
13 how we believe the accident scenario would progress.

14           MR. LOCHBAUM: The primary area of dispute we had  
15 with PP&L on this issue was whether or not the DBA LOCA,  
16 with a boiling spent fuel pool, was within the design basis  
17 of the Susquehanna plant. I think we can show that it is.

18           The licensing basis is defined as all accidents  
19 and events described in the FSAR, plus all of the  
20 mechanistic results that occur because of those accidents  
21 and events. The design basis LOCA is one of the accidents  
22 described in the Susquehanna FSAR.

23           The spent fuel pool cooling system at Susquehanna  
24 is not designed for post-LOCA hydrodynamic and environmental  
25 conditions and will fail mechanistically as a result of the

1 accident.

2 To go over briefly what hydrodynamic loads are,  
3 this is a typical Mark II containment. It's not necessarily  
4 Susquehanna's, but it's similar. In a design basis LOCA,  
5 you have a failure of some piping, generally the recirc  
6 piping, inside the drywell. Following that failure, the  
7 energy, the steam that is released into the drywell, pushes  
8 the nitrogen atmosphere of the drywell down through the vent  
9 piping, into the suppression pool.

10 This atmosphere exits below water level and forms  
11 essentially a huge bubble that lifts up the water in the  
12 suppression pool. This is non-condensable. So eventually  
13 it makes its way through the water. The water then falls  
14 back down to the containment and gives the entire building a  
15 fairly good shake, on the same magnitude as a seismic event.  
16 So, essentially, the entire building sees the equivalent of  
17 an earthquake-type loading.

18 Because the fuel pool cooling system piping and  
19 the associated service water system piping is not designed  
20 for these loadings, they probably -- they may or probably  
21 will not survive that event.

22 In any event, the fuel pool cooling system pumps  
23 are not Class 1E power. They will automatically load-shut  
24 on a LOCA signal. So the system is designed to shut down  
25 fuel pool cooling in an accident and it does.

1           Once the fuel pool cooling system fails, for the  
2           Susquehanna FSAR, the only design consequence is the spent  
3           fuel pool blown. There's an RHR fuel pool cooling assist  
4           mode in the plant, but its only design function is during a  
5           refueling outage. It has no accident role.

6           We'll also be able to show you why they couldn't  
7           use it even though it's installed.

8           MR. THADANI: Can I ask a question?

9           MR. LOCHBAUM: Sure.

10          MR. THADANI: Have you done calculations of the  
11          dynamic loads that would be generated due to these non-  
12          condensibles?

13          MR. LOCHBAUM: No.

14          MR. THADANI: I agree with you that you will get  
15          -- clearly, you will get swell and the drop and you'll get  
16          some loads, but I was curious if you had done any  
17          calculations.

18          MR. LOCHBAUM: PP&L has looked at those and they  
19          said that there's a moderate risk to the service water  
20          system piping and the hangers in the fuel pool cooling  
21          system are not designed for those loads.

22          MR. PREVATTE: There have been extensive studies  
23          done on that. Craftwork Union did an extensive study for  
24          PP&L on these hydrodynamic loads. The results of those  
25          studies showed that they are real and they are very

1 significant. They're on the same order of magnitude as the  
2 seismic loads which the plant has to be designed for.

3 Therefore, if this piping is not designed for that  
4 load -- this system -- and it is not. All the safety-  
5 related systems in the building are designed for these  
6 loads. This system is not. Therefore, it cannot be assumed  
7 to take that pressure.

8 MR. THADANI: I understand the design basis. My  
9 question was more in the sense of when something is designed  
10 for it or something is expected to fail are two different  
11 things. So I was curious if you had done those  
12 calculations.

13 MR. LOCHBAUM: PP&L did analyze the result in this  
14 issue and they're indicating it as a moderate risk to  
15 service water system piping.

16 Once the spent fuel pool cooling system fails --

17 MR. CALVO: Excuse me. Those loads impact the  
18 service water system pipe. That's the water that you're  
19 taking out of the --

20 MR. LOCHBAUM: Fuel pool cooling system heat  
21 exchangers. That's what cools those heat exchangers.

22 MR. PREVATTE: And that's a non-safety-related  
23 system.

24 MR. CALVO: Can you put the picture back again?

25 MR. LOCHBAUM: Sure. This one might be a little

1 bit better for that. The fuel pool cooling system heat  
2 exchangers are located here. The service water system  
3 enters and leaves to remove the heat from the fuel pool  
4 cooling system heat exchangers.

5 This piping is generally routed through the lower  
6 portions of the reactor building. That's why it's going to  
7 see higher loadings than the fuel pool cooling system  
8 piping, which is located at the upper levels of the reactor  
9 building.

10 MR. CALVO: I see.

11 MR. LOCHBAUM: Once the fuel pool cooling system  
12 fails, the only design consequence is a boiling spent fuel  
13 pool.

14 MR. PREVATTE: One of the points that Dave made  
15 also was that another mechanism for failure in the LOCA is  
16 environmental conditions. This system is also not designed  
17 for the LOCA environmental conditions; that is, temperature  
18 and radiation. Post-LOCA, the environment in the reactor  
19 building gets pretty nasty. The radiation levels go up to  
20 around 5,000 R per hour. In localized spots, it's even  
21 higher than that. The typical temperature in the reactor  
22 building is about 135.

23 I believe we can show also that those numbers may  
24 be non-conservative. So this equipment is not designed for  
25 those conditions and it cannot be assumed to operate post-

1 LOCA.

2           What we've shown so far is that the fuel pool  
3 cooling system has the potential of failing as a result of  
4 the LOCA, nothing else. One of the points that PP&L has  
5 made to the NRC, to the press, and to their own people, very  
6 emphatically, they have stated that our position was that it  
7 required concurrent accidents in order for this to happen.  
8 That is absolutely not true. You don't need a LOCA and a  
9 LOOP for this to happen. You don't need a LOCA and a single  
10 failure. You only need a LOCA. The LOCA itself can cause  
11 this to happen.

12           Now, it is true that the licensing basis for  
13 Susquehanna includes these other events, LOCA/LOOP,  
14 LOCA/single failure, LOCA with a seismic event/single  
15 failure. All these other things are included in the  
16 licensing basis. In fact, these other events alone can  
17 cause a failure of the fuel pool cooling system.

18           The point here is that it only takes a LOCA to  
19 cause it. These other events are also within the licensing  
20 basis. So these other events combined with a LOCA, combined  
21 with a boiling spent fuel pool are all within the licensing  
22 basis.

23           It is not specifically addressed in the FSAR in  
24 those terms, but the LOCA is described in the FSAR. This is  
25 a mechanistic result of the LOCA. Therefore, it is a part

1 of the licensing basis for this plant.

2 Dave will now continue with the presentation,  
3 describing some of the consequences of what happens when you  
4 lose fuel pool cooling.

5 MR. LOCHBAUM: The emergency service water system  
6 at Susquehanna is designed to provide makeup water to the  
7 boiling spent fuel pool. Basically, we show this on a P&ID.  
8 The service water system pumps water from the ultimate heat  
9 sink or spray pond through some manual valves into the spent  
10 fuel pool in either unit. There are two loops. It's  
11 redundancy. It's a safety-related system.

12 The significance of this is Regulatory Guide 1.13  
13 allows the fuel pool cooling system to be a non-safety-  
14 related system, provided there is a safety-related makeup  
15 system in the design that's available.

16 MR. CALVO: The fuel pool cooling pumps. The  
17 pipes that you assume that fail are those pipes -- the  
18 service water pipes.

19 MR. LOCHBAUM: This, too. This is not seismic,  
20 not hydrodynamic loads. This piping here is not seismic,  
21 not designed for hydrodynamic loads. This piping from here  
22 to here to the RHR system is seismic, but the rest of this  
23 piping, all this --

24 MR. CALVO: Where is the route that you think that  
25 you can put water into the pool?

1 MR. LOCHBAUM: With this system? It's essentially  
2 the same as over here.

3 MR. CALVO: I must go back to the emergency  
4 service water into the RHR, which is also seismically  
5 qualified.

6 MR. LOCHBAUM: That's correct.

7 MR. CALVO: And they will not be able to -- they  
8 won't see those loads that you postulated.

9 MR. LOCHBAUM: They'll see him. They're just  
10 designed to handle them.

11 MR. CALVO: Designed to handle them.

12 MR. LOCHBAUM: That's right. For the design basis  
13 LOCA, with the required Regulatory Guide 1.3 source terms  
14 resulting from the accident, the reactor building at  
15 Susquehanna will be inaccessible for many days following the  
16 event.

17 The significance of that is, if you go back to  
18 this P&ID, these ESW makeup valves are located in the  
19 reactor building. They will not be accessible due to high  
20 radiation levels following an accident.

21 MR. THADANI: Again, did you do calculations using  
22 Reg Guide 1.3 assumptions?

23 MR. LOCHBAUM: PP&L did.

24 MR. THADANI: And they concluded that -- what  
25 would the dose be in that room?

1 MR. PREVATTE: It's around 5,000 R per hour. The  
2 lethal dose is around 450 R.

3 MR. LOCHBAUM: We'll also address their time-  
4 motion study a little bit later in the presentation.

5 MR. THADANI: Because I had thought they had given  
6 us different estimates.

7 MR. LOCHBAUM: We'll cover that. The conclusion,  
8 again, is the ESW makeup valves cannot be opened because of  
9 the radiation exposure being too high.

10 It says makeup water cannot be provided to the  
11 pool in the boiling spent fuel pool. Eventually, this pool  
12 will become uncovered and the irradiated fuel in the pool  
13 will suffer severe damage. This fuel is located outside  
14 primary containment. So there's fewer barriers to prevent  
15 the release of the radioactivity to the atmosphere, to the  
16 environment.

17 Again, even the consequences of the release of  
18 this radioactivity into the environment has not been  
19 analyzed. It would be much more severe than what is  
20 currently analyzed at Susquehanna.

21 Don will pick up.

22 MR. PREVATTE: One of the consequences of this  
23 boiling spent fuel pool is that the safety-related equipment  
24 in the reactor building is not qualified for the conditions  
25 that the boiling spent fuel pool will create.

1           If we can flip back for just a moment to the  
2 diagram of the reactor building. Susquehanna is divided  
3 into three ventilation zones. Everything on the refueling  
4 floor, which is essentially everything from this level up,  
5 is Zone 3. In Unit 1, everything from that level down is  
6 Zone 1. In Unit 2, it's called Zone 2.

7           During a loss of coolant accident under the  
8 original design of the plant -- and we'll get into some of  
9 the plans that PP&L has for changing that a little later.  
10 But under the original design of the plant, in a loss of  
11 coolant accident, the unit suffering the loss of coolant  
12 accident would automatically -- the ventilation system would  
13 automatically cross-connect Zone 3 with the accident unit.

14           Let's say for a moment that this is Zone 1, an  
15 accident unit. Zone 3 is where the fuel pool is. So if the  
16 fuel -- and the normal ventilation system during an accident  
17 shuts down and your safety-related ventilation systems  
18 start.

19           One of the safety-related ventilation systems is  
20 called the recirculation system. Basically, it recirculates  
21 all the air in the reactor building in Zone 1 -- in this  
22 case, it's a Unit 1 accident -- and Zone 3. If it happens  
23 to also be a loss of off-site power, the other unit is also  
24 cross-connected. So you have all three zones cross-  
25 connected.

1           But just to keep it simple, let's just talk about,  
2 for a moment, just the loss of coolant accident and no loss  
3 of off-site power.

4           Whatever is happening on the refueling floor when  
5 you're in a recirculation mode is going to tend to be  
6 happening everywhere else in the building, because this  
7 recirculation system is designed to keep the atmosphere well  
8 mixed and well recirculated.

9           If you have boiling going on, for the design basis  
10 case where you had a full fuel pool, you would have as much  
11 as 26 million Btu's per hour of heat would be going into the  
12 reactor building atmosphere.

13           Normally, this heat is going into the spent fuel  
14 pool system and out through the service water system to the  
15 cooling tower. But when you have a loss of the spent fuel  
16 pool cooling system, that heat now goes into boiling water  
17 and the heat eventually ends up in the reactor building.

18           The safety-related equipment in the reactor  
19 building has not been designed to handle this heat load. To  
20 give you an understanding of what the order of magnitude  
21 here is, I did the reactor building heat load calculation  
22 for Susquehanna as a part of the Power Uprate Project.

23           The heat load under the design basis accident  
24 conditions for this equipment in this area is 5.2 million  
25 Btu's per hour. For this particular condition here where we

1 have a boiling spent fuel pool, we add an additional 26  
2 million Btu's per hour that was never accounted for in the  
3 original design.

4 It doesn't take a rocket scientist to figure out  
5 that that's a pretty big change in the heat load. As I said  
6 before, the typical qualification temperature for safety-  
7 related equipment in the building is around 135 degrees.  
8 Bechtel did calculations back in 1979 that showed that for  
9 this boiling spent fuel pool case, the temperature was  
10 around 180 degrees. That is a significant change in  
11 temperature and the equipment is not qualified to take it.

12 In addition to the heat load that's going into the  
13 room or into the building, there's also the makeup water  
14 that's going into the building. For the design basis fuel  
15 load case, the full fuel pool case, there may be as much as  
16 5 million gallons of water put into the building over the  
17 course of a 30-day accident.

18 That water leaves the fuel pool, much of it does,  
19 in the form of vapor, which goes up into the Zone 3  
20 atmosphere, and in overflow. If you don't happen to have  
21 the valve set exactly at the boiling rate of the fuel pool,  
22 whatever excess there is overflows and goes into the  
23 building.

24 That was never accounted for in the original  
25 design. As PP&L has finally indicated in some of their

1       submittals, it produces significant water levels in the  
2       basement of the building. However, their submittals -- the  
3       volumes that they have estimated are not based on a full  
4       fuel pool with all the heat load, the total heat load that  
5       would have to be accommodated.

6               They are also based on assuming that the operator  
7       sets the valve precisely at the right position. These  
8       valves aren't calibrated. They aren't preset. So the only  
9       thing the operator can do is set the valve either wide --  
10      and he doesn't have much time to set the valve, by the way.  
11      He's operating in a 5,000 R environment.

12              MR. LOCHBAUM: Also, these valves have never been  
13      tested.

14              MR. PREVATTE: With this water here, PP&L has  
15      already conceded that one of their core spray pumps fails in  
16      this accident event and other unspecified safety-related  
17      equipment. We don't know what they're conceding on that.

18              But another thing that must be considered is that  
19      none of the HVAC ductwork in the reactor building that this  
20      vapor is all going through, none of it is designed to handle  
21      water. If you consider what's happening here, if I have a  
22      boiling spent fuel pool, the temperature in Zone 3 is going  
23      to tend to be the highest temperature location in the  
24      building and you're going to have 100 percent humidity.

25              As soon as the air is drawn into the ductwork and

1 recirculated to the rest of the building, which is  
2 relatively cooler, it's going to condense and you're going  
3 to have condensing water inside your ductwork. The negative  
4 effects of that can be several.

5 One, they can collect in the ductwork and cause it  
6 to fall down. It's not designed to hold up water. It can  
7 also block the ductwork, and this is safety-related  
8 ductwork. It's supposed to be performing a function at this  
9 point in time. If it blocks it, the equipment will not get  
10 the cooling it's supposed to get.

11 It's also going to be pouring out at the places  
12 where it's not watertight, and nothing in the building has  
13 been analyzed to see what are the effects of water pouring  
14 out of this ductwork.

15 MR. LOCHBAUM: The other safety significance of  
16 the water blockage is that the ductwork is also used as the  
17 inlet for steamline gas treatment system. That's the only  
18 system that provides filtration of radioactivity released to  
19 the environment. So that system could potentially fail also  
20 due to the blocked ductwork.

21 MR. PREVATTE: Another thing that has to be  
22 considered is that in this building there are a number of  
23 safety-related coolers that have to operate in order to  
24 provide cooling to the safety-related equipment; the core  
25 spray pumps, the RHR pumps, all your safety-related

1 switchgear and load centers.

2 Those coolers, none of them are designed for  
3 latent heat cooling. What that means is if you have a very  
4 humid atmosphere, which you will have here if this thing is  
5 boiling, you're going to have condensation going on in those  
6 coolers. There are a couple of problems with that. One is  
7 the coolers don't put out the cooling effect that they're  
8 supposed to and the other is there's no provision in the  
9 coolers for handling this condensate.

10 The condensate itself may cause a problem in the  
11 location of the coolers with regard to safety-related  
12 equipment.

13 One other point on this. PP&L has made -- I may  
14 be getting ahead of myself on this one, with regard to  
15 isolation.

16 MR. LOCHBAUM: We'll get it later.

17 MR. PREVATTE: We'll get that later. We'll come  
18 back to this later with regard to the position PP&L has  
19 taken on this.

20 MR. LOCHBAUM: At this point, we were going to  
21 cover some fault trees. I don't have slides made up for  
22 those, but they're attached to the handout we provided. The  
23 first page is the one right after page 13. It's a fault  
24 tree that at the top says "DBA LOCA Event."

25 I'd like to go through that just to show -- this

1 outlines this accident of concern. The first page  
2 essentially describes the Susquehanna design with examining  
3 the use of equipment on the accident unit and whether it  
4 will be available.

5 The initiating event is a design basis LOCA. The  
6 design basis LOCA results in a direct loss of fuel pool  
7 cooling due to the automatic load shed logic. This logic  
8 sheds non-Class 1E loads from their power supplies so that  
9 the safety-related equipment has sufficient power to come up  
10 to speed in the time it needs to. So the design basis LOCA  
11 immediately results in a loss of fuel pool cooling.

12 The first box is is the reactor building  
13 accessible. As we stated earlier, if you assume Reg Guide  
14 1.3 --

15 MR. THADANI: Could I ask you?

16 MR. LOCHBAUM: Sure.

17 MR. THADANI: Just so I can understand better.

18 With the automatic load change logic, is that assumed that  
19 off-site power is available or not available?

20 MR. LOCHBAUM: Either way. Either way, the fuel  
21 pool cooling pumps will not have any power to them.

22 MR. CALVO: But if you have the off-site power --  
23 okay. So the capability is with off-site power or without  
24 off-site power.

25 MR. LOCHBAUM: Either way.

1 MR. CALVO: You're sequencing the load whether you  
2 have off-site power. The fact that you got a LOCA signal,  
3 you say okay, if I've got off-site power, I'm still going to  
4 sequence the load.

5 MR. LOCHBAUM: That's correct.

6 MR. CALVO: But if I have off-site power, I may be  
7 disconnecting the fuel pool equipment, but I may have the  
8 capability later on to connect it if I want because the off-  
9 site power is available.

10 MR. LOCHBAUM: That's correct. We'll go through  
11 that, also.

12 MR. CALVO: All right.

13 MR. LOCHBAUM: If the reactor building is  
14 accessible -- let me step back, first. If you assume the  
15 required Reg Guide 1.3 accident source terms, the accident  
16 reactor building is not accessible due to high radiation  
17 levels. In that case, you'd immediately go to the second  
18 page.

19 We'll assume that the reactor building is  
20 accessible and see how far we can get here. The next is is  
21 non-Class 1E power; essentially, is off-site power  
22 available. If the answer to that question is yes, then you  
23 circle over to the right. The first question is the fuel  
24 pool cooling system and service water piping intact.

25 As we stated earlier, the hydrodynamic loading is

1 beyond the design basis for both of this piping. So we  
2 cannot assume that it will survive the design basis LOCA.

3 But if you can't, then you go over to the left and  
4 circle down. We'll just take the path assuming that you  
5 can. The next question is is the fuel pool cooling system  
6 and service water components operable.

7 As Don discussed earlier, these components will  
8 experience very high radiation, very high temperature, and  
9 very high humidity environment following an accident that  
10 they are not designed for. These systems are not single  
11 failure-proof. So the failure of any component can render  
12 the system inoperable.

13 So, again, for the system -- for these components  
14 to be available, they would have to be operating beyond  
15 design basis.

16 MR. THADANI: But this is sort of dependent on the  
17 timing, isn't it?

18 MR. LOCHBAUM: Yes. If the answer to both of  
19 those questions is yes, then you can initiate the fuel pool  
20 cooling system to using the affected -- or the accident  
21 unit's fuel pool cooling system to restore fuel pool  
22 cooling. If the answer to any of those questions is no or  
23 if you don't have Class 1E power, then you go down and look  
24 at can you use the RHR loop in the accident unit.

25 The first box is is a loop available. To date --

1 or at the time of the 10 CFR 21 report, PP&L had not shown  
2 that an RHR loop will be available following an accident.  
3 RHR is used for many post-accident functions, like core  
4 cooling and containment cooling, suppression pool cooling.

5 If you have to assume single failure of one of  
6 those RHR loops could be out of service, or RHR pumps, so  
7 that there may not be an RHR loop available for this  
8 function. If there is an RHR loop available, the second  
9 question is are the RHR fuel pool cooling components  
10 operable. These valves -- I haven't talked about these.

11 The RHR fuel pool cooling system is used down  
12 here. It can take suction from a skimmer surge tank, fuel  
13 pool, through an RHR pump, to an RHR heat exchanger, using  
14 RHR service water as the coolant, and return to the fuel  
15 pool. So that's the cooling loop.

16 To do that, you have to close a manual valve to  
17 the fuel pool cooling system and open three manual valves to  
18 the RHR fuel pool cooling system, and then you could  
19 initiate fuel pool cooling.

20 MR. CALVO: That pipe that comes from the skimmer  
21 tank.

22 MR. LOCHBAUM: Yes.

23 MR. CALVO: Is that one Category 1?

24 MR. LOCHBAUM: This pipe?

25 MR. CALVO: Yes.

1 MR. LOCHBAUM: This pipe to here are all Category  
2 1.

3 MR. CALVO: That one that is not Category 1 is the  
4 one that goes down that way.

5 MR. LOCHBAUM: On this diagram, it would be  
6 everything from this side of the valve and on this side of  
7 the valve. It's seismic down to the valve into the RHR  
8 system.

9 MR. CALVO: I see.

10 MR. LOCHBAUM: It's seismic Class 1 to the RHR  
11 system and to the valve.

12 MR. CALVO: I see.

13 MR. PREVATTE: By the way, a point that Dave just  
14 made, we went by it very quickly, in order to initiate this  
15 mode of cooling, you have to operate manual valves. Again,  
16 those valves are in the reactor building. The operators  
17 can't get to them.

18 MR. LOCHBAUM: These three valves that have to be  
19 operated in order to allow fuel pool cooling were removed  
20 from the PP&L in-service inspection program in 1987 and  
21 1988, because PP&L determined they didn't provide a safety  
22 function. So they haven't been tested. At the time of our  
23 report in November of 1992, they hadn't been tested in  
24 almost five years.

25 If the fuel pool cooling system assist components

1 of RHR are available and operable, the next question is do  
2 you have adequate net positive suction head for the RHR  
3 pump. The RHR pump takes suction from the skimmer surge  
4 tank. The skimmer surge tank, according to PP&L, is not  
5 sized properly or large enough to allow -- to maintain  
6 sufficient net positive suction head when you start the  
7 pump.

8 In pre-op tests, they drained the tank dry and the  
9 pump got heavy vibration, cavitation. They could not  
10 demonstrate the system could work.

11 MR. PREVATTE: Do we want to mention here the  
12 calculation they had done?

13 MR. LOCHBAUM: I'm not that familiar with the  
14 calculation. You'd have to cover the calculation. One  
15 other point I'd like to make here, though, is that the pre-  
16 op test that was done was done with the fuel pool cooling  
17 water and the skimmer surge tank water relatively cool. It  
18 was on the order of 80 degrees or perhaps less.

19 By the time they got around to initiating this  
20 loop of RHR, you've already lost the fuel pool cooling  
21 system for some period of time. The water is going to be  
22 sufficiently higher than 80 degrees. It's not analyzed for  
23 any operation above 125 degrees.

24 It's very doubtful, extremely doubtful that you'd  
25 have enough suction head with this water above 125 degrees,

1 like you'll see following an accident when you go to align  
2 that system.

3 Assuming you did have enough net positive suction  
4 head to start the pump, the next question is do you have  
5 enough ultimate heat sink capacity to handle the heat load  
6 that's now going to be going through the heat exchangers and  
7 out to the ultimate heat sink. It has not been designed for  
8 that.

9 This heat load is approximately 13.2 -- the design  
10 heat load is on the order of 13 million Btu's per hour.  
11 It's not been included in the PP&L spray pond analysis.  
12 There was a preliminary spray pond analysis performed by  
13 PP&L that showed that they did have sufficient capacity.  
14 That was based on several assumptions, such that both RHR  
15 spray pond loops had to be operable.

16 In addition to both loops being operable, they had  
17 to go out and optimize the spray pattern in order to remove  
18 the decay heat from the fuel pool cooling system.

19 Even if the spray pond has sufficient capacity,  
20 the next question is do you have an accident source term  
21 present. If the answer to that is yes, then you can't use  
22 RHR because you'll be taking and pumping water with -- very  
23 high radioactivity level water, pumping it up to Zone 3,  
24 where it's not been analyzed.

25 MR. PREVATTE: It's essentially bypassing your

1 primary containment when you do that.

2 MR. LOCHBAUM: If you initiate that with accident  
3 source terms, you'll be pumping water essentially -- well,  
4 the piping, we've already seen water with accident-laden  
5 source terms. You'd then be using the same piping to pump  
6 water for the spent fuel pool around. So some of these  
7 accident source terms will get up here, where they have not  
8 been analyzed for.

9 If the answer to that question is no and there's  
10 no accident source terms present, then you can use the RHR  
11 fuel pool cooling assist mode on the accident unit to  
12 restore fuel pool cooling. If the reactor building is not  
13 accessible or if the fuel pool cooling cannot be restored  
14 using the accident unit's systems, then we look at the  
15 second chart, the one at the top that says "B."

16 MR. THADANI: Dave, can I ask you a question?

17 MR. LOCHBAUM: Yes.

18 MR. THADANI: I like the approach you've used here  
19 because I always like logic charts. It's easier to follow  
20 through. I kind of break this issue in two parts. One is  
21 the design-base world, which tends to be non-mechanistic, as  
22 you know, and a more or less mechanistic world, which is  
23 what I think you're trying to do here systematically.

24 Have you tried to assign various pathways some  
25 probabilities to get a really good understanding of the end

1 in terms of -- you used early on one-in-a-million-years  
2 accident with high consequences.

3 I was kind of curious to see if you took it  
4 further in this context to see what a revised estimate might  
5 be.

6 MR. LOCHBAUM: No. I looked at it from the design  
7 standpoint. I guess getting back to the question earlier,  
8 which was do we expect the fuel pool cooling system to fail.

9 MR. THADANI: Yes.

10 MR. LOCHBAUM: We don't expect to have a LOCA.

11 MR. THADANI: No, no. I'll give you an example of  
12 the reason I asked. The design-base accident world is kind  
13 of a sensible way to design things, but when you get into  
14 the issues of what would really happen if an accident were  
15 to take place, then I think you have to do what I think  
16 you're trying to do here, systematically understand.

17 The example I would use would be that if I had a  
18 loss of coolant accident, I don't expect the core to be  
19 damaged. I have ECCS. I'm supposed to make sure the  
20 cladding temperature doesn't get above 2,200 degrees.

21 But what I do non-mechanistically, I assume that  
22 I'm going to have a very large source term in the  
23 containment, which, in fact, wouldn't be there if I were to  
24 go at it mechanistically.

25 So when I think probabilities, in my mind, I am

1 outside the design base world and I'm trying to track an  
2 accident systematically down the way; say, okay, here's the  
3 frequency of an event and then I start looking for  
4 conditional probabilities of what else has to go on.

5 In that context, then I would want to look to see  
6 really what are the real conditions. Are the real  
7 conditions such that there is a very large source term that  
8 people can't go in or are the real conditions the source  
9 term is really pretty small and people can go in and take  
10 actions? It's that sense.

11 What I think you've done here is what I would call  
12 first part. It's a different way of developing event trees  
13 and logic diagrams, but you haven't taken the quantification  
14 to that.

15 MR. LOCHBAUM: No. Basically, because I don't  
16 have a background in PRA. Also, the example I'd use, I  
17 graduated the quarter that Three Mile Island happened. With  
18 that accident at Susquehanna, you couldn't get into those  
19 buildings. So from a real standpoint --

20 MR. PREVATTE: I think that's a very good point  
21 there, what Dave just said about Three Mile Island. That  
22 was not an accident that was supposed to happen, either.  
23 But the rad levels in those buildings, the core damage was  
24 significantly greater than what is required to be assumed in  
25 Reg Guide 1.3.

1           So if we look at it from an analytical point of  
2 view, strictly an analytical point of view, our analyses  
3 show that the core temperature probably won't exceed about  
4 1,600 degrees. But I think that the NRC recognized after  
5 Three Mile Island that you could, in fact, get core  
6 meltdown, because it happened there.

7           In NUREG 0737, after Three Mile Island, the NRC  
8 came along and reiterated the requirement to the licensees  
9 that they must assume Reg Guide 1.3 source terms. It is  
10 realistic. It's not pie in the sky.

11           MR. LOCHBAUM: I'd like to pick up on that second  
12 page where we go through and look at whether the equipment  
13 on the adjacent unit can be used to support the accident  
14 unit.

15           The first question is is non-Class 1E power  
16 available. If the answer is yes, then you can go over and  
17 try to use the fuel pool cooling system on the adjacent  
18 unit. The adjacent unit, I guess, by definition, would be  
19 if the accident is on Unit 1, we'd be trying to use the Unit  
20 2 equipment. It's the adjacent unit. And vice versa if the  
21 accident were on Unit 2.

22           The first question is are the fuel pools cross-  
23 tied. If the answer to that question is no -- and I'll show  
24 you why here in a minute. Looking at the two fuel pools,  
25 you have one fuel pool, second fuel pool, and a shipping

1 cask storage pit between them, with gates that can be  
2 opened, such that the water is one continuous volume with  
3 these gates removed.

4 PP&L, at the time of our report in November, tried  
5 to maintain these gates installed whenever possible due to a  
6 drainage event they had a few years ago. They only opened  
7 these gates at the time during refueling to connect all  
8 three volumes. So in an accident, either one, if these  
9 gates are removed, this fuel pool communicates with this  
10 fuel pool and you might -- you will be able to use the fuel  
11 pool cooling system on the adjacent unit to cool both pools,  
12 provided -- and that's the next few questions.

13 The next question is is there sufficient fuel pool  
14 cooling system capacity to handle the heat loads from both  
15 pools. The answer to that question is yes right now. The  
16 answer to that question is no for the design loads. Right  
17 now, with the fuel pools cross-tied and the current heat  
18 loads, you could initiate fuel pool cooling on the adjacent  
19 unit and cool both pools.

20 In the other cases, you go down and, again, you  
21 look at the same questions for the RHR system; is the  
22 building accessible. Again, when I say reactor building  
23 accessible, in this case, this is the Unit 1 reactor  
24 building, assuming a Unit 1 accident.

25 You have to get into the Unit 1 side to use the

1 Unit 2 RHR fuel pool cooling system to cool that unit. The  
2 other questions remain the same, so I won't go through them.

3 If you're not able to restore fuel pool cooling  
4 using the adjacent unit's equipment, you end up, on the  
5 third page, with a boiling spent fuel pool.

6 Now we look at what happens once you have a  
7 boiling spent fuel pool, what you can do or what's the  
8 design. The first question is, again, is the reactor  
9 building accessible. This is the reactor building on the  
10 accident unit. Again, as we've said, with assumed Reg Guide  
11 1.3 source terms, it will not be.

12 But if you can't access the building, the next  
13 question is is the fuel pool cooling system piping intact.  
14 The reason that question is asked is that PP&L stated that  
15 the RHR fuel pool cooling system's piping is separate Class  
16 1 from the non-seismic piping. That's true only if that  
17 valve is closed. It's a manual valve inside the reactor  
18 building.

19 With this valve open, this non-seismic piping is  
20 connected directly to the seismic piping. So if this piping  
21 fails, the water will be draining right onto the floor in  
22 the reactor building and not going through the piping to  
23 RHR. I'm sorry. I had the wrong valve. It's this valve  
24 that has to be closed. This valve has to be open to use  
25 RHR. But this is the boundary valve between non-seismic and

1 seismic piping.

2 So if that piping is no intact, you have to go in  
3 there and close that valve. Again, at this point, you'd  
4 want to open up the ESW valves to allow makeup to the  
5 boiling spent fuel pool. The other significance of this is  
6 even if you open up these valves and this piping is not  
7 intact with this valve open, it would just fill up here,  
8 overflow into the skimmer surge tank and out.

9 Once you open up these valves, the PP&L procedure  
10 calls for the level to be restored to the desired level,  
11 then you close the valves. So it's a batch cycle. You lose  
12 level, you open up the valves, restore the level, shut the  
13 valves, and repeat it.

14 The purpose for using batch mode is primarily to  
15 prevent the fuel pool from being overflowed with constant  
16 makeup and water going directly into the reactor building  
17 basement and other areas from overflow.

18 The next question down there is is the standby gas  
19 treatment system designed for the temperature and moisture  
20 effects from boiling. As Don covered earlier and we will  
21 address later, the answer to that question is no from a  
22 design standpoint. If it does survive, then the next  
23 question is are the standby gas treatment components  
24 environmentally qualified for the boiling conditions.

25 Again, the answer to that from a design standpoint

1 is no. If the answer to either one of those questions is  
2 no, you end up with a loss of secondary containment, no  
3 filtration of activity as it goes to the environment.

4 MR. PREVATTE: By the way, just to let you know  
5 what the significance of that is, standby gas treatment has  
6 a hundred-to-one cleanup ratio. That means if standby gas  
7 treatment fails, the off-site doses are going to be a  
8 hundred times higher than they were before, with nothing  
9 else failed.

10 MR. LOCHBAUM: The next question is -- and I left  
11 out a word here, but the question is are the ECCS pump room  
12 coolers designed for latent heat. As Don discussed earlier,  
13 the answer to that question is no from a design standpoint.  
14 If they do survive those conditions, the next question is  
15 are the safety switchgear room coolers designed for latent  
16 heat. The answer to that question is no from a design  
17 standpoint.

18 The consequence of this failing is that  
19 essentially you lose power to safety-related equipment in  
20 the reactor building. If they do survive, the next question  
21 is is flooding controlled in the reactor building. As Don  
22 has alluded to and as PP&L has identified in their  
23 submittals, the answer to that question is no from a design  
24 standpoint.

25 If the answer to those questions is no, you lose

1 ECCS pumps. You lose containment cooling. The result of  
2 that is a meltdown of fuel in the reactor core.

3 If you go through the other path, then you can  
4 maintain the spent fuel pool level using the accident unit's  
5 ESW system.

6 The plot on the next page -- the next page covers  
7 trying to use the adjacent unit's ESW system to make up to  
8 the boiling spent fuel pool. It's very similar. The only  
9 difference is in the way that the adjacent unit's ESW system  
10 would be used.

11 The way PP&L has proposed it is that you'd have  
12 --this is the adjacent unit, this is the accident unit. You  
13 would open up these valves, which are in the adjacent unit's  
14 reactor building. You would fill up the spent fuel pool,  
15 overflow into the skimmer surge tank, overflow into the cask  
16 storage pit, overflow into the skimmer surge tank, and  
17 eventually make its way into the accident unit's spent fuel  
18 pool.

19 I guess one of the things we'd like to point out  
20 is that if the -- the reason you'd be using the adjacent  
21 unit's ESW system is if the accident unit's reactor building  
22 is inaccessible. If the accident unit's reactor building is  
23 inaccessible, you won't be able to close this valve. So  
24 when you get all this overflow, it will go onto the floor in  
25 the reactor building and will not make it into the spent

1 fuel pool.

2 The rest of the consequences of this fault tree  
3 are the same as on the preceding page. So I won't go  
4 through those again.

5 With all that, if you get through those, on the  
6 last page, you have a boiling spent fuel pool. You vent  
7 without makeup, which leads to uncovering of the irradiated  
8 fuel in that spent fuel pool, severe damage of the  
9 irradiated fuel in that spent fuel pool, and you have the  
10 release of activity, significant amounts of reactivity  
11 outside of primary containment, after you've already lost  
12 secondary containment.

13 MR. PREVATTE: At this point in time, we'd like to  
14 discuss the positions that PP&L has taken and where we  
15 differ with their positions. Before we made our 10 CFR 100  
16 report, PP&L took the position that the accident scenario  
17 described, as we described today, was not directly addressed  
18 in the FSAR, and it's not directly addressed.

19 The FSAR had been approved by the NRC. PP&L had  
20 an unwritten agreement with the NRC that spent fuel pool  
21 boiling concurrent with LOCA didn't have to be considered  
22 and, therefore, it was not a valid concern.

23 We had a lot of problems with that. First of all,  
24 it is our position that an event doesn't have to be directly  
25 addressed in the FSAR to be a part of the licensing basis.

1 If it mechanistically results from an event that is  
2 described in the licensing basis, it's a part of the  
3 licensing basis.

4 Second, the fact that the NRC approved it, even if  
5 it hadn't been a part of the original licensing basis,  
6 doesn't mean that it isn't a valid issue and needs to be  
7 addressed. Just because it was not caught the first time  
8 around doesn't mean you can ignore it. You have to address  
9 it.

10 The third point there, that they had an unwritten  
11 agreement with the NRC, that's ludicrous.

12 MR. THADANI: I don't know what that means.

13 MR. PREVATTE: I don't know what that means,  
14 either, but that was an argument that was made to us time  
15 and again while we were discussing this.

16 There's also another point that needs to be made  
17 here. The original FSAR did describe some of the effects of  
18 this boiling spent fuel pool. The original FSAR listed as  
19 the design temperature for the air entering the standby gas  
20 treatment system as 180 degrees. That number was taken from  
21 a Bechtel calc in 1979, which did account for a boiling  
22 spent fuel pool. That was a part of the original design of  
23 the equipment.

24 They subsequently changed all the design of the  
25 equipment. They said to themselves we're not going to have

1 a boiling spent fuel pool; therefore, we can change the  
2 design temperature to 135 degrees, which is what you get  
3 without a boiling spent fuel pool.

4 In 1984, that 180-degree temperature was still in  
5 the FSAR. In 1984, PP&L submitted an FSAR change request to  
6 the NRC to change that number from 180 degrees to 135  
7 degrees. The reason they gave for the change was it was a  
8 typographical error. It was not a typographical error.  
9 That number of 180 degrees was the correct number.

10 PP&L's original position as we discussed this with  
11 them was that they did not have to consider Reg Guide 1.3  
12 source terms. They also said that even if they did have to  
13 consider it, their operators could take the needed heroic  
14 actions to save the day and that their emergency management  
15 organization could handle any condition, even if it hadn't  
16 been analyzed.

17 We don't agree with that position, either. Since  
18 we've made our Part 21 report, PP&L's position has changed  
19 somewhat. They still claim that this accident scenario is  
20 not a part of their licensing basis and, therefore, they're  
21 not required to deal with it.

22 However, they finally concede that Reg Guide 1.3  
23 is the required source term applicable for operator access  
24 and that airborne radiation must be considered. By the way,  
25 that's another point to make. Before we made our Part 21

1 report, PP&L contended they did not have to consider  
2 airborne radiation. Even though it would be there in an  
3 accident condition, they didn't have to consider it.

4 Their reason that they didn't have to consider it  
5 was it wasn't addressed in the original FSAR. That's true.  
6 The original FSAR did not describe airborne radiation. It  
7 was an obvious oversight. There is airborne radiation in a  
8 design basis LOCA. That made a big difference in whether or  
9 not operators would have access to the building.

10 Since we made our report, they've made numerous  
11 equipment, procedure, analysis and training changes and  
12 these are all for conditions that they maintained before the  
13 report were of minimal safety significance. It's hard for  
14 me to understand why these massive changes would have to be  
15 made for something that is of minimal safety significance.

16 These have only been made since we made our  
17 report. Even though they've made these changes, it still  
18 hasn't fixed the problem. It's definitely a big improvement  
19 over what it was before the report, but the problem is still  
20 there. PP&L is forced to admit, even with these changes,  
21 there are a number of shortcomings in the design with  
22 equipment failures for this accident scenario.

23 For instance, their core spray pump, they already  
24 admit that one of the core spray pumps fails and unspecified  
25 other safety-related equipment. They've taken the position

1 that that's okay if the core spray pump fails because they  
2 have another core spray pump to back it up.

3 Well, that is not the way single failure works.  
4 Single failure says you may have a failure in spite of all  
5 your best design efforts to make it good, not because of a  
6 faulty design. You're not allowed to take a failure as a  
7 result of a design that's inadequate.

8 Also, they've admitted that the safety-related  
9 instrumentation that the operator would have to monitor in  
10 order to know what's going on in the fuel pool is  
11 inaccessible. And even with these changes in failures, they  
12 still contend that there is not now and never was any  
13 problem and they're asking the NRC to buy into this  
14 position. We feel that that is absolutely inappropriate.

15 There are some other points of contention that  
16 Dave will go over here.

17 MR. LOCHBAUM: There's no real order to these  
18 points of contention. They're not in order. A point of  
19 contention was that the fuel pool instrumentation -- PP&L's  
20 claim is that the fuel pool instrumentation is seismically  
21 qualified. The reality is that the instrumentation is only  
22 seismically mounted, not seismically qualified.

23 In addition, this instrumentation is neither  
24 qualified for the LOCA conditions nor the boiling spent fuel  
25 pool conditions. Let me show you what I'm talking about by

1 this instrumentation.

2 It's now shown on this diagram, but the only  
3 instrument that they have in their environmental  
4 qualification files is the level instrument on each of these  
5 skimmer surge tanks to tell you what the level is. That's  
6 the only instrument that's seismically mounted. There's  
7 also level instrumentation in the spent fuel pools,  
8 temperature instrumentation in the spent fuel pools. It is  
9 not even seismically mounted or at least at the time of our  
10 report in November 1992.

11 All of this instrumentation, including the  
12 seismically mounted skimmer surge tank level  
13 instrumentation, is not designed for the post-LOCA  
14 radiation, humidity and temperature effects. It is not  
15 designed for the temperature and humidity resulting from  
16 blowing the spent fuel pool.

17 Another claim PP&L has made is that the fuel pool  
18 instrumentation is Class 1E qualified. The reality is that  
19 it can be powered from a 1E source, but the circuitry is not  
20 1E powered and the instruments are not 1E qualified.

21 Specifically, there's a local panel, I believe, on  
22 the fuel pool cooling system elevation, that gets a signal  
23 from the instrumentation that I showed you earlier. This  
24 panel can be powered off of the diesel generators, Class 1E  
25 power.

1           So the temperature level instrument, level  
2 instrument, feed a local panel in the reactor building.  
3 That panel is Class 1E powered. Those instruments are not.  
4 When you have a loss of off-site power, you lose these  
5 instruments. That panel is still powered. So it sends a  
6 signal to the control room operator telling him he's got a  
7 problem. As we discussed earlier, there's not much that the  
8 operator can do about it, but he does know there's a  
9 problem.

10           MR. PREVATTE: But he doesn't know the specifics  
11 of the problem.

12           MR. LOCHBAUM: He doesn't know what the  
13 temperature or what the level is.

14           MR. PREVATTE: He gets an alarm window that says  
15 fuel pool cooling trouble. That's all he knows.

16           MR. LOCHBAUM: Just a common trouble alarm is all  
17 he gets. In 1984, 1988 and 1992, PP&L's Nuclear Safety  
18 Assurance Group has examined fuel pool cooling and  
19 recommended that this instrumentation be upgraded. I would  
20 point out that the Nuclear Safety Assurance Group was formed  
21 after Three Mile Island to be an independent agency to look  
22 at safety issues from outside the industry and from within  
23 the plant to make sure that the plant is operated safely.

24           Three times this plant said that instrumentation  
25 needed to be upgraded. As of November 1992, that

1 instrumentation had not been upgraded.

2 Also, there were three separate events that were  
3 looked at here. In 1984, they were looking at an NRC  
4 correspondence on reactor cavity seal failure. They said  
5 Susquehanna's would be upgraded if the instrumentation was  
6 upgraded.

7 In 1988, they were looking at an event that  
8 happened at Susquehanna when they inadvertently drained the  
9 fuel pool to the condensate storage tank. In 1992, they  
10 were looking at just general refueling risk or the risk  
11 associated with shutdown. At that time, all three times,  
12 they recommended the instrumentation be upgraded.

13 My understanding is that looking at this issue,  
14 the group has again recommended that the instrumentation be  
15 upgraded.

16 Now it's your turn.

17 MR. PREVATTE: Another claim that PP&L has made is  
18 that the standby gas treatment system is qualified for  
19 boiling spent fuel pool conditions. The reality of this  
20 situation is if the equipment in the rooms is not qualified  
21 for the temperature resulting from the boiling spent fuel  
22 pool -- that is, you're going to have very hot air passing  
23 through the system and it will tend to heat up the room.

24 In that same room, you have other equipment that  
25 is vital to the operation of the standby gas treatment

1 system. That equipment is not designed to handle the  
2 temperature that would be generated.

3 Also, before we made our Part 21 report, the HVAC  
4 system, the ductwork which carried all the air that's coming  
5 to the standby gas treatment system had fire dampers in them  
6 and these fire dampers were designed to close at 165  
7 degrees. We understand that since we've made our report,  
8 they've done a modification on those to raise the actuation  
9 temperature.

10 It's obvious if you have a 165-degree damper and  
11 you have 180 degree air going through it, the damper is  
12 going to close and it's not going to function any longer.

13 Another claim that PP&L has made is that the  
14 reactor building HVAC recirculation system can be isolated  
15 to prevent boiling fuel pool heat and moisture from reaching  
16 the safety-related equipment in the reactor building. It's  
17 my understanding that that's their prime position right now  
18 for coping with this situation.

19 That is they will shut down the recirculation  
20 system, keep all the heat and moisture on the refueling  
21 floor, and, therefore, it won't get to the safety-related  
22 equipment in the reactor building.

23 MR. THADANI: I missed something there. Boiling  
24 fuel pool generates 185 degrees or 180 degrees? Is 180 for  
25 Susquehanna? I'm a little unsure. The handout says 185.

1 MR. PREVATTE: I think the number is 180. I think  
2 that was a mistake.

3 MR. LOCHBAUM: It was a Bechtel calculation.

4 MR. PREVATTE: I think the Bechtel calculation  
5 said 180. I'm not sure. PP&L has claimed that they can  
6 isolate their recirculation system, thereby keeping the heat  
7 and the moisture up on the refueling floor.

8 Well, if they did that, that would be an  
9 unanalyzed condition. Let's discuss for a moment why you  
10 have a recirculation system in the first place. It serves  
11 several functions.

12 The first function is it mixes up the atmosphere  
13 such that any leakage out of the primary containment is  
14 diluted. Therefore, when it goes through the standby gas  
15 treatment system, it will minimize the off-site dose at any  
16 one point in time. By securing the recirculation system,  
17 you have the potential for getting concentrations of  
18 radioactive gas in the building which can be pulled into the  
19 standby gas treatment system and give you excessive off-  
20 site doses. That condition has not been analyzed.

21 The second reason you have a recirculation system  
22 is that all the equipment in the building, its temperature  
23 qualification is based on the air being mixed pretty  
24 thoroughly and, therefore, being at a relatively uniform  
25 temperature. If you don't have the recirculation system

1 going, the air becomes stagnant and in various rooms where  
2 safety-related equipment is located, it hasn't been analyzed  
3 for that condition.

4 The third reason is because with the original  
5 design, the Zone 3 area acted as a big heat sink. If you  
6 look at the relative volumes, the Zone 1 volume is about 1.5  
7 million cubic feet in the reactor building. The Zone 3  
8 volume, which covers both units, is about 2.7 million cubic  
9 feet. That 2.7 million cubic feet, in an accident  
10 condition, under the original design, without a boiling  
11 spent fuel pool, would tend to mix with -- when the  
12 recirculation system is running, would mix with the air that  
13 was in the rest of the building and give you an overall  
14 temperature significantly lower than you would get if the  
15 system is not running.

16 If the system is not running, then all the heat  
17 that's in Zone 1 stays in Zone 1. So it's likely that  
18 temperatures are going to be significantly higher even  
19 without the effects of blowing spent fuel pool. None of  
20 these conditions have been analyzed.

21 MR. LOCHBAUM: Related to that issue is that PP&L  
22 has indicated that the boil-off in the boiling spent fuel  
23 pool can be contained in Zone 3. Some of the condensate  
24 from that boil-off will go into the Unit 1 reactor building  
25 sump and approximately half of it will go into the Unit 2

1 reactor building sump.

2           Zone 3, by the time the isolation is shut down or  
3 if it is not shut down, it's going to have some accident  
4 source terms in Zone 3. This condensate is going to capture  
5 or transport some of these source terms into the Unit 2 and  
6 Unit 1 reactor building sumps. Both units are going to see  
7 high radiation levels during the course of the accident.  
8 All three zones are going to have to be cross-connected.

9           PP&L has relied heavily on answering the adjacent  
10 unit to perform equipment operations. They have not  
11 explained or have not identified how the condensate that  
12 ends up in the reactor building sumps on the non-accident  
13 unit will be handled.

14           MR. PREVATTE: By the way, one other point that  
15 seems to have been lost in the conversations to this point,  
16 Zone 3 is not isolated from the primary containment. The  
17 single largest penetration of the primary containment is in  
18 Zone 3, and that is the drywell head. It also has several  
19 penetrations.

20           So any leakage from those penetrations will tend  
21 to contaminate Zone 3, even if you don't have the  
22 recirculation system running, and that, in turn, will  
23 contaminate any condensate which would drain into the non-  
24 accident unit and potentially render it inaccessible.

25           MR. LOCHBAUM: Another PP&L claim was that the

1 emergency procedures and training at the time of the 10 CFR  
2 21 report adequately addressed spent fuel pool boiling  
3 events. The changes they have made since our report are  
4 just enhancements to this procedure.

5 In fact, procedures at the time of our 10 CFR 21  
6 report caused a loss of spent fuel pool cooling. The  
7 current changes address the boiling spent fuel pool case for  
8 really the first time in any consequence.

9 Prior to that time, the procedures were basically  
10 looking at making up due to a seismic event. We've had a  
11 loss of piping integrity. You can go into the reactor  
12 building at will and do anything you want to. They did not  
13 have to contend -- the procedures did not contend with high  
14 radiation effects and use of other equipment in the adjacent  
15 unit.

16 Getting back to the procedure, in 1988, in  
17 response to high EQ problems or EQ problems in the reactor  
18 building, certain components could not be qualified for the  
19 high temperatures they were experiencing for a LOCA in which  
20 you did not have a loss of off-site power.

21 That resulted in the fact that in the case where  
22 you have a LOCA and not loss of off-site power, you'll have  
23 non-Class 1E equipment operating that wasn't considered in  
24 the original calculation, original heat load calc, and also  
25 used in the EQ problems.

1           In order to get around this hot temperature  
2    ' problem, PP&L initiated, in 1988, a change to their  
3    procedures that caused non-Class 1E power to the reactor  
4    building to be shed manually approximately 24 hours after a  
5    LOCA.

6           That introduced a loss of spent fuel pool cooling  
7    because, as we stated earlier, the fuel pool cooling system  
8    pumps are not 1E power. They won't be shut down when this  
9    load shed occurs.

10           If, in fact, PP&L believes that the only licensing  
11   basis event in spent fuel pool cooling for Susquehanna is a  
12   seismic event, then this procedure change in 1988 introduced  
13   another failure mode for that event and increased the  
14   probability to one with this event. Otherwise, it increased  
15   the probability of the existing event to one from whatever  
16   it was before. In either case, you end up with a loss of  
17   spent fuel pool cooling.

18           MR. PREVATTE: Another claim that PP&L has made is  
19   that the Reg Guide 1.3 source terms that are required to be  
20   considered constitutes a severe accident, that it's outside  
21   their design and licensing basis. They've used the term  
22   "severe accident" throughout their submittals describing  
23   what we have considered to be a design basis accident.

24           We consider that to be a blatant misuse of that  
25   term. Heretofore, until PP&L started using it that way,

1 that term has only been applied to those accident events  
2 that were outside the licensing basis; that is, events such  
3 as ATWS.

4 This is not an event like ATWS. This is in their  
5 licensing basis. It is not a "severe accident." We believe  
6 that that usage of that term is extremely misleading.

7 MR. THADANI: But you would agree -- getting away  
8 from the design basis accident considerations and the non-  
9 mechanistic aspects of it, you would agree, though, that in  
10 order to best understand what the source terms would be and  
11 so on, it would be the right thing to do to use severe  
12 accident source terms, don't you?

13 MR. PREVATTE: No.

14 MR. THADANI: Getting away from design basis  
15 accident considerations.

16 MR. PREVATTE: The job I was assigned at PP&L was  
17 to look at things from a design standpoint. Therefore, I  
18 have to go to the underlying requirements established by the  
19 NRC. That's the job I did.

20 MR. THADANI: I understand that. I was just  
21 reacting to this statement when they talk about severe  
22 accidents. Again, going back to what I said earlier, one of  
23 the things I'd like to make sure I understand is what one  
24 has to do in the context of design basis accident, Reg Guide  
25 1.3 source term that goes with that and the conditions that

1 would exist for that case.

2 Parallel to that, I want to make sure that we have  
3 a clear understanding of what would happen if you, in fact,  
4 had a big accident. What would be the real source term?  
5 What time would be available for humans to take appropriate  
6 actions? And 24 hours later, even if you manually shed  
7 certain loads in terms of spent fuel pool cooling and so on.

8 What I guess I'm trying to make sure we understand  
9 is during those time periods and using those realistic  
10 scenarios, what would be the source term, what would be the  
11 threat to humans who have to perform these actions.

12 MR. PREVATTE: All I can say with regard to  
13 realistic versus nonrealistic is we have an experience level  
14 of one reactor plant accident in this country and that  
15 experience level produced a core meltdown, core damage  
16 significantly worse than what's required by Reg Guide 1.3.

17 So if you want to talk about realistic versus  
18 nonrealistic, I think what we are talking about is  
19 realistic. It's been proven by experience.

20 MR. THADANI: We could go on about what the source  
21 term was in the containment, but that's okay.

22 MR. PREVATTE: The point is that you can get  
23 severe core damage. It is not an unrealistic thing.

24 MR. THADANI: I agree with you that you can. In  
25 fact, when you estimate probabilities of those things

1 happening of one-in-a-million, I don't question one-in-a-  
2 million chance of core damage.

3 MR. PREVATTE: One-in-a-million is basically what  
4 we design for for a LOCA. That is a starting point for  
5 designing.

6 MR. THADANI: We have studies that we do. I hope  
7 you don't misunderstand what I'm saying. Certainly there is  
8 no question of -- it's not a question of zero risk. But the  
9 idea and the concept is to make sure risk is low enough and  
10 there you have to take into account probabilities and  
11 consequences, just as you kind of touched upon early on.

12 And there are -- at probabilities of one-in-a-  
13 million, I think there is a chance of a severe accident. I  
14 think in today's technology, you have to recognize there are  
15 certain limits to what one can do and I would never say that  
16 there was zero risk.

17 MR. PREVATTE: We don't believe there is zero  
18 risk. We believe the risk is very high. As you pointed  
19 out, you must consider probability. We say probability is  
20 the same as a LOCA, but the consequences are much worse.

21 MR. LOCHBAUM: At the time of our Part 21 report,  
22 all the documentation available within PP&L was that the  
23 reactor building was inaccessible following a design basis  
24 LOCA due to high radiation. In a report submitted to the  
25 NRC earlier this year, PP&L reported the results of a time-

1 motion study to determine whether the ESW valves on the  
2 accident unit could be operated to provide makeup to the  
3 boiling spent fuel pool.

4 PP&L indicates that the results of this are such  
5 that the ESW valves may be or can be operated within the  
6 five rem exposure limit. The problem we have with this  
7 study, and this is without having reviewed the study, just  
8 reviewed what they reported to the NRC, is that it appeared  
9 as though the time-motion study indicated an exposure of 4.2  
10 rem for a single trip to operate these valves.

11 As I discussed earlier, the procedure calls for  
12 these valves to be operated in a batch mode. You open them,  
13 you restore the level, you close them, and you repeat that  
14 as often as necessary to maintain the desired level of spent  
15 fuel pool. If each single trip to these valves results in a  
16 4.2 rem exposure to an individual, to an operator and  
17 probably to an HP tech who will be accompanying him, then  
18 that operator can only make a single trip to the valves  
19 without exceeding the five rem dose.

20 So you'll cycle through a number of operators,  
21 depending upon how many trips you have to make to those  
22 valves.

23 In addition, it wasn't clear whether the operator  
24 goes there, opens the valve, leaves and returns later to  
25 close it when the level is restored or if he stays there

1 until the level is restored. It's also not clear since all  
2 this instrumentation is not available to the control room  
3 operator, the procedures at the time of our 21 report said  
4 the operator was supposed to go up there and physically look  
5 at the level in the pool and he was supposed to call the guy  
6 down on this level to tell him when to close the valves.

7 I don't know how they currently do it. That would  
8 result in much higher radiation levels than what we're  
9 reporting.

10 MR. PREVATTE: There's also one other point to  
11 make about this and that is these aren't going to be easy  
12 trips these guys make. They're going to be dressed out in  
13 the most elaborate anti-Cs one can imagine in order to  
14 survive the radiation conditions.

15 The temperature conditions in the reactor building  
16 at best are going to be about 135 degrees as they do this,  
17 not to mention besides the radiation conditions. There's  
18 potentially not going to be light in the building, either,  
19 except for emergency lighting.

20 So we're not talking about something that the guy  
21 is going to casually stroll down and do. It's going to be  
22 an extremely tough thing to do.

23 MR. LOCHBAUM: There's also a related issue. PP&L  
24 has also indicated that any -- they submitted a report to  
25 the NRC earlier this year that states that any time, under

1 any condition, they can go into the adjacent unit --  
2 assuming an accident on this unit, they can go into the  
3 adjacent unit and open these valves and get water back to  
4 the accident unit through the cascading forward system.

5 As we pointed out, if this building is  
6 inaccessible, you cannot close this valve. If this valve  
7 cannot be closed, this non-seismic piping has to be intact  
8 in order for it not to just drain the skimmer surge tank out  
9 onto the floor and prevent water from reaching the accident  
10 unit spent fuel pool.

11 Again, this piping is not seismically qualified.  
12 It's not designed to handle the hydrodynamic loads that  
13 result from the LOCA itself. It cannot be assumed to be  
14 there.

15 MR. PREVATTE: Another claim that PP&L has made is  
16 that the flood --

17 MR. THADANI: Can I ask you on that one, because I  
18 think that is -- you make, I think, an important point. If  
19 you were to calculate these loads, would you expect that  
20 piping to fail, in your judgment?

21 MR. LOCHBAUM: I'm not really a civil engineer. I  
22 can only report what the PP&L civil engineers have  
23 indicated. That is there will be stress beyond design on  
24 the hangers and you'll get the zipper effect of piping  
25 going.

1 MR. PREVATTE: Another claim that PP&L has made is  
2 that the flood water from the boiling pool can be sent to  
3 rad waste. That's how they would handle it. Well, the  
4 reality of that situation is the sump pumps that would be  
5 required to send it to rad waste, they also aren't 1E  
6 powered, they're seismically designed, they're not  
7 environmentally designed.

8 So there's a very high potential that those pumps  
9 would not be available. Also, operators wouldn't have  
10 access, again, due to radiation levels. Also, the rad waste  
11 systems themselves aren't 1E powered or seismically  
12 qualified. So even if they send the water over there, they  
13 may not be able to process it.

14 Additionally, the rad waste systems aren't  
15 designed to handle the accident water volumes or the  
16 radiological content that they would have. They are not  
17 designed to handle accident water.

18 Just the mere fact of sending water over to rad  
19 waste would be a breach of secondary containment. That's  
20 exactly what you don't want to do in a LOCA event. And even  
21 if they got all the water over to rad waste and even if they  
22 processed it all, just like they say, and everything went  
23 fine, then they've got to do something with it, and we're  
24 not talking a small volume of water here. We're talking as  
25 much as 5 million gallons of water.

1           If you recall, TMI just recently got rid of the  
2 water that they had been storing for years since the TMI  
3 accident. The reason was it was laden with tritium. This  
4 same accident water would be here in this case. They don't  
5 have any facilities whatsoever for storing this kind of  
6 water on-site and no way to get rid of it.

7           So from a practical point of view, they can't get  
8 rid of the water that's in the reactor building.

9           MR. CALVO: Can you put that picture back again?

10          MR. LOCHBAUM: Sure.

11          MR. CALVO: That pipe in there, that it breaks.  
12 How big is that pipe?

13          MR. LOCHBAUM: It is a ten-inch pipe. I believe  
14 it's a ten-inch header down to here and then splits into six  
15 or eight-inch piping, I believe.

16          MR. CALVO: No matter what you do, if that pipe  
17 breaks, you're going to have all these problems. The RHR  
18 will not work. The emergency service water system will not  
19 work.

20          MR. LOCHBAUM: If you close this valve, you  
21 isolate it.

22          MR. CALVO: Your piping up above it is not also  
23 Category 1. It also may go, too. Suppose you cannot close  
24 the valve.

25          MR. LOCHBAUM: That's true.

1 MR. CALVO: If you break that pipe, nothing you  
2 can do is going to help. So it's all key on that pipe.

3 MR. LOCHBAUM: That's correct.

4 MR. CALVO: Because of that and you put water in  
5 the sump, then you -- see, no matter -- if that pipe breaks,  
6 the RHR will not help you at all. The emergency service  
7 water system won't help you at all. So all you will do is  
8 you put the water in and dump it someplace else and then  
9 you've got to worry about how to get all that water.

10 So the key to the whole thing is that pipe. If it  
11 doesn't break, then all this will go away.

12 MR. PREVATTE: It's not even key on that. Even if  
13 the pipe remains intact, you still have to deal with all  
14 this water, because you're putting water into the fuel pool.  
15 Even if this is intact, you're putting water into the fuel  
16 pool to make up for the boiling. The water is evaporating  
17 out as it boils.

18 That water that evaporates out condenses and that  
19 condensate runs down into the basement of the building. So  
20 even if you don't break this pipe, you've got a basement  
21 full of water.

22 MR. CALVO: That's right, because if I lose the  
23 service water system, I cannot cool. That's correct. But  
24 if that pipe doesn't break and there's some kind of other  
25 way I can put back the fuel coolant pumps back in service,

1 then I'm all right.

2 MR. LOCHBAUM: Yes, but these are non-1E powered,  
3 not single failure.

4 MR. CALVO: That's correct, but those are very  
5 small pumps. I guess the pump to fix the problem -- if that  
6 pipe doesn't break, then I can find out if I have enough  
7 capacity in the diesel generators to make those pumps work.

8 MR. LOCHBAUM: These pumps are fairly small, but  
9 in order to cool these pumps, the service water system has  
10 to operate. Those are fairly large pumps.

11 MR. CALVO: Isn't the service water system  
12 connected to the on-site power system for the diesels?

13 MR. LOCHBAUM: No.

14 MR. CALVO: They're not? .

15 MR. LOCHBAUM: The RHR service water system pumps  
16 are.

17 MR. PREVATTE: I believe these may be. The  
18 service water system, I think they may be, but that's not a  
19 normal lineup. Even if they are, even if they can be,  
20 they're very large pumps and the question then becomes do  
21 the diesels have sufficient capacity to handle all the other  
22 accident loads they have to handle plus service water, and  
23 that's very questionable.

24 MR. CALVO: That's correct. But during the  
25 initial part of the LOCA, it's the demand for loads. As the

1 LOCA moves along, then the load demand is not as big as it  
2 was before and you may have enough capacity in there to cool  
3 the service water pumps into the diesel.

4 MR. PREVATTE: That's correct.

5 MR. CALVO: The question is whether the capability  
6 is there to cool the fuel cooling pumps. You may not have  
7 it right now. Those supposedly are small pumps, right?

8 MR. LOCHBAUM: Correct.

9 MR. PREVATTE: If they survive the accident, if  
10 they survive the environment and the hydrodynamic loads.

11 MR. CALVO: I agree.

12 MR. THADANI: In your calculations, how long was  
13 it to the fuel pool boiling?

14 MR. LOCHBAUM: For the design loads, 19.8 hours.

15 MR. THADANI: So approximately a little less than  
16 a day.

17 MR. PREVATTE: Understand that, also. That's  
18 another very important point. This calculated time to boil  
19 is approximately 19 hours. The time until you go beyond the  
20 design condition for the fuel pool, though, is virtually  
21 immediately. The fuel pool design temperature is 125  
22 degrees.

23 Any temperature over that 125 degrees is an  
24 unanalyzed condition. When you start getting up around 150  
25 to 160 degrees, you're going to start getting a lot of heat

1 coming off that fuel pool, a lot of vapor. It won't be in a  
2 boiling condition yet, but just because you haven't reached  
3 boiling yet doesn't mean that it's not giving you negative  
4 effects.

5 You start getting negative effects as soon as the  
6 temperature starts to rise. As you approach boiling, they  
7 get worse and worse. So you don't have to actually be at  
8 boiling to have negative --

9 MR. THADANI: When you say negative effects, I'm  
10 trying to follow what that means.

11 MR. PREVATTE: What that means is you're getting  
12 heat from the fuel pool. You're also getting vapor from the  
13 fuel pool. You don't have to have boiling to be getting --

14 MR. THADANI: I understand. But it's multi-  
15 million cubic feet volume. I guess I was just trying to  
16 understand. The real loads and the issue, it seems to me,  
17 would be once you start to boil and you start -- you  
18 probably have more stratification issues, condensation  
19 issues, I think probably you have to be much more detailed  
20 in your assessment of what is really going on and what  
21 components you have to protect.

22 MR. PREVATTE: There's no question that at the  
23 boiling condition there's a tremendous amount of heat and  
24 moisture to contend with. I don't know this for a fact, but  
25 it's my understanding that PP&L has assessed the effects of

1 these less than boiling conditions and it's my understanding  
2 they have an evaluation that shows they are detrimental.

3 I haven't done the analysis myself. There's one  
4 other thing. Another claim that PP&L has made with regard  
5 to this flooding is that they have conceded that one of the  
6 core spray pumps will fail as a result of flooding. This is  
7 the point we made before.

8 They have contended that that's okay. Well, it's  
9 not okay. With only one pump failed, then any single  
10 failure in the core spray system will render the core spray  
11 system entirely out of service. That is unacceptable.

12 That failure has been based on their calculated  
13 volumes, which were extremely non-conservative. If you look  
14 at the calculated volumes of water that you are likely to  
15 get for this condition, where the operator goes down and  
16 opens the valve to the full open position, the watertight  
17 door on their second core spray pump room will also fail.

18 So under the design basis accident conditions that  
19 we would expect to see, they will get failure of both core  
20 spray pumps.

21 MR. LOCHBAUM: Getting back to the rates that PP&L  
22 is reporting as far as makeup rates and flooding rates and  
23 also time-to-boil rates, in a lot of cases, if not the  
24 majority of cases, they're reporting the conditions as of  
25 today, which are not design conditions. The pools are not

1 filled to capacity. I have not seen too many, if any  
2 reports of what happens when the pools are filled, design  
3 conditions.

4 One of PP&L's early contentions which we disputed,  
5 which has been withdrawn somewhat in our later submittals,  
6 was that RHR could be used in the fuel pool cooling assist  
7 mode to prevent boiling spent fuel pool from ever occurring.

8 As I kind of went through earlier with the fault  
9 trees, the facts dispute this conclusion or this claim in  
10 that the critical valves are inaccessible after a design  
11 basis LOCA in the accident unit due to radiation levels.  
12 PP&L's analysis indicated that RHR pumps do not have  
13 sufficient net positive suction head to operate. They  
14 confirmed these analyses with pre-op testing which showed  
15 that the skimmer surge tank was pumped dry before the system  
16 could be aligned for fuel pool cooling.

17 In addition, these pre-op tests were done with  
18 relatively low temperatures, water temperatures. At the  
19 temperatures that you would encounter post-LOCA of 125  
20 degrees or greater, it would even more doubtful you'd have  
21 adequate net positive suction head.

22 In addition, the spray pond at the time of our  
23 report did not have sufficient capacity for the fuel pool  
24 cooling heat load without requiring both loops to be  
25 operable. So it was not single failure-proof, as it was

1 required to be.

2 It was required to be single failure-proof by 10  
3 CFR 50, Appendix A, General Design Criteria 44, which is the  
4 cooling water system spec which requires all the heat from  
5 safety-related structures to be removed with safety-related  
6 equipment that's 1E powered and all the other pedigree.  
7 They do not meet GDC-44 at the time or, best I can tell, as  
8 of today.

9 As I said, a single failure cannot be tolerated.  
10 Not all the involved piping is seismically qualified. That  
11 valve has to be closed to isolate the non-seismic piping.  
12 In addition, as we alluded to earlier, the manual valves  
13 that are required to be operated to align fuel pool cooling  
14 assist mode were removed from the PP&L in-service inspection  
15 program in 1987 and 1988.

16 Following an engineering evaluation by PP&L, it  
17 determined that the RHR fuel pool cooling assist mode had no  
18 safety function. The ESW system would be used alone  
19 following an accident for the boiling spent fuel pool case.

20 MR. PREVATTE: Another claim that PP&L has made is  
21 with regard to the loss of off-site power. They maintain  
22 that it could not last any longer than 24 hours. We dispute  
23 that claim based on regulations and experience.

24 Reg Guide 1.137, for instance, requires that  
25 emergency diesel generators have a minimum of seven days

1 fuel supply on hand. One could logically infer from that  
2 that the NRC expected that a loss of off-site power would  
3 last longer than 24 hours.

4 Recent experience with Turkey Point also points  
5 out that they can last longer than 24 hours. They had a  
6 six-and-a-half day loss of off-site power there. At a  
7 number of other plants around the country, they have had  
8 loss of off-site power that lasted longer than 24 hours.

9 There are three that we have identified credible,  
10 long-term loss of off-site power mechanisms. There would be  
11 natural events, such as the Turkey Point event, and at  
12 Susquehanna, a similar natural event could be like an  
13 earthquake.

14 Operator error, an example of that would be Plant  
15 Vogtle, where they had a significant loss of off-site power  
16 as a result of operator error. Also, at Susquehanna, they  
17 had loss of off-site power there, it didn't last 24 hours,  
18 but as a result of operator error.

19 Third is sabotage. If anybody wanted to sabotage  
20 off-site power, the power transmission lines, they could put  
21 Susquehanna -- take out their off-site power and that could  
22 not be restored in much longer than 24 hours.

23 MR. LOCHBAUM: This occurred at Palo Verde a few  
24 years ago.

25 MR. CALVO: Keep in mind that in the question of

1 postulating a LOCA, sabotage has too many things to happen  
2 at one time.

3 MR. PREVATTE: No, no. We're not postulating  
4 concurrent. We're saying the LOOP would be caused by  
5 sabotage. That is that would be one of the mechanisms for  
6 it.

7 MR. CALVO: All I'm saying is you're postulating a  
8 LOCA concurrent with off-site power and then the recovery to  
9 be followed by the sabotage. You're talking about a lot of  
10 things have to happen.

11 MR. PREVATTE: I understand. With regard to a  
12 LOOP, we're not saying that the LOOP is necessary in order  
13 for this accident to occur. We're just saying that a LOOP  
14 is one of the things that can cause a loss of fuel pool  
15 cooling.

16 There are also some unacknowledged violations here  
17 which we would like to point out. With all of the things  
18 that have been described to that PP&L admits to or doesn't  
19 admit to with regard to failures of safety-related  
20 equipment, no 10 CFR 50.73 or 50.73 reports have ever been  
21 submitted, to the best of my knowledge.

22 Now, the Code of Federal Regulations requires that  
23 if you have safety-related equipment such as this that's  
24 non-functional, you must report it within one hour. It's  
25 been a lot longer than one hour since it was recognized that

1 this equipment was not functional.

2 MR. LOCHBAUM: The fuel pool instrumentation, as  
3 we discussed earlier, is not environmentally qualified for  
4 the post-LOCA conditions or the conditions resulting from  
5 boiling spent fuel pool. This is a violation of 10 CFR  
6 50.49 under environmental qualification, Regulatory Guide  
7 1.97 on instrumentation, 10 CFR 50, Appendix A, General  
8 Design Criteria 63 on fuel storage systems, and Regulatory  
9 Guide 1.13, also on fuel storage systems.

10 The fuel pool instrumentation, as I indicated  
11 earlier, is one level transmitter that's seismically mounted  
12 to monitor the skimmer surge tank level. It's a single  
13 instrument. So single failure takes out even that  
14 instrument.

15 MR. PREVATTE: As we discussed before, there's  
16 quite a bit of safety-related equipment that is cooled by  
17 coolers which aren't designed for latent heat cooling. I  
18 won't go through the details on that again. Just suffice it  
19 to say that the fact that this equipment is not designed for  
20 the environmental conditions is, again, a violation of 10  
21 CFR 50.49, 10 CFR 50, Appendix, Criterion 3 on design  
22 control, and it includes core spray pump rooms, RHR pump  
23 rooms, HPSI pump rooms, RCIC pump rooms, and the emergency  
24 switchgear and load center rooms.

25 By the way, that last one, the emergency

1 switchgear and load center rooms, if that cooling goes out,  
2 it takes out virtually everything in the plant, because  
3 everything is powered from those load centers and  
4 switchgear.

5 Also, as we discussed before, the safety-related  
6 ductwork is not designed for this condensation. This,  
7 again, is a violation of 10 CFR 50, Appendix B, Criterion 3  
8 on design control.

9 MR. LOCHBAUM: In addition, PP&L is relying on  
10 some draft analysis in their response to the NRC which has  
11 not yet been technically reviewed and approved. Again,  
12 that's another violation of 10 CFR 50, Appendix B, Criterion  
13 3.

14 I guess there was some earlier -- I got the  
15 impression that the Commission wanted us to better document  
16 our assessment of where PP&L is. I think the burden is on  
17 the utility in this case to show that they can meet these  
18 conditions, and that has not been done.

19 I'd like to take a minute or maybe two to go over  
20 my colleague's experience and education. Don Prevatte holds  
21 a Bachelor of Science degree in mechanical engineering.  
22 He's an officer in an engineering consulting firm. The  
23 significance of that is that's why we were obligated to make  
24 a 10 CFR 21 report, as we'll cover a little bit later.

25 Don has over 22 years of commercial nuclear power

1 experience, involving design, startup and management. 13  
2 years of that experience is with BWR designs or BWR plants.  
3 Nine years of that experience is at PP&L or with PP&L. Four  
4 years of that experience has been performing NRC or NRC-  
5 type inspections at more than 25 nuclear plants in this  
6 country.

7 Two-and-a-half years Don worked as a design  
8 engineer on the Susquehanna Power Uprate Project and he also  
9 has worked two years as an architect engineer discipline  
10 manager.

11 MR. PREVATTE: Dave has a similar background. The  
12 reason we're telling you all this is to let you know, so  
13 that hopefully you will realize that we're not coming out of  
14 left field on this stuff. It's not like we started working  
15 on these things yesterday and don't know what we're talking  
16 about. We both have significant experience, I believe, in  
17 boiling water reactors and in the industry in general.

18 Dave's background is he has a Bachelor of Science  
19 degree in nuclear engineering. He has over 14 years  
20 commercial nuclear power experience in startup, operations,  
21 licensing and engineering; seven years as a reactor  
22 engineer. He has three years experience as a boiling water  
23 reactor shift technical advisor.

24 He also has experience with all three BWR  
25 containment types, including the type that's in question

1 here at Susquehanna. He has one year experience as a  
2 reactor engineering supervisor and STA supervisor, one year  
3 as a licensing engineer, two years as a design engineer on  
4 the Susquehanna Power Uprate Project, and one year as a  
5 design engineer on design basis document project and  
6 handling of design basis document open items.

7 MR. LOCHBAUM: I'd like to, at this point, go over  
8 a brief history of the concerns which culminated in the Part  
9 21 report in November of 1992. Don Prevatte, as part of his  
10 responsibilities for the Susquehanna Power Uprate Project,  
11 prepared an updated reactor building heat load calculation.  
12 The reactor building heat load calculation looks at heat  
13 loads from piping, equipment, lighting, post-LOCA  
14 environment, and all of the other key load sources.

15 This calculation looked at them in three time  
16 periods -- one hour, one hour to 24 hours, and long-term  
17 periods for the LOCA and also the LOCA/LOOP case. Don took  
18 the original calculation that was done and updated it to  
19 account for the higher power level in Power Uprate.

20 After he prepared his calculation, I was assigned  
21 to perform a technical review of this reactor building heat  
22 load calculation. In doing the technical review, Don and I  
23 got together and discovered and reported to PP&L management  
24 in March of 1992 that both the original and the updated  
25 calculation that had been prepared non-conservatively

1 neglected any mode of spent fuel pool cooling and also that  
2 the latent heat load from the boiling spent fuel pools that  
3 would result.

4 At that time, Don updated the reactor building  
5 heat load calculation for Power Uprate to assume that the  
6 fuel pool cooling system, the normal spent fuel pool cooling  
7 system was in operation for the non-LOOP case. If you had  
8 non-1E power, we would assume the system would be there.

9 Don also assumed that the RHR fuel pool cooling  
10 assist mode would be utilized for the loss of off-site power  
11 case following a LOCA. The research we then conducted to  
12 support these assumptions or confirm these assumptions led  
13 us to believe that the boiling spent fuel pool will result  
14 or could result from a design basis LOCA.

15 At that point, we felt that the calculation was  
16 not bounding since it did not address the boiling spent fuel  
17 pool case. We would not sign the calculation because it was  
18 not bounding.

19 PP&L asked us to initiate an engineering  
20 discrepancy report, EDRG-20020, to document our concerns  
21 with the loss of fuel pool cooling event. We initiated the  
22 EDR, amended the calculation to refer to the resolution of  
23 the EDR for that issue, and signed off the calculation.

24 In signing this calculation, that allowed the PP&L  
25 Power Uprate submittal to be submitted in June of 1992.

1 That submittal probably could not have gone in to the NRC at  
2 that date without this calculation.

3 MR. CALVO: When you first brought up the  
4 hydrodynamic loading --

5 MR. LOCHBAUM: We did not. PP&L brought that up  
6 on September 1, 1992 when they -- the Manager of Nuclear  
7 Engineering had an independent person who had not been  
8 involved with any part of this conduct a review of these  
9 concerns. He identified the fact that they were not  
10 designed for hydrodynamic loading and the LOCA event itself  
11 caused the fuel pool cooling system to fail. That was in  
12 September of 1992.

13 The significance we'll cover a little bit later in  
14 the separate meeting. That was the history of the concern.  
15 At that point, we signed off the calculation in good faith,  
16 thinking the PP&L engineering discrepancy report process  
17 would evaluate these concerns. When it became apparent --  
18 or after repeated failures of this process to adequately  
19 address our concerns, we took it to PP&L management, senior  
20 management.

21 After PP&L management failed to properly determine  
22 operability and reportability on these concerns, we  
23 escalated it further up the PP&L management. On November  
24 17, 1992, PP&L submitted an inaccurate, incomplete and  
25 misleading report under 10 CFR 50.9, essentially a voluntary

1 LER, saying that they had these problems and were taking  
2 steps to measure them, and, at the same time, failing to  
3 properly report the concerns under 10 CFR 50.72 and 50.73.

4 When it became apparent that PP&L was not going to  
5 take any further action and submit a complete and accurate  
6 report to the NRC, by law, under 10 CFR 21, we submitted a  
7 report of a substantial safety hazard at the Susquehanna  
8 facility. This report was dated November 27, 1992.

9 MR. PREVATTE: In the next section, we're going to  
10 talk a little bit about why we made the report. I guess for  
11 most people, it might be obvious, but we want to go over it  
12 anyway. We saw this as an extremely high risk accident. We  
13 also saw it had very serious generic implications; that is,  
14 a third of the plants in the country are this way.

15 By the way, let's stay on that point for just a  
16 minute. PP&L has made many modifications to their design,  
17 their procedures and their training since we've made our  
18 Part 21 report. Other utilities have not. So even though  
19 things are much better at PP&L than they were before our  
20 report, the other utilities in the country, except for  
21 Washington Public Power Supply System, have not officially  
22 recognized the concerns that we brought up here and  
23 potentially have made no changes whatever to their design,  
24 their procedures or the way they operate the plant.

25 Therefore, we consider this to be a very serious

1 reason. We are concerned that the other plants find out  
2 about this and take appropriate measures.

3 We also felt that it was an ethical  
4 responsibility. Even if the law didn't require it, which it  
5 does under Part 21, we saw this as a high risk accident. We  
6 did not feel that we could, in good conscience, let it go  
7 unrecognized.

8 We also felt that PP&L was not properly handling  
9 the reporting of this. That's something we'll talk about in  
10 another meeting later. But we wanted to make sure that was  
11 brought to the attention of the NRC.

12 What's in it for us? Well, so far, it's been  
13 ridicule, loss of contracts or potential contracts,  
14 embarrassment and strain on personal relationships with  
15 coworkers, family, neighbors. I think some people implied  
16 at times that we had some ulterior motives for doing this.  
17 If we had, I wish somebody would tell me what they are,  
18 because so far I haven't been able to find any good side to  
19 this.

20 We've expended untold personal time, effort, and  
21 money in a very discouraging one-sided battle, trying to  
22 bring this to the proper conclusion. Quite frankly, doing  
23 something like this for people like Dave and I, in the  
24 consulting business, is equivalent to career suicide. You  
25 get labeled as a troublemaker, non-team player, and

1 alligator. An alligator is a term that's used within the  
2 NRC, I think, sometimes to describe one who makes  
3 allegations.

4           Once you get labeled as an alligator, if you're in  
5 the consulting business, it's very difficult to shed that  
6 label. We went into this with our eyes open, though,  
7 knowing the seriousness of it and the potential consequences  
8 to us.

9           Next, Dave is going to touch on a few reasons why  
10 we know that we're right in this.

11           MR. LOCHBAUM: Among the reasons we know we're  
12 right is that in April or May of this year, the Washington  
13 Public Power Supply System reported the same problems at  
14 their Washington Nuclear Plant Number 2, Unit 2, and  
15 reported those under 10 CFR 50.72 and 50.73 in April and May  
16 of 1993.

17           In March of 1993, General Electric was aware of  
18 the Part 21 report, evaluated it, issued a warning letter to  
19 all domestic BWRs alerting them to this concern. They were  
20 not able to say if it was applied or not because GE is not  
21 responsible for the design of the fuel pool cooling systems.  
22 That's a responsibility shared between the architect  
23 engineer for the individual plant and the utility. But they  
24 thought it was a serious enough concern to make plants aware  
25 of it.

1 I'd like to point out that this is not  
2 unprecedented for GE to do this and it's by no means a  
3 routine occurrence, either. Also, what gave us some  
4 confidence that we were right was that four independent PP&L  
5 engineering evaluations concurred with our technical  
6 assessments. In fact, they provided -- like the September  
7 1, 1992 report, they identified the hydrodynamic loading  
8 problem. That was not us. That was PP&L that identified  
9 that problem.

10 The other thing that gave us confidence was that  
11 we spent two years prior to identifying these problems  
12 researching the systems involved, the specific systems at  
13 Susquehanna. We were doing this for the Power Uprate  
14 Project, where we evaluate whether these systems could  
15 handle power uprate conditions. We had to look at them from  
16 the design standpoint and see if they could handle operating  
17 in power uprate conditions, where they operated today and  
18 what the effects of power uprate were.

19 After discovery of the concerns, we focused our  
20 research on the concerns, trying to -- when we were looking  
21 at those assumptions we made in the calculation, trying to  
22 justify those assumptions. We were unable to find anything  
23 to support those assumptions.

24 PP&L also researched these concerns. That kicked  
25 off these four independent -- PP&L engineering evaluations.

1 PP&L was able to resolve two of the original nine concerns  
2 we had, but was unable to resolve the remaining seven. To  
3 date, we have not seen any resolved on the remaining seven.

4 Since the time of our report in November 1992,  
5 PP&L has made and has committed to make extensive  
6 modifications to plant hardware, procedures, training and  
7 calculations to cope with the problem they identified or  
8 they concluded had minimal safety significance.

9 The point we'd like to make here is that with  
10 their process, when they identify something as minimal  
11 safety significance, they're very unlikely to take anything  
12 -- to do anything about it, because things that have  
13 moderate or high safety significance take precedent.

14 The reason this minimal safety significance item  
15 has been worked, we think, is because we made the Part 21  
16 report. To support that contention, if you recall, in 1984,  
17 1988 and 1992, their own Nuclear Safety Assurance Group  
18 recommended the instrumentation be upgraded. Those three  
19 times, they said minimal safety significance, no action was  
20 taken.

21 So, again, when we saw minimal safety  
22 significance, based on what we saw at PP&L, we concluded  
23 that no action would be taken.

24 Another thing that led us to believe --

25 MR. PREVATTE: Excuse me, if I may interrupt for a

1 second. By the way, per PP&L's procedures for handling  
2 EDRs, minimal, when it's defined as minimal safety  
3 significance, per their procedures, means it is a paperwork  
4 glitch, a minor documentation problem, not a real hardware  
5 problem.

6 MR. LOCHBAUM: Another thing that leads us to  
7 believe that we're right was that the Massachusetts's  
8 Assistant Attorney General has had an independent consultant  
9 evaluate our Part 21 concerns, specifically for Pilgrim, but  
10 this independent consultant determined that the concerns  
11 were valid and confirmed what we had already thought.

12 At this point, we'd like to briefly go over what  
13 we think should be done now and what we want the NRC to do.  
14 Don is going to start this off for us.

15 MR. PREVATTE: We're asking that the NRC perform a  
16 thorough review of the current Susquehanna condition versus  
17 the regulatory requirements and versus common engineering  
18 sense to ensure that Susquehanna is safe.

19 Now, I realize that you've been doing that before,  
20 but I would suggest that in doing that, a safety system  
21 functional inspection type inspection be made, where you  
22 verify it yourself as opposed to taking PP&L's inputs at  
23 face value.

24 We would also like to see the NRC determine the  
25 generic impacts of this discovery on other BWRs and

1 potentially PWRs and independent on-site fuel storage  
2 facilities. As we said, there have been numerous changes  
3 made at Susquehanna as a result of our discoveries. Most of  
4 the other plants have not initiated any changes and they  
5 probably need to.

6 MR. LOCHBAUM: In addition, we'd also like the NRC  
7 to determine the Susquehanna condition at the time of our  
8 Part 21 report versus regulatory requirements. There's a  
9 big difference between where they are today and where they  
10 will be in the future and where they were at the time of our  
11 report.

12 Our contention is that PP&L should have reported  
13 this, not us. We shouldn't have had to have gone through  
14 this. We'd like you to confirm that.

15 We'd also like you to investigate PP&L's actual  
16 response to our discovery before we made the Part 21 report.  
17 We'll have to go into the details of that at a later date.  
18 We'd also like the NRC to investigate the counter-to-nuclear  
19 safety management attitudes at PP&L. We'll have to go into  
20 detail on that at a later date, also.

21 We'd like the NRC to bring this issue to closure  
22 as soon as practical. On a personal note, this has taken up  
23 a lot of time. I have another job and it's -- I just don't  
24 have time to be involved in this, but I have to.

25 Lastly, we'd like the NRC not to take our

1 positions or anything we've said at face value, but, on the  
2 other side of the coin, we don't want you to take what PP&L  
3 has said at face value, either.

4 We feel confident that if you look at the facts  
5 and these facts are examined impartially, our conclusions  
6 will be supported.

7 To go over those conclusions, first is that a  
8 design basis LOCA results in, directly results in a boiling  
9 spent fuel pool. This is not a separate issue. It's not a  
10 combination of two separate events. It's one event that  
11 results directly in a boiling spent fuel pool.

12 Also, our conclusion is that there is an inability  
13 to provide makeup to the boiling spent fuel pool and this  
14 results in meltdown of irradiated fuel outside of primary  
15 containment. Also, that a boiling spent fuel pool results  
16 in failure of safety-related equipment in the reactor  
17 building and also the loss of secondary containment for that  
18 building.

19 Loss of safety-related equipment in the building  
20 results in the meltdown of the fuel in the reactor core,  
21 failure of the reactor vessel, potential failure of the  
22 reactor vessel, and failure of primary containment.

23 All of these consequences above result in  
24 radiological consequences to the public thousands of times  
25 greater than is presently allowed by 10 CFR 100. Also, I

1 think you will conclude that PP&L did not and still is not  
2 satisfying their legal and ethical responsibilities.

3 MR. PREVATTE: That's the basis of our formal  
4 report.

5 MR. THADANI: Are there any questions?

6 [No response.]

7 MR. THADANI: I want to thank you very much,  
8 indeed, because it's very evident that you have spent a  
9 great deal of time doing a lot of analysis and probing into  
10 a number of areas. I'm very pleased that we've had this  
11 discussion.

12 It's always better, I think, to have face-to-face  
13 communication and I definitely appreciate also your having  
14 put this information in a fairly systematic fashion. I  
15 think this way it's easier to follow each issue in some  
16 fashion, making sure you look at all the information.

17 I'm sure you've spent a great deal of your time  
18 doing these studies and we do appreciate that. I assure you  
19 that we will take this information, look at it very  
20 carefully, as we will the information we receive from --  
21 we've been actually looking at the information from PP&L.

22 You have identified, at least in my mind, some  
23 issues, new issues that at least I wasn't aware of and we're  
24 going to take a look at those carefully, also.

25 You've made a lot of recommendations in terms of

1 how we should proceed. Most of them I basically agree with  
2 you on that that's what we ought to really do. The other  
3 thing is we would like to keep you informed at some  
4 intervals as to how things are moving.

5 If necessary, maybe we'd ask you to meet with us  
6 again if there's a need to clarify things.

7 MR. PREVATTE: We'd be happy to meet with you at  
8 any time.

9 MR. THADANI: We would move as quickly as is  
10 practical on this issue.

11 MR. LOCHBAUM: Do you have a timeframe that you're  
12 shooting at or a schedule?

13 MR. THADANI: I had honestly hoped that we would  
14 have come to closure by now on this issue, but it was  
15 critical that we hear you and take time to assess what  
16 you're telling us. I don't want to give you a date because  
17 I'd rather we do this job right and go at it. As soon as we  
18 have better information, we'll be happy to tell you about  
19 it.

20 I thank you also for trying to put it in the  
21 safety perspective. I will share with you I think it's not  
22 quite as significant risk as you think, but I think we  
23 better look at it carefully. I'm not drawing that  
24 conclusion, but that's the perception I have at this time.  
25 We will go through systematically.

1 Dick?

2 MR. CLARK: I think Mr. Thadani expressed the  
3 opinion of all of us. We'd really like to thank Don and  
4 Dave for taking the time and extending the effort to come in  
5 and meet with us today. As he said, I know we're going to  
6 carefully consider what you presented.

7 I'll send both of you a copy of the transcript  
8 when it's available.

9 Before I close this meeting, I'd like to ask if  
10 any of the observers or other attendees have any comments or  
11 statements that they wanted to make. Identify yourself.

12 MR. GUNTER: Paul Gunter, Nuclear Information  
13 Resource Service. I wonder if the two engineers would  
14 provide us with their conclusions of how this would apply to  
15 single-unit Mark I reactors. I know your experience could  
16 lend -- I understand PP&L had said that the makeup systems,  
17 for example, of the second unit would lend itself to a  
18 solution.

19 I'm wondering what your comment is on a single-  
20 unit Mark I.

21 MR. LOCHBAUM: Single-unit Mark I. I'd say it's a  
22 complex combination of the age of the plant, the regulations  
23 that were in effect at the time the plant was licensed, and  
24 who the architect engineer was. There are a number of  
25 factors that can effect the outcome.

1 I guess from my own personal perspective, I don't  
2 know of any Mark I plant BWR, Mark II plant BWR that's  
3 designed to avoid all these problems. As far as the single  
4 unit, you're less vulnerable with a single unit because you  
5 have equipment from the adjacent unit that may be able to be  
6 used.

7 So just from a relative risk standpoint, a multi-  
8 unit site is better off than a single-unit site.

9 MR. FLEISHMAN: A multi-unit site is better than a  
10 single-unit site.

11 MR. LOCHBAUM: Right, because there's equipment  
12 that can be used on the non-accident unit, potentially.

13 MR. PREVATTE: Not necessarily, but possibly.

14 MR. CLARK: Were there any other comments or  
15 statements?

16 [No response.]

17 MR. CLARK: If not, again, I would like to thank  
18 Don and Dave for meeting with us today. With that, this  
19 meeting is hereby closed.


20 [Whereupon, at 3:07 p.m., the meeting was  
21 concluded.]

22

23

24

25



REPORTER'S CERTIFICATE

This is to certify that the attached proceedings  
before the United States Nuclear Regulatory  
Commission  
in the matter of:


NAME OF PROCEEDING: Susquehanna Spent Fuel

DOCKET NUMBER:

PLACE OF PROCEEDING: Rockville, MD

were held as herein appears, and that this is the  
original transcript thereof for the file of the  
United States Nuclear Regulatory Commission taken  
by me and thereafter reduced to typewriting by me  
or under the direction of the court reporting  
company, and that the transcript is a true and  
accurate record of the foregoing proceedings.

Jan Rothrock  
Official Reporter  
Ann Riley & Associates, Ltd.



Handwritten scribbles and marks at the top right corner.



Small handwritten marks or characters on the right edge of the page.



Small handwritten marks or characters on the right edge of the page.



Small handwritten marks or characters at the bottom right corner.