

NUCLEAR REGULATORY COMMISSION

~~CONFIDENTIAL~~

In the Matter of:


SPENT FUEL ROD MODIFICATION	)	
(Channel Bowing at Dresden	)	DOCKET NOS. 50-237 SP
Spent Fuel Pool)	)	50-249 SP

DATE: April 20, 1981

PAGES: 722 thru 783 -A

AT: Chicago, Illinois

794 thru 942



ALDERSON

REPORTING

*TR01 S0/1*

400 Virginia Ave., S.W. Washington, D. C. 20024

Telephone: (202) 554-2345

8104240304

REGULATORY DOCKET FILE COPY

Docket # 50-237  
 Control # 8104240304  
 Date 4-20-81 of Document:  
 REGULATORY DOCKET FILE

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

-----X  
In the matter of: :  
: :  
SPENT FUEL ROD MODIFICATION : Docket Nos. 50-237 SP  
: 50-249 SP  
(Channel Bowing at Dresden :  
Spent Fuel Pool) :  
: :  
: :  
-----X

O'Hare Hilton Hotel  
Montgolfier Room  
O'Hare Intl. Airport  
Chicago, Illinois  
April 20, 1981

Hearing in the above-entitled matter commenced at  
1:00 P. M., pursuant to notice, before:

MR. JOHN WOLF, Chairman of the Atomic Safety &  
Licensing Board Panel.

MS. LINDA LITTLE,  
Member,

MR. FORREST J. REMICK,  
Member.

APPEARANCES:

MR. RICHARD J. GODDARD,  
NRC Staff Counsel;

MR. PAUL W. O'CONNOR,  
NRC Project Manager;

MR. HORACE K. SHAW,

REGULATORY DOCKET FILE COPY

1 NRC Senior Mechanical Engineer;

2 MR. DAVID STAHL,

3 MR. PHILIP STEPTOE, and

4 MR. ROB FITZGIBBONS,

5 appeared on behalf of Applicant  
6 Commonwealth Edison Company;

7 MS. SUSAN SEKULER,  
8 Illinois Department of Nuclear Safety;

9 MS. MARY JO MURRAY,  
10 Assistant Attorney General; and

11 MR. RICHARD HUBBARD,  
12 Technical Consultant, State of Illinois;

13 appeared on behalf of Intervenor  
14 State of Illinois.  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## C O N T E N T S

	WITNESS:	DIRECT	CROSS	REDIRECT	RECROSS	BOARD
1						
2						
3	Dennis O'Boyle	730				
4	by Mr. Stahl					
5	by Ms. Murray		735			
6	by Dr. Remick					780
7	by Mr. Goddard		790			
8	by Ms. Murray				792	
9	by Dr. Remick				794	793
10	by Ms. Murray					
11	by Mr. Stahl			796		
12	by Mr. Goddard				803	
13	by Ms. Murray				803	
14	by Dr. Remick					806
15	by Mr. Stahl			818		
16	by Ms. Murray				819	
17	Kin W. Wong					
18	by Mr. Steptoe	820				
19	by Ms. Murray		823			
20	by Dr. Remick					829
21	by Ms. Murray				837	
22	by Mr. Steptoe			839		
23	Carl R. Mefford					
24	by Mr. Steptoe	846				
25	by Ms. Murray		849			
26	by Mr. Steptoe			870		
27	by Ms. Sekuler				872	
28	by Dr. Remick					876
29	Ronald M. Ragan					
30	by Mr. Steptoe	877				
31	by Ms. Murray		880			
32	by Ms. Murray		885			
33	by Mr. Goddard		899			
34	by Mr. Steptoe			901		
35	by Ms. Murray				904	
36	by Dr. Remick					905
37	by Ms. Murray				914	
38	by Mr. Goddard				916	
39	by Ms. Murray				917	
40	James D. Gilcrest					
41	by Mr. Steptoe	919				
42	by Ms. Murray		922			

1 JUDGE WOLF: Good afternoon, ladies and  
2 gentlemen.

3 We are meeting here today in the matter of the  
4 Commonwealth Edison Company's application to modify its  
5 spent fuel pool at Dresden Station Units 2 and 3.

6 The matter that will be taken up this morning is the  
7 fuel channel bowing and the issue that has been raised  
8 around that question.

9 The Applicant has submitted written testimony  
10 regarding fuel channel bowing and the staff has responded.

11 To begin with, I would like to introduce the  
12 administrative judges who are making up this panel.

13 On my left is Dr. Linda Little, an environmentalist,  
14 and on my right is Dr. Forrest Remick, an engineer and  
15 physicist.

16 The clerk for the Board this morning is Mr. Paul  
17 Hamilton.

18 At this time I would like to ask counsel to state  
19 their appearance for the record, beginning with Mr.  
20 Goddard.

21 MR. GODDARD: I am the attorney for the NRC  
22 staff, Mr. Richard J. Goddard.

23 With me at counsel table on my right are Mr. Horace  
24 K. Shaw, the NRC staff's witness on the subject of fuel  
25 assembly channel bowing.

1           With me on my left is Mr. Paul W. O'Connor, the NRC  
2 staff's project manager for the re-racking of Dresden  
3 Station's Units 2 and 3.

4           MR. STAHL: Good morning, Judge Wolf. My name is  
5 David Stahl. I represent the Applicant, Commonwealth  
6 Edison Company.

7           With me at the table -- counsel table -- are Mr.  
8 Phillip P. Steptoe and Mr. Rob Fitzgibbons.

9           There are, also, a number of personnel employed by or  
10 consulting for Commonwealth Edison Company in this matter  
11 in the hearing room; and we will be calling most of them as  
12 witnesses this afternoon.

13           JUDGE WOLF: Thank you.

14           MS. MURRAY: Good afternoon, Judge Wolf. My name  
15 is Maryjo Murray. I am counsel for the State of Illinois,  
16 the Intervenor in this proceeding.

17           On my right is Richard Hubbard, the consultant for  
18 the State of Illinois, and on my left is Susan Sekular,  
19 also an attorney for the State of Illinois.

20           JUDGE WOLF: Thank you.

21           Are there any preliminary matters that we should take  
22 up at this time?

23           Mr. Goddard, do you have something?

24           MR. GODDARD: No, no preliminary matters.

25           However, I was advised by each of the administrative

1 judges today that they had not received their copies of the  
2 staff's testimony on this issue by mail.

3 Inquiry has revealed to me that both the attorneys  
4 for Applicant and for Intervenor did receive their copies.

5 I would like to know if there is anyone who at this  
6 time needs a copy of that testimony. I would be happy to  
7 provide one, if so.

8 (No response.)

9 MR. GODDARD: Apparently, there is not.

10 The staff has nothing further at this time.

11 JUDGE WOLF: I would like you to discuss for a  
12 moment the question of your answer to Board Question No. 2,  
13 if you would, please.

14 MR. GODDARD: As we indicated in the last  
15 conference call between the Board and all parties in this  
16 proceeding, the staff would move with all deliberate haste  
17 to provide the requested affidavits on this subject to the  
18 Atomic Safety and Licensing Board. Those affidavits were  
19 not ready as of the time I left my office this last Friday,  
20 the 17th of April. They will be provided to all parties  
21 and the Board as soon as they are available. I expect that  
22 to be within the coming week.

23 JUDGE WOLF: Thank you.

24 I believe the question was raised as to whether or  
25 not -- well, as to whether, if there were questions about

1 any of the affidavits to be submitted in response to Board  
2 Question 2, would we need another meeting; and if we do  
3 need another meeting, if the Board has further questions, I  
4 would like to announce that that meeting will be in  
5 Washington. At that time if the Board has questions, we  
6 will announce it sufficiently in advance to give you time  
7 to prepare for it.

8 MR. GODDARD: Thank you.

9 JUDGE WOLF: Mr. Stahl, do you want to proceed?

10 MR. STAHL: We are ready to proceed, Judge Wolf.

11 Well, there is one preliminary matter that, perhaps,  
12 we could take up at this point.

13 JUDGE WOLF: Yes.

14 MR. STAHL: Earlier today, Applicant provided to  
15 the staff and to the State of Illinois a General Electric  
16 document, which is entitled, "Design Study Summary.  
17 Subject, lower end plug friction coefficient test."

18 This is a document that General Electric advises us  
19 that they consider to contain proprietary information.

20 We have provided it to the other parties in this case  
21 on the understanding that this document will be subject to  
22 the protective order that has already been entered by the  
23 Board in this case; and I believe we have the agreement of  
24 both the staff and the State of Illinois that the document  
25 will be so treated as a proprietary document subject to the



1 protective order.

2 JUDGE WOLF: Very well. You will announce to the  
3 Board when you are about to use that material, so we can  
4 take the necessary steps to protect it?

5 MR. STAHL: Yes. We do not intend to make any  
6 use of this document in our presentation today, but we have  
7 been advised by the State of Illinois that at least one  
8 other document may be used by the State.

9 That document also contains proprietary information;  
10 and we will so advise the Board of the use -- of the  
11 advance use -- of any such document, so appropriate steps  
12 can be taken to continue the protection of the information  
13 in those documents.

14 JUDGE WOLF: Thank you.

15 MR. STAHL: With that out of the way, the  
16 Applicant is prepared to proceed today. We have filed  
17 prepared testimony of Messrs. O'Boyle, Mefford, Gilcrest  
18 and Ragan on the fuel bowing question -- the channel bowing  
19 question.

20 We have also provided an affidavit of Mr. Wong, and  
21 we will be presenting Revision No. 5 to the licensing  
22 report today, and that will be accomplished through Mr.  
23 Gilcrest.

24 I think that it would make more sense from our point  
25 of view -- and if the Board agrees -- we will proceed with

1 the testimony of Dr. O'Boyle; and we can call him to the  
2 stand for cross examination.

3 JUDGE WOLF: Very well; but before you do that,  
4 let's ask, Ms. Murray, if you have any preliminary matters.

5 MS. MURRAY: The only preliminary matter I had  
6 wanted to bring up was that as to proprietary documents,  
7 and that has been taken care of by Mr. Stahl.

8 JUDGE WOLF: Very well.

9 Mr. Stahl, you may proceed.

10 MR. STAHL: We will then ask Dr. Dennis O'Boyle  
11 to take the witness stand.

12 JUDGE WOLF: Mr. O'Boyle, will you raise your  
13 right hand, please? I want to swear you.

14 Will you stand up, please?

15 (The witness was thereupon  
16 duly sworn.)

17 JUDGE WOLF: Very well. You may be seated.

18 MR. STAHL: May we proceed?

19 JUDGE WOLF: Yes, you may.

20 MR. STAHL: Thank you.

21 DENNIS O'BOYLE

22 called as a witness by the Applicant, having been first duly  
23 sworn, was examined and testified as follows:

24 DIRECT EXAMINATION

25 BY MR. STAHL:

1 Q Dr. O'Boyle, would you please state your full name for the  
2 record?

3 A Dennis R. O'Boyle.

4 Q By whom are you employed, Dr. O'Boyle?

5 A Commonwealth Edison Company.

6 Q In what capacity are you employed?

7 A I am the Fuel Technology Engineer in the Nuclear Fuel  
8 Services Department.

9 Q Dr. O'Boyle, do you have before you a document entitled,  
10 "Testimony on dimensional changes of BWR fuel channels as a  
11 result of irradiation and on non-GE fuel bundles and  
12 channels?"

13 A Yes, I do.

14 Q Dr. O'Boyle, was this testimony prepared by you or under  
15 your supervision and control?

16 A Yes, it was.

17 Q And is the testimony contained in this document true and  
18 correct to the best of your knowledge and belief?

19 A Yes, yes, it is.

20 Q Do you have any changes that you would like to make in this  
21 prepared testimony at this time?

22 A No.

23 MR. STAHL: At this point, Presiding Judge Wolf,  
24 we would request that the prepared direct testimony of  
25 Dennis O'Boyle previously identified be incorporated into

1 the record as though it had been read.

2 JUDGE WOLF: Are there any objections?

3 Mr. Goddard?

4 MR. GODDARD: None from the staff, sir.

5 JUDGE WOLF: Ms. Murray?

6 MS. MURRAY: None from Intervenor.

7 JUDGE WOLF: Without objection, the testimony  
8 described by Mr. Stahl, which has been prepared by Dr.  
9 O'Boyle, will be received in the record as if read.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 MR. STAHL: Thank you. Before we render Dr.  
2 O'Boyle for cross examination, there are a couple of other  
3 questions that I think we ought to ask about a deposition  
4 that was taken of Dr. O'Boyle last week.

5 BY MR. STAHL:

6 Q Dr. O'Boyle, do you have the transcript of the deposition  
7 of Dennis O'Boyle that was taken in this matter on April  
8 15, 1981, in front of you?

9 A Yes, I do.

10 Q And have you reviewed that transcript since it was  
11 prepared?

12 A Yes, I have.

13 Q Are there any corrections that you would care to make in  
14 that transcript at this time?

15 A Yes, there are.

16 Q Will you please identify the page and the correction for  
17 the record, please?

18 A On Page 90, the last question, third line, the word  
19 "least," should be "test."

20 JUDGE WOLF: Pardon me just a minute. I am  
21 trying to locate that.

22 Have we been served with that?

23 MR. STAHL: I am not sure, Presiding Judge Wolf,  
24 if you have been served with that or not, or if the State  
25 has filed that deposition with the Board.

1           This was a deposition taken at the request of the  
2 State of Illinois. I am just not certain if they have  
3 filed that with the Commission.

4           JUDGE WOLF: Do you have it?

5           JUDGE REMICK: No.

6           JUDGE WOLF: We don't seem to have it.

7           MS. MURRAY: We have just received the original.  
8 It has not been filed with the Board yet.

9           JUDGE WOLF: Do you intend to file it, Ms.  
10 Murray?

11          MS. MURRAY: Yes. However, signature was not  
12 waived; and we don't have signature on it, I believe.

13          MR. STAHL: That is correct. We are making the  
14 corrections now. With these corrections, Dr. O'Boyle will  
15 be able to sign the deposition; and at that point I assume  
16 the State will then be filing it with the Commission?

17          MS. MURRAY: That is correct.

18          JUDGE WOLF: Very well.

19          MR. STAHL: There are only two or three short  
20 corrections that need to be made.

21          JUDGE WOLF: Fine. You may proceed now, Dr.  
22 O'Boyle.

23    A    (Continuing.) The second correction is on Page 109, about  
24 the middle of the page. The answer given was, "It should  
25 have no thickening, no effect on the bowing."

1           That answer should read, "It should have no effect on  
2 the bowing."

3           The third correction is on Page 123, the fifth line,  
4 there are two words given, "space or." That should read,  
5 "spacer."

6           Those are all of the corrections.

7           MR. STAHL: Thank you, Dr. O'Boyle.

8           At this time, we have nothing further of Dr. O'Boyle  
9 by way of direct examination, and tender Dr. O'Boyle for  
10 cross examination.

11           JUDGE WOLF: Ms. Murray, do you wish to cross  
12 examine Dr. O'Boyle?

13           MS. MURRAY: Yes, Judge Wolf.

14           Thank you.

15           CROSS EXAMINATION

16           BY MS. MURRAY:

17       Q     Dr. O'Boyle, on Page 3 of your testimony, the first full  
18 paragraph, about the middle of the paragraph, you state  
19 that the fuel channel is about 13-and-one-half-feet long  
20 and that it has a square cross-section of 5.278 inches  
21 inside diameter and .08 inch wall thickness.

22           Does this mean that the total outside dimension is  
23 5.358 inches -- pardon me -- 5.438 inches?

24       A     To that dimension must be added tolerances, but the 5.438  
25 is the basic outside dimension.

- 1 Q And what tolerances should be added?
- 2 A The manufacturing tolerances of 16 mils. A maximum  
3 outside dimension of 5.454.
- 4 Q Now, what is the cross-section, including the spacer button  
5 and the manufacturing tolerances?
- 6 A The spacer button dimension is .306. Adding that to 5.454,  
7 I get 5.760.
- 8 Q Dr. O'Boyle, if you will refer to Figure 4 in your  
9 testimony, I believe the spacer button is .309; is that  
10 correct?
- 11 A Yes. The dimension given is .309. I am three mils short.  
12 We can add three mils onto that. I was using .306. It  
13 should be .309.
- 14 Q Dr. O'Boyle, would you repeat for the record the total  
15 outside diameter at the spacer button, including  
16 fabrication tolerances?
- 17 A It would be, with that three mils added, 5.763.
- 18 Q Has anyone ever taken actual measurements of fuel channels  
19 before irradiation?
- 20 A Yes, they have.
- 21 Q Do they fall within these maximum limits that you have just  
22 given?
- 23 A These limits are based on the GE drawings, and the channels  
24 that we have under irradiation were provided by GE in about  
25 1970; and I am not aware of any measurements that were made



1 when those channels were first provided.

2 I am aware of channels that are provided today, and  
3 the channels that we received this year were measured  
4 extensively.

5 Q By whom?

6 A These channels were measured by Car-Tech.

7 Q GE channels were measured by Car-Tech?

8 A No. The channels that were provided this year were  
9 purchased from Car-Tech and they were measured by Car-Tech.

10 Q Referring back to the GE channels, you do not know then  
11 whether or not the GE channels actually fall within the  
12 fabrication tolerances; is that correct?

13 MR. STAHL: I will object to that question,  
14 unless we have a specification of which GE channels Ms.  
15 Murray is questioning the witness on at this time.

16 MS. MURRAY: The witness has stated that in 1970  
17 Commonwealth Edison purchased the channels from GE, and the  
18 measurements which he is referring to are based on GE  
19 drawings.

20 BY MS. MURRAY:

21 Q With reference to all GE channels which Commonwealth Edison  
22 has purchased for use in the Dresden 2 and 3 reactors, has  
23 anyone ever taken actual measurements of those channels?

24 A I don't have any knowledge whether or not GE has  
25 measured those channels.

1           Those channels were delivered, though, seven years  
2 before I joined Edison; and I would certainly assume that  
3 during manufacturing dimensions were recorded.

4       Q     But you have no actual knowledge of what those dimensions  
5 are; is that correct?

6       A     I am not aware that they have been -- that they have been  
7 measured and I haven't seen any measurements from ten years  
8 ago.

9       Q     So you don't know whether they fall within these tolerance  
10 ranges which you have given us; is that correct?

11      A     I have no reason to suspect that they don't.

12      Q     But you do not know for sure; is that correct?

13                   JUDGE WOLF: Just answer the question. You can  
14 say yes or no.

15      A     No, I don't know based on first-hand information.

16   BY MS. MURRAY:

17      Q     Referring to your testimony on Page 2 -- actually, that's  
18 beginning at the bottom of the first page, where you state,  
19 "Normal operational pressure gradients and neutron flux  
20 gradients cause the dimensions of the channel to change  
21 slightly from the original as-fabricated dimensions."

22                   Would you please quantify the word "slightly"?

23      A     By "slightly," I meant from the original as-fabricated  
24 dimensions in the terms of the flux gradient over the  
25 13-and-a-half foot length of the channel, the bow -- the

1 maximum bow -- being .42 inches. I would consider that to  
2 be within the range of slightly in an overall length of  
3 13-and-a-half feet.

4 The bulge on the order of 60 mils in an overall  
5 dimension of 5.454, I consider that to be slightly.

6 I meant to imply in that statement that the basic  
7 geometry of the channel is maintained.

8 Q Is it not correct in a straight fuel channel storage  
9 position that there is a minimum clearance of .346 inches  
10 total or .173 inches on each side? That is as referred to  
11 on Page 2 of Mr. Gilcrest's testimony.

12 THE WITNESS: Could you repeat that?

13 JUDGE WOLF: Would you repeat it, please?

14 (The question was thereupon read  
15 by the Reporter.)

16 MS. MURRAY: Excuse me. That should read .346  
17 inches.

18 MR. STAHL: Excuse me, Dr. O'Boyle. Do you have  
19 a copy of Dr. Gilcrest's testimony in front of you?

20 THE WITNESS: No, I don't.

21 His original?

22 MR. STEPTOE: Down at the bottom.

23 MR. FITZGERALD: It's Page 2 at the bottom.

24 THE WITNESS: Yes.

25 MR. STAHL: Perhaps, we could have the question

1 read back.

2 JUDGE WOLF: Do you need it read again?

3 A I believe the dimension I see on Page 2 is 0.73, and I have  
4 noted a dimension of 0.70.

5 BY MS. MURRAY:

6 Q Dr. O'Boyle, are we referring to the same Page 2, Mr.  
7 Gilcrest's testimony, the last two lines?

8 A Yes.

9 Q The minimum clearance between the spent fuel channel and  
10 the wall of the storage position is determined to be .346  
11 inches total or .173 inches on each side?

12 A Yes. I thought you said .170 and I read .173.

13 Q Thank you. Now, the fuel will be centered in the storage  
14 position; is that correct?

15 A The lower tie plate will be centered in the bottom of the  
16 storage position. The rest of the bundle is free to move  
17 from side to side.

18 Q So the minimum clearance for the bow will be the .173  
19 inches; is that not correct?

20 A No. It would be larger than that.

21 Q How much larger?

22 A Since the bundle can move to the left and the right at the  
23 top, that gives you additional distance over which it can  
24 move.

25 If the bundle were centered, then the clearance of

- 1 .170 would apply.
- 2 Q .173?
- 3 A .173.
- 4 Q Now, given this clearance of .173, would you still be  
5 willing to refer to the change as slight in terms of the  
6 maximum bow that has been measured of .420?
- 7 A My testimony says, "Slightly from the original  
8 as-fabricated dimension"; and, yes, I would stay with  
9 slight in that.
- 10 Q Slight in terms of the 13-and-a-half feet, correct, slight  
11 in terms of the amount of clearance?
- 12 A The testimony doesn't say that.
- 13 Q Would you be willing to say that?
- 14 A In terms of the clearance, no, it certainly would not be  
15 slight.
- 16 Q Thank you. Going back to a statement you just made -- and  
17 I can't quote you exactly -- but it referred to the ability  
18 of the bowed assembly to move back in the storage position  
19 so there was more clearance than .173 inches?
- 20 A Yes.
- 21 Q Isn't it correct that independent of the bow problem, there  
22 will be interference between the lead-in clip and the  
23 spacer button?
- 24 A When you say, "there will be" --
- 25 Q Could be?

- 1 A There could be if the maximum dimensions of the channel  
2 were put in the minimum storage position hold; there could  
3 be interference.
- 4 Q Independent of the bowing bulge; is that correct?
- 5 A That is correct.
- 6 Q Dr. O'Boyle, when did you first learn about fuel channel  
7 bowing?
- 8 A When did I personally?
- 9 Q That's correct.
- 10 A The first measurements of bow that I am aware of, that I  
11 became aware of, were made by GPU in 1977; and that's the  
12 first time, to my recollection, that I became aware of bow.
- 13 Q What did GPU measure?
- 14 A The bow of irradiated channels.
- 15 Q Whose channels were they?
- 16 A GPU channels.
- 17 Q Where were these measurements taken?
- 18 A I believe it was Oyster Creek.
- 19 Q Is that a BWR?
- 20 A Yes.
- 21 Q Was it GE fuel?
- 22 A I am not sure whose fuel it was.
- 23 Q Do you know if they were Car-Tech channels that were  
24 measured?
- 25 That is C-a-r-T-e-c-h.

1 A Your question again?

2 Q Do you know if they were Car-Tech channels that were  
3 measured by GPU at Oyster Creek in 1977?

4 A I am quite certain they were not.

5 Q Do you know how many channels were measured?

6 A About 25.

7 Q Do you know what the maximum bow measured was?

8 A To the best of my recollection, 230 mils.

9 Q Was that bow plus bulge or just bow?

10 A I am not certain.

11 Q Is it possible to measure bow independent of bulge?

12 A Yes.

13 Q In the channels which you have referred to as being  
14 measured, I think the best description is on Page 9 of your  
15 testimony.

16 Were these measurements of bow plus bulge?

17 A The discussion on Page 9 in which I give dimensions, these  
18 are as stated in the testimony, bow plus bulge deformation.

19 Q Do you know from the measurements what percentage of this  
20 bow plus bulge is bow?

21 A That can be determined easily for each individual channel.  
22 We get out a reading of bulge and we get independently a  
23 reading of bow.

24 Q Do you know what your largest measurement -- independent  
25 measurement -- of bow was?

1 A Bow only?

2 Q That's correct.

3 A It would be very close to 0.360 inches.

4 Q Isn't it correct that bulge has been measured up to 110  
5 mils?

6 A I am not certain. I don't believe we have seen any bulges  
7 that large in the channels that we have measured.

8 MS. MURRAY: I would like to have this marked as  
9 Intervenor's Document No. 1, for identification only.

10 (The document was thereupon  
11 marked Intervenor's Exhibit  
12 No. 1 for identification  
13 as of April 20, 1981.)

14 BY MS. MURRAY:

15 Q Dr. O'Boyle, this is a document that has --

16 MR. STAHL: Excuse me. Presiding Judge Wolf, I  
17 would like to have the opportunity to at least examine this  
18 document before the witness sees it.

19 JUDGE WOLF: Yes. Since you don't have copies,  
20 would you show it to the parties, please? Even though you  
21 don't introduce it, you should prepare copies for the other  
22 parties.

23 MR. GODDARD: Thank you.

24 MR. STAHL: I would just like the record to  
25 reflect my objection to asking the witness a question about



1 this isolated document, since the document, on its face,  
2 appears to be part of a larger document.

3 In the upper right-hand corner there is a notation  
4 that it is Page 5; and it is possible, taken out of context,  
5 that this document may be misleading.

6 JUDGE WOLF: Ms. Murray, where did you obtain  
7 this document?

8 MS. MURRAY: We obtained this document from  
9 Commonwealth Edison. It's document No. 1788. We most  
10 likely have the first five pages.

11 If Commonwealth Edison would like to review their own  
12 document --

13 JUDGE WOLF: But it's something you obtained on  
14 discovery from Commonwealth Edison?

15 MS. MURRAY: That is correct.

16 MR. STAHL: Judge Wolf, I am not questioning the  
17 authenticity of the document.

18 All I am saying is there may have well been  
19 information in the other four pages of this document which  
20 would be very helpful to Dr. O'Boyle to also examine while  
21 he is answering questions about this page. Perhaps we can  
22 see if Dr. O'Boyle needs that assist, and maybe the problem  
23 won't arise.

24 MS. MURRAY: We will see if he recognizes the  
25 document.

1 BY MS. MURRAY:

2 Q Dr. O'Boyle, I am handing you Intervenor's Exhibit No. 1  
3 for identification. It was obtained through discovery from  
4 Commonwealth Edison.

5 Do you recognize that document?

6 A Yes, I do.

7 Q Do you recognize the handwriting in that document?

8 A Yes, I do.

9 Q Whose handwriting is it?

10 A It looks like Ed Armstrong's handwriting.

11 Q Who is Ed Armstrong?

12 A He is a Commonwealth Edison employee working in Nuclear  
13 Fuel Services.

14 Q Are you his supervisor?

15 A No, I am not.

16 Q In what way do you know Mr. Armstrong?

17 A We have a working relationship in Nuclear Fuel Services,  
18 but he doesn't work for me. He is in a different group.

19 Q And you don't work for him?

20 A That is correct.

21 Q Thank you. Now, Dr. O'Boyle, I will repeat my question. I  
22 will rephrase it.

23 Has there ever been a measurement of bulge of 110  
24 mils?

25 A No, there has not, that I am aware of.

1           This document does not reflect measurements.

2   Q    What does it reflect, in your opinion?

3   A    It reflects estimates of possible bow and bulge. It does  
4       not represent measurements.

5           You will note that the 110 mils applies to Dresden  
6       2; and as of the date of this document, there were no  
7       measurements at all made on any Dresden channels.

8   Q    Who made the estimates, do you know?

9   A    These estimates are in a document, and I am quite certain  
10       this is Ed Armstrong's writing, and I am also fairly  
11       certain that he discussed these estimates with me to get my  
12       idea of what they might be.

13           You might also note from this document for Dresden 2  
14       that the total bow plus bulge estimated is 400 mils, which  
15       is less than the amount that was measured.

16   Q    Isn't it correct, though, Dr. O'Boyle, that the estimate  
17       for Quad Cities 1 and 2 is 350 mils; and, in fact, there  
18       was a fuel channel from Quad Cities that was measured at  
19       420 mils bow plus bulge?

20   A    Yes, that is true. Again, consider the date of the  
21       document. We did not have a complete set of measurements  
22       from Quad Cities at the time this document was written.

23   Q    In your opinion, is it possible that bulge could go as high  
24       as 110 mils?

25   A    In the D-2 channels, which are unique due to their time of

1 manufacture, I would expect that it is possible to get  
2 bulge greater than 60 mils.

3 Q How high would you expect the bulge to go?

4 A I would believe the 110 mils is not unreasonable. I would  
5 prefer to make the measurements at this point rather than  
6 estimate it.

7 Q You stated, I believe, that 110 would not be unreasonable;  
8 is that what you said?

9 Could we have what he said read back, please?

10 (The answer was thereupon read  
11 by the Reporter.)

12 BY MS. MURRAY:

13 Q When you are stating that you think that 110 mils is not  
14 unreasonable, is that the highest estimate that you would  
15 make for bulge?

16 MR. STAHL: I object. That is not an estimate  
17 that the witness made.

18 MS. MURRAY: He just stated 110 mils was not  
19 unreasonable and he said it's not a measurement.

20 MR. STAHL: My objection is that the witness did  
21 not testify that he would estimate that the bulge could  
22 approach 110 mils.

23 He responded to a question, "Would you consider that  
24 unreasonable?" He said no, he would not consider that  
25 unreasonable; but it is not the witness's estimate.

1                   That is the basis for my objection.

2                   JUDGE WOLF: We will sustain that. If you wish  
3 to make an estimate, you may; or you may reframe your  
4 question.

5                   MS. MURRAY: Thank you, Judge Wolf.

6 BY MS. MURRAY:

7 Q    When you state 110 mils is not unreasonable -- strike  
8 that.

9                   What would be your estimate of maximum bulge in the  
10 Dresden 2 channels?

11                  MR. STAHL: I object, Judge Wolf. This has been  
12 asked and answered.

13                  The witness stated that it's possible to get bulge in  
14 excess of 60 mils. He said that beyond that he was not  
15 willing to estimate; he would prefer to measure.

16                  I believe he has already responded to the question.

17                  JUDGE WOLF: Well, if you have reservations about  
18 making an estimate, you may state that; but let's move on  
19 and get the answer.

20 A    I do have reservations about making an estimate.

21                  I would expect that it could exceed 60 mils.

22 BY MS. MURRAY:

23 Q    Then, Dr. O'Boyle, you stated that the maximum bow that was  
24 measured would be around 360 mils?

25 A    Yes.

1 Q Is it possible then with the Dresden 2 fuel, because of its  
2 unique characteristic which you referred to, the bulge plus  
3 bow could be greater than 420 mils?

4 A I believe that's unlikely, based on the fact that the D-2  
5 fuel channels will not be used as extensively as the Quad  
6 Cities channels.

7 We have decided to retire those channels, and they  
8 will not be put back in to achieve the same high exposures  
9 as the Quad Cities channels.

10 Q Why will they be retired before they receive that same high  
11 exposure?

12 A They are unique, in that they have a higher corrosion rate  
13 than the Quad Cities channels; and we prefer not to have  
14 channels in that have this higher corrosion rate.

15 Q What corrodes?

16 A The zircaloy 4.

17 Q I am sorry. The zircaloy?

18 A 4.

19 Q That is the zircaloy in the channel?

20 A Yes.

21 Q Was that taken into consideration in determining the --  
22 strike that.

23 How many cycles of irradiation are the Dresden 2 fuel  
24 channels going to be going through?

25 A I don't understand your question. An average, a minimum, a

1 maximum?

2 Q You stated that they won't be used as extensively as the  
3 channels at Quad Cities.

4 A Yes.

5 Q What is the average number of cycles of irradiation that  
6 they will be put through?

7 A The average number is three or four cycles.

8 Q Maximum?

9 A I would have to examine the records of 800 or so channels  
10 to answer that. For all practical purposes, I think four  
11 is a maximum. There might be a few that went further. I  
12 can't -- I am almost certain there aren't any that have  
13 gone beyond four cycles.

14 Since we are not re-using them, there no longer is  
15 any possibility that they go beyond four.

16 Q How many cycles of irradiation did the fuel that was  
17 measured for bowing at Quad Cities go through, on average?

18 A Do you mean fuel or channels?

19 Q Fuel channels.

20 A There were some channels in that group that went five  
21 cycles; and, in fact, the maximum bow channel was one that  
22 was in for five cycles.

23 Q Is it correct that bowing increases with each cycle of  
24 irradiation if the channel is in the same location in the  
25 core?

1 A No, not necessarily.

2 Q Why?

3 A Bow is the function, primarily, of the fluence in a fast  
4 neutron flux gradient; and bow will continue if the  
5 channels are left in the peripheral region of the core, but  
6 should not continue if left in the mid-section of the core.

7 Q Did the channel that had bowed 420 mils at Quad Cities go  
8 through five cycles in the periphery of the core?

9 A No. It went through four cycles in the periphery of the  
10 core, which is unusual.

11 Q Is it possible that one of the Dresden 2 fuel channels  
12 could go through a maximum of four cycles in the periphery  
13 of the core?

14 A It is nearly impossible; under no normal circumstance would  
15 that happen.

16 Q Let's go back to the history of fuel channel bowing. You  
17 stated the first measurements were taken by GPU along about  
18 1977.

19 When were the next measurements taken, do you know,  
20 in the United States?

21 A I believe GPU took two sets of measurements, so the next  
22 set would be later GPU, followed by Northern States Power.

23 Q When was the second set of GPU measurements taken?

24 A I can't give you a date. Some time after 1977.

25 Q Do you know when the Northern States Power measurements



1 were taken at Monticello?

2 A The measurements that I referred to in my deposition were  
3 taken in 1979. I cannot testify with certainty that they  
4 might not have started in late 1978, but the bulk of the  
5 ones that I looked at and analyzed were made in 1979.

6 Those were the first set of data on channel bow that,  
7 in my opinion, could be analyzed with respect to the rack  
8 interference problem.

9 Q When were the racks, the high-density racks for the Dresden  
10 2 and 3 pools, designed?

11 A That is Mr. Gilcrest's area, but I believe it was 1977.

12 Q Do you know when the manufacturers of the tubes and racks  
13 were hired to construct these tubes and racks?

14 A In reply to your previous question, the first licensing  
15 report is dated December 30, 1977. So I believe 1977 is  
16 correct.

17 MS. MURRAY: Could I have my second question read  
18 back, please?

19 (The question was thereupon read  
20 by the Reporter.)

21 A That is not in my area, and I don't know when they were  
22 hired.

23 BY MS. MURRAY:

24 Q They were, in all probability, hired after the racks were  
25 designed; is that correct?

1 A Who are you asking about being hired?

2 Q I am asking about Brooks and Perkins and Leckenby.

3 A I have no idea when they were hired.

4 Q Referring to your first full paragraph at the top of Page 7  
5 in the second sentence, "The recommendations relating to  
6 the location history of fuel channels in the reactor core,"  
7 your second sentence reads, "The purpose of these  
8 recommendations was to eliminate the potential of  
9 interference between the channels and the reactor control  
10 blades."

11 Is there a potential for interference with the  
12 reactor control blades and bowed fuel channels?

13 A Yes, there is.

14 Q Is it known how much bow would impede a control rod from  
15 inserting?

16 A That is a reactor design question, and I can't give you a  
17 number.

18 Q Is it likely that you knew about the existence of fuel  
19 channel bowing before the racks -- high-density racks --  
20 for Dresden 2 and 3 were designed?

21 MR. STAHL: I object to the question insofar as  
22 the question is whether it is likely.

23 Either the witness knows or does not know. Other  
24 than that, it calls for speculation.

25 JUDGE WOLF: I will sustain that. Eliminate the

1 word "likely."

2 BY MS. MURRAY:

3 Q Dr. O'Boyle, you stated that GPU made measurements of fuel  
4 channel bowing in 1977 and that's when you became aware of  
5 it, and that the racks were designed as of December 30,  
6 1977.

7 Did you know about fuel channel bowing before the  
8 racks were designed?

9 A We are talking about the same time period in 1977, and I  
10 wasn't aware of the racks being designed until 1979. So  
11 which came first, I have no idea.

12 I knew about bow long before I knew about the  
13 high-density racks.

14 Q Then no one ever asked you what size the racks or the rack  
15 storage positions would have to be to accommodate the fuel  
16 assemblies?

17 A No one asked me that. I didn't have any discussions about  
18 that until until 1980.

19 MS. MURRAY: I would like to have this marked as  
20 Intervenor's Exhibit No. 2, for identification only.

21 (The document was thereupon  
22 marked Intervenor's Exhibit  
23 No. 2 for identification  
24 as of April 20, 1981.)

25 JUDGE WOLF: Off the record for a minute, please.

1 (There followed a discussion  
2 outside the record.)

3 (Intervenor's Exhibits Nos. 1 and 2 for  
4 identification were thereupon re-marked  
5 as Intervenor's Exhibits Nos. 14 and 15  
6 for identification as of April 20, 1981.)

7 JUDGE WOLF: Back on the record.

8 BY MS. MURRAY:

9 Q Dr. O'Boyle, I am handing you what has been marked as  
10 Intervenor's Exhibit No. 15 for identification.

11 Would you look at it and tell me if you have ever  
12 seen that document before?

13 A Yes, I have.

14 Q When did you first see that document?

15 A About a week ago.

16 Q Keep it for a moment.

17 In what context did you first see this document; why?

18 A That was given to me by Mr. Steptoe following the  
19 deposition of Mr. Mefford of GE.

20 Q So up until a week ago you didn't know that GE had any fuel  
21 storage requirements for bowed fuel; is that correct?

22 A Up until -- no. Up until a week ago I was not aware of the  
23 existence of this document.

24 Q Did you know that GE had fuel storage requirements for  
25 bowed fuel channels?

1 A I wasn't aware of any written recommendations. I had never  
2 seen anything from GE, but that is not my area.

3 The whole area of rack design is out of my area, and  
4 I wouldn't have any occasion to see any documents on  
5 storage rack design or recommendations.

6 Q Dr. O'Boyle, what other dimensional changes take place in  
7 fuel channel assemblies besides bow and bulge?

8 A Twist and growth.

9 Q Would you explain twist, please?

10 A Twist is the radial re-orientation of the top of the  
11 channel with respect to the bottom with reference to a  
12 center line of the channel.

13 Q And how does that affect insertion of the fuel channel  
14 assembly into a high-density storage position?

15 A I would expect it to have almost no effect, unless the  
16 twist were very large.

17 Q What do you mean by "very large"?

18 A Perhaps 200 mils.

19 Q What is the largest amount of twist that has been measured,  
20 to your knowledge?

21 A To my knowledge, about 30 mils or so. That's the basis  
22 for my saying it has no effect.

23 Q Where did that figure come from, 30 mils?

24 A From measurements that were made on Quad Cities channels.

25 Q Wasn't there a measurement at Quad Cities of 62 mils of

1 twist?

2 A Not that I recall, but even 62 mils would have no effect  
3 on insertion.

4 Q Did Mr. Armstrong ever talk to you about twist measurements  
5 that were made at Quad Cities?

6 A Yes.

7 Q What did he tell you, do you recall?

8 A We discussed what effect, if any, twist might have on  
9 insertion; and I asked him to look at that geometrically  
10 and to consider the effect of twist when added to the  
11 maximum bow plus bulge, to see if there would be any effect  
12 on the distortion toward the storage racks.

13 He did that analysis, and our conclusion was that  
14 there is no significant effect of the maximum twist when  
15 you have the large bows.

16 Q Why?

17 A Because twist doesn't at all move the side of the channel  
18 closer to the side of the storage rack. If you imagine the  
19 side bowed out -- pardon me, bulged out -- and you rotate  
20 it, it doesn't move closer to the wall.

21 Q Does twist interfere with the way the lower tie plate is  
22 seated in the rack?

23 A No.

24 Q Does it interfere with the way the fuel channel sets at the  
25 lead-in clip?

1 A With respect to what?

2 Q If there is twist, how does the lower tie plate sit in the  
3 rack?

4 A The bottom -- the lower end plug is conical in design, so  
5 as it is put down, it can assume any orientation.

6 Q In your conversations with Mr. Armstrong about twist, did  
7 you ever discuss measurements of twist?

8 A Yes.

9 Q Did you ever see any documentation on the measurements?

10 A I have seen measurements of twist. If that's  
11 documentation, yes, I have seen twist measurements.

12 Q What is the highest value you have seen?

13 A The highest value I recall is on the order of 30 mils.

14 Q Is this information on Quad Cities 1980 tests?

15 A Yes.

16 MS. MURRAY: I would like this marked as  
17 Intervenor's Exhibit No. 16 for identification.

18 (The document was thereupon  
19 marked Intervenor's Exhibit  
20 No. 16 for identification  
21 as of April 20, 1981.)

22 BY MS. MURRAY:

23 Q Dr. O'Boyle --

24 MR. STAHL: Excuse me, Ms. Murray. We have not  
25 seen the exhibit. May we, please?

1 MS. MURRAY: I assume you had, since it was your  
2 exhibit.

3 MR. STAHL: If we had received notice that you  
4 were going to use this, we would have had it available.

5 BY MS. MURRAY:

6 Q Dr. O'Boyle, I am handing you what has been marked as  
7 Intervenor's Exhibit No. 16 for identification.

8 Will you look at it and tell me if you have ever seen  
9 this document before?

10 A I don't remember ever having read this document. It looks,  
11 again, like Ed Armstrong's writing.

12 Q And this document refers to the 1980 Quad Cities  
13 measurements of twist?

14 A I would have to read it to --

15 Q Take the time.

16 A After reading this document, to the best of my knowledge,  
17 this is the first time I have read this document.

18 (Indicating.)

19 This looks like it's from some working papers from  
20 Mr. Armstrong's file that were never circulated or never  
21 put out in a memo or never reviewed internally; and I find  
22 this isn't dated. I have no idea where this is from.

23 Q Did Mr. Armstrong do the measurements of twist at Quad  
24 Cities in 1980?

25 A No.



1 Q Who did?

2 A They were done under the direction of the Nuclear  
3 Engineering Staff at Quad Cities.

4 Q Who is the head of the Nuclear Engineering Staff?

5 A At that time Brian Strub, with no "e".

6 Q What relation to these measurements did Mr. Armstrong have?

7 A Mr. Armstrong works in Nuclear Fuel Services, and some of  
8 these measurements were provided to him by the Nuclear  
9 Engineering Staff at Quad Cities, but he did not direct  
10 those measurements.

11 Q So before today you did not know that the largest value of  
12 twist could be up to 62 mils?

13 A I --

14 MR. STAHL: I object to that. There is no  
15 foundation in the record that, in fact, that is the case.

16 JUDGE WOLF: Well, I think the witness can  
17 answer. He either knows or does not know the answer.

18 A My best recollection of twist was plus or minus 30 mils;  
19 and I have just reviewed the deposition -- the first  
20 deposition -- and I note I used the same figure in there,  
21 plus or minus 30 mils; and I, obviously, didn't see Mr.  
22 Armstrong's memo in which he came across one that was  
23 larger.

24 His memo does state, though, that that's very  
25 unlikely and he does state in there that most of the twist

1 is a couple dozen mils; and that is my recollection. I  
2 agree with that observation.

3 BY MS. MURRAY:

4 Q If there was twist up to plus or minus 60 mils, would that  
5 affect your testimony as to interference from twist?

6 A No.

7 Q Referring to your testimony at the bottom of Page 6 and top  
8 of Page 7, you talk about the recommendations which GE  
9 issued, first limiting the exposure of BWR fuel channels to  
10 33,000 megawatt days per standard ton, and your second  
11 recommendation in 1979 relating to the location and history  
12 of the fuel channels in the reactor cores.

13 No. 1, do you know why GE issued the recommendation  
14 which limited the exposure of the BWR fuel channels to 33  
15 megawatt days per standard ton?

16 A I believe that was based on the potential for interference  
17 between bowed channels and reactor control blades, and that  
18 potential was evaluated based on calculations or  
19 expectations of channel deformation in cores as opposed to  
20 measurements.

21 Q Do you know why GE made the further recommendations on the  
22 location history of the fuel channels in 1979, measurements  
23 which you referred to on Page 7?

24 A Yes.

25 Q What is the reason?

1 A These recommendations were made so as to minimize the  
2 possibility for the buildup of bow during successive cycles  
3 of irradiating channels in peripheral core locations.

4 Q You state beginning in Line 5 on Page 7 that after  
5 reviewing the early channel deformation data obtained by  
6 other utilities, that you concluded that the GE  
7 recommendations limiting channel exposure were  
8 unnecessarily conservative.

9 Does Commonwealth Edison follow the recommendations  
10 limiting the exposure of BWR fuel channels to 33 megawatt  
11 days per standard ton?

12 A In the channels that have been measured we do not follow  
13 that recommendation.

14 Q Are you following the GE recommendations that were made in  
15 1979 relating to the location history of the fuel channels?

16 A That recommendation is one of the recommendations that is  
17 used in the review of the core loading patterns.

18 Q And how long have you been doing this?

19 A I believe since 1980.

20 Q So since 1980 you have been using the recommendations on  
21 the location of fuel channels in the core when you review  
22 your core loadings; is that a good way to state it, or can  
23 you state it better for me?

24 A That's fine.

25 Q Why didn't you start using these recommendations in 1979?

1 A They might have come out in December. I don't know what  
2 month they were issued.

3 Q How do you follow the 1979 recommendations; what do you do?

4 A Which 1979 recommendations?

5 Q The one at the top of Page 7 that we have been talking  
6 about.

7 A When we review a core loading plan, we look at the location  
8 of the bundles in the core. That, again, is somewhat  
9 outside of my area. That's more in the nuclear engineering  
10 area of core reload, and I can't tell you what we all do  
11 when we review core loading, but one of the things that we  
12 do do is look at the channels.

13 Q And if the channels are deformed, what do you do? How do  
14 you look at the channels?

15 A We would look at their history and determine how many  
16 cycles they had been irradiated in peripheral positions.

17 Q And?

18 A And if that number was unacceptable, we could either move  
19 the bundle to a different core location or have that  
20 channel removed and replaced with another channel or we  
21 could discard that channel and put a new channel on that  
22 bundle. So we would have many options.

23 Q Who did you purchase your channel measuring system from?

24 A We purchased that from General Electric Company.

25 Q You state that this was the first commercial system built

1 by General Electric.

2 Were there other systems available before --

3 A There was --

4 Q -- 1979?

5 A I am sorry.

6 Q Go ahead.

7 A There was one other system on the market at about the same  
8 time.

9 Q Whose system was that?

10 A That was a system offered by Car-Tech.

11 Q So by 1979 Car-Tech was offering a channel measuring  
12 system?

13 I am using your date of October, 1979, the first full  
14 paragraph at the bottom of Page 7.

15 A That's when the specification was written, not when it was  
16 purchased.

17 Q It was purchased in April of 1980; correct?

18 A Yes. At that time there were two.

19 Q Were there two in October of 1979, two channel measuring  
20 systems available -- I am sorry. Strike that.

21 How long has the Car-Tech channel measuring system  
22 been available?

23 A I believe since 1979.

24 MS. MURRAY: These are a series of documents that  
25 you provided to us.

1 I would like to have this marked as Intervenor's  
2 Exhibit No. 16.

3 JUDGE WOLF: Off the record.

4 (There followed a discussion  
5 outside the record.)

6 (The document was thereupon  
7 marked Intervenor's Exhibit  
8 No. 16 for identification  
9 as of April 20, 1981.)

10 JUDGE WOLF: All right. We may go back on the  
11 record.

12 BY MS. MURRAY:

13 Q Dr. O'Boyle, would you please refer to the document -- the  
14 series of documents which I have just handed you  
15 and tell me: Is that your handwriting?

16 A Yes, it is.

17 Q On all five documents?

18 A Yes.

19 Q The documents, for the record, are numbered 1941, 1868,  
20 1869, 1872, and 1891.

21 A Yes.

22 MS. MURRAY: At this time I would like to offer  
23 this exhibit into evidence.

24 Do you have any objections?

25 MR. STAHL: May I review the document for a

1 moment?

2 THE WITNESS: I note from this document --

3 MR. STAHL: Excuse me. I am not sure if there is  
4 a question pending. I have been asked by Ms. Murray  
5 whether I have any objections to this document going into  
6 evidence.

7 I am not sure --

8 MS. MURRAY: There are no questions pending.

9 MR. STAHL: There are no questions pending, okay.

10 Well, it is apparent that Dr. O'Boyle has prepared  
11 all of these documents. I have no objection to their  
12 admission into evidence.

13 I would only note, however, for the record, that what  
14 has been marked as one exhibit appears to be three separate  
15 documents prepared on three separate dates.

16 Subject to that statement, I have no objection to  
17 their admissibility into evidence.

18 THE WITNESS: I note --

19 MR. STAHL: There is no question pending.

20 BY MS. MURRAY:

21 Q Dr. O'Boyle, these are a series of several different  
22 documents in your handwriting and I just have a few  
23 questions on each of them.

24 If you will refer first to document No. 1872, which  
25 is the fourth page.

1           Is it correct to state that, referring to the center  
2 of the page, your estimate of the number of fuel channels  
3 that would stick, a rough estimate, would be 11 percent?

4       A     That page that you referred to are some notes that I made,  
5 and I would characterize that page as a  
6 back-of-the-envelope calculation, on which there were no  
7 data.

8           This estimate, essentially, came right out of my head  
9 and is -- I certainly would not stand by the estimate as  
10 given there. This is just scratching that was done based  
11 on no measured data.

12       Q     However, at the top of the page it does state in your  
13 handwriting, "Estimate of sticking channels based on bow  
14 data of 12/5/80, and dimensional analysis, N. F. S., Ed A."  
15 I assume that is Ed Armstrong, "Ed A., 12/22/80."

16           Would you still say your estimate of 11 percent was  
17 based on no data at all?

18       A     I am reviewing the estimate.

19           This estimate is based on the measured bow data, but  
20 the figures that I picked out of the air are the  
21 interference figures that are based on the rack dimensions,  
22 and I didn't have any available measurements.

23           So part of this calculation is based on not the bow  
24 data but the other part is based on figures right out of  
25 the air. So this number has no relevance.



1 Q What do you mean right out of the air?

2 A It means I looked at the range of possible dimensions on  
3 the drawing and then picked some intermediate position.

4 Q What drawing are you referring to?

5 A The drawings of the rack, the storage rack.

6 Q Whose drawings?

7 A These were dimensions that were provided to me by Ed  
8 Armstrong, and I believe he obtained those from the Dresden  
9 drawings, but I have no assurance that he was using the  
10 latest drawings or relevant drawings.

11 This is not our job, to analyze the high-density  
12 storage rack dimensions, and I have no assurance what we  
13 have is --

14 Q At this point what would be your calculation?

15 MR. STAHL: Excuse me, excuse me. I don't  
16 believe the witness has finished his answer.

17 MS. MURRAY: I am sorry.

18 A (Continuing.) I have no assurance that the drawings he had  
19 were the drawings that were used in fabricating the rack.

20 BY MS. MURRAY:

21 Q At this point what would your estimate be of the number of  
22 channels that would stick?

23 A I couldn't make that estimate without having available and  
24 analyzed the range of dimensions on the rack.

25 Q Not all of the racks are constructed, are they?

1 A I am not sure.

2 Q If the figures that were provided to you by Ed Armstrong  
3 were correct figures, then your estimate would have a  
4 scientific, rational basis, would it not?

5 MR. STAHL: I object to the form of the question.  
6 I am not sure what is implicit in the, "scientific,  
7 rational basis," the questioner is asking.

8 JUDGE WOLF: Do you understand the question, Mr.  
9 Witness?

10 THE WITNESS: Could we have the question  
11 restated? I have lost the track.

12 JUDGE WOLF: Will you restate the question,  
13 please?

14 MS. MURRAY: Yes.

15 BY MS. MURRAY:

16 Q If the figures provided to you by Mr. Armstrong were,  
17 indeed, actual rack measurements, then your figure of 11  
18 percent would be accurate; is that correct?

19 A My figure, again, is an estimate; and it would remain an  
20 estimate and be more valid than it is right now; and I  
21 would characterize it as a rough estimate.

22 Q Okay. Referring to the last page, Document No. 1891, this  
23 is dated November 17, 1980. I believe that was two days  
24 before our hearing started last November.

25 Can you read Paragraph 1-A for me?

1 A Into the record?

2 Q Into the record, please. I can't understand your  
3 handwriting.

4 A "If corrosion is observed resulting in tube size change,  
5 measure all channels and discard those with bow plus bulge  
6 greater than some value, say 200 mils."

7 Q Is that still a possible plan of Commonwealth Edison?

8 A It certainly is something we could do. I wouldn't  
9 characterize it as a Commonwealth Edison plan. It's based  
10 on corrosion being observed, and I don't expect any, but we  
11 certainly could discharge and discard channels with bow  
12 plus bulge greater than some value

13 JUDGE LITTLE: Ms. Murray, before you get much  
14 further, I would like to know what the first word is here.

15 (Indicating.)

16 MS. MURRAY: That was my next question.

17 BY MS. MURRAY:

18 Q What is the first word in that paragraph above the letter  
19 A?

20 A "Recommendations."

21 Q Are you still recommending under Subparagraph B that a  
22 select number of tubes be tested with a mandrel?

23 A That recommendation -- the first part of that  
24 recommendation is if the corrosion test program shows signs  
25 of boral corrosion; and if that were so, I would recommend

1 that we test some of the tubes with a mandrel, yes.

2 Q Okay. Thank you.

3 On document No. 1941, the top page, on the left-hand  
4 side, it looks like you have written, "Call Ron."

5 Could you read into the record what the paragraph  
6 immediately to the right of that says, beginning with the  
7 letters, "C. H"?

8 A Yes. "Check with Ron Ragan on what the station would agree  
9 to with respect to post-installation mandrel testing."

10 Q And did you do that?

11 A I don't believe I discussed that with Mr. Ragan.

12 I also believe that this was written before we  
13 actually made measurements on the racks, so this may no  
14 longer be relevant.

15 Q In what way would it no longer be relevant?

16 A Well, if we make the measurements prior to installation, it  
17 wouldn't be relevant to make them again post-installation.  
18 I would rather have the measurements pre-installation.

19 Q But if you made the measurements pre-installation, that  
20 doesn't take into account any subsequent corrosion, does  
21 it?

22 A I don't see any reference to corrosion there.

23 Q Could you answer my question?

24 A The pre-installation measurements would not consider any  
25 corrosion in them.

1 Q Thank you. Referring to the third page, 1869 is the  
2 document number, under, I believe, it's a small c.,  
3 Subparagraph 2, could you read to me what is in  
4 Subparagraph 2, just the first sentence?

5 A "These are being replaced with new channels that are  
6 fabricated to minimize bow."

7 Q Will all the channels that are now being used in the  
8 Dresden 2 and 3 reactors be replaced with Car-Tech  
9 channels?

10 THE WITNESS: Could you repeat the question?  
11 (The question was thereupon read  
12 by the Reporter.)

13 A There are two major suppliers of channels; and we can  
14 purchase them and we might purchase them from either  
15 supplier, either GE or Car-Tech.

16 BY MS. MURRAY:

17 Q Your plan now is to purchase channels from Car-Tech; is  
18 that correct?

19 A Right now we have a contract with Car-Tech to provide  
20 channels; and that contract expires, I believe, in 1982.

21 Beyond that we might purchase them from either  
22 vendor.

23 Q How many channels will you be purchasing from Car-Tech?

24 A The exact number hasn't been determined. It depends on  
25 what our needs are. Those needs are usually established

1 about four to five months before the outage, and so I can't  
2 answer that --

3 Q Why are you --

4 A -- precisely.

5 Q I am sorry. Why are you switching to the Car-Tech  
6 channels?

7 A They were cheaper.

8 Q Looking at your testimony on Page 9, you state in Paragraph  
9 2 that a total of 1,736 channel sides were measured.

10 How many channels does this break down into?

11 A The total number of channels measured was 875.

12 Q So on these 875 channels, on some of them you measured more  
13 than one side; is that correct?

14 A That is correct.

15 Q Now, the bow only occurs on one side of the channel; is  
16 that correct?

17 A No. The bow can occur in any of the four principal  
18 directions.

19 Q That is correct; but when it does bow, it only bows in one  
20 particular direction; is that correct?

21 A No. It might occur --

22 Q Only one side bows; is that correct?

23 A No.

24 Q Then describe for me what it bows like, what the bow is  
25 like?

1 A The usual bow is more heavily in one dimension; but if the  
2 channel is oriented in the periphery at about 45 degrees to  
3 the axis of the core, then the bow would be in the X-Y  
4 direction as opposed to either the X direction or the Y  
5 direction; and we have seen channels with X-Y bow.

6 Q Have you ever seen channels with S-shaped bow?

7 A That's highly dependent on how flat the S is. We have  
8 never seen channels with a S-shaped bow where one of the  
9 loops of the S is greater than 100 mils.

10 Essentially, the answer to your question is no; but I  
11 don't want to rule out some slight loop going below zero  
12 that might be 20 mils or so.

13 Q Okay. Going back to the measurement of the channel sides  
14 and the bow along the X-Y access when it's at a 45-degree  
15 angle to the core or however you described that, when you  
16 measure that type of bow, do you attribute the bow to two  
17 different channel sides or one particular side or how do  
18 you include that type of bow in your measurements and  
19 calculations here?

20 A If we measured two sides of the channel, those two sides  
21 would be included in the total of 1,736 of the sides  
22 measured; and in the data that I cite in that paragraph,  
23 the bow measured on both of those sides would be included  
24 in the number cited.

25 Q But if the bow is along a 45-degree angle, which side do

1 you attribute the bow to?

2 A We measure the bow on both sides, on the X side and the Y  
3 side; and we record both of those.

4 Q So that means that both the sides bow together?

5 A The channel bows in the X direction and in the Y direction.  
6 We record both of those.

7 The net result of X bow and Y bow is X-dash-Y bow.

8 Q Okay. Now, do you measure channel sides that aren't bowed;  
9 that is, if side X is bowed, then do you measure the side  
10 opposite of X?

11 A In the measurements that were done, the majority of these  
12 we measured the side X and the side at 90 degrees to X.

13 We have done a limited number of measurements where  
14 we measure all four sides, and what we find and what we  
15 expect is that the side opposite of X bows the same as side  
16 X.

17 Similarly, if side Y bows, the other side follows  
18 right along and bows just as much as Y. Let's call it Y  
19 prime bows as much as Y and X prime bows as much as X.

20 Q So if you had channel side X bowed in X direction, then you  
21 would measure the side at 90 degrees to X and find no bow;  
22 is that correct?

23 A No.

24 JUDGE REMICK: Dr. O'Boyle, when you say no, you  
25 mean no or not necessarily?



1 THE WITNESS: If you measure X, X prime would bow  
2 the same amount as X; but measuring X says nothing about  
3 the bow in side Y. The bow in X is unrelated to the bow in  
4 Y.

5 JUDGE REMICK: Maybe I misunderstood Ms. Murray's  
6 question; but I thought her question was if you measure X  
7 and you find a bow, that if you then measured Y, you would  
8 find no bow or you would --

9 MS. MURRAY: That was my question.

10 JUDGE REMICK: Your answer was no.

11 THE WITNESS: That is what I heard her question  
12 to be.

13 My answer is if you measure X and you find bow, that  
14 says nothing about what you might find in Y. Y might bow,  
15 it might not.

16 They are, generally, independent.

17 JUDGE REMICK: That is why I thought, perhaps,  
18 "not necessarily," would be more correct than "no." I  
19 wasn't sure what your answer of a flat no meant.

20 THE WITNESS: Yes.

21 JUDGE REMICK: You may or may not have bowing in  
22 the Y if you find bowing in the X; is that correct?

23 THE WITNESS: That is right.

24 JUDGE REMICK: That is dependent on core location  
25 from what orientation?

1 THE WITNESS: That is right.

2 JUDGE REMICK: Excuse me.

3 MS. MURRAY: Thank you, Dr. Remick.

4 BY MS. MURRAY:

5 Q Dr. O'Boyle, would it be correct to say that not all of the  
6 1,736 channel sides which you measured were bowed?

7 A If one defines the minimum of bow as 30 mils, 20 mils, yes,  
8 there were many channels that had bow less than 20 or 30  
9 mils; and I would consider that no bow.

10 Q I am not talking about channels. I am talking about  
11 channel sides.

12 You measured more than one side per channel, and  
13 those sides were not necessarily all bowed; is that  
14 correct?

15 A That's correct.

16 Q Okay. Your second sentence, "Approximately 86 percent of  
17 the channel sides had a total deformation, bow plus bulge,  
18 of less than .150 inches.

19 What is the minimum bow that you measured?

20 A A minimum bow is zero bow.

21 Q That you measured?

22 A Zero bow.

23 MS. MURRAY: Judge Wolf, at this time we have  
24 been going for about two hours.

25 Would you mind taking about a ten-minute break?

1 JUDGE WOLF: Do you have much more with this  
2 witness?

3 MS. MURRAY: I do have probably about another  
4 hour's worth, but some of it will be on the proprietary  
5 document.

6 JUDGE WOLF: We will take a ten-minute break at  
7 this time.

8 MS. MURRAY: Thank you.

9 (Whereupon a recess was had,  
10 after which the taking of  
11 the hearing was resumed  
12 as follows:)

1

JUDGE WOLF: Are you ready, Mr. Reporter?

2

3

THE REPORTER: Yes, sir.

4

JUDGE WOLF: Ms. Murray, are you ready?

5

MS. MURRAY: Yes; yes, I am, Judge Wolf.

6

JUDGE WOLF: Dr. O'Boyle, are you prepared?

7

THE WITNESS: Yes.

8

BY MS. MURRAY:

9

Q Dr. O'Boyle, one last question on your testimony on Page 9.

10

Were all these measurements made on GE channels?

11

A Yes.

12

Q Do all the measurements referred to in your testimony refer to GE channels?

13

14

A Yes, they do.

15

Q Okay. Where will the -- strike that.

16

Are bow and bulge coincident at their maximum?

17

A No, they are not.

18

Q Where does the maximum bow occur?

19

A Maximum bow occurs in about the bottom one third of the channel.

20

21

Q Where does --

22

A In the range of four to six feet from the lower end.

23

Q Where does the maximum bulge occur?

24

A Maximum bulge occurs within about one foot of the lower end and it decreases moving toward the top.

25

1 Q Why does it occur so close to the lower end?

2 A Because bulge is driven by the pressure differential across  
3 the channel and it's a maximum at the bottom and decreases.

4 Q Thank you.

5 Are fuel pins ever stored in the racks?

6 A Do you mean outside of the fuel assembly?

7 Q Yes.

8 A We have, I know, at Zion some fuel pins in storage as  
9 individual pins.

10 I don't know the exact geometry of their storage  
11 condition.

12 Q Do you have any now or will you have any at either the  
13 Dresden 2 or Dresden 3 pools?

14 A I'm not sure.

15 I believe Mr. Ragan could answer that.

16 Q On Page 10 of your testimony, you refer to changes, which  
17 include heat treatment and fabrication processes.

18 Could you describe the heat treatment and fabrication  
19 processes which you are referring to?

20 A The description of the details of the fabrication process  
21 are highly proprietary to the manufacturer and you might  
22 ask that of Mr. Mefford.

23 I am aware of heat treating processes that GE has  
24 introduced to increase the corrosion resistance, and I  
25 believe it has the effect of increasing the stability.

1                   The details of those processes I don't have.

2       Q       Do you know by how much bow would be reduced due to these  
3               heat treatment and fabrication processes?

4       A       There are no measurements that I can cite, because  
5               channels, to the best of my knowledge, have not been  
6               irradiated, after these improved processes, to the same  
7               exposure that the channels have been irradiated -- the  
8               channels about which we are discussing.

9       Q       So you don't actually know if these channels that have been  
10              subjected to the new heat treatment and fabrication  
11              processes actually will be bowed less after they have been  
12              irradiated for the same number of cycles; is that correct?

13      A       I don't know the amount by which they will be bowed less  
14              because -- but based on their metallurgical structure and  
15              effects of metallurgical structure on growth, I expect them  
16              to be bowed less.

17      Q       What is the cost of one fuel rack; do you know?

18      A       No.

19                   MR. STAHL: Excuse me, Judge Wolf. May I ask  
20                   that the question and answer be read back?

21                   JUDGE WOLF: Yes, you may.

22                   Would you read that question and answer back, please.

23                               (The question and the answer were  
24                               thereupon read by the Reporter.)

25       BY MS. MURRAY:

1 Q I, of course, was referring to the new high- density racks  
2 which will be put into the Dresden pools.

3 I assume that was what your answer referred to?

4 A Yes.

5 Q On Page 5 of Mr. Ragan's testimony, the last line of his  
6 testimony states, "Edison feels that such periodic mandrel  
7 testing is not necessary."

8 Was that your decision?

9 A No; but it's one that I agree with.

10 MS. MURRAY: At this time, Judge Wolf, I would  
11 like to discuss some figures in the document which have  
12 been labeled proprietary by Commonwealth Edison.

13 It will be my last series of questions to Dr.  
14 O'Boyle, and we should -- I would request that we go in  
15 camera.

16 MR. STAHL: We would join in that request  
17 pursuant to our commitment to maintain a proprietary nature  
18 of these documents and --

19 JUDGE WOLF: Mr. Goddard, do you have any --

20 MR. GODDARD: The staff will join in the request,  
21 also.

22 JUDGE WOLF: Those who are not counsel in this  
23 proceeding will be requested to withdraw while this session  
24 goes in camera to discuss proprietary information. As soon  
25 as that discussion has been concluded, the clerk will

1 announce it in the hall and you may return.

2 MR. STAHL: Judge Wolf, there is one additional  
3 request that we would make, which we believe is required by  
4 the protective order, and that is this portion of the  
5 transcript pertaining to the proprietary document be  
6 transcribed separately from the main portion.

7 JUDGE WOLF: Yes, I'm sure the reporter knows  
8 that.

9 That's correct, is it not?

10 THE REPORTER: Yes, sir.

11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25



1           Would one of you gentlemen open the door so that  
2 anyone who is out there who wants to come in may do so.

3           We're back on the record now.

4           RE CROSS EXAMINATION (Continued)

5           BY MS. MURRAY:

6       Q     Dr. O'Boyle, if a channel were so badly bowed -- this is  
7 all theoretical -- that it would not fit in a storage  
8 position, would the channel then be removed from the bundle  
9 and the bundle stored in that position without the channel?

10     A     Yes, that certainly is a possibility.

11     Q     What would be done with the fuel channel?

12     A     That is in Mr. Ragan's area.

13           I would just store it some place in the pool other  
14 than in a rack position, but that's his area of expertise.

15     Q     Has Commonwealth Edison come up with any plans, should this  
16 occur, where channels don't fit into storage positions?

17           THE WITNESS: Could you repeat the question?

18                   (The question was thereupon read  
19                   by the Reporter.)

20     A     I'm not aware of any plans.

21           Again, that's Mr. Ragan's area and he might know of  
22 some that I'm unaware of.

23     BY MS. MURRAY:

24     Q     Is Commonwealth Edison considering a program by which they  
25 would prolong the life of the fuel assemblies in the

1 reactor?

2 A Fuel assemblies or channels?

3 Q The fuel channel assembly. Like there's a fuel channel,  
4 the fuel bundle. Together that's the fuel channel  
5 assembly.

6 A We have several programs for extended burnup.

7 Q In extended burnup, how many cycles of irradiation would a  
8 fuel channel assembly be put through?

9 A The most significant programs for extended burnup are in  
10 Zion, where they are no channels.

11 I assume you are referring to Dresden or Quad Cities?

12 Q I would be referring to Dresden, yes.

13 A Right now, we have one assembly that is in the Quad Cities  
14 for an extended irradiation period.

15 (Indicating.)

16 Q What is that period?

17 A It is a fifth cycle.

18 Q Do you plan to institute that program of high burnup fuel  
19 at Dresden 2 and 3 reactors?

20 A No, we have no -- no plans for that right now.

21 Q Do you anticipate that you might at some time in the life  
22 of the channels?

23 A I would certainly see that as a possibility. There's a  
24 general trend toward higher burn up and fuels.

25 Q If you did go into a program of using higher burnup fuels

1 at the Dresden 2 and 3 reactors, putting the fuel channel  
2 assemblies through four, five, six, however many cycles of  
3 irradiation that would account for, would that not be  
4 directly at odds with reducing fuel channel bowing?

5 A No, it wouldn't. It would be advisable, I think, to  
6 measure the channels that are on the extended burnup fuel  
7 and only use those channels that are below some minimum bow  
8 plus bulge, or what might be more prudent is simply to  
9 remove the channel.

10 Since this high burnup assembly or this high burnup  
11 bundle would be of no great value, we might simply remove the  
12 channel and replace it with a new channel.

13 Q Where would you store this removed channel?

14 A In the storage rack in some other position.

15 MS. MURRAY: I don't believe I have any more  
16 questions for Dr. O'Boyle.

17 JUDGE WOLF: Thank you.

18 Do you have any questions, Mr. Goddard?

19 MR. GODDARD: The staff has no questions for Dr.  
20 O'Boyle.

21 JUDGE WOLF: Do you have any redirect, Mr. Stahl?

22 MR. STAHL: Yes, we have very little redirect.

23 REDIRECT EXAMINATION

24 BY MR. STAHL:

25 Q Dr. O'Boyle, very early in Ms. Murray's questioning of you,

1 she referred you to Page 3 of your prepared testimony and  
2 specifically the figure relating to the outside diameter of  
3 the GE channel; and I believe you testified that, taking  
4 into account the spacer button and the manufacturing  
5 tolerances, that the figure for the outside diameter should  
6 be 5.763 inches.

7 Do you recall that testimony today?

8 A Yes, I do.

9 Q Now, can you tell us, Dr. O'Boyle, whether that figure of  
10 5.763 inches, for the outside diameter of the GE channels,  
11 affects in any way the validity of the statement contained  
12 in Mr. Gilcrest's testimony concerning the minimum  
13 clearance of .173 inches between the rack and the channel?

14 A No, it does not. The 5.763 dimension includes the spacer  
15 button, and Mr. Gilcrest's testimony is based on the OD of  
16 the channel body itself and the clearance of the -- the  
17 clearance between the channel and the rack in the portion  
18 of the rack that exhibits the maximum bow; that is, the  
19 midsection.

20 Q Where is the spacer button located with respect to the  
21 midsection of the channel?

22 A It's located on the top of the channel.

23 Q Dr. O'Boyle, you state, on Page 10 of your prepared  
24 testimony, that the largest bow plus bulge measured to date --  
25 I'm sorry. It's Page 9 of your testimony -- the largest

1 bow plus bulge measured to date has been 420 mils.

2 Do you see that?

3 A Yes.

4 Q Do you anticipate, Dr. O'Boyle, that any channels now in  
5 Dresden 2 or 3 or any channels that will be inserted in  
6 Dresden 2 or 3 will show bow plus bulge to the extent of  
7 the 420 mils or larger?

8 A No, I do not. The 420 mil max bow plus bulge was, I  
9 believe, in the upper end of the statistical tail and their --  
10 that point seemed to stand alone in the distribution of  
11 data.

12 We have also, as I mention in the testimony on Page  
13 10 and 11, instituted measurements that will cull out and  
14 eliminate channels with large bow, so that they will not be  
15 used in subsequent cycles.

16 We also are following the GE recommendations with  
17 regard to location, and that also will reduce the maximum  
18 amount of bow that should occur at any time in the future;  
19 so I believe that the 420 mils is, in fact, a maximum that  
20 we will see.

21 Q You also testified, in response to one of Ms. Murray's  
22 questions, that Edison does not follow the GE  
23 recommendation referred to at the bottom of Page 6 and at  
24 the top of Page 7 of your prepared testimony relating to  
25 the exposure of BWR fuel channels to 33,000 megawatt days

1 per standard ton; is that correct?

2 A Yes, that is.

3 Q Can you explain for the Board why it is that Edison does  
4 not follow that recommendation?

5 A Yes. As I mentioned earlier, that recommendation is based  
6 on calculations of expected deformation, and we follow the  
7 intent of that recommendation in that we actually measure  
8 the deformations, and the limit that we use is the  
9 deformation limit of the channel rather than an exposure  
10 limit, the actual measurements of deformation being far  
11 more important.

12 (Indicating.)

13 Q Dr. O'Boyle, do you have a copy of Exhibit 17 in front of  
14 you, Intervenor's Exhibit 17?

15 These are your handwritten notes.

16 A Yes, I do.

17 JUDGE WOLF: The record -- pardon me. The record  
18 should show, in connection with the identification of that  
19 exhibit, that it's for identification. It's not been  
20 received in evidence.

21 MR. STAHL: Thank you.

22 BY MR. STAHL:

23 Q Would you please turn to the page marked at the lower right  
24 hand as 1872 of that exhibit. I believe it's the fourth  
25 page of the exhibit.

1 A Uh-huh.

2 Q Ms. Murray asked you earlier this afternoon about quote  
3 "rough estimate" unquote of 11 percent of channels that  
4 might stick.

5 When you prepared this document on or about December  
6 22nd of 1980, did you, in fact, anticipate that 11 percent  
7 of the channels would stick in the racks at Dresden?

8 A No, I did not.

9 That term sticking I was using very loosely. By that  
10 the estimate is the percentage of channels that might have  
11 any degree of interference, any degree being larger than  
12 zero mils, so sticking is an inappropriate term to use  
13 there. Interference would be more appropriate.

14 Q So is my understanding correct, Dr. O'Boyle, that, with  
15 respect to this page of the exhibit, not only is the 11  
16 percent figure a figure that you would no longer stand  
17 behind but also the reference to sticking is also one that  
18 you did not mean as sticking per se?

19 A That is correct.

20 Q Dr. O'Boyle, I'd like to go back to the outer diameter or  
21 the outer dimension of the GE channels for a minute; and  
22 there was some discussion earlier about a convexity  
23 allowance?

24 A Uh-huh.

25 Q If you would assume a convexity allowance for the GE

1 channels, in addition to the 5.763 outer diameter that  
2 we've already talked about, 5.454 -- strike that -- a  
3 convexity allowance in addition to the 5.454 that we've  
4 already discussed in connection with the GE channels, is it  
5 your -- what is your opinion as to the implications, if  
6 any, that that would have in connection with the  
7 possibility of interference between the channel and the  
8 high density racks?

9 A That would add on an additional 25 mils toward the channel  
10 rack, so there would be a slightly higher percentage of  
11 interference, if that were the case.

12 Q Would that slightly higher possibility of interference lead  
13 you to change any of the conclusions stated in your  
14 testimony?

15 A Not at all.

16 MR. STAHL: Thank you. We have no further  
17 redirect of Dr. O'Boyle.

18 JUDGE WOLF: Do you have any questions, Ms.  
19 Murray?

20 MS. MURRAY: No, I do not, Judge Wolf.

21 However, I was amiss. I believed that I had  
22 introduced the Exhibit 17 into evidence and perhaps I  
23 forgot to. I offered it into evidence with no objections  
24 from Applicant.

25 MR. STAHL: True, I did not object to the



1 document at the time, but I must say, in light of Dr.  
2 O'Boyle's testimony both on direct and in cross  
3 examination, redirect, as to the significance of this  
4 document, particularly Page 4 of this document, I would  
5 have to reconsider my earlier position.

6 I think this document has no relevance to this  
7 proceeding at all. Dr. O'Boyle has testified that,  
8 certainly with respect to Page 4, these were preliminary  
9 calculations that he is no longer willing to stand behind  
10 and they were based on some assumptions that turned out not  
11 to be the case.

12 For that reason, I believe it has no probative value  
13 and I think should not be part of the record in this case.

14 JUDGE WOLF: Mr. Goddard, do you have any  
15 questions?

16 MR. GODDARD: I just have a question or two for  
17 Dr. O'Boyle based upon the cross examination by Mr. Stahl.

18 JUDGE WOLF: Well, let's clear up this matter of  
19 the offer that's before us now of this exhibit by the  
20 Intervenor; namely, Intervenor's Exhibit 17 for  
21 identification.

22 MR. GODDARD: It is the staff's position that  
23 that document would be relevant, but as stated by Mr.  
24 Stahl, its weight has been greatly diminished by the live  
25 testimony of this witness.

1           The staff would not join in the objection nor support  
2 its admission in this proceeding as well.

3           JUDGE WOLF: Well, the Exhibit 17 offered by the  
4 Intervenor will be received into the record and the weight  
5 to be given it will be determined by what the record shows.

6           Now, Mr. Goddard, would you go ahead with your  
7 questions.

8           RE CROSS EXAMINATION

9           BY MR. GODDARD:

10    Q    Dr. O'Boyle, returning to your rough estimate on Page 4 of  
11 this document, at the time that that estimate was made and  
12 based on assumptions, were you assuming the fact that I now  
13 believe to be the case; namely, that the lead-in clips  
14 would be removed from the racks or ground down where  
15 appropriate?

16    A    No. That estimate has no relevance to whether or not the  
17 lead-in clips are removed or not.

18           MR. GODDARD: Thank you. No further questions.

19           MS. MURRAY: I have two more short questions.

20           RE CROSS EXAMINATION (Continued)

21           BY MS. MURRAY:

22    Q    Referring to what Mr. Stahl was speaking of, the figure of  
23 .173 in Mr. Gilcrest's testimony, Page 2, given the  
24 addition of the manufacturing tolerances which you referred  
25 to early in your testimony, is Mr. Gilcrest's figure of

1 .173 inches correct?

2 A I believe, as indicated on Page 2, that that .173 is based  
3 on the outer dimensions of the GE channel, and one would  
4 have to reduce that by the amount of the difference -- or  
5 half of the amount of the difference; that is, by about 25  
6 mils.

7 Q Reduce what about 25 mils?

8 A The -- the .173.

9 Q And the 25 mils which you are referring to is the convexity  
10 allowance which you spoke of earlier as being 25 mils; is  
11 that correct?

12 A Yes. The convexity allowance, I believe, is exactly 20  
13 mils.

14 Q And what's pertinent -- where is the difference between 20  
15 and 25 mils? What tolerances are you referring to?

16 A The letter that --

17 MR. STAHL: Excuse me. I think we may be at a  
18 point where we're about to discuss some more proprietary  
19 information.

20 Is that -- are you referring to the letter?

21 THE WITNESS: Yes.

22 MR. STAHL: I think, if we go on any further with  
23 this line of questioning, we will have to, once again, ask --

24 JUDGE WOLF: Wait a minute.

25 JUDGE REMICK: I don't think that was a question.

1 MS. MURRAY: I'm not referring to any proprietary  
2 information.

3 MR. STAHL: Okay.

4 JUDGE WOLF: So don't you respond in that light.

5 THE WITNESS: Okay. Could we have the question  
6 again.

7 JUDGE WOLF: You are not using any proprietary  
8 data.

9 THE WITNESS: Okay.

10 BY MS. MURRAY:

11 Q Let's start over, Dr. O'Boyle.

12 I believe that early on in cross examination you  
13 added manufacturing tolerances of 16 mils to your figures;  
14 is that correct?

15 A Yes.

16 Q Does Mr. Gilcrest's figure of .173 reflect that 16 mils or  
17 do you know?

18 A It doesn't reflect 6 of those mils. It might reflect 10 of  
19 the 16 mils. Again, I'm not sure.

20 That question might go to the GE witness.

21 Q Or to Mr. Gilcrest himself.

22 Do you know if Mr. Gilcrest's figure of .173 includes  
23 an allowance for any convexity?

24 A That's the same question you just asked, and the answer is  
25 we would have to go to the source.

1 MS. MURRAY: I have no further questions.

2 JUDGE WOLF: Since there are no further  
3 questions, do you have any questions?

4 JUDGE REMICK: I have one question.

5 BOARD EXAMINATION

6 BY JUDGE REMICK:

7 Q Dr. O'Boyle, on Page 2 of your testimony, the footnote at  
8 the bottom, you indicate that the difference between the  
9 BWR/3 type and BWR/6 type reactors are not significant for  
10 the purposes of this testimony; but could you recite what  
11 some of those differences are?

12 I believe you were referring to fuel assemblies?

13 A Yes. The BWR/6 channels are thicker; and in referring to  
14 my Figure 1, the slight difference in thickness just  
15 wouldn't show up in that figure. That is, one could hardly  
16 distinguish the difference between an 80 mil channel and a  
17 120 mil channel in looking at that figure.

18 Q But the dimension -- in what figure? I'm sorry.

19 A Figure 1.

20 Q Oh, Figure 1. I'm sorry.

21 Figure 4 is the actual dimensions for Dresden 2 and 3  
22 units, though; is that correct?

23 A Yes, it is.

24 Q Are there any other differences you were alluding to there  
25 between BWR/3's and 6's?

1 A No.

2 Q On top of Page 3, you refer to a fuel bundle shown in  
3 Figure 2 contains 64 rods in an 8x8 array.

4 Are all 64 rods fuel rods?

5 A No. There are 2 water rods.

6 Q All right.

7 A And that's indicated in Figure 2, the position of those  
8 water rods in the array.

9 Q What's the difference between the one marked water rod and  
10 spacer positioning water rod in Figure 2 that you just  
11 referred to?

12 A The spacer positioning water rod is a water rod, but it has  
13 tabs welded to the outer diameter at seven locations and  
14 these tabs lock the spacers, the grid spacers, into  
15 position.

16 Q I see. Thank you.

17 You indicated that the outside dimension -- maximum  
18 outside dimension of the GE fuel channels was 5.454 plus 16  
19 mils; is that correct. That would be the max?

20 A No, no. The 5.454 includes the 16 mils.

21 Q I see. All right.

22 So the 5.454 is the maximum?

23 A Yes.

24 Q What is the min permitted?

25 A I don't -- I'd have to go back to the GE drawing to see if

1 a min is indicated.

2 Just looking at the tolerances on wall thickness and  
3 the standard manufacturing tolerance, it would be at least  
4 22 mils less.

5 Q 22 mils less than what?

6 A 5.454.

7 Q So you are saying, then, that the dimension -- the outside  
8 dimension -- would be 5.438 plus 16, minus 6; is that how I  
9 would interpret that?

10 A I -- I'm taking 22 mils away from 5.454 and I get 5.432.

11 Q All right. Oh, the nominal dimension was 5.438; am I  
12 correct? Is that the nominal dimension?

13 A Yes, I believe that's the nominal.

14 We add to that the 16 to account for the maximum wall  
15 thickness, rather than being the nominal 80. It can go up  
16 to 83; and so that adds 6 mils because wall and  
17 manufacturing tolerance is another 10 mils.

18 Q So I interpret what you are saying -- and correct me if I'm  
19 wrong -- 5.438 nominal plus 16 mils, and I interpret, from  
20 what you said earlier, that there's a minus 6 mils, to the  
21 best of your knowledge, tolerance?

22 A The 22 -- the 22 mils that I mentioned before I believe  
23 should be 16 less. I added the 3 mils plus 3 mils, the 6  
24 mils, and added it twice here.

25 Q So am I correct that you now are saying that there is a

1 tolerance of plus 16 mils minus zero mills?

2 A The minus side of the tolerance, again I'd have to go to  
3 the drawing.

4 I just haven't given that any effort to look at --

5 Q All right.

6 A -- what the minimum might be.

7 Q All right. That was an effort to clarify the record. I  
8 don't think I succeeded

9 (Laughter.)

10 BY JUDGE REMICK:

11 Q On Page 5, you refer to channel side-wall bulging in the  
12 second paragraph.

13 Is that bulge a permanent bulge?

14 A Yes, the bulge I referred to is permanent. In addition to  
15 that, there is an elastic deformation that occurs that's  
16 relaxed when you pull the channel out and do the measuring.

17 Q All right. But the one you are referring to is a  
18 permanent?

19 A Plastic deformation, yes.

20 Q You indicated that the bottom of the fuel assembly in the  
21 storage rack is centered by a cone-shaped nozzle and hole,  
22 I believe, but that the top was free.

23 Am I correct, however, that in Mr. Gilcrest's  
24 determination of .173 mils, he assumed that the top acted  
25 as if it was restrained so that you had a clearance of only



1 .173?

2 A He assumed it was centered in the top.

3 Q Centered, yes.

4 A And that's different than restrained.

5 I think his basic assumption, it's  
6 centered.

7 Q All right. So is that a conservative assumption?

8 A Yes, it is.

9 Q And in actuality, you would have greater clearance than  
10 that?

11 A Yes. If that -- if it leans slightly, you would have  
12 greater clearance.

13 Q You referred to channels being measured at Oyster Creek in  
14 1977.

15 Were those GE fuel channels?

16 A Yes, they were.

17 Q Do you have any idea of the force that would be required to  
18 restore a bulge in contrast to a force to restore a bow?  
19 Would they be the same, less or greater?

20 A I would expect it to be considerably greater.

21 Q To restore a bulge?

22 A Yes.

23 Q You also indicated, in response to a question from Ms.  
24 Murray, that -- you said something to the effect that under  
25 no normal circumstance would fuel channels -- would a fuel

1 channel remain in a peripheral location in Dresden 2 or 3?

2 A Uh-huh.

3 Q Would you explain why that statement is true?

4 A Because the fuel is normally repositioned within the core  
5 from cycle to cycle to obtain the maximum energy output;  
6 and one might initially put the assembly in the periphery  
7 to flatten the core power and then move the fuel in during  
8 the later cycles so the fuel is moved around from cycle to  
9 cycle.

10 (Indicating.)

11 Q Well, when you say, "Under no circumstance," is there a  
12 procedure that prevents you from allowing it in a  
13 peripheral location if somebody determined that it should  
14 be there?

15 A I'm not aware of any procedure that would prevent you from  
16 leaving it in one position from cycle to cycle, other than  
17 the neutron economy being less.

18 Q Didn't you also state that it might be Quad Cities -- I  
19 presume it was -- that at least one of the fuel assemblies  
20 was left in that peripheral location for four cycles?

21 A Yes, there was one; and that was part of an experiment and  
22 that was done intentionally, very intentionally.

23 (Indicating.)

24 Q Well, interpreting when you mean by under no normal  
25 circumstances, it is just that as a result of fuel being

1 shuffled, that you would not expect it to occur?

2 A That's right.

3 Q You were also talking about twist.

4 How do you define twist of 30 mils?

5 A The channel measurement is made using sets of LVDT's,  
6 lineal variable differential transformers, and they move  
7 along a plane that is defined by their relationship with  
8 the channel measuring system, so that sets up an absolute  
9 plane.

10 The twist is measured by comparing the output from  
11 the LVDT's. If we assume that there are three along a side  
12 and call them A, B and C, the difference is computed  
13 between the A and C LVDT's at all locations that are  
14 measured, and these measurements are made at about one-foot  
15 intervals, so along the entire thirteen-and-a-half foot  
16 length these measurements are made, and one looks at the  
17 difference in LVDT position between the A and the C LVDT at  
18 all of these locations and looks at the maximum difference.

19 (Indicating.)

20 Q All right. I'm not sure that helps me, though.

21 Let's take a channel in a rack --

22 A Uh-huh.

23 Q -- where one would apparently normally expect 173 mil  
24 clearance.

25 A Uh-huh.

1 Q Would I normally require a twist of 173 mils before I'd  
2 have interference? Does it go roughly one for one?

3 A Yes; assuming there were no, you know, bow, you would have  
4 to have about 173 mils of twist, yes.

5 (Indicating.)

6 Q Of twist to --

7 A Yes.

8 Q -- to begin to have interference?

9 A Yes.

10 Q All right. Now, you also said that there was a twist of  
11 plus and minus 30 mils.

12 What does a minus twist mean? In the opposite  
13 direction?

14 A Opposite direction, yes.

15 The data are plotted out as plus or minus around a  
16 zero plane.

17 (Indicating.)

18 Q Clockwise or counterclockwise?

19 A Yes.

20 Q Are you familiar with Dr. Draley's testimony, which was  
21 presented earlier as part of this proceeding, on corrosion?

22 A Yes, I am.

23 Q If I recall, Dr. Draley spoke about a worst-case situation  
24 which, if the boron carbide were to form a hydrated oxide --  
25 if all of the boron carbide, I think, were to form a

1 hydrated oxide, and he made some estimates of how much  
2 swelling might occur in the side of the storage tube, was  
3 that possibility in any way factored into -- do you know,  
4 in Mr. Gilcrest's clearance of .173 that he calculated?

5 A I believe there was no tolerance taken into account for  
6 swelling. That is, an assumption was zero based on  
7 Draley's testimony, indicating that that swelling is highly  
8 unlikely.

9 Q Do you remember what his estimate of maximum amount of  
10 swelling would be under those assumed circumstances?

11 A Yes, I have his testimony here; and my corrected version of  
12 that on Page 7 indicates that the maximum swelling would be  
13 180 mils.

14 Q And, if I recall, he testified at the earlier part of the  
15 hearing that it was reasonable to assume that swelling  
16 would be in one direction -- inward -- in the storage tube?

17 A Yes, I believe -- I believe he did.

18 Q I think that was because it was a difference in thickness  
19 of the stainless steel on the inside?

20 A (Indicating.)

21 Q If one did have a swelling of the 180 mils, would that add  
22 a potential 180 mils further interference?

23 A Yes, that would.

24 Q And I assume that the force calculations would be something  
25 Mr. Gilcrest will testify to, then; is that correct?

1 A The force testimony?

2 Q The force -- excuse me. The force necessary to overcome  
3 that interference is the appropriate question for Mr.  
4 Gilcrest rather than you?

5 A I would believe so.

6 Q You also indicated earlier that -- you were talking about  
7 amount of bow and you indicated that 20 mils or 30 mils,  
8 something like that, was expected, and you will not  
9 consider that significant.

10 The as-received new channels -- what tolerance is  
11 permitted for bow in an as-received unirradiated channel?

12 A The current specification, I believe, is plus 20 minus 70  
13 mils, where the minus 70 is away from the control blade.

14 Q So you are saying if you detected bowing of 20 mils, you  
15 would not know whether that was initially in the -- in the  
16 channel or whether it was due to irradiation?

17 A That is correct.

18 Q All right.

19 A I would say -- I would expand that and say that if we  
20 detected bowing of 70 mils, we wouldn't know whether that  
21 was as-manufactured tolerance or irradiation-induced bow.

22 Q Because -- is that because when you make the measurements  
23 on the irradiated channels you don't distinguish plus or  
24 minus in the same way you did just on the as-received,  
25 unirradiated?

1 A No. That's because the initial channel as-received could  
2 have had 70 mils of bow, and if we measure 70 mils, it  
3 could have been the as-fabricated channel.

4 In fact, the channels that we have measured, the --  
5 I'm quite sure there was no specification on the bow,  
6 whether it be toward or away from the blade, again  
7 recalling these were fabricated over 10 years ago, and I  
8 believe the tolerance at that time was plus or minus 70  
9 mils, so the 70 mils could have been in either direction,  
10 so we can't distinguish.

11 Q All right. So when you just testified that the tolerance  
12 was plus 20 minus 70, what were you referring to?

13 A I believe that's the current specification on channels  
14 manufactured more recently than 1970 or 1969.

15 Q All right. I think in the record today we have references  
16 to cycles and then we have also reference to megawatt days  
17 per standard ton.

18 Is there any rule of thumb one can utilize in  
19 converting from one to the other in the record today?

20 A Yes. A rule of thumb would be 4 cycles corresponds to  
21 about 30 megawatt days per standard ton.

22 Q All right. In response to a question from Ms. Murray, you --  
23 I think she asked the question -- that is, you removed a  
24 channel presumably because it was bowed beyond certain  
25 limits. She asked what you would do with it and I think

1           you indicated that, although that was in Mr. Ragan's area,  
2           that you thought they would put it in a rack, a storage  
3           rack; am I correct?

4           A     No. My answer was put it alongside of the rack.

5           Q     Alongside. I see.

6                     So you would not insert it?

7           A     I thought the question was if you can't insert it into  
8           position, what would you do with it? I assumed by that the  
9           question meant insert it in any position.

10                    If the question means if you put it -- a channel  
11           assembly into a specific hole and it didn't go in, I think  
12           what you do is just move it to the hole next door, and the  
13           probability is greater that it would go in there.

14                    (Indicating.)

15           Q     But I thought that you were -- or at least the question  
16           that was asked you was recited, if you removed the channel --  
17           I think twice she asked you -- what would you do with the  
18           channel that you removed and what was your answer?

19                    Perhaps I misunderstood your answer. Talking about  
20           just the removed channel now, not the assembly.

21           A     The basis for that removed channel that I understood was  
22           that it would not fit into any storage rack position and  
23           that's the basis on which I answered, and my answer was  
24           that that is in Mr. Ragan's area, but I would assume you  
25           would just take that channel and put it in one of the



1 spaces outside -- in the pool but in one of the spaces  
2 outside of the storage positions.

3 JUDGE REMICK: Thank you.

4 That's all the questions.

5 JUDGE WOLF: Do you have any questions?

6 MS. LITTLE: No.

7 MR. STAHL: Excuse me, Judge Wolf. We do have  
8 one question that came up in connection with Dr. Remick's  
9 examination of Dr. O'Boyle.

10 REDIRECT EXAMINATION (Continued)

11 BY MR. STAHL:

12 Q Dr. O'Boyle, can you please refer to your prepared direct  
13 testimony, Page 2, Footnote No. 1, please.

14 There's a statement in there concerning the  
15 similarities between BWR/3 and BWR/6.

16 Is there any difference in length between the  
17 channels in BWR/3 reactors and BWR/6?

18 A Yes, there is. The BWR/6 channels are longer.

19 Q How much longer?

20 A I believe they are four inches longer.

21 Q Four inches.

22 MR. STAHL: Thank you. We have no further  
23 questions.

24 JUDGE WOLF: Very well.

25 MS. MURRAY: Judge, I have two very short

1 questions.

2 JUDGE WOLF: Yes.

3 RECROSS EXAMINATION (Continued)

4 BY MS. MURRAY:

5 Q Dr. O'Boyle, do you use BWR/6 fuel assemblies in the BWR/3  
6 reactors?

7 A No, we do not.

8 Q Okay. And last, but not least, if you had 60 mils of  
9 twist, how much bow plus bulge would you need for  
10 interference in --

11 A With what?

12 Q -- with respect to the .173 which Mr. Gilcrest refers to in  
13 his testimony?

14 A The analysis that we -- that I asked Mr. Armstrong to do,  
15 to the best of my recollection, was to assume a twist of 50  
16 mils for a channel that had the maximum bow plus bulge and  
17 I asked him to look at what that would do as far as  
18 movement toward the rack, and the ratio of movement toward  
19 the rack to twist was a factor of about 10 to 1, so the 50  
20 mils of twist resulted in 10 mils.

21 I haven't done the specific analysis you've asked,  
22 but I would expect that the 62 mils would move it perhaps  
23 slightly more than 6 mils toward the rack; again 10 to 1  
24 ratio.

25 Q Yes. You said a 10 to 1 ratio and 50 mils of twist moved

1           it 10 mils?

2       A       No; 5 mils.

3       Q       And the maximum bulge to bow you considered there was 420  
4           mils?

5       A       Yes, I believe it was.

6                   MS. MURRAY: Okay. I have no further questions.

7                   JUDGE WOLF: You may be excused, Dr. O'Boyle.

8                   (Witness excused.)

9                   MR. STEPTOE: Mr. Chairman, at this time, of  
10           course, we are prepared to put on any witness at the  
11           convenience of the Board. However, Dr. Wong does have a  
12           plane to catch and I don't think his testimony is very  
13           long.

14                   I was wondering if it would be convenient to place  
15           him -- go out of order and place Dr. Wong on for the  
16           limited purpose of talking about the criticality -- the  
17           supplemental criticality analysis which was done with  
18           respect to the proposed Exxon fuel?

19                   JUDGE WOLF: You may do that. Call him to the  
20           stand.

21                   MR. STEPTOE: Well, the witness has already been  
22           sworn.

23                   JUDGE WOLF: You were sworn previously and you  
24           are still under oath for this proceeding.

25                   KIN W. WONG

1 called as a witness by the Applicant, having been previously  
2 duly sworn, was examined and testified as follows:

3 DIRECT EXAMINATION

4 BY MR. STEPTOE:

5 Q Dr. Wong, would you please state your full name for the  
6 record?

7 A My full name is Kin, K-i-n, W. Wong, W-o-n-g.

8 Q By whom are you employed and in what capacity?

9 A I'm employed by Quadrex Corporation as nuclear engineer in  
10 the reactor engineering department.

11 Q Are you familiar with an affidavit of Kin W. Wong, which  
12 is dated the 21st day of January, 1981?

13 A Yeah. I wrote that affidavit.

14 Q Okay. Is it true and correct to the best of your knowledge  
15 and belief?

16 A Yes.

17 Q Do you have any changes that you would like to make?

18 A No.

19 Q You accept responsibility for it?

20 A Yes.

21 MR. STEPTOE: Chief Judge Wolf, at this time we  
22 move for the introduction of the affidavit of Kin W. Wong  
23 into evidence.

24 We hope that it will be received into evidence as if  
25 read.

1 JUDGE WOLF: Does everyone have a copy of the  
2 offered -- material that's being offered?

3 Mr. Goddard, do you have any objections?

4 MR. GODDARD: No objections from the staff.

5 JUDGE WOLF: Ms. Murray?

6 MS. MURRAY: No objections.

7 JUDGE WOLF: What exhibit will this be?

8 MR. STEPTOE: Well, we could introduce this as  
9 Commonwealth Edison Exhibit No. 3, if that's appropriate.

10 JUDGE WOLF: Without objection, the affidavit of  
11 Kin W. Wong and the attachment thereto will be received in  
12 the record.

13 (The document referred to follows:)

14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1 MR. STEPTOE: Thank you Chief Judge Wolf.

2 We have no further questions by way of direct and we  
3 tender the witness for cross examination with respect to  
4 this affidavit.

5 JUDGE WOLF: Ms. Murray, are you prepared to  
6 cross-examine this witness?

7 MS. MURRAY: Yes, Judge Wolf, I am. We have very  
8 few questions for Mr. Wong.

9 JUDGE WOLF: Two?

10 MS. MURRAY: A few.

11 CROSS EXAMINATION

12 BY MS. MURRAY:

13 Q Mr. Wong, what affect does the bowing of the fuel channel  
14 have on K effective?

15 A We have not done a criticality analysis specifically for  
16 the bowing of a channel, but we have done analysis on the  
17 movement of the fuel in the storage tubes, which -- which  
18 is -- which appears in the licensing report, Page 3-16,  
19 that's Condition 2; and I think we can use that to estimate  
20 the effect of the fuel bowing on the K effective values;  
21 and based on those values, in my judgment, the criticality  
22 effect will be negligible.

23 Q Okay. What size fuel channel did you use when doing your  
24 criticality analysis? What was the outer dimension of the  
25 fuel channel?

1 A The dimension of the fuel channel appears in Figure 3.3-1  
2 and the zircaloy channel is identified as Region 3, so it  
3 will be 6.56082 plus .14224 plus .2030 multiplied by 2.  
4 That will be the outside dimension of the channel.

5 MR. STEPTOE: Objection for the record, Chief  
6 Judge Wolf. We tendered this witness for cross examination  
7 with respect to an affidavit concerning Exxon fuel and we  
8 brought him back here because we were requested by  
9 Intervenor to do so. This cross examination is clearly  
10 beyond the scope of what the witness was tendered for.

11 JUDGE WOLF: Ms. Murray?

12 MS. MURRAY: Yes, Judge Wolf, I do believe that  
13 Commonwealth Edison will be using Car-Tech channels with  
14 the Exxon fuel, and it is my question that what effect  
15 would a larger channel have on the K effective.

16 JUDGE WOLF: Mr. Steptoe?

17 MR. STEPTOE: Because this is -- the NRC staff  
18 should speak to this, but the Exxon fuel has not yet been  
19 approved for use in the Dresden reactor, and certainly one  
20 of the things that will have to be done before it's  
21 approved is a criticality analysis to be done.

22 We, perhaps, out of an excess of caution, knowing  
23 that it was something that the Board expressed some  
24 interest in at the November hearings, offered this  
25 affidavit to keep the Board informed of our purchase of

1 Exxon fuel, but it seems to me that we're really going  
2 beyond what we need to to accomplish for licensing the  
3 proposed spent fuel rods.

4 JUDGE WOLF: Well, Ms. Murray, I think you ought  
5 to strive to keep it as close to the affidavit as you can.  
6 We'll give you some leeway, if you feel it's needed, but we  
7 do want to move on; and if you will pose the next question  
8 or restate the one that has been objected to.

9 MS. MURRAY: Thank you, Judge Wolf.

10 BY MS. MURRAY:

11 Q Paragraph 3 on the first full page of your affidavit says  
12 that the NRC staff interpretation of the acceptance  
13 criteria is that it is not necessary to include both  
14 Condition 4 and Condition 5 at the same time.

15 Do you know why this is so?

16 A Well, I -- I talked to the NRC staff and asked for the  
17 interpretation or how should -- for analysis, how should  
18 Condition 4 and Condition 5 be combined and their reply is  
19 we only need to consider one accident situation at a time;  
20 and if we look at the -- those two conditions, Condition 4  
21 is when extra fuel assembly -- one extra fuel assembly at  
22 the side of the rack and Condition 5 is all racks in  
23 contact with each other; and it's very unlikely that those  
24 two conditions can happen at the same time.

25 Q In your opinion, is it necessary to consider both Condition



1 4 and Condition 5 in this criticality analysis?

2 A No.

3 Q Was this criticality analysis done considering the size of  
4 the Car-Tech channels or the GE channels?

5 A I don't know what's the size of Car-Tech channel.

6 It was based on the dimensions we had before.

7 Q Which are the GE channels?

8 A Yeah.

9 Q Does size of channel make a difference in the value of K  
10 effective?

11 A In my judgment, it will be negligible.

12 Q If you look at your figure, on the first page, of .94957,  
13 that is 43 ten-thousandths away from being .95.

14 Is that, in your opinion, a negligible amount?

15 A Yes.

16 Q So is it possible, then, increasing the size of the channel  
17 could increase it to .95?

18 A Possible.

19 MS. MURRAY: I don't have any further questions.

20 JUDGE WOLF: Thank you.

21 Mr. Goddard, do you care to cross-examine this  
22 witness?

23 MR. GODDARD: Before -- I don't know, sir.

24 Before doing so, I'd like a short recess of 5 to 10  
25 minutes.

1 JUDGE WOLF: 10 minutes.

2 MR. GODDARD: Thank you, sir.

3 (Whereupon a recess was had,  
4 after which the hearing was  
5 resumed as follows:)

6 JUDGE WOLF: Mr. Goddard, are you ready?

7 MR. GODDARD: Yes, sir.

8 The staff has no questions for Dr. Wong.

9 We would point out that the NRC staff will,  
10 independently of this proceeding, be performing a  
11 criticality analysis for Exxon fuel in these racks before  
12 the use of such were approved.

13 JUDGE WOLF: What is the last statement you made?

14 MR. GODDARD: Before the utilization of the Exxon  
15 fuel in these units was approved.

16 JUDGE WOLF: Well, now, in that connection, are  
17 there public hearings?

18 MR. GODDARD: The decision of the applicant to  
19 use Exxon fuel will be noticed.

20 MR. STEPTOE: Chief Judge Wolf, I am not sure  
21 whether the staff has made a determination as to whether  
22 the use of Exxon fuel represents a significant hazards  
23 consideration. Either way, it's going -- it will require  
24 license amendments which would be noticed up, but I simply  
25 don't know whether it will be prenoticed at this time.

1 Adding another layer of the confusion is the decision  
2 in the Sholly case, so --

3 MS. LITTLE: Sholly.

4 JUDGE WOLF: I don't understand your use of the  
5 word "prenoticed."

6 MR. STEPTOE: Prenoticed?

7 JUDGE WOLF: Yes.

8 MR. STEPTOE: My understanding of the regulations  
9 is that a license amendment which is considered by the  
10 staff to involve a significant hazards consideration is  
11 noticed up 30 days in advance of the issuance of that  
12 notice so the people have plenty of time to intervene.

13 JUDGE WOLF: Right.

14 MR. STEPTOE: License amendments which are  
15 regarded as presenting no significant hazards have  
16 traditionally been post-noticed, which means that the NRC  
17 staff issues the license and then -- and then notices it up  
18 in the Federal Register and there is a right to a hearing  
19 at that time. However, the hearing does not stay the  
20 effectiveness of the license amendment.

21 The United States Court of Appeals for the District  
22 of Columbia in the case of Steven Sholly versus United  
23 States Nuclear Regulatory Commission has thrown these  
24 traditional rules into question. That case is pending on  
25 cert before the Supreme Court.

1 I think, to summarize, there clearly will be a right  
2 to a hearing with respect to the use of Exxon fuel in the  
3 Dresden reactor.

4 The question which I am not able to answer at this  
5 time is whether that hearing will be prior to the use of  
6 Exxon fuel.

7 JUDGE WOLF: Are there any further questions --  
8 pardon me. Do you have any questions?

9 JUDGE REMICK: Yes.

10 JUDGE WOLF: Any further questions?

11 MS. MURRAY: I have none.

12 JUDGE WOLF: Doctor Remwick has some questions.

13 BOARD EXAMINATION

14 BY JUDGE REMICK:

15 Q Dr. Wong, I guess it's on Page 1 of your testimony, the  
16 first page, the first major paragraph where you give values  
17 of K effective.

18 Are those calculations conducted with the channels in  
19 place or just the fuel bundles?

20 A It's conducted with the channels in place.

21 Q All right. If I refer to the enclosure that you included  
22 with your testimony -- it's the long enclosure, and I guess  
23 the page number is missing, but I guess it would be page --  
24 oh, I'm not sure. It's -- I guess it's III-1 -- III-1  
25 under the major heading III, "Nuclear and Thermal-Hydraulic

1 Considerations."

2 Do you find it?

3 A Yeah.

4 Q The paragraph that's numbered 1.1a says that the racks  
5 shall be designed to contain the most reactive fuel  
6 authorized to be stored in the facility without any control  
7 rods or any noncontained burnable poison and the fuel shall  
8 be assumed to be at the most reactive point in its life.

9 Do your calculations comply with that, the  
10 calculations on K effective that I just referred to?

11 A Our calculation used the fresh fuel --

12 Q Is that --

13 A -- and -- and it assumes no control rod and no noncontained  
14 burnable poison.

15 Q I'm sorry. What?

16 A No noncontained burnable poison.

17 Q Does it assume gadolinia present?

18 A No, it doesn't.

19 Q No gadolinia?

20 A Right.

21 Q Is that the most reactive condition for the fuel, then --

22 A Well --

23 Q -- or most reactive point in its life is what the --  
24 perhaps I should refer to?

25 A If you have gadolinium, it will be less reactive.

- 1 Q When; at the beginning of life?
- 2 A Yeah; but we didn't have gadolinia.
- 3 Q Well, the question I'm asking -- it says you should perform  
4 these calculations at the most reactive point in its life  
5 and you indicated that you assumed it with new fuel at the  
6 beginning of life?
- 7 A Uh-huh, yeah.
- 8 Q Is that the most reactive point in the life of that fuel?
- 9 A Yeah.
- 10 Q All right. Is that the case if there is -- if you do  
11 assume gadolinia is the most reactive point?
- 12 A Then it is not --
- 13 Q Right.
- 14 A -- because the gadolinium will be burned and will be more  
15 reactive.
- 16 Q You actually get an increase --
- 17 A Right.
- 18 Q -- with burnup; am I correct?
- 19 A That's correct.
- 20 Q But you used no gadolinium?
- 21 A That's correct.
- 22 Q I believe you indicated -- did you personally have a  
23 conversation with the member of NRC staff about the  
24 interpretation of acceptance criteria?
- 25 A Yes.

1 Q And to whom did you speak?

2 A I speak to a Mr. Walter Brooks at the NRC.

3 Q I'm sorry?

4 A Mr. Walter Brooks.

5 Q And what is his position; do you know?

6 A I -- I don't know.

7 Q All right. Now, I notice in your testimony you talk about  
8 Condition 4 and Condition 5, but in answering a question  
9 from Ms. Murray, you said that the reason that apparently  
10 Mr. Brooks told you you didn't have to consider Condition 4  
11 and Condition 5 is something about accidents?

12 A That's correct.

13 Q And yet you called these conditions.

14 In the licensing report, they're referred to as  
15 conditions, not accidents, and that causes me a little bit  
16 of confusion. In fact, I might say a little bit more than  
17 a little bit of confusion.

18 Because if I refer you to -- once again, to the  
19 enclosure -- and the numbers are missing again -- I think  
20 it's -- it must be III-3. Do you have that?

21 A Yeah.

22 Q The paragraph that's 1.5, "Acceptance Criteria for  
23 Criticality," says, "The neutron multiplication factor in  
24 spent fuel pools shall be less than or equal to 0.95  
25 including all uncertainties, under all conditions."

1 A The Condition 4 and Condition 5 actually should be called  
2 accidents rather than conditions. It's fuel dropping in --  
3 into fuel pool and that's -- that actually should be an  
4 accident situation.

5 Q I wish you would elaborate a little bit on that, because I  
6 was confused as to why you selected to have a fuel assembly  
7 at the side when the -- they do in here somewhere define  
8 the accidents and they talk about a fuel assembly dropping  
9 on top?

10 A Because when we did the analysis, the dropping by the side  
11 is the most severe case than dropping at the top of the  
12 sampling, so that's why we -- we used it as an accident  
13 situation.

14 Q So a fuel assembly at the side of the racks is considered a  
15 postulated accident?

16 A That's correct.

17 Q And that is -- that is what you have called Condition No.  
18 4; am I correct?

19 A Yeah.

20 Q How about Condition 5, then?

21 A I think that's a situation where all the fuel racks all  
22 slide together; and I think, according to NRC  
23 interpretation, that's postulated accident situation, too.

24 Q I somehow got the impression that that was a case where it --  
25 just through fabrication and installation of racks, that



1 they were put in that condition.

2 A No. That's when something happens which cause all the fuel  
3 racks to slide together.

4 (Indicating.)

5 Q Is that described in the licensing report anywhere?

6 A Well, it's not described very clearly. It just says all  
7 racks in contact with each other.

8 Q And your testimony is that the only way that they could be  
9 in contact with one each is under some kind of an accident?

10 A That's correct.

11 Q What kind of an accident would cause them to do that?

12 A Maybe -- right now, the only thing I can think of will be  
13 maybe a seismic event.

14 Q Now, to lead to my confusion, on Page 3-14 of the licensing  
15 report you indicated that the dropping of a fuel assembly  
16 along the side of the fuel racks was, in my words, a  
17 postulated accident, and I selected those words out of the  
18 enclosure, but here under Paragraph 3.3.4 in the licensing  
19 report on Page 3-14, there's a definition of abnormal  
20 storage and handling. It doesn't call it an accident.

21 A Yes. This analysis was done before the issue of the -- the  
22 NRC guidance, so it's -- it doesn't -- it doesn't follow  
23 the terminology used in the NRC guidelines --

24 Q All right. Then it's your --

25 A -- but if you look at the NRC guidance, they have abnormal

1 storage and then postulated accidents --

2 Q Yes.

3 A -- and then postulated accidents.

4 Actually, we look at the content. Refers to our  
5 abnormal condition of dropping of a fuel assembly.

6 Q I'm sorry. I couldn't understand. What were the last few  
7 words?

8 A Well, if you look at the NRC guidance, you have abnormal  
9 storage.

10 Q Could you refer me specifically to a page?

11 A It's 3-2 page.

12 Q All right.

13 A Have abnormal storage and then postulated accidents and the --

14 Q Excuse me. On 3-2?

15 A 3-1.

16 Q 3-1?

17 A 1.1 is abnormal storage --

18 Q Yes.

19 A -- and then postulated accidents.

20 Q Yes.

21 A And that postulated accidents actually corresponds to our  
22 abnormal conditions.

23 Q Now, if you look in just what you referred to under  
24 postulated accidents, the second paragraph you are talking  
25 about accidents, but you say realistic initial conditions,

1 so when I saw in your testimony Condition 4 and Condition  
2 5, I thought you were talking about quote conditions end  
3 quote following the staff guidance here and that they were  
4 not postulated accidents, they were conditions.

5 But am I correct in understanding that in your  
6 testimony what you are calling Condition 4 and Condition 5  
7 you are now saying are postulated accidents?

8 A That's correct.

9 Q And it's the staff's position that you need only one  
10 simultaneous accident --

11 A That's correct.

12 Q -- to meet the -- and still meet the criteria of .95 or  
13 less?

14 A Right.

15 Q May we refer to Page 3-16 of the licensing report, please.

16 Do you have that page?

17 A Yes.

18 Q There are a list of conditions there, 1 through 5.

19 How many of those would you call postulated accidents  
20 now according to the staff definition in contrast to  
21 conditions as you have them indicated in the licensing  
22 report?

23 A It will be 4 and 5.

24 Q Just 4 and 5?

25 A That's right.

1 JUDGE REMICK: Thank you. That's all the  
2 questions.

3 JUDGE WOLF: Okay, very well. Do you have any  
4 questions?

5 MS. MURRAY: One, yes.

6 RECROSS EXAMINATION

7 BY MS. MURRAY:

8 Q Mr. Wong, I misunderstood what your Condition 4 stood for,  
9 the fuel assembly at the side of the racks.

10 Now, in his testimony, Dr. O'Boyle referred to the  
11 possibility of badly bowed fuel channels being stored in  
12 the pool at the side of the racks.

13 What affect would this have on K effective?

14 A Well, if you have one -- one fuel channel at the side of  
15 the rack in the whole pool, the effect will be very small.

16 (Indicating.)

17 Q Could you quantify very small for me?

18 A I -- I haven't done the analysis.

19 (Indicating.)

20 Q So you don't know what affect on K effective fuel channels  
21 stored at the side of the pool would have; is that correct?

22 A Your situation will be one fuel assembly outside?

23 Q No, not a fuel assembly.

24 Dr. O'Boyle stated essentially that if a fuel channel  
25 became so badly bowed that it could not be inserted into a

1 storage position, they might put it at the side of the  
2 racks.

3 Now, would that increase K effective if the position  
4 was subsequently filled up by another fuel channel  
5 assembly?

6 A If you add another fuel by the side of the rack, yeah.

7 Q Okay. Did your calculations assume a fuel pin and a fuel  
8 assembly stored in the same position?

9 A I don't understand your question.

10 Q Well, Dr. O'Boyle stated that at Zion there was an instance  
11 of a fuel pin being stored in the storage position, and  
12 this might be a possibility in the Dresden 2 and 3 pools.

13 Would that increase K effective?

14 A We -- we assume that the -- that all the fuels are in  
15 position -- all the fuel assembly are in the rack in our  
16 analysis.

17 (Indicating.)

18 Q No additional pin in a storage position?

19 A It's already filled.

20 Q What about an accident condition; a pin plus a fuel  
21 assembly in the same storage position? Did you consider  
22 it?

23 A You are talking about two fuel assembly in one storage  
24 location?

25 Q I believe the fuel pin and an assembly are two different

1 things.

2 A Well, you are talking about one fuel pin?

3 Q Uh-huh.

4 A No, we haven't considered that.

5 Q Would it increase K effective if you did consider it?

6 A If you have one fuel pin drop into one storage location,  
7 yes, it will.

8 MS. MURRAY: I have no further questions.

9 MR. STEPTOE: May I conduct some redirect, Chief  
10 Judge Wolf?

11 JUDGE WOLF: Well, I think that Mr. Goddard would --

12 MR. GODDARD: No, we have no questions based upon  
13 this cross examination.

14 JUDGE WOLF: Yes, you may.

15 REDIRECT EXAMINATION

16 BY MR. STEPTOE:

17 Q I believe in response -- excuse me.

18 In response to Ms. Murray, I believe you stated that  
19 the use of Car-Tech channels with Exxon fuel, any  
20 difference in the channel involved in that combination  
21 might possible increase K effective greater than .95.

22 Do you recall saying that?

23 A Yes.

24 Q Have you done that analysis?

25 A No.

1 Q Do you know whether the NRC staff, in their analysis of  
2 Exxon fuel, will consider the criticality effect of storing  
3 fuel assemblies in the Dresden spent fuel pools, including  
4 proposed Dresden racks, assuming those have been approved  
5 by the licensing board?

6 A Can you repeat the question?

7 Q Do you know whether the NRC staff routinely considers  
8 criticality considerations affecting spent fuel pool when  
9 it is asked to authorize the use of new fuel such as Exxon  
10 fuel?

11 A I understand the additional criticality analysis will have  
12 to be performed at that time.

13 Q And if that additional criticality analysis does not meet  
14 the NRC's criteria contained in your Attachment C, the  
15 Branch technical position, do you know what the result will  
16 be?

17 A The result will be it will not be approved.

18 Q The what will not be approved? I couldn't hear you.

19 A The -- the -- the installation of new fuel will not be  
20 approved.

21 MS. LITTLE: Just a moment, Mr. Wong. We're all  
22 trying to hear you, not just Mr. Steptoe.

23 BY MR. STEPTOE:

24 Q Turning to Attachment C again, to the section that you and  
25 Dr. Remick were talking about concerning postulated

1 accidents, it's III, Section 1.2. 1

Do you have that in front of you?

3 A Yes.

5 Q Beginning with the last word on the bottom of that page,  
6 Page III-1, continuing on to the rest of the paragraph, e  
7 there is a sentence beginning, "The postulated accidents  
8 shall include," is there not?

8 A Yes.

9 Q Referring to the No. 1 in parentheses, one of those  
10 postulated accidents is dropping of a fuel element on top  
11 of the racks and any other achievable abnormal location of  
12 a fuel assembly in the pool; is that not correct?

13 A That's correct.

15 Q Is your Condition 4 an achievable abnormal location of a  
16 fuel assembly in the pool?

16 A Yes.

17 Q Going back to the No. 3 in parentheses, it states that a  
18 postulated accident should include the effect of tornado or e  
19 earthquake on the deformation and relative position of the  
20 fuel racks, now, does it not?

21 A Yes.

22 Q Does that language correspond to Condition 5 in your  
23 analysis?

24 A Yes.

25 Q Do you have an opinion, therefore, whether Conditions 4 and



1 5 are accidents within the meaning of this Branch technical  
2 position?

3 A Yes, I think they are accidents.

4 Q Now, you were asked by Ms. Murray what would be the effect  
5 on criticality -- K effective of storing the channel at the  
6 side of the rack.

7 Do you recall that question?

8 A Yes.

9 Q And I believe your answer was that you had not analyzed  
10 that; is that correct?

11 A That's correct.

12 Q Putting aside the need for mathematical exactness, which I  
13 understand, if you learned that a channel, without a fuel  
14 assembly inside -- simply a channel were stored in the  
15 Dresden pool following installation of these proposed  
16 racks, would you have concern for the safety of anybody at  
17 the plant?

18 A Oh, when answering the question, my understanding was there  
19 was fuel in the channel.

20 Q Okay.

21 A If there is no fuel in the channel, then there won't be an  
22 effect on the criticality.

23 Q If there is fuel in the channel, does that correspond to  
24 Condition 4?

25 A Yes.

1 Q And you have analyzed that, have you not?

2 A Yes

3 Q If there is simply an empty channel stored at the periphery  
4 of the pool outside the racks, do you have an opinion  
5 concerning whether the value of K effective would be less  
6 than or greater than .95?

7 A It would be less than .95.

8 Q Now, you were also asked about the possibility of storing a  
9 single pin plus a fuel assembly in a single storage  
10 location.

11 Do you recall that question?

12 A Yes.

13 Q Do you have an opinion -- putting aside, again, the  
14 mathematical exactness which you have to live by, would you  
15 have an opinion as to the danger of storing a single pin  
16 along with a fuel assembly in a storage location in the  
17 proposed Dresden racks?

18 A Can you repeat your question?

19 Q If you learned that a storage position in the Dresden --  
20 proposed Dresden racks contained not only a fuel assembly  
21 similar to those that you have analyzed, but, in addition,  
22 a single pin, do you have an opinion whether K effective  
23 equal to 1.0 would be exceeded in the pool?

24 A My opinion will be it will not be exceeded.

25 Q Why is that?

- 1 A Because the reactivity-worth of the single fuel pin is very  
2 small compared with the whole rack --
- 3 Q If you learned --
- 4 A -- and .95 is very far away from 1.0, and it's impossible  
5 for one single fuel pin to have a reactivity-worth of .05.
- 6 Q If you learned that a single pin was stored in a storage  
7 location -- just a single pin without a fuel assembly -- do  
8 you have an opinion as to what that would do to K effective  
9 compared with the analysis which you've done in that  
10 affidavit?
- 11 A That will reduce the K effective.
- 12 Q Why is that?
- 13 A Because you have only one single fuel pin compared with  
14 fuel assembly, which consists of 7x7 or 8x8 fuel pins.
- 15 Q Is the reactivity-worth of a single pin greater or less  
16 than that of a fuel assembly?
- 17 A It will be less than a fuel assembly.
- 18 Q In conclusion, Dr. Wong, do you have an opinion concerning  
19 the safety of the proposed racks using Exxon fuel?
- 20 A My judgment will be it will be safe.
- 21 Q Do the calculations which you have described in this  
22 testimony support or detract from that judgment?
- 23 A It all supports the judgment.
- 24 Q They what?
- 25 A It all supports the judgment.

1 Q One further question.

2 If you took either Condition 4 or Condition 5 in your  
3 testimony and you replaced either one of those conditions  
4 with the accident which Ms. Murray has suggested -- that  
5 is, a single pin stored along with a fuel assembly in a  
6 storage location -- would that increase or decrease the  
7 value of K effective shown in your affidavit?

8 A In my judgment, it will decrease the K effective.

9 Q Why is that?

10 Well, let us me ask this: Do some accidents have  
11 greater reactivity-worth than others?

12 A Yes.

13 Q Does the accident described by Ms. Murray, a fuel assembly  
14 and a single pin in a storage location, have greater or  
15 less reactivity-worth than the accidents which are -- which  
16 you refer to as Condition 4 and Condition 5?

17 A I think that accident situation of having one fuel pin drop  
18 into a fuel assembly will have less reactivity-worth  
19 compared with Condition 4 and Condition 5 mentioned in the  
20 affidavit.

21 Q Than either one of them?

22 A Yes.

23 MR. STEPTOE: I have no further questions.

24 JUDGE WOLF: Anyone have any further questions?

25 Do you, Ms. Murray?

1 MS. MURRAY: No.

2 JUDGE WOLF: You may be excused. Thank you, Dr.  
3 Wong.

4 (Witness excused.)

5 MR. STEPTOE: Chief Judge Wolf, our next witness  
6 is Mr. Mefford of General Electric.

7 May we call him now?

8 JUDGE WOLF: Let's call him now, but I think that  
9 in order to provide for a supper hour, that we'll break in,  
10 well, 15 minutes and adjourn for an hour and 15 minutes,  
11 but at least we can take care of the preliminaries.

12 MR. STEPTOE: Certainly. May we ask that Mr.  
13 Mefford be sworn.

14 JUDGE WOLF: Yes. Will you raise your right  
15 hand, please.

16 (The witness was thereupon  
17 duly sworn.)

18 JUDGE WOLF: You may be seated.

19 CARL R. MEFFORD

20 called as a witness by the Applicant, having been first duly  
21 sworn, was examined and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. STEPTOE:

24 Q Mr. Mefford, would you please state your full name for the  
25 record?

1 A Yes. My name is Carl R. Mefford.

2 Q By whom are you employed and in what capacity?

3 A I'm employed by the General Electric Company. I'm  
4 principal engineer in the fuel mechanical design area.

5 Q Mr. Mefford, you are going to have to speak up considerably  
6 so that everyone can hear you.

7 Mr. Mefford, are you familiar with the affidavit  
8 dated January 29, 1981, which has been filed on your behalf  
9 in this proceeding?

10 A Yes, I am.

11 Q Do you have any changes or corrections that you would like  
12 to make at this time?

13 A No, I do not.

14 Q Is this affidavit true and correct to the best of your  
15 knowledge and belief?

16 A Yes, it is.

17 Q Do you accept responsibility for it?

18 A Yes, I do.

19 MR. STEPTOE: Chief Judge Wolf, at this time we  
20 request that the affidavit of Carl R. Mefford be  
21 incorporated into the record as if read.

22 JUDGE WOLF: Are there any objections?

23 MR. GODDARD: None from the staff, sir.

24 JUDGE WOLF: Any objections?

25 MS. MURRAY: None from the Intervenor.

1 JUDGE WOLF: Without objection, the affidavit of  
2 Carl R. Mefford will be bound in the record as if read.

3 (The document referred to follows:)  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1 MR. STEPTOE: I have nothing further by way of  
2 direct, Chief Judge Wolf, and I tender this witness to  
3 cross examination with respect to the subject matter of his  
4 testimony.

5 JUDGE WOLF: Would you begin the cross  
6 examination, Ms. Murray.

7 MS. MURRAY: I certainly will.

8 CROSS EXAMINATION

9 BY MS. MURRAY:

10 Q Mr. Mefford, you have a bachelor of science degree in  
11 electrical engineering; is that correct?

12 A That is correct.

13 Q And you have taken what is called the A Course from General  
14 Electric; is that correct?

15 A That is correct.

16 Q Can you please describe just what the A Course is?

17 A The A Course is an advanced technical course that General  
18 Electric provides for engineering graduate students -- I'm  
19 sorry. Not graduate students, but -- but their new  
20 engineers.

21 Q How long does the A Course take?

22 A One year.

23 Q And there's also a B and C Course, aren't there?

24 A Yes, this is.

25 Q You did not take either the B or C Course; is that correct?

26 A No, I did not.



1 Q Is there any particular reason why you didn't take either  
2 one of these courses?

3 A No.

4 Q What do the B and C Courses cover?

5 A The B and C Courses cover the same thing, just to a larger  
6 extent.

7 Q You say that your unit, the fuel assembly design unit, is  
8 responsible for mechanical design of fuel bundles, channels  
9 and channel fasteners.

10 What exactly do you mean by mechanical design?

11 A Basically, we do the stress analysis for the fuel, set the  
12 dimensions.

13 Q Do you decide on what type of material will be used?

14 A In conjunction with materials engineering.

15 Q Do you work with any other departments in mechanical design  
16 of the fuel?

17 A Well, yes. We work with -- with all other kinds of  
18 organizations.

19 In General Electric, a department is a very large  
20 organization. It's -- you know, it's hundreds of people;  
21 and so I interface probably only with -- well, with maybe  
22 two or three departments, but that could be, you know, a  
23 dozen different organizations.

24 (Indicating.)

25 Q So when you say you set the dimensions, you design the size

1 of the fuel channel and bundle?

2 A Yes, in conjunction with, say, the input from nuclear  
3 engineering and the input from the thermal-hydraulics  
4 people.

5 Q And --

6 A These dimensions are jointly arrived at.

7 Q That is, your unit, in conjunction with these other units,  
8 are responsible for the design of the fuel channels that  
9 are now bowing in the Dresden 2 and 3 reactors; is that  
10 correct?

11 A That's correct.

12 Q Is your unit also responsible for designing the --  
13 designing fuel channels that would bow less?

14 A We are responsible for designing channels at this very  
15 time, yes.

16 Q As I understand it, there are no heat treatment and  
17 fabrication processes that you are using so that the fuel  
18 channels will bow less; is that correct?

19 A To my knowledge, at this time I cannot specifically state  
20 that if a channel was located on the core periphery under  
21 the same differential fluence, that the current channels  
22 would bow less.

23 Q Is there any way to design the fuel channels, either in  
24 their dimensions or their structure or their materials,  
25 that would cause them to bow less?

1 A If you had a channel made from a material that the axial  
2 growth was not dependent upon the fluence at which the  
3 channel seized, then it would not bow.

4 Q To your knowledge, is there such a material?

5 A Not that is suitable for use in a reactor.

6 Q When did you first learn about fuel channel assembly  
7 bowing?

8 A I would estimate that I first heard of channel bowing about  
9 1977.

10 Q And subsequent to your learning about the fuel channel  
11 bowing, did this influence the way you designed your fuel  
12 channels or bundles?

13 A No.

14 Q Reading your testimony on the first page, under  
15 "Introduction," you state, "As described in the testimony  
16 of Mr. Gilcrest, there is potential for interference  
17 between spent fuel assemblies and the racks for the  
18 combination of worst case fabrication tolerances and worst  
19 case channel bowing."

20 It is correct that there is the possibility or the  
21 potential for interference in worst case channel bowing  
22 alone without taking into account worst case fabrication  
23 tolerances; is that correct?

24 A That I cannot say.

25 When I'm talking about worst case tolerances here,

1 I'm talking about rack tolerances as well as bundle  
2 tolerances.

3 Q What I'm asking is: Without taking worst case rack  
4 tolerances into consideration, there could still be  
5 interference with worst case channel bowing; is that  
6 correct?

7 MR. STEPTOE: Chief Judge Wolf, I'm going to  
8 object at this point. This is beyond the scope of this  
9 witness' testimony. He's here to talk about the loads that  
10 will occur, and as clearly stated in this sentence, he's  
11 just taking the interferences as given by Mr. Gilcrest in  
12 Mr. Gilcrest's testimony.

13 Counsel for Intervenor is asking about bowing, which  
14 is not in his testimony, and now counsel for Intervenor is  
15 asking about interferences, which is the subject of Mr.  
16 Gilcrest's testimony.

17 It seem to me that it's beyond the scope of what he's  
18 up here to testify on.

19 JUDGE WOLF: Do you want to respond to that, Ms.  
20 Murray?

21 MS. MURRAY: As far as worst case fabrication  
22 tolerances in the rack, I guess I should address the  
23 question to Mr. Mefford as to when he received this  
24 information from Mr. Gilcrest, but as for fuel channel  
25 assembly bowing, Mr. Mefford has indicated that he is

1 responsible for the design construction of the fuel  
2 bundles, channels and channel fasteners and as such should  
3 know about fuel channel assembly bowing.

4 JUDGE WOLF: Well, ask him about it.

5 BY MS. MURRAY:

6 Q All right. Why is General Electric concerned with the  
7 problem of fuel channel assembly bowing?

8 A You mean in regards to questions other than insertion of  
9 fuel bundles into storage racks?

10 Q That's correct.

11 A Well, the other implications of channel bowing is that if  
12 it is sufficiently large, it could create an interference  
13 condition with the control rods.

14 Q Have you ever known that to happen?

15 A There is one reported incidence at a reactor. I cannot --  
16 I don't recall which reactor it was, but a channel was left  
17 in the core periphery for an extended period of time. It  
18 was then shuffled into a new position and there was high  
19 control rod drive friction noted. That channel was moved,  
20 a new channel was put in its location and the friction --  
21 and the high friction went away.

22 JUDGE WOLF: Ms. Murray, can you come a point  
23 that would be convenient to stop at?

24 I think we ought to take steps to have a recess for  
25 dinner.

1 MS. MURRAY: Chief Judge Wolf, I could mark off a  
2 question right here and we can take a recess now.

3 JUDGE WOLF: Fine, okay. I thought --

4 MR. STEPTOE: Chief Judge Wolf, I was going to  
5 ask about the time we reconvene and how long we would like --  
6 you would like to go tonight.

7 I have some witnesses that I might send home if it's  
8 unlikely that we're going to get to them.

9 JUDGE WOLF: Well, the notice said that we'd go  
10 from 7:00 to 9:00, but I was hoping we could go to 10:00 if  
11 that would finish it. I don't know that it would; but  
12 could we discuss that further after dinner?

13 MR. STEPTOE: Certainly.

14 JUDGE WOLF: Let's take an hour-and-a-quarter and  
15 come back at -- it will be 7:00 o'clock; is that correct?

16 JUDGE REMICK: Yes.

17 JUDGE WOLF: How many witnesses do you have?

18 MR. STEPTOE: We have, in addition to Mr.  
19 Mefford, Mr. Gilcrest and Mr. Ragan; and I think the only  
20 person who knows how long this is going to go, and she may  
21 not know, is counsel for Intervenor.

22 JUDGE WOLF: Well, whatever it takes, it takes.  
23 Let's do that, then.

24 MS. MURRAY: Judge, in addition, I believe Horace  
25 Shaw has to testify yet.

1 MR. STEPTOE: Yes, that's true.

2 JUDGE WOLF: I wanted to mention, so that we  
3 think about it a little bit before you go to dinner, that  
4 the staff indicated, as you know, at the beginning of this  
5 session, that it would be some time during the course of  
6 this week or perhaps even the early part of next week  
7 before they can get the affidavit in in response to the  
8 Board Question 2.

9 I wondered if we could expect that, within 2 weeks  
10 after the receipt of the answer, that both the Intervenor  
11 and the Applicant could get affidavits in in response.  
12 Then if it's necessary for the Board to ask any questions,  
13 as I stated earlier, we'll have a short meeting in  
14 Washington to clear it up, but I hope after we get -- we'll  
15 keep the record open until we get the affidavits and we'll  
16 then close it.

17 Because you have done advance work on your findings  
18 of fact and conclusions of law, we might set a short period  
19 of time on that and finally move this case to a conclusion.

20 We'll adjourn, then, until 7:00.

21 (Whereupon a recess was had,  
22 after which the hearing  
23 was resumed as follows:)

24  
25

1 JUDGE WOLF: Ms. Murray, are you ready to  
2 proceed?

3 MS. MURRAY: Yes, I am, Judge Wolf.

4 JUDGE WOLF: Are you ready, Mr. Witness?

5 THE WITNESS: Yes, I am.

6 JUDGE WOLF: Mr. Reporter?

7 MR. SONNTAG: Yes, sir.

8 BY MS. MURRAY:

9 Q Just before we broke, Mr. Mefford, I believe we were  
10 talking about the interference between bowed channel  
11 assemblies and the reactor blades.

12 Do you know how much a fuel channel would have to be  
13 bowed before it interfered with a reactor blade?

14 A No, I do not know the precise number.

15 Q Can you give us your opinion on a rough estimate?

16 MR. GODDARD: Objection. Judge Wolf, the --

17 JUDGE WOLF: What is the basis for the objection?

18 MR. GODDARD: The basis for the objection is that  
19 the interference with the reactor blades is not a part of  
20 the spent fuel pool modification hearing that we are  
21 engaged in here today.

22 If I may, Judge Wolf, poor performance is not an  
23 issue in this proceeding.

24 JUDGE WOLF: Objection sustained, Ms. Murray.

25 MS. MURRAY: Judge Wolf?



1 JUDGE WOLF: Yes.

2 MS. MURRAY: To the extent that a fuel assembly  
3 would bow to the point that it interfered with the reactor  
4 blade, perhaps at that point it would be taken out of the  
5 reactor.

6 I was curious as to the amount of bow that then would  
7 be the maximum and then put into the spent fuel pool, if  
8 that would be a criteria that they would use in determining  
9 when to take a bowed assembly out of the reactor.

10 JUDGE WOLF: Why don't you ask it that way, what  
11 the criteria is?

12 MS. MURRAY: Thank you.

13 BY MS. MURRAY:

14 Q Mr. Mefford, do you know what the criteria would be for a  
15 bowed fuel assembly before it would be taken out of a  
16 reactor?

17 A No, I do not.

18 Q Then there are no design criteria which your unit --

19 A I would say that the criteria for removing a channel, when  
20 you know you would have to remove it, is when you start  
21 seeing an increase in control rod drive friction.

22 Q Do you know what that amount of bow is?

23 A That might start occurring at, maybe, approximately, a  
24 quarter of an inch of bow.

25 Q Which would be approximately 250 mils?

1 A Yes.

2 Q Thank you. What recommendations has General Electric made  
3 to the users of its products, specifically Commonwealth  
4 Edison and the Dresden 2 and 3 reactors, to alleviate the  
5 problem of fuel assembly channel bowing?

6 A I am not an expert in that area.

7 Q You designed the fuel channels and the fuel bundles but you  
8 don't make any recommendations as to how to alleviate bow?

9 A There are other organizations within the General Electric  
10 Company that follow the performance of the components and  
11 provide inputs to the utilities as to how they should be  
12 operated.

13 Q Do you have knowledge of those recommendations?

14 A I am familiar with a SIL, which was prepared and provided  
15 to the customers. A SIL is a Service Information Letter.

16 Q Would you please describe that specific Service Information  
17 Letter that was sent to the customers?

18 A I do not have a copy of that document with me; but it  
19 provided -- well, in essence, it was the recommendations  
20 that Mr. O'Boyle was referring to, that were provided in  
21 1979.

22 MS. MURRAY: Could I have this marked as  
23 Intervenor's Exhibit No. 18 for identification, please.

24 (The document was thereupon  
25 marked Intervenor's Exhibit No.

1 18 for identification as of April  
2 20, 1981.)

3 BY MS. MURRAY:

4 Q Mr. Mefford, I am going to hand you what has been marked  
5 Exhibit No. 18 for the Intervenor for identification.

6 Is this the Service Information Letter which you were  
7 referring to a few minutes ago?

8 A Yes, it is.

9 Q Have you seen this document before?

10 A Yes, I have.

11 Q Where did this document originate from?

12 A As indicated on Page 3 of this document, Mr. K. E. Watkins  
13 was the primary originator of the document.

14 Q Are these Service Information Letters prepared in the  
15 normal course of business of General Electric?

16 A Yes.

17 MS. MURRAY: I would like at this time to offer  
18 Intervenor's Exhibit No. 18 into evidence.

19 JUDGE WOLF: Mr. Steptoe.

20 MR. STEPTOE: Chief Judge, we have no objection  
21 to the introduction of this into evidence. It was referred  
22 to in Dr. O'Boyle's testimony.

23 However, we must say that it's not clear to us what  
24 the relevance or what the purpose is for introducing this  
25 document.

1           We do strongly believe, along with the staff, that  
2 the subject here today is interference in the racks and the  
3 storage pools, and it's not reactor operation; but --

4           MR. GODDARD: The staff --

5           JUDGE WOLF: Pardon me.

6           MR. STEPTOE: But subject to that, we have no  
7 objection at this point.

8           JUDGE WOLF: Mr. Goddard.

9           MR. GODDARD: The staff has a further objection  
10 to all portions of this document which are handwritten, as  
11 there is no indication as to the source of those  
12 handwritten comments which are indicated thereon.

13           JUDGE WOLF: Well, as to that, it can be taken  
14 subject to the condition that the handwritten material on  
15 it would not be considered part of the exhibit.

16           Ms. Murray, tell me the purpose for which you are  
17 making this offer, please.

18           MS. MURRAY: Mr. Mefford is a GE employee. He  
19 does design the fuel channels and the fuel bundles, and I  
20 would be trying to make the point that he would have  
21 something to say on how those fuel channels and bundles  
22 should be used and to what extent.

23           I am just about to start entering my questions on the  
24 loads and the stresses on those fuel assemblies.

25           JUDGE WOLF: But I don't see the relevance of

1 this document in that regard. He was presented in that  
2 capacity; but --

3 MS. MURRAY: Well, it first shows that there are  
4 recommendations for the use of the GE channels and bundles;  
5 and it also shows the time period in which GE --

6 JUDGE WOLF: I know; but he, I take it, did not  
7 make these recommendations and is not the sponsor of this  
8 document.

9 I have difficulty seeing --

10 MR. STEPTOE: Chief Judge, may I say that this  
11 would relate to Dr. O'Boyle's testimony, since he referred  
12 to it; but this witness is talking about stresses and loads  
13 and not about fuel channel bowing.

14 Furthermore, I don't think this document contradicts  
15 anything that Dr. O'Boyle said. So I really don't  
16 understand what it adds.

17 JUDGE WOLF: Well, in order to move along, for  
18 what it's worth, subject to the condition that none of the  
19 writing on it shall be considered part of it, we will  
20 accept it as your exhibit.

21 BY MS. MURRAY:

22 Q Mr. Mefford, referring to your testimony on Page 3, are all  
23 your calculations as to component loadings based on  
24 information which you received from Mr. Gilcrest?

25 A I would say yes, that my evaluations of the impact of

1 insertion of GE fuel and removal of these rods was based  
2 upon Mr. Gilcrest's inputs.

3 Q Has GE ever done any measurements similar to Mr.  
4 Gilcrest's?

5 A No, we have not.

6 Q Now --

7 A To my knowledge, to my knowledge.

8 Q Excuse me.

9 A GE is a very large company.

10 Q Now, in the event that Mr. Gilcrest's testimony should be  
11 changed due to various factors that he might not have taken  
12 into account, would your calculations then be changed?

13 For instance, if the amount of interference which he  
14 calculated was increased, would your measurements be  
15 changed?

16 A The margins which I have indicated here might change; but  
17 the --

18 Q What do you mean by margins?

19 A The capability --

20 MR. STEPTOE: Objection, your Honor. I think the  
21 witness ought to be allowed to answer the question.

22 JUDGE WOLF: Do you have more to state, Mr.  
23 Mefford?

24 THE WITNESS: Yes, I do. For example, in each of  
25 these different loadings that I addressed here, we

1 indicated the factor at which the design loads are greater  
2 than the identified loads. That factor would change as the  
3 applied loads change.

4 BY MS. MURRAY:

5 Q If the bundle was stored without the channel, what would  
6 support the weight of the bundle in the storage position?

7 A The lower tie plate.

8 Q So the lower tie plate is attached --

9 A The lower tie plate of the fuel bundle.

10 Q What forces will the tie rods be subjected to during  
11 withdrawal of the fuel channel in worst case channel  
12 bowing?

13 A Essentially, the only loads in the tie rods will be the  
14 loads required to lift the weight of the assembly or the  
15 weight of the fuel bundle, approximately 600 pounds.

16 Q Can they withstand that amount of force?

17 A Yes, they can, readily.

18 Q Are you ever involved with the storage of the channels and  
19 bundles that your unit designs?

20 A No, I am not.

21 Q Are you aware of any GE design requirements for storage of  
22 bowed fuel channels?

23 A I am familiar with a document which was prepared by GE for  
24 distribution to utilities providing guidelines for design  
25 of fuel storage racks.

1 Q And what are those guidelines?

2 A I can't recite them right now. It's -- there were some  
3 recommendations in regards to the size of the opening, how  
4 the fuel bundle was to be supported, et cetera.

5 Q If you saw that document, would it refresh your  
6 recollection?

7 MR. STEPTOE: Objection, Chief Judge. I don't  
8 think the witness has stated -- he stated that it's not his  
9 responsibility to design or to issue such documents.

10 So I object to counsel's characterization of the  
11 problem as being refreshing his recollection.

12 JUDGE WOLF: Sustained. Next question, please.

13 BY MS. MURRAY:

14 Q Is it your opinion that the improvements that GE has  
15 instituted in the fabrication processes and heat-treatment  
16 areas might change the bow slightly, but since the bow is  
17 primarily due to the location of the channel on the core  
18 periphery, the new processes are not going to solve the  
19 problem?

20 MR. STEPTOE: Objection, your Honor. I don't  
21 know what counsel is doing here; but, first of all, the  
22 question has been asked and answered.

23 Second of all, she is, apparently, reading something  
24 into the record; and I don't know what she is reading; and  
25 if it's part of a document that she is trying to get into



1 evidence, there are more proper ways of approaching that.

2 Third, we don't know what problems she is referring  
3 to.

4 MS. MURRAY: Judge Wolf, if Mr. Mefford had  
5 answered that specific question, I was not aware that he  
6 had answered it.

7 Secondly, I am not reading from any particular  
8 document, only from a list of questions that I prepared;  
9 and that came from his deposition, which was taken,  
10 roughly, ten days ago.

11 JUDGE WOLF: Can you answer the question, Mr.  
12 Mefford?

13 THE WITNESS: Could you repeat the question,  
14 please?

15 JUDGE WOLF: Would you do that, please, Mr.  
16 Reporter?

17 (The question was thereupon read  
18 by the Reporter.)

19 A The new processes will not make channel bowing go away in  
20 the peripheral fuel bundle locations. It may be that it  
21 could improve the situation, but I cannot quantify the  
22 magnitude of the improvement.

23 BY MS. MURRAY:

24 Q Referring to your testimony on Page 3, under upper tie  
25 plate lifting bail, is the figure of 2,040 pounds something

1 you calculated or something that you achieved from doing a  
2 test?

3 A Our design specs for the fuel are that all components shall  
4 be capable of withstanding a load equivalent to the weight  
5 of the bundle, plus two G's.

6 The 2,040 pounds is that. That's the weight of the  
7 assembly -- three times the weight of the assembly.

8 The capability of the tie plate has been addressed  
9 relative to that design limit or design guide.

10 Q Referring to your testimony on the channel corner gusset,  
11 at the bottom of Page 3 you state, "General Electric has  
12 performed a test wherein the load-carrying capability of  
13 the channel corner gusset was measured."

14 Was that one single test that you performed?

15 A Yes, it was.

16 Q So that's the basis -- that one test is the basis -- for  
17 your conclusion; is that correct?

18 A That is the -- that most readily demonstrates the  
19 capability of the channel gusset to withstand this kind of  
20 load.

21 Q Did you do any tests on the channel fastener bolt to  
22 determine what kind of load they would withstand?

23 A The channel fastener bolts are tested to the limits which  
24 are specified in my testimony by the supplier, and then  
25 they are also periodically checked by the General Electric

1 receiving inspection people.

2 Q Okay. Your conclusion states that the possible  
3 interferences described in Mr. Gilcrest's testimony do not  
4 present any safety problem with respect to fuel assemblies  
5 provided by or supplied by GE.

6 What do you mean by the term, "Safety problem?"

7 A I would consider a safety problem -- the only thing I can  
8 think of is if you should perforate the fuel cladding.

9 Q So if the upper tie plate lifting bail should fail, you  
10 wouldn't consider that a safety problem?

11 A If the upper tie plate lifting bail fails while the bundle  
12 was sitting in the storage rack, no, I would not.

13 Q You wouldn't consider failure of the channel corner gusset  
14 a safety problem?

15 A No. That will release no radioactivity.

16 Q Or a failure of the channel fastener bolts a safety  
17 problem?

18 A Again, no.

19 Q Then if you don't consider failure of any of these three  
20 components, the upper tie plate, the channel corner gusset  
21 or the channel fastener bolt, a safety problem, why did you  
22 consider them in your testimony?

23 A I considered the loads which were provided by Mr. Gilcrest  
24 that would be applied to the fuel bundles.

25 Q Would you say, in your opinion, it is -- strike that.

1           Is it better, in your opinion, to design racks that  
2 would accommodate both fuel assemblies or to have the  
3 high-density racks wherein you have to consider the loads  
4 that will be applied to the assemblies in putting them in  
5 and out?

6     A     My opinion?

7           My opinion is that the best thing for the country is  
8 the high-density fuel storage racks.

9     Q     Even though they cannot accommodate bowed fuel assemblies  
10 without interference?

11    A     The fuel will not be harmed by the amount of interference  
12 which has been defined.

13    Q     Then it's okay, in your opinion, to have to resort to extra  
14 force to insert or withdraw the bowed fuel assemblies in  
15 case of worst case interference?

16    A     The loads which have been defined, there is no problem  
17 with. We are not talking about failure. You asked a  
18 theoretical question about, you know, is there a safety  
19 problem with the bail failing, the gussets failing, the  
20 bolt failing?

21           I indicated there was no safety problem with those  
22 components failing.

23           I am not saying that they are failing. I am saying  
24 they will not fail.

25    Q     Do you know why the grapple limit switch is set at 1,100

1 pounds, as described in Mr. Ragan's testimony?

2 A I do not for a fact; but it's my opinion that that --

3 JUDGE WOLF: Well, unless he knows, I don't think  
4 it helps the record.

5 MS. MURRAY: I don't believe I have any further  
6 questions, Mr. Mefford.

7 JUDGE WOLF: Mr. Goddard, do you have any  
8 questions?

9 MR. GODDARD: The staff has no questions for this  
10 witness.

11 JUDGE WOLF: Does the Applicant have any further  
12 questions?

13 MR. STEPTOE: Yes, I have a few questions.

14 REDIRECT EXAMINATION

15 BY MR. STEPTOE:

16 Q Mr. Mefford, do you consider yourself an expert in  
17 metallurgy?

18 A No, I do not.

19 Q Do you consider yourself an expert on fuel channel bowing?

20 A I do not.

21 Q Do you agree or disagree with Dr. O'Boyle's statement about  
22 the likelihood of heat-treatment and fabrication processes  
23 decreasing future bow?

24 A I cannot agree or disagree, because I do not know. I do  
25 not know for a fact that this new processing will change

1 the radiation growth properties of the material.

2 Q On Page 3 of your testimony with respect to the upper tie  
3 plate lifting bail --

4 A Yes.

5 Q -- you were asked about the design load of 2,040 pounds?

6 A Yes.

7 Q If a load of 2,041 pounds is put on the upper tie plate  
8 lifting bail, will the bail fail?

9 A It will not.

10 Q Do you have any general idea -- I am sorry.

11 Do you have an opinion as to the ultimate strength of  
12 the upper tie plate lifting bail, whether it is -- well,  
13 strike that last comment.

14 A Yes, I do. Approximately, oh, eight to ten years ago there  
15 was a test run on an upper tie plate lifting bail for  
16 7-by-7 fuel assembly, which is very, very similar to 8-by-8  
17 fuel assemblies that are now our current design.

18 That lifting bail failed at, as I recall, 18,500  
19 pounds. I did not use that as a basis for my testimony,  
20 because the test was not well-documented, but I have the  
21 tie plate sitting in my office.

22 (Laughter.)

23 MR. STEPTOE: We have nothing further of this  
24 witness, Chief Judge.

25 JUDGE WOLF: Yes, Ms. Sekular?

1 MS. SEKULAR: May I ask one question of the  
2 witness for clarification?

3 JUDGE WOLF: Yes.

4 RECROSS EXAMINATION

5 BY MS. SEKULAR:

6 Q Toward the end of your testimony on Cross Examination, Mr.  
7 Mefford, you stated that it was your opinion -- I don't  
8 know if I have this as an exact quote -- but it was your  
9 opinion that it would be better for the country to have  
10 racks of the sort that are going into the Dresden pool as  
11 designed as opposed to having redesigned racks.

12 Was it your assumption in stating that opinion that  
13 that redesigned rack would not allow for compaction?

14 A Yes, it was my assumption that a redesigned rack would not  
15 allow for compact storage of the fuel.

16 Q May I ask you another question then, which is:

17 If you had the alternative of using the racks as  
18 designed today or another compacted rack which allowed  
19 enough space for the fuel to fit in without jamming, which  
20 would you prefer?

21 A I would choose to answer that question by stating that I do  
22 not think that there are any problems with the racks as  
23 designed.

24 Q Would you, therefore, prefer not to have a newly designed  
25 rack that would allow for no jamming?

1 MR. STEPTOE: Objection to counsel's use of the  
2 word jamming in this context. Certainly, there is no  
3 support in the record for it.

4 MS. SEKULAR: It came from the testimony that --

5 JUDGE WOLF: Excuse me. Would you read the  
6 question back to me, please?

7 (The question was thereupon read  
8 by the Reporter.)

9 MS. SEKULAR: I will rephrase that to say that  
10 would assure no interference.

11 JUDGE WOLF: The question assumes a fact that is  
12 not proved in the record here.

13 MS. SEKULAR: I believe that in the testimony  
14 that was submitted, that there was. Mr. Gilcrest indicated  
15 that there could be some interference, two interferences.

16 JUDGE WOLF: Mr. who?

17 MS. MURRAY: Gilcrest.

18 MS. SEKULAR: Mr. Gilcrest in his written  
19 testimony.

20 JUDGE WOLF: We haven't heard from him, yet.

21 MR. STEPTOE: Chief Judge Wolf, two things.

22 JUDGE WOLF: Yes.

23 MR. STEPTOE: First of all, I think his testimony  
24 is talking about worst case possible interference, that is  
25 the possibility of interference.



1           Second, I have another objection to this whole series  
2 of questions, which is that Mr. Mefford and General  
3 Electric Company are not the people who have the  
4 responsibility for making the decisions as to whether these  
5 racks should be redesigned or not.

6           It seems to me that, perhaps, a representative of  
7 Commonwealth Edison Company, such as Mr. Ragan, would be  
8 the appropriate person to ask that question of.

9           It's clearly outside the scope of this witness's  
10 testimony.

11           JUDGE WOLF: I would suggest that we reserve  
12 until Mr. Ragan gets on and then lay a foundation for  
13 asking him that question and you can explore that area with  
14 him to the advantage of the record.

15           MS. SEKULAR: Mr. Chairman, I would be glad to do  
16 so. I was wondering, however, if Mr. Ragan is not able to  
17 answer the question, if we might re-call the witness for  
18 the purposes of having the question answered at that time.

19           JUDGE WOLF: Well, if you could qualify him to do  
20 it, you could re-call him; but the reason I am not  
21 accepting the question now is that I don't think that he is  
22 the person who is qualified.

23           MS. SEKULAR: Thank you.

24           JUDGE WOLF: So let's see what you can develop  
25 from Mr. Ragan in that area.

1 MS. SEKULAR: Thank you.

2 MR. STEPTOE: Excuse me, Chief Judge.

3 We have a problem with that, in that Mr. Mefford is  
4 going back to California tomorrow; and we won't be able to  
5 release him if we leave it in that ambiguous state, I  
6 think.

7 JUDGE WOLF: Well, we are going to have Mr. Ragan  
8 right now, aren't we, as a witness?

9 MR. STEPTOE: Well, we were planning on putting  
10 up Mr. Gilcrest. We can put up Mr. Ragan, I suppose.

11 MS. SEKULAR: Judge, would it be possible to have  
12 him answer the question as an offer of proof and then have  
13 the Board decide at a later date whether or not they were  
14 going to accept his testimony?

15 JUDGE WOLF: Off the record.

16 (There followed a discussion  
17 outside the record.)

18 JUDGE WOLF: Back on the record now.

19 MS. SEKULAR: I don't have any other questions of  
20 the witness at this time, Judge.

21 JUDGE WOLF: All right. Thank you.

22 Are there any further questions of this witness at  
23 this time?

24 MR. STEPTOE: No.

25 JUDGE WOLF: Dr. Remick.

1 BY JUDGE REMICK:

2 Q Mr. Mefford, in response to a question from Mr. Steptoe,  
3 you partially clarified a question I had on the upper tie  
4 plate lifting bail; but I am not completely clear yet.

5 You earlier said in response, I think, to a question  
6 from Ms. Murray that the design criteria for that upper tie  
7 plate lifting bail was the weight of the assembly plus two  
8 G?

9 A That's right.

10 Q Then you equated that to three times the weight. There is  
11 something I am missing in your answer there.

12 What is the significance of the weight plus two G?

13 A Well, it's basically three times the weight, three G's.

14 Q All right. But why did you answer weight plus two G?

15 A No reason, except that I have seen it expressed in that way  
16 to laymen, to help explain what we are talking about, not  
17 that I am putting you in the layman category.

18 (Laughter.)

19 JUDGE REMICK: I might prefer that I am a layman.

20 (Laughter.)

21 BY JUDGE REMICK:

22 Q All right. The lifting bail, how is it attached to the  
23 upper tie plate; is it welded or threaded?

24 A It's integral with the upper tie plate as a casting.

25 JUDGE REMICK: As a casting. All right. Thank

1           you.

2           Those are all the questions I have.

3           JUDGE WOLF: There are no further questions?

4           MS. MURRAY: No.

5           JUDGE WOLF: You may be excused for now, Mr.

6           Mefford.

7           (Witness Excused.)

8           JUDGE WOLF: Next witness.

9           MR. STEPTOE: Yes. Chief Judge, our next witness  
10          is Mr. Ron Ragan.

11          JUDGE WOLF: Mr. Ragan, you have been sworn  
12          before and we will consider you are still under oath and  
13          accept your testimony on that basis.

14          MR. STEPTOE: Chief Judge, I believe Mr. Ragan is  
15          still under oath.

16          JUDGE WOLF: Yes. We just went through that.

17          MR. STEPTOE: I am sorry. I didn't hear that. I  
18          am sorry.

19          RONALD M. RAGAN

20          recalled as a witness by the Applicant, having been previously  
21          duly sworn, was examined and testified  
22          further as follows:

23                         DIRECT EXAMINATION (Continued.)

24                         BY MR. STEPTOE:

25          Q         Mr. Ragan, will you state your name, spelling it for the

1 record?

2 A Ronald M. Ragan, R-a-g-a-n.

3 Q By whom are you employed; and in what capacity?

4 A Commonwealth Edison Company, at Dresden Station. I am  
5 Assistant Superintendent for Operations.

6 Q Are you familiar with the supplemental testimony of Ronald  
7 M. Ragan which has been filed in this matter?

8 A Yes, I am.

9 Q Do you have any changes that you would like to make at this  
10 time?

11 A I have one. On Page 1 at the bottom, the last sentence,  
12 and the top of Page 2, the sentence that begins with, "With  
13 the cable slack an electrical interlock limits the  
14 additional weight of the grapple resting on top of the fuel  
15 assembly to about 50 pounds," that statement is incorrect  
16 and I would like to delete it.

17 The next sentence I would like to remove, "If this  
18 interlock were to fail," and start the sentence at, "The  
19 added weight of the telescoping cans on the fuel assembly  
20 would be approximately 500 pounds when the assembly is  
21 seated."

22 And then the third sentence I would like to remove  
23 completely.

24 Q Can you, please, explain the reason for this change?

25 A We were under the wrong assumption of the operation of the

1 grapple at the time this was written; and after consulting  
2 with General Electric and some of our engineering people,  
3 we found out that when the grapple telescope seats and  
4 assembly, all the weight on the grapple cans is put onto  
5 the assembly until 50 pounds is sensed and then the  
6 interlock takes effect so that no more weight is put on it  
7 in a downward direction.

8 Q Could you explain what you mean by, "50 pounds is sensed"?

9 A (No response.)

10 Q Is 50 pounds a maximum or minimum?

11 A 50 pounds is a minimum.

12 Q What senses that 50 pounds?

13 A It's a load selsyn on the telescope. There is a cable that  
14 holds onto the assembly through the telescoping cans and  
15 that is hooked to a load selsyn which senses the 50 pounds.

16 Q Do you have any other changes that you would like to make  
17 in this testimony?

18 A No.

19 Q Subject to those changes, is it true and correct to the  
20 best of your knowledge and belief?

21 A Yes, it is.

22 Q Do you accept responsibility for it?

23 A Yes, I do.

24 MR. STEPTOE: At this time, Chief Judge Wolf, we  
25 request that the supplemental testimony of Ronald M. Ragan

1 be accepted into the record as if read.

2 JUDGE WOLF: Is there any objection, Ms. Murray?

3 MS. MURRAY: I would like to voir dire the  
4 witness first.

5 JUDGE WOLF: You may do that.

6 MS. MURRAY: Thank you, Judge Wolf.

7 VOIR DIRE EXAMINATION

8 BY MS. MURRAY:

9 Q Mr. Ragan, you state that you have a Bachelor of Science in  
10 Mechanical Engineering.

11 Do you have any other advanced degrees?

12 A No, I don't.

13 Q Have you taken any courses in metallurgy?

14 A Only in my undergraduate work.

15 Q What courses were those?

16 A Strength of materials and one metallurgy course.

17 Q Have you taken any advanced courses in mathematics?

18 A Only undergraduate mathematics courses up through -- well,  
19 differential equations; and I believe that's all.

20 Q Have you done any metallurgical experimentation?

21 A No, I haven't.

22 Q Have you done any analyses of stress?

23 A Only in lab courses in school, yes.

24 Q In your strength of materials courses?

25 A Strength of materials courses.

- 1 Q When was that; when did you take that course?
- 2 A 1964, 1965.
- 3 Q What level in college was it, first year, second year?
- 4 A I had two, two strength of materials courses in the third  
5 year of school.
- 6 Q Have you done any experimentation with corrosion?
- 7 A No, I haven't.
- 8 Q Have you computed amounts of corrosion?
- 9 A No, I haven't.
- 10 Q Have you studied corrosion in stainless steel or zircaloy?
- 11 A By what do you mean? Could you explain, study of corrosion  
12 effects?
- 13 Q Have you done any experimentation with corrosion in  
14 stainless steel?
- 15 A No, I haven't.
- 16 Q Zircaloy?
- 17 A No, I haven't.
- 18 Q Have you reviewed the literature in corrosion of stainless  
19 steel and zircaloy?
- 20 A I have read many documents on corrosion of stainless  
21 steels, yes.
- 22 Q Whose documents were those?
- 23 A They were various. I can't think of any in particular.
- 24 Q What are your current job responsibilities?
- 25 A I oversee operations of Dresden Nuclear Power Station's



1 Units 1, 2 and 3, and along with that the fuel handling  
2 activities associated with those units.

3 Q On Page 5 of your testimony, did you personally make the  
4 decision to delete the mandrel test?

5 A It was part -- it was the station's responsibility, I felt,  
6 to make that decision. Based on evidence that was produced  
7 by testimony of Dr. Draley and previous people ahead of me  
8 and, also, because of the samples that we would be putting  
9 into the pools that can measure corrosion effects and would  
10 give us a head start on determining whether or not  
11 corrosion would be a problem in the racks.

12 Q But did you personally make that decision?

13 A For the station?

14 Q Yes.

15 A Yes.

16 Q Did you consult with Dr. Draley about that decision?

17 A No; but I discussed this with our people in NFS, in  
18 engineering.

19 Q Do they have any experience in corrosion?

20 A I can't answer that.

21 Q Mr. Ragan, did you alone write the testimony on mandrel  
22 testing of unfilled storage locations?

23 A Do you mean -- could you rephrase that question, please?

24 Q Did anybody help you write the testimony on mandrel  
25 testing?

1 A Yes.

2 Q Who was that?

3 A Scott Pedigo, who works on the station's technical staff.

4 Q What was his input?

5 A A lot of the data that was supplied on the testing of the  
6 locations of the racks, the input from the different  
7 departments, such as NFS and Station Nuclear Engineering,  
8 was supplied to Scott, and he input the data into the  
9 testimony.

10 MS. MURRAY: Judge Wolf, at this time I would  
11 move to strike the testimony of Ron Ragan, starting on Page  
12 4, Paragraph D, "Mandrel testing of unfilled storage  
13 locations."

14 JUDGE WOLF: Very well. Do you want to respond  
15 to that, now, Mr. Steptoe?

16 MR. STEPTOE: Chief Judge Wolf, I don't think she  
17 has explained the grounds on which she is moving to strike;  
18 and I would be interested in knowing what they are.

19 JUDGE WOLF: Mr. Goddard, do you have anything  
20 you wish to add?

21 MR. GODDARD: I would join in Mr. Steptoe's  
22 observations with regard to this motion.

23 JUDGE WOLF: Do you want to expand on the reasons  
24 for striking Paragraph D on Page 4?

25 MS. MURRAY: First of all, Mr. Ragan has had no

1 courses in metallurgy, he has no experience with testing  
2 for corrosion, with computation of corrosion. This was all  
3 expert testimony submitted by Dr. Draley at the hearings in  
4 November, so he has no personal expertise to say whether or  
5 not this mandrel testing should or should not be done for  
6 corrosion.

7 Secondly, he has stated that the input was received  
8 from somebody else, and so the analysis of whether or not  
9 it should be done was not his personally.

10 MR. STEPTOE: Chief Judge, if I may respond, with  
11 respect to the first point about Mr. Ragan's expertise in  
12 metallurgy, this is not offered as expert testimony. It's  
13 simply -- there is no statement on Pages 4 and 5 with  
14 respect to metallurgy or corrosion that does not simply  
15 describe what the testimony of Dr. Draley is and  
16 acknowledge what that already establishes.

17 With respect to what this is, is a statement of  
18 personal knowledge as to the reasons why Commonwealth  
19 Edison made a decision not to accept a particular  
20 recommendation. It is not the -- it does not purport to be  
21 the -- expert opinion concerning a corrosion problem.

22 Second, with respect to the preparation of the  
23 testimony, I am not aware that it is grounds for objection  
24 that Mr. Ragan received help from one of his co-workers  
25 with respect to the collection of data.

1           Certainly, Mr. Ragan has sworn that this is true and  
2 correct and he has accepted full responsibility for it.

3           There is simply nothing in the voir dire which  
4 establishes that he has signed a blank check here for  
5 another person's work. Therefore, I do not believe that  
6 the counsel for Intervenor has made a valid motion to  
7 strike here.

8           JUDGE WOLF: Well, in the manner that counsel for  
9 Applicant has qualified the testimony, it will be received  
10 in the record as the supplemental testimony of Ronald M.  
11 Ragan as if read.

12           MR. STEPTOE: I have nothing further by way of  
13 direct examination.

14           I tender the witness for Cross Examination, Chief  
15 Judge.

16           JUDGE WOLF: Do you wish to begin the cross, Ms.  
17 Murray?

18           MS. MURRAY: Yes.

19           CROSS EXAMINATION

20           BY MS. MURRAY:

21    Q    Mr. Ragan, on the first page of your testimony, under,  
22        "Design of the fuel grapple," you state that there is no  
23        way to try and force a partially inserted assembly down?

24    A    That is correct.

25    Q    If severe fuel channel assembly channel bowing should occur

1 to the point where the fuel channel is inserted or  
2 attempted to be inserted into a storage position which  
3 would not accept it, what plans does Commonwealth Edison  
4 have to deal with that situation?

5 A Under the worst case fuel rack dimensions and fuel channel  
6 bowing, we feel that there is no problem lifting the  
7 assembly back out of the location.

8 The interference is not great enough that it would  
9 present a problem with a normal grapple operation, just  
10 pulling the assembly back out of the can.

11 Q Then what would you do with it once you pulled it back out?

12 A We may do one of two things. Based on its position within  
13 the rack, we may try another location, assuming that a tube  
14 is larger than the adjacent space locations; or, secondly,  
15 we may dechannel the assembly and store the element without  
16 a channel or the bundle without a channel.

17 Q Where would the assembly be dechanneled?

18 A In the dechanneling machine on the wall of the pool.

19 Q Would this dechanneling result in additional exposure to  
20 workers of radiation?

21 A Not significantly. The dose rates in the area of the pool  
22 range between 2 to 5 millirem per hour. The dose rates at  
23 this channeling machine are probably 4 to 5 millirem per  
24 hour, so there is not that much difference between the dose  
25 rates between working on the pool and beside the pool.

1 Q But because workers would have to take extra time to  
2 dechannel these assemblies, wouldn't it result in  
3 additional exposure?

4 A Looking at it that way, yes.

5 Q Referring to the change in your testimony on Page 2, where  
6 you state -- I believe this is the way your testimony  
7 should read now, "The added weight of the telescoping cans  
8 on the fuel assembly would be approximately 500 pounds when  
9 the assembly is seated."

10 Now, should the assembly have to be removed, would  
11 this 500 pounds have to be taken into account in the amount  
12 the grapple can lift?

13 A That 500 pounds is already taken into account in the load  
14 that the grapple has to lift.

15 Q Okay. In Mr. Mefford's testimony, on Page 3, under  
16 "Component loadings," he states that the combination of  
17 fuel assembly component weights in worst case interference  
18 could result in the following maximum loads being applied  
19 to spent fuel during insertion and removal from the subject  
20 upper tie plate lifting bail, 1,190 pounds.

21 Now, isn't the maximum lift that the grapple can  
22 exert 1,100 pounds?

23 A Yes, it is.

24 Q What would happen if the maximum force needed to withdraw a  
25 fuel assembly from the storage position was greater than

1 1,100 pounds?

2 A I believe that -- I calculated that number, using numbers  
3 supplied in Mr. Gilcrest's testimony and also Mr. Mefford's  
4 testimony; and the 680 pounds that they use is for an  
5 assembly's dry weight, which is out of the water.

6 I believe the number for an assembly in the water is  
7 600 pounds weight. So when you add the 600 pounds, plus  
8 the drag forces, you come up about 1,110 pounds.

9 The grapple motor hoist is rated at 2,000 pounds.  
10 The electrical interlock was set down to 1,100 pounds  
11 during original operation to account for lifting the cans,  
12 the telescoping cans, along with the assembly.

13 That interlock could be bypassed and taken up to  
14 1,800 pounds, the original set point; but that is a set  
15 point that has to be changed by electricians and is not a  
16 bypass type of operation by a fuel handler.

17 Q Looking at your Attachment 1, which is a representation of  
18 measurements on the racks, what do these figures refer to?

19 A These are the internal dimensions of the lead-in clips on  
20 each storage location within that rack. It is the smallest  
21 diameter found in those, the smallest dimension found in  
22 both the X and Y positions within those storage locations  
23 in the racks.

24 Q How do you know that is the smallest dimension?

25 A When we had our mechanics take the dimensions in the rack,

1 they used a vernier caliper and just ran the calipers along  
2 the walls until they come up with what they felt was the  
3 smallest dimension.

4 Q Along the walls of each storage position?

5 A At the location of the lead-in clips.

6 Q At the location of the lead-in clips, does this mean that  
7 they didn't measure the internal dimension halfway down the  
8 storage position?

9 A That's correct.

10 Q So it's possible that there could be a smaller dimension in  
11 the storage position but you wouldn't be aware of it at  
12 this point; is that correct?

13 A No. The reason we didn't take the dimensions any further  
14 down than the lead-in clips is because, one, we could not  
15 reach that far down; and, two, the lead-in clips have the  
16 smallest dimension of the total rack.

17 Q I am not familiar with the exact physical set-up, but how  
18 can you be sure at the lead-in clips is the smallest  
19 dimension if you haven't measured further down in the  
20 storage position?

21 A We were just -- we had just taken drawing dimensions as the  
22 possibility of the smallest dimension being in that  
23 location.

24 We had no belief that there could be a smaller  
25 dimension further down in the can.



1 Q Would there ever be a situation where you would exert force  
2 to insert a fuel channel assembly into a rack?

3 A No. There is no way to do that with the equipment that we  
4 have for moving fuel.

5 Q Under Paragraph 7, on Page 3, how can you visually  
6 determine if an assembly has fully inserted?

7 A Inserted into the cans, is that the question?

8 Q This is your statement, the second sentence of Paragraph 7.

9 A When this was written we had meant that the cans had a  
10 considerable extension outside of the can -- the assembly,  
11 excuse me, had a considerable extension outside the cans.

12 The tie plate, the upper tie plate, and the spring  
13 clip would rest inside -- entirely inside -- the cans; and  
14 that is easily visualized by the fuel handlers. Anything  
15 outside of that can be readily seen and noticed by the fuel  
16 handlers.

17 Q So you are saying that once the upper tie plate lifting  
18 bail is at the top of the rack, you know it's fully  
19 inserted?

20 A You have a -- yes. You have visually -- you can visually  
21 see that the assembly is inserted into the cans.

22 Q Referring to the following two sentences in that Paragraph  
23 7, at this time you have no procedure for what Commonwealth  
24 Edison would do should a fuel assembly be partially  
25 inserted; is that correct?

- 1 A We have no approved procedure. Those procedures are in our  
2 review process now. They have been changed and are in a  
3 review process to put an action statement, a precautionary  
4 statement, in there for fuel handlers, what would happen if  
5 an assembly became partially lowered into a fuel element  
6 can.
- 7 Q Will you have any way of telling before insertion into the  
8 racks how badly a fuel channel assembly is bowed?
- 9 A No.
- 10 Q So you won't know whether you are inserting one of the 420  
11 mils bowed assemblies or one of the 100 mils bowed  
12 assemblies; is that correct?
- 13 A That's correct.
- 14 Q Is there any way to determine prior to insertion the size  
15 of the storage position you will be inserting the fuel  
16 channel assembly into?
- 17 A We will have dimensions of all the racks and all the tubes  
18 that will be installed into the pools and we will have an  
19 idea of those; but installing one assembly into any of  
20 those positions, I don't think we are going to follow it  
21 that closely.
- 22 Q You won't pick and choose the positions that you are going  
23 to insert assemblies into then; is that correct?
- 24 A That is correct.
- 25 Q On Page 8 of Dr. Draley's testimony, which was submitted

1 last November into evidence, he states, "I have recommended  
2 that a periodic mandrel test of unfilled storage tubes be  
3 carried out to guard against this unlikely event"; and I  
4 believe the event he is referring to is the swelling of  
5 boral due to corrosion.

6 Now, you did not consult with him before determining  
7 that this mandrel test was unnecessary; is that correct?

8 A I have not personally, no.

9 Q Has anybody at Commonwealth Edison?

10 A Our Engineering Department -- I believe our Engineering  
11 Department and our Nuclear Fuel Service Department have  
12 talked to Dr. Draley, yes.

13 Q But you don't know for sure?

14 A I know that for sure.

15 Q Who told you?

16 A In my discussions with Dr. O'Boyle.

17 Q Did you specifically talk about mandrel testing with Dr.  
18 O'Boyle?

19 A At different times, yes, I have.

20 Q Did Dr. O'Boyle recommend that the mandrel testing be  
21 abandoned?

22 A We have talked about the mandrel testing and feel that we  
23 have enough data and will install coupons within the pools  
24 that are specifically to determine boral corrosion; and we  
25 feel with that program there will not be a need to test the

1 rack positions or do mandrel testing on the positions.

2 Q Mr. Ragan, as I recall, that coupon program is such that  
3 ten years from now, I believe, you go during a five-year  
4 period without even withdrawing the coupon; is that  
5 correct?

6 A I believe that's correct, yes.

7 Q So do you not believe that it would be more prudent to do a  
8 mandrel test prior to insertion of a fuel channel assembly  
9 into a storage position rather than rely on a five-year  
10 periodic coupon withdrawal?

11 A I don't have Dr. Draley's testimony here; but, as I  
12 remember, he feels that the boral corrosion for the  
13 lifetime, the 40 years of the rack designs, will not be a  
14 problem.

15 Q Couldn't a mandrel test also tell you if a fuel storage  
16 position would accommodate a bowed fuel assembly?

17 A Not necessarily.

18 Q Could it if designed properly?

19 A If designed properly, I am sure it would.

20 Q Was the basis for abandonment of the mandrel test only  
21 factored on the corrosion element or did you also take the  
22 bowing problem into account?

23 A When I made that decision, I felt that bowing was not a  
24 problem and corrosion was not a problem based on Dr.  
25 Draley's studies; that in the event that we would see, and

1 in a sense, see it coming before there was actually a  
2 problem.

3 Q When did you make this decision?

4 A Since the last hearings. I can't give you a specific date.

5 MS. MURRAY: Judge Wolf, I would like to take a  
6 two-minute break in order to determine the last question we  
7 had with Mr. Mefford and how this witness could best be  
8 prepared to answer it, just so we can get both questions  
9 out of the way.

10 JUDGE WOLF: You may do that.

11 MS. MURRAY: Thank you.

12 (Whereupon a recess was had,

13 after which the hearing

14 was resumed as follows:)

15 JUDGE WOLF: May we come to order, please?

16 Ms. Murray, are you prepared to go on now?

17 MS. MURRAY: Yes, Judge Wolf.

18 BY MS. MURRAY:

19 Q Mr. Ragan, have you ever talked to Carl Mefford about  
20 preferred designs of racks?

21 A No, I have not.

22 Q Have you ever talked to Mr. Mefford about how to handle  
23 fuel that -- fuel channel assemblies -- that become stuck  
24 or interfere with the walls of the storage positions?

25 A No, I have not.

1 Q Have you ever had any conversations with Mr. Mefford?

2 A No.

3 Q With your knowledge of fuel channel assembly bowing  
4 problems and the physical handling problems associated with  
5 it, in your opinion, as Superintendent of Operations, would  
6 you prefer to have high-density storage racks designed to  
7 accommodate bowed fuel with no possibility of having the  
8 fuel partially insert or impede during withdrawal?

9 MR. STEPTOE: Objection to the form of the  
10 question, Chief Judge. First, the use of "problems," Mr.  
11 Ragan's knowledge of problems. I think his testimony is to  
12 the contrary, that he doesn't see any problems.

13 Second of all --

14 JUDGE WOLF: Rephrase the question, Ms. Murray.

15 MR. STEPTOE: Perhaps I should add, Chief Judge,  
16 at this point, we also have an objection to the relevance  
17 of expressing a preference for a hypothetical situation.

18 We have got a real question here before the Board,  
19 not the question that Intervenor seeks to raise. We are  
20 not starting from scratch.

21 JUDGE WOLF: I think that point is well taken.

22 Let's see how Ms. Murray can reframe the question.

23 BY MS. MURRAY:

24 Q Mr. Ragan, do you not indicate in your testimony with the  
25 fuel channel assembly bowing and minimum tolerance storage

1 positions that there is a possibility for interference?

2 A Under worst case conditions, there is a possibility of  
3 interference, yes.

4 Q And you have considered the situation where there would be  
5 a partially inserted assembly; is that not correct?

6 A Under worst case conditions; beyond that it is possible  
7 from happening, I suppose, yes, we have analyzed what we  
8 would do to respond to those situations.

9 Q And you have, also, had to analyze the maximum lift that  
10 the grapple can exert and the possibility that it might not --  
11 it might go over the 1,100 pounds that the force of the  
12 grapple can exert; is that not correct?

13 A We have analyzed the grapple operation in our procedures,  
14 yes; but that would be something we would do normally  
15 during most types of safety-related work, to make sure that  
16 all the alternatives are weighed before we get into the  
17 operation.

18 Q Well, you had to specifically consider this because of the  
19 phenomenon of fuel channel assembly bowing; is that not  
20 correct?

21 A The possibility, I suppose, exists; that we want to have  
22 all the avenues covered before we get into the operation.

23 Q Well, with this knowledge you have of fuel channel assembly  
24 bowing and the possibility of interference, in your  
25 opinion, would it be better to have a high-density rack

1 that was designed so that there would be no possibility of  
2 interference?

3 MR. STEPTOE: Chief Judge, I have the same  
4 objection concerning the relevance of this question.

5 JUDGE WOLF: I will sustain that, Ms. Murray.

6 MS. MURRAY: The racks in this situation have  
7 been designed and they are designed as such that they may  
8 not be able to accommodate bowed fuel channel assemblies.

9 It would seem relevant that the Superintendent of  
10 Operations, who has to deal with the insertion and  
11 withdrawal of the bowed fuel channel assemblies in these  
12 specific high-density racks should be able to offer an  
13 opinion as to whether high-density racks should be able to  
14 accommodate this bowed fuel.

15 MR. STEPTOE: Chief Judge, it seems to me that  
16 the only relevant question here is whether the proposal  
17 before the Board, which are these racks which have been  
18 designed, offer a reasonable degree of assurance that the  
19 public health and safety will be protected.

20 It is always possible to envision different ways in  
21 different rack designs, different approaches, that could  
22 have been used; but under the Atomic Energy Act, the  
23 question is very simple. Are the ones that are before you  
24 safe?

25 It's not at all clear to Applicant how answering a



1 hypothetical question about other designs, which are not  
2 before you, whether there would be improvement or not,  
3 advances the issue that you have to decide.

4 JUDGE WOLF: The same ruling, Ms. Murray.

5 BY MS. MURRAY:

6 Q Mr. Ragan, how do you expect to handle lead-in clip  
7 interference?

8 A I am sorry. What was --

9 Q In the -- where the enter dimensions of the rack lead-in  
10 clip fall below minimum tolerance, I believe there is a  
11 possibility that the lead-in clips will interfere at the  
12 spacer button.

13 How do you expect to handle that problem?

14 A Again, I don't feel there is a problem, because the weight  
15 of the assembly and the interference there is not beyond  
16 what the fuel assembly grapple is capable of handling  
17 without problems.

18 Q Mr. Ragan, how much does it cost to do one mandrel test?

19 A In money probably not very much, but in exposure to  
20 personnel, I feel it's unwarranted because of the  
21 additional exposure.

22 Q However, you stated earlier that if you have to remove a  
23 fuel channel from an assembly, that there will be  
24 additional exposure to workers; and in which situation  
25 would there be more exposure?

1 A In the mandrel testing, because the possibility there is we  
2 would spend more hours and more manpower above the pool  
3 than we would working off the side of the pool on one  
4 assembly removing the channel.

5 Q How much additional exposure to workers would there be  
6 should an assembly be only partially inserted?

7 A That would vary on the situation where the assembly was at  
8 the time. That would be hard to cover all aspects, I would  
9 think, on that.

10 Q Would it be more than mandrel testing?

11 A Possibly.

12 MS. MURRAY: I have no further questions.

13 JUDGE WOLF: Thank you. Mr. Goddard, do you have  
14 any questions.

15 MR. GODDARD: Yes, I do, Judge Wolf.

16 CROSS EXAMINATION

17 BY MR. GODDARD:

18 Q Mr. Ragan, does Commonwealth Edison possess a channel  
19 measuring system at Dresden Station?

20 A Yes, it does.

21 Q What is the function of such a system?

22 A The system is used to measure channel deflexion by means of --  
23 for bowing, primarily.

24 Q Would you describe how and where the measurement of such  
25 irradiated channels takes place?

1 A That measurement is taking place right now at the site of  
2 the fuel storage.

3 Q Is it done in the pool?

4 A The measurement itself is done in the pool and the  
5 equipment reads out to a location at the side of the pool.

6 Q What is the purpose of measuring the channels for  
7 deformation?

8 A To insure that bowing hasn't exceeded limits which our Fuel  
9 Department has established.

10 Q Are those limits related to core performance or to storage  
11 of bowed assemblies?

12 A Those dimensions are related to, as in previous hearings,  
13 channel bowing and their interference with fuel racks and  
14 then, as Mr. Mefford stated, with the interference with  
15 control blades within the core.

16 Q Can you quantify the increased occupational exposures  
17 resulting from measuring such channels in the pool as  
18 opposed to merely attempting to place them in their desired  
19 storage locations?

20 A I am not completely familiar with the channel measuring  
21 program, although I know that it takes additional manpower  
22 and time and resulting exposures.

23 I believe the channel measuring program that was in  
24 progress at Dresden was completed over a matter of two  
25 weeks, with two men, at exposure of about 5 MR per hour;

1 and I haven't accumulated that dose.

2 MR. GODDARD: The staff has no further questions  
3 for this witness.

4 JUDGE WOLF: Is there any redirect?

5 MR. STEPTOE: Yes, Chief Judge Wolf.

6 REDIRECT EXAMINATION

7 BY MR. STEPTOE:

8 Q I think in response to a question from Ms. Murray, you  
9 stated the procedures have not yet been written with  
10 respect to what to do if an assembly should become stuck in  
11 the proposed racks.

12 Do you recall that?

13 A I believe I said that the final approved procedures are not  
14 out yet.

15 Q Okay.

16 A They have been written.

17 Q But you have no approved procedures yet; is that correct?

18 A That is correct.

19 Q Will those approved procedures be written by the time spent  
20 fuel rods are placed in the pool?

21 A Yes, they will be.

22 Q I believe, also, in response to a question from Ms. Murray,  
23 you talked about the possibility of using a properly  
24 designed mandrel to test storage locations?

25 A Yes.

1 Q Okay. Can you describe, briefly, what you mean by a  
2 properly designed mandrel?

3 A A properly designed mandrel, in my mind, would have to be a  
4 mandrel designed like a fuel channel, with the dimensions  
5 of a fuel channel, with a maximum bow in one direction that  
6 would have to be installed not once but four times within  
7 each storage location to insure that it would fit all the  
8 dimensions of the storage location.

9 Q Do you mean installed or inserted?

10 A Inserted. I am sorry.

11 Q Is that when you are making the mandrel test that you  
12 insert it four times into each storage location; is that  
13 what you are saying?

14 A That is correct.

15 Q And how many storage locations would have to be test --  
16 would you have to test to be absolutely sure that there was  
17 no problem with respect to clearance of that mandrel?

18 A I am not absolutely sure what you are looking for. To be  
19 absolutely sure that you would have no interference, you  
20 would have to install the mandrel in all the locations you  
21 plan on using.

22 Q Would that be a reasonable testing program or would you  
23 test less than every single one?

24 A You could probably test less than every one; but to be  
25 absolutely sure, I suppose, you would have to test every

1 one.

2 Q Do you have an opinion about the amount of occupational  
3 exposure which would be associated with such a program,  
4 assuming that you did it every year before refueling?

5 A I feel that it would probably take three men a week to  
6 complete that testing.

7 Q Is that for one pool or two pools?

8 A That would be for one pool. And, again, exposures in the  
9 neighborhood of 3 to 5 millirem per hour.

10 JUDGE LITTLE: May I interject here?

11 Are you talking about a 40-hour week?

12 THE WITNESS: A 40-hour week.

13 JUDGE LITTLE: They are exposed for 40 hours at 5  
14 millirem per hour?

15 THE WITNESS: That is right.

16 BY MR. STEPTOE:

17 Q Do you have an opinion that such exposure would be low as  
18 reasonably achievable?

19 A No, because I feel that the testing is not required.

20 Q No, you don't have an opinion, or no, you don't feel it is  
21 reasonable?

22 A No, I don't feel it's low as reasonably achievable.

23 MR. STEPTOE: I have nothing further, Chief  
24 Judge.

25 JUDGE WOLF: Ms. Murray?

1 MS. MURRAY: Just one question.

2 RE CROSS EXAMINATION

3 BY MS. MURRAY:

4 Q Mr. Ragan, you were answering a question of Mr. Goddard's  
5 dealing with measuring channels for deformation at the  
6 pool.

7 How much additional exposure to workers does this  
8 involve?

9 A The channel measuring?

10 Q Yes.

11 A Channel measuring, as it is being completed at Dresden,  
12 involves putting a fuel assembly into a rack at the side of  
13 the pool; and then from that point all the testing is done  
14 remotely.

15 So the exposures to people would be primarily the  
16 involvement of picking the assembly out of the storage  
17 location, moving across the storage pool and putting it  
18 into the rack and then back again.

19 The actual measurements are done far enough from the  
20 pool that there are some increased dose rates in that area  
21 but they are very low.

22 MS. MURRAY: I have no further questions.

23 JUDGE WOLF: Thank you. Are there any more  
24 questions of this witness?

25 Dr. Remick?

## 1 BOARD EXAMINATION

2 BY JUDGE REMICK:

3 Q Mr. Ragan, I am not sure I understand the change in your  
4 testimony. Could you explain in your own words the 50  
5 pounds and the 500 pounds? I am not sure I understand what  
6 these are.

7 A The fuel assembly is lifted by the means of a telescoping  
8 grapple. Inside this grapple is a cable that physically  
9 hauls the assembly up in the air, and then the telescoping  
10 cans are lifted along with the assembly. That cable goes  
11 up to a reel that is monitored by a load cell on the hoist.

12 When --

13 Q Excuse me. What is the purpose of this telescoping  
14 grapple?

15 A It's primarily to insure that there is no sway, it's  
16 rigidity of the telescoping piece as it goes down into the  
17 storage location to pick up an assembly or lower one into  
18 the core.

19 All the telescoping sections do is give rigidity to  
20 fuel movement.

21 An actual cable supports the assembly and then the  
22 cans as the weight of the cans is lifted off up in the air.

23 The upper limit on lifting the assembly in the cans  
24 is set at 1,100 pounds.

25 That insures that if an assembly is pulled out of the



1 reactor, for instance, that there is no chance of getting  
2 it caught and then causing damage to not only the assembly  
3 but the grapple lifting motor as it's pulled up.

4 Q Let me ask you a question at this point.

5 The telescoping grapple is 500 pounds and it's  
6 sitting on top of the assembly?

7 A When the assembly is put down into storage location, the  
8 added weight of the cans is put on top of the assembly,  
9 until a 50-pound selsyn is actuated; and then there is an  
10 interlock that prevents the cable weight from going down  
11 any further.

12 Q 50 pounds. Is that 50 pounds on the cable?

13 A It's 50 pounds on the cable, yes.

14 Q So the purpose of that is so that your cable doesn't go  
15 completely slack; is that it?

16 A That is correct.

17 Q But there is still 500 pounds on the assembly?

18 A From the weight of the telescoping cans.

19 Q Plus the weight of the assembly?

20 A That is correct.

21 Q Now, when you go to withdrawal, the telescoping section is  
22 still sitting on the element when you go to withdrawal?

23 A And, eventually -- yes, that is correct. And then,  
24 eventually, the cable starts picking up the weight of  
25 those, not only the assembly, but the cans.

1 Q All right. It seems to me if the assembly weighs 600  
2 pounds in the water and the telescoping cans weigh 500,  
3 there is 1,100 right there without any drag.

4 How are you ever going to pull anything out that has  
5 any drag?

6 A The limit is set so that it is very close, I agree, to the  
7 weight of the cans, plus the weight of the assembly; and  
8 interference between the upper core grid and the vessel  
9 would --

10 Q Or the spent fuel pool?

11 A -- or in the spent fuel pool would cause tripping of that.

12 That limit is, actually -- I am confusing, I think,  
13 the whole issue here.

14 That limit is actually 600 pounds above that 1,100  
15 pound weight, if you can follow me. There is an actual 600  
16 pound clearance between the 1,100 pound interlock, the  
17 weight of the channel -- the weight of the assembly, plus  
18 the weight of the telescoping cans to trip that 1,100 pound  
19 limit.

20 The weight of the telescoping cans is really not  
21 included in the 1,100 pounds that the set point is set at.  
22 It's over and above that set point.

23 Q Okay. So you could then with an 1,100 pound set point pick  
24 a 600 pound assembly, plus 500 pounds of drag; is that  
25 another way of stating what you just said?

1 A Yes, that is correct. The original set point on that was  
2 at 1,800 pounds when the grapple was new, because if we  
3 included the weight of the telescoping cans on top of that  
4 1,800 pounds, the total there would be 2,300 pounds, which  
5 is over the lifting capability of the motor hoist, the  
6 2,000 pound hoist.

7 So we arbitrarily set it to 1,100 pounds to give us a  
8 500 pound spread between the actual can weight and the  
9 assembly weights, to give us an 1,100 pound interlock.

10 Q Now, let me see if I can restate this.

11 You can lift a 600 pound assembly, accommodate 500  
12 pounds of drag and the 500 pound telescoping cans. That is  
13 what, 1,600 pounds?

14 A That is correct.

15 Q Am I correct you said the maximum capacity of the hoist is  
16 1,800?

17 A The original set point was at 1,800, but the hoist can lift  
18 2,000 pounds. The motor is rated at 2,000 pounds.

19 Q So you could possibly set that up another 400 pounds --

20 A That is correct.

21 Q -- to accommodate another 400 pounds of drag which occurred --

22 A That is correct.

23 Q -- without exceeding the hoist motor capacity?

24 A That is correct.

25 Q So, also, if you are inserting an assembly and, let's

1           assume, that was bowed and you are putting it into a can,  
2           the maximum force that you could put on it would be 500  
3           pounds of the telescoping cans, plus the 600 pounds of the  
4           assembly; that is the only force you could apply to insert?

5           A       That is correct.

6           Q       Is there any reason to believe that if you inserted an  
7           element that had interference with that 1,100 pounds or is  
8           there any reason to suspect that it would take or to expect  
9           that it would take more than 1,100 pounds to withdraw it?

10          A       Not by the calculations and the drag limits that came out  
11          of previous testimony, no.

12                   420 mils, the worst case assembly bow, plus the worst  
13          case rack dimensions, that, I think in Mr. Mefford's  
14          testimony, adds up to 1,100 -- slightly over 1,100 pounds.

15                   So I don't feel there is a problem of lifting it out  
16          with the grapple at all.

17          Q       I am not thinking so much of a problem as the question: Is  
18          there any reason to expect it would take more force to pull  
19          it out than it took to insert it?

20          A       No, I can't see where there would be any.

21          Q       In response to a question from Mr. Goddard, you were  
22          talking about -- I think it was Mr. Goddard, excuse me --  
23          about dechanneling fuel.

24                   Do you normally dechannel fresh spent fuel, fresh  
25          discharged fuel?

1 A Yes, we do. The assemblies that are pulled out of the core  
2 cycle that are depleted that do not go back in, we will  
3 remove their channels, between 100 to 200 channels, and put  
4 them on new fuel and use them over again in future cycles.

5 Q During that refueling cycle or after the fuel that you have  
6 removed has cooled some time?

7 A During the next refueling cycle.

8 Q The next refueling cycle?

9 A Yes. We take them off. As soon as the core is unloaded,  
10 we remove, put the depleted fuel in it's rack. Before the  
11 new fuel goes back into the core, it will have a new  
12 channel installed on it.

13 Q The point I am trying to get at is: If you take a fuel  
14 assembly out of the reactor core, how long is it normally  
15 before you would dechannel it, if you were going to  
16 dechannel it?

17 Would you do it immediately during that refueling  
18 cycle or would you do it some time between then and the  
19 next refueling cycle?

20 A Normally, it would be immediately during that refueling  
21 outage. We do not keep -- normally would not keep --  
22 excess channels laying around. We would take those, the  
23 assemblies that were not going to be used, remove the  
24 channels and put them on the new fuel before it goes back  
25 into the vessel.

1 Q During that same outage?

2 A During that same outage.

3 Q I was curious about the different trade-offs that you might  
4 have considered in coming to the decision, that, I think,  
5 you indicated was your decision, to not require mandrel  
6 testing; and you mentioned occupational exposure.

7 Are there other major considerations in determining  
8 whether to accept, I think, a recommendation from Dr.  
9 Draley to Commonwealth Edison to consider mandrel testing  
10 and your decision to not accept that recommendation? What  
11 kind of considerations go into that, trade-off  
12 considerations? Is the most important one, the  
13 occupational exposure?

14 A That is a primary one. In addition to that, the manpower  
15 time. Scheduling time before or during a refueling outage  
16 would be a problem.

17 It's a factor, but it's minor, would be the  
18 additional cost by doing that kind of operation.

19 The set-up time and the interference with other  
20 operations that have to be done immediately ahead of the  
21 refueling outage is a big impact.

22 Q Are those the major considerations then?

23 A That's primarily what I had in my mind, yes.

24 Q You also indicated that to do an adequate mandrel testing  
25 job you would have to insert a mandrel, I think, four times

1 into one tube.

2 Why would it be four versus two times? It seems like  
3 you would have an X-Y direction. Why would you do it twice  
4 in the X? I would assume you would rotate it 180 degrees  
5 from your answer, but why would you do it four times versus  
6 two times?

7 A Well, when I said that I had in mind that a mandrel would  
8 be rotated -- excuse me -- would have one offset position,  
9 but you could have four different -- well, no. You would  
10 have a possibility of four different dimensions inside --  
11 that's not correct.

12 I feel that the statement I made was probably in  
13 error, come to think of it, as I think about it now.

14 Each storage location could possibly be accomplished  
15 with two positions.

16 Q Do the top of the tubes, if you have the -- what are the  
17 clips called?

18 A Lead-in clips.

19 Q Lead-in clips, would those be on all four faces or would  
20 there be one in the X direction or one in the Y?

21 A They are in all four positions.

22 Q So am I correct then that two times would be sufficient  
23 rather than four times?

24 A That is correct, yes.

25 Q You also said, I believe, that your estimate would be that

1 it would take three men a week to complete the mandrel  
2 testing.

3 Now, what did you assume about the number of tubes  
4 that you would test there? Would you have to test all  
5 empty tubes or just sufficient enough for that defueling  
6 that you were about to do on that particular outage?

7 A For one thing, I assumed we would do each location four  
8 times so it would actually be now half of that number.

9 Q All right.

10 A I assumed that we would test all the core positions where  
11 we would plan to put spent fuel in --

12 Q Core positions or spent fuel positions?

13 A We would -- spent fuel storage locations that we would be  
14 putting spent fuel from the core in during that cycle,  
15 which would be in the neighborhood of 200 to 250 locations.

16 Q So in that estimate, other than the four times versus the  
17 two times, you were only thinking about measuring a  
18 sufficient number to handle the fuel coming out of the  
19 core?

20 A That is correct.

21 Q And when Mr. Goddard asked you about your fuel channel  
22 measuring apparatus, I assume you make those measurements  
23 with the fuel bundle in the channel or after it has been  
24 dechanneled?

25 A At Dresden we completed those with the element in the



1 channel.

2 I am not familiar with how that was accomplished at  
3 Quad Cities, though.

4 Q Do you have this apparatus in both Dresden 2 and 3 pools?

5 A No. It is only -- in fact, it is the same test fixture  
6 that was used at Quad Cities and was transported to  
7 Dresden; and we only have it right now in the Dresden Unit  
8 2 pool.

9 Q What if you wanted to measure something in Dresden 3?

10 A It would have to be relocated over to Unit 3 pond.

11 Q And that is possible?

12 A Yes.

13 Q Do you have a dechanneling machine in both pools or just  
14 one pool?

15 A We have them in both pools.

16 JUDGE REMICK: Thank you.

17 JUDGE WOLF: Do you have anything you want to  
18 ask?

19 JUDGE LITTLE: No.

20 JUDGE WOLF: Are there any further questions of  
21 the witness?

22 MS. MURRAY: I just have one question.

23 RECROSS EXAMINATION

24 BY MS. MURRAY:

25 Q Mr. Ragan, if you were withdrawing the fuel from the

1 storage position and due to the load exerted on the  
2 grapple, the grapple failed and the fuel channel assembly  
3 fell across the top of the racks, do you have any  
4 procedures which you would institute to correct that  
5 situation?

6 A We have procedures that would cover the evacuation of  
7 personnel in the event of a high radiation condition on the  
8 refueling floor and in the possibility that that fuel  
9 assembly would become critical with another one.

10 We don't have at this time procedures to cover  
11 assemblies falling across fuel racks or across -- any  
12 condition like that, no.

13 Q So you would have to just let it lay there until you  
14 figured out what to do with it?

15 A Well, until we analyzed the conditions. We would have to  
16 know the conditions before we could analyze what to do with  
17 an assembly, the radiological conditions.

18 Q Do you have more than one grapple at the pool?

19 A We have one grapple for each unit.

20 Q So if this grapple failed or broke during withdrawal of an  
21 assembly and the assembly dropped, you would have to  
22 replace the grapple before you can pick it up?

23 A On this, with the grapple telescoping section, yes, you  
24 would have to repair that before you could lift it up.

25 In addition to the grapple, there are two auxiliary

1 hoists, one 1,000-ton hoist on each of the grapples that  
2 could be used in cases to lift an assembly up.

3 MS. MURRAY: I have no further questions.

4 MR. GODDARD: The staff has one question.

5 JUDGE WOLF: Yes, Mr. Goddard.

6 RECROSS EXAMINATION

7 BY MR. GODDARD:

8 Q Mr. Ragan, with regard to your discussion of mandrel  
9 testing and Judge Remick's inquiries as to whether it would  
10 take two or four tests of each location, the channels are  
11 not symmetrical by virtue of the location of the channel  
12 spacer buttons; am I correct?

13 A That's correct.

14 Q Would it not, in fact, take four tests of each location by  
15 mandrel rather than two? If you wanted it -- I suppose if  
16 you tested the entire rack position, it would require four.

17 When I was contemplating the bow, I was only assuming  
18 that the bow would occur, as Mr. O'Boyle had stated, in the  
19 bottom section, four to six feet above the bottom of the  
20 assembly; and that would require only two tests per  
21 location.

22 Q I would concede that the bow will only occur in the general  
23 location described by Dr. O'Boyle.

24 By virtue of the interference posed by the channel  
25 spacer buttons at the top of the racks, would it not thus

1           require four positionings.

2       A       Yes, it would.

3                       MR. GODDARD: Thank you. I have no further  
4       questions.

5                       JUDGE WOLF: Do you have any Redirect  
6       Examination?

7                       MR. STEPTOE: No, Chief Judge.

8                       RE CROSS EXAMINATION (Continued.)

9                       BY MS. MURRAY:

10      Q       Mr. Ragan, couldn't you possibly put two buttons on a  
11               mandrel, in order to reduce it again to the two-position  
12               test?

13      A       Then there would still be the possibility of putting the  
14               buttons in each one of -- all four positions.

15                       I suppose in order to test the lead-in clips, you  
16               would have to do four tests; and to do the bowing, I feel  
17               you would have to do two tests down through the middle of  
18               the rack.

19      Q       Isn't it, in fact, a plan of Commonwealth Edison's to grind  
20               down the lead-in clips so there will be no possibility of  
21               interference with the spacer button?

22      A       That is a plan, to grind down those lead-in clips, yes, as  
23               I understand it; but you will still have the chance of the  
24               channel buttons' contact with those lead-in clips.

25      Q       Well, you still could construct a mandrel with four channel

1 buttons or two channel buttons, couldn't you?

2 A Yes.

3 Q Spacer buttons?

4 A Yes.

5 MS. MURRAY: I have no further questions.

6 JUDGE WOLF: If there are no further questions,  
7 you may be excused.

8 (Witness excused.)

9 MR. STEPTOE: Chief Judge Wolf, our next witness  
10 will be Mr. Gilcrest. He will be our last witness.

11 May I ask now whether we can tell Mr. Mefford that he  
12 can catch his plane in the morning or should we recall him  
13 at the convenience of the Board?

14 JUDGE WOLF: Well, let's wait until we adjourn  
15 and we will give him the answer then.

16 MR. STEPTOE: Then I would like to call Mr.  
17 Gilcrest to the stand, please.

18 MS. MURRAY: Judge Wolf, before we do, I will  
19 give you a rough estimate that I am going to cross examine  
20 Mr. Gilcrest for one-and-a-half to two hours, just in  
21 advance.

22 If we do the full cross examination of Mr. Gilcrest,  
23 it would probably be about 11:00 o'clock before we finish.

24 JUDGE WOLF: Well, we only have this room  
25 tomorrow morning until 11:00 o'clock, so I think that we

1 ought to go for a while and we can finish up in the  
2 morning, if need be.

3 MS. MURRAY: I just wanted to give you --

4 JUDGE WOLF: I might encourage you to look over  
5 your questions.

6 MS. MURRAY: I will do them as fast as I can.

7 JUDGE WOLF: Off the record.

8 (Whereupon a recess was had,  
9 after which the hearing was  
10 was resumed as follows:)

11 JUDGE WOLF: May we come to order, please?

12 Mr. Steptoe.

13 MR. STEPTOE: Yes, Chief Judge Wolf.

14 JAMES D. GILCREST

15 called as a witness by the Applicant, having been first duly  
16 sworn, was examined and testified as  
17 follows:

18 DIRECT EXAMINATION

19 BY MR. STEPTOE:

20 Q Mr. Gilcrest, would you please state your name for the  
21 record?

22 A James D. Gilcrest, G-i-l-c-r-e-s-t.

23 Q It's good that you spell it, because I know it's been  
24 misspelled.

25 By whom are you employed and in what capacity?

1 A I am employed by Nuclear Services Corporation. I am the  
2 manager of mechanical engineering and I am also the project  
3 manager for the Dresden spent fuel rack design.

4 Q Are you familiar with the testimony of James D. Gilcrest  
5 which has been filed in this matter?

6 A Yes, I am.

7 Q Did you write it?

8 A Yes, I did.

9 Q Is it true and correct, to the best of your knowledge and  
10 belief?

11 A Yes, it is.

12 There is one correction I would like to make to it.

13 Q Would you please make that correction?

14 A When I originally wrote the testimony, I wrote it on the  
15 basis that it would be possible to have an interference  
16 between the lead-in clips and the spacer buttons on the  
17 channels.

18 Since that time, Commonwealth Edison has made the  
19 decision to check each storage location with a plug gauge  
20 with a dimension of 5.768 inches, which is the maximum  
21 dimension across the spacer button.

22 Every position in each rack will be checked with this  
23 plug gauge; and in any case where there is an interference,  
24 the lead-in clip will be ground down sufficiently so that  
25 the interference is eliminated.

1           By doing this all references in my testimony to an  
2 interference at the lead-in clip will be deleted.

3       Q     Subject to that correction, do you have any other  
4 corrections to make?

5       A     No, I don't.

6       Q     Okay. Is this testimony true and correct to the best of  
7 your knowledge and belief as corrected?

8       A     Yes, it is.

9           MR. STEPTOE: Chief Judge, we tender the  
10 testimony of James D. Gilcrest and ask that it be received  
11 into evidence as if read.

12           JUDGE WOLF: Ms. Murray, do you have any  
13 objection to the offer?

14           MS. MURRAY: Absolutely no objection.

15           JUDGE WOLF: The staff?

16           MR. GODDARD: No objection from the staff, Judge  
17 Wolf.

18           JUDGE WOLF: Without objection the testimony of  
19 James D. Gilcrest related to fuel channel bowing, dated  
20 January 16, 1981, will be received and bound in the record  
21 as if read.

22

23

24

25



1 MR. STEPTOE: Thank you, Chief Judge. I might  
2 say that we will tender Mr. Gilcrest now for cross  
3 examination with respect to this testimony.

4 There is one other matter which we seek to accomplish  
5 through Mr. Gilcrest, which is his sponsoring of the  
6 licensing report Revision 5, which was submitted to you  
7 some months ago, with an accompanying affidavit; but we for  
8 continuity purposes felt it best to address the fuel  
9 channel bowing now.

10 So we do tender Mr. Gilcrest for cross examination on  
11 his fuel channel bowing testimony.

12 JUDGE WOLF: That is as modified orally by Mr.  
13 Gilcrest a few minutes ago?

14 MR. STEPTOE: Yes, sir.

15 JUDGE WOLF: Ms. Murray.

16 MS. MURRAY: Thank you, Chief Judge.

17 CROSS EXAMINATION

18 BY MS. MURRAY:

19 Q Mr. Gilcrest, does the 5.768 inches include --

20 A It includes a -- well, as stated on the General Electric  
21 drawing as a maximum dimension from one side of the channel  
22 to the opposite side, to the outside of the spacer button.

23 Q Does it include the fabrication tolerances which Dr.

24 O'Boyle referred to in his testimony today?

25 A Since it is stated on the General Electric drawing as a

1 maximum dimension, I believe it does.

2 Q When would the lead-in clips be ground down?

3 A The specific date hasn't been set yet, but they will be  
4 ground down before the fuel racks are installed in the fuel  
5 pool.

6 Q Do you know for sure if the lead-in clips are going to be  
7 ground down?

8 A In any case where an interference exists, yes, they will  
9 be.

10 I don't know that it will be necessary to grind any  
11 down, no.

12 Q Was this interference due to construction of the racks  
13 below minimum tolerance?

14 A No, it's not. As explained in my testimony, it is possible  
15 to have a dimension across the lead-in clips of 5.740  
16 inches. The difference between that dimension and the  
17 5.768 is the basis for the 28 thousandths interference that  
18 I assumed in my testimony.

19 Q Do you know what the dimension of the fuel channel is  
20 exclusive of the spacer button?

21 A Do you mean the maximum dimension including the fabrication  
22 tolerances?

23 Q That is correct.

24 A I believe it's 5.454 inches.

25 Q Do you know what the smallest internal dimension that has

1           been measured so far in the fuel racks is?

2       A     Do you mean the smallest dimension across the lead-in  
3           clips?

4       Q     No. Have you measured any dimensions other than across the  
5           lead-in clips?

6       A     You mean other dimensions within the storage cell?

7       Q     Within the storage position.

8       A     No.

9       Q     Will those measurements ever be done?

10      A     There is no plan to do those measurements now. Based on  
11           the design of the fuel racks, the minimum dimension in that  
12           location will be across the lead-in clips.

13      Q     The clearance inside an individual storage tube is .496  
14           inches; is that correct?

15      A     Yes, it is.

16      Q     That would mean a clearance of .248 on each side of a  
17           straight channel that was inserted into that position?

18      A     Correct.

19      Q     We are talking about a GE channel; is that correct?

20      A     That is correct.

21      Q     Now, when you wrote your testimony, did you take into  
22           consideration the galvanic corrosion of the boral which Dr.  
23           Draley spoke of in his testimony?

24      A     I took into consideration the fact that Dr. Draley stated  
25           in his testimony that any such corrosion was extremely

1 unlikely; and, therefore, I did not include any corrosion  
2 in my calculations of the clearance, no.

3 Q If through some unpostulated mechanism that type of  
4 corrosion could occur, how much would the swelling of the  
5 boral reduce the size of the tube storage position?

6 A Well, I believe Dr. Draley's testimony says that the  
7 maximum swelling would be .180 inches --

8 Q That would be --

9 A -- assuming that all of the boral corroded; and if you took  
10 into consideration some more reasonable amount, say 10  
11 percent of that, the effect on the clearance between the  
12 fuel assembly and the cell wall is minimal.

13 Q Mr. Gilcrest, when did you first learn about fuel channel  
14 assembly bowing?

15 A By bowing you mean bowing as opposed to bulging?

16 Q That is correct.

17 A It would have been shortly before the last hearing,  
18 approximately October of 1980.

19 Q That's the first time you learned that a fuel channel could  
20 bow?

21 A That is the first time that I had learned that there was  
22 any evidence of bowing in fuel channels in the reactors.

23 It may not have been October. It could have been a  
24 month or so before that.

25 Q Mr. Gilcrest, I took your -- you took a deposition with me;

1 is that correct?

2 A That's correct.

3 Q And it was on April 9th, is that correct, of 1981?

4 A I believe it was about April 9th. I don't remember the  
5 exact date.

6 Q Do you remember where that deposition was?

7 A Yes. It was in my office.

8 Q Okay. In that deposition I asked you a question, reading,  
9 "When did you learn about the phenomenon about fuel channel  
10 assembly bowing?"

11 Do you remember me asking you that question?

12 A Yes.

13 Q Do you remember what your answer was?

14 A I believe we discussed that question several times during  
15 the testimony. My first answer to that was that I learned  
16 of it probably about eight years ago.

17 I later clarified that when I stated that I was  
18 talking about fuel channel bowing considering what we have  
19 often been doing in this area, which is lumping bowing and  
20 bulging together.

21 What I had actually learned of approximately eight  
22 years ago was the problem of fuel channel bulging. The  
23 problem of fuel channel bowing as opposed to bulging I  
24 learned of only recently.

25 Q Mr. Gilcrest, I am going to hand you what has already been

1 marked as Intervenor's Exhibit, I believe, No. 13, for  
2 identification.

3 Would you take a look at that document, please?

4 (Indicating.)

5 JUDGE WOLF: Is this it, 13, for identification?

6 MS. MURRAY: Yes.

7 BY MS. MURRAY:

8 Q Mr. Gilcrest, have you seen that document before?

9 A Yes, I have.

10 Q When did you first see that document, Mr. Gilcrest?

11 A Shortly after it was issued. I believe it was the end of  
12 1978.

13 Q And did you learn from that document that fuel channel  
14 assemblies could bow?

15 A It has mention of fuel channel bow in there, yes.

16 Q Does it not also indicate fuel channel bow independent of  
17 bulge?

18 A I believe it does. If I could have -- I would like to have  
19 a copy to refer to, if I could.

20 JUDGE WOLF: Ms. Murray, what is the relevance of  
21 determining when this witness learned of bowing or bulging  
22 or both? How does it move the case along here?

23 MS. MURRAY: I would like to show that this  
24 witness knew of bow and of bulge before the racks were  
25 designed and before the racks were constructed and --

1 JUDGE WOLF: And if he did?

2 MS. MURRAY: Then he didn't take the phenomenon  
3 into account when the racks were designed?

4 JUDGE WOLF: Was he in charge of the design?

5 MS. MURRAY: I believe he is.

6 JUDGE WOLF: Were you in charge of the design,  
7 Mr. Witness?

8 THE WITNESS: At the time the design was done,  
9 no, I was not. I did a review of the design some time in  
10 1978. The design was completed in 1977.

11 BY MS. MURRAY:

12 Q Was your review in 1978 prior to the construction of the  
13 racks?

14 A Yes, it was.

15 Q Were you --

16 JUDGE WOLF: Well, Ms. Murray, assuming that to  
17 be the fact, and that he didn't take it into consideration,  
18 what is the point in regard to the problem here that we  
19 have?

20 MS. MURRAY: The point is that he knew about fuel  
21 channel assembly bowing, he knew about the possibility of  
22 interference in high-density racks and he didn't take it  
23 into consideration before the racks were constructed and  
24 should have.

25 MR. STEPTOE: Chief Judge, it seems to me that

1 your concern is appropriate here.

2 The issue before us is not a negligence action  
3 between Commonwealth Edison and the designer of the rack or  
4 anything like that. The only issue is whether the rack as  
5 it stands today provides reasonable assurance of the public  
6 health and safety.

7 Assuming that Intervenor could prove what she is  
8 trying to prove, I don't see the relevance.

9 JUDGE WOLF: Well, you may go along. I wanted  
10 you to understand that I was having difficulty as to the  
11 relevance and materiality of these questions.

12 MS. MURRAY: Thank you.

13 BY MS. MURRAY:

14 Q Mr. Gilcrest, referring to your measurements at the bottom  
15 of Page 2 in a straight fuel channel, does the .173 inches  
16 on each side of the storage channel take into account the  
17 fabrication tolerances which Dr. O'Boyle referred to in his  
18 testimony today?

19 A I did not hear all of Dr. O'Boyle's testimony, since some  
20 of it was proprietary, so I can only state that for the  
21 portion that I did hear, yes, it does take that into  
22 account.

23 Q What is the amount of fabrication tolerance which the .173  
24 takes into account?

25 MR. STEPTOE: Objection, Chief Judge. I think we



1 should try and make it clear, fabrication tolerance in  
2 what? Are we talking about actual fabrication tolerances  
3 in the rack or fabrication tolerances in the channels or  
4 fuel assemblies?

5 MS. MURRAY: I am referring to the fabrication  
6 tolerances in the fuel channel assemblies.

7 JUDGE WOLF: Very well. Proceed then.

8 A It takes into account a -- well, I can't find exactly what  
9 I had here; but to the best of my recollection, it took  
10 into account the nominal inside dimension of the fuel  
11 channel, the tolerance on that inside dimension, the wall  
12 thickness of the channel and the tolerance on the wall  
13 thickness of the channel.

14 BY MS. MURRAY:

15 Q Thank you. Did it take into account any convexity  
16 tolerances?

17 A What it took into account is shown on a General Electric  
18 drawing as the maximum dimension across the fuel channel of  
19 5.454 maximum dimension.

20 I don't know exactly what General Electric took into  
21 account in coming up with that number.

22 Q In your opinion, is it possible that even though the racks  
23 are vented, small pockets of hydrogen bubbles or blisters  
24 could form, have hydrogen gas that cannot escape through  
25 the vents?

- 1 A Do you mean is it possible or is it likely?
- 2 Q Possible.
- 3 A Yes, it's possible.
- 4 Q Did you take that into consideration in your figures?
- 5 A No, I didn't, because I considered it highly unlikely.
- 6 Q Do you review all of the deviation disposition requests?
- 7 A Yes, I do.
- 8 Q Have you heard of boral which is fabricated and has small  
9 creases in it?
- 10 A Yes, I have.
- 11 Q Did you take that into consideration in your calculations?
- 12 A Those creases occur only at the very end of the channel,  
13 which is a location that is not in the area of the bowing;  
14 and, therefore, it has no effect on the interference that  
15 we are talking about.
- 16 Q Even if it did occur at the -- which end of the channel are  
17 you speaking of?
- 18 A It occurs at the end of the channel from which the boral is  
19 inserted during the assembly of the tube.
- 20 Q Top or bottom?
- 21 A I am not sure if that is the top or the bottom.
- 22 Q Okay. Assuming, theoretically, that it was at the top,  
23 isn't it possible that that crease could cause interference  
24 during withdrawal or insertion?
- 25 A No, because the crease, the reduction in the opening due to

1 the crease, still results in a larger dimension than exists  
2 across the lead-in clips.

3 Q Do you know how large these creases are that we are talking  
4 about?

5 A The height of them?

6 Q Yes.

7 A I believe they were in the range of 40 to 60 thousandths  
8 high.

9 JUDGE LITTLE: Of an inch?

10 THE WITNESS: Pardon me?

11 JUDGE LITTLE: 40 to 60 thousandths of a what?

12 THE WITNESS: Of an inch. I am sorry.

13 MS. MURRAY: I would like to have this marked  
14 Intervenor's Exhibit No. 19 for identification, please.

15 (The document was thereupon  
16 marked Intervenor's Exhibit  
17 No. 19 for identification  
18 as of April 20, 1981.)

19 BY MS. MURRAY:

20 Q Mr. Gilcrest, I am handing you what has been marked as  
21 Intervenor's Exhibit No. 19 for identification.

22 Have you seen this document before?

23 (Indicating.)

24 A Yes, I have.

25 Q Did you write this document?

1 A Yes, I did.

2 Q You are familiar with the contents of it?

3 A Yes, I am.

4 Q I am referring to the second page of the document, the  
5 handwriting signed, "B. B. P."

6 Who is B. B. P.?

7 A I don't know.

8 Q Have you ever seen that handwriting before?

9 A It doesn't look familiar to me, no.

10 Q The question in that handwriting states -- and I would like  
11 to ask you the same question -- can putting a bowed bundle  
12 in one cell deform the next cell?

13 A Putting a bowed bundle in one cell, if you assume that the  
14 bow is large enough to exert pressure on the cell wall,  
15 will result in a certain amount of deflection of that wall,  
16 since any load imposed on the wall would deflect the wall;  
17 and in that sense it will very slightly deform the adjacent  
18 storage space.

19 Q What do you mean by, "very slightly"?

20 A Well, it depends on how much bow, how much interference you  
21 have.

22 With the bow that I have used in my testimony, which  
23 results in a quarter-inch interference, I haven't  
24 calculated the number, but I would guess that the  
25 deflection would be somewhere in the range of possibly five

1           thousanths of an inch.

2       Q     5 mils?

3       A     5 mils.

4       Q     But you haven't actually measured that; is that correct?

5       A     No, I haven't.

6       Q     Mr. Gilcrest, referring to your calculations on Page 7, the  
7           maximum load which you calculated applied to the bail would  
8           be a maximum of 1,190 pounds on withdrawal.

9                   Have you considered how much weight the bail can take  
10           upon insertion?

11      A     I believe I stated in my testimony that, based on all the  
12           analyses that we have done, the fuel assembly will insert  
13           by its own weight.

14      Q     What about the weight of 500 pounds of the fuel grapple on  
15           top of the assembly, would that affect the upper tie plate  
16           lifting bail at all?

17      A     I am afraid I am not the person to answer that question.

18      Q     Aren't you the one that did the analysis of the stresses on  
19           the upper tie plate lifting bail?

20      A     No, I am not. That is General Electric's area.

21      Q     Mr. Gilcrest, you have just done an analysis on Page 7 of  
22           the total force applied to the bail?

23      A     Correct.

24      Q     Couldn't you also calculate the total force applied to the  
25           bail in insertion?

1 A Well, now you are asking two different questions. You are  
2 asking me if I have calculated the forces or if I have  
3 calculated the stresses.

4 I have calculated the forces but I have not  
5 calculated the stresses.

6 Q Could you explain to me what the difference between the two  
7 is?

8 A The force is merely the external load applied to the upper  
9 tie plate.

10 The stress in the tie plate depends on the dimensions  
11 of the members that you are looking at, on the  
12 configuration of the members; and, basically, when General  
13 Electric has designed the upper tie plate, they have looked  
14 at the stresses in the piece based on external loads  
15 applied to that piece.

16 If I could make a clarification, perhaps?

17 Q Yes.

18 A What we have done here is that I have calculated the loads  
19 resulting from the removal of a bowed fuel assembly.

20 Mr. Mefford in his testimony has compared those loads  
21 with the loads used in the design of the upper tie plate.

22 Since the loads that I have calculated for removing  
23 the fuel assembly are lower than the design loads for the  
24 piece, we have come to the conclusion that the piece is  
25 satisfactory, the upper tie plate is satisfactory.

1 Q Looking at your Figure 1 at the end of your testimony, if  
2 you centered the fuel channel in the bottom of the storage  
3 position in worst case channel bowing, the channel will bow  
4 out, touch the wall of the storage position and then bow  
5 back and touch the lead-in clip; is that correct?

6 A That's correct.

7 Q So even though you grind down the lead-in clips, it is  
8 possible in worst case channel bowing that there will still  
9 be a different type of interference at the lead-in clip; is  
10 that correct?

11 A There won't be an interference. There will be a contact.

12 Q A contact. What is the difference between interference and  
13 contact?

14 A Well, any time two things are touching with any amount of a  
15 force exerted, there is a contact.

16 For an interference, it means that the space through  
17 which something is trying to pass is smaller than that  
18 object.

19 In other words, if the lead-in clip dimension is  
20 smaller than the channel dimension, you have an  
21 interference.

22 Q Do you know what spalling is?

23 A Vaguely.

24 Q Can you give me your description of spalling?

25 A Spalling is a, basically, removal of material from a

1 surface of some object by abrasion.

2 Q Are you aware that there are spalled channels in one of the  
3 Dresden storage pools at this point?

4 A No.

5 Q Did you take any spalling into consideration in your  
6 measurements?

7 A I haven't made any measurements of fuel channels.

8 Q I didn't mean dimensional measurements. I meant  
9 measurements of force to extract the fuel channel assembly.

10 A Those are not measurements, either.

11 Well, I made measurements of the force at the lead-in  
12 clip. The forces that are presented in this testimony for  
13 the bowing are not measurements. They are calculations.

14 Spalling on channel surface has not been taken into  
15 account in those calculations or measurements.

16 Q Is it possible, if you did take spalling into account in a  
17 bowed fuel channel assembly, that your figures would be  
18 increased?

19 MR. STEPTOE: Objection, Chief Judge.

20 At this point there is absolutely no foundation in  
21 the record that there is any spalling in the Dresden spent  
22 fuel channels, and I think it's inappropriate to pursue  
23 this line of inquiry.

24 JUDGE WOLF: May I hear the last question,  
25 please?



1 (The question was thereupon read  
2 by the Reporter.)

3 JUDGE WOLF: Do you know the answer to that  
4 question? You prefaced your remarks earlier by saying that  
5 you knew only about this phenomena in a vague sort of way.

6 THE WITNESS: I don't think I can really give an  
7 accurate answer to that question.

8 JUDGE WOLF: Very well. Let's move on then.

9 BY MS. MURRAY:

10 Q If interference were increased to 500 mils due to some  
11 unpostulated combination of various factors, would the fuel  
12 assembly fully insert under its own power?

13 A Yes, it would.

14 Q How much does a 7-by-7 fuel assembly weigh?

15 A Approximately 680 pounds dry, 600 pounds submerged.

16 Q Then it weighs the same as an 8-by-8?

17 A It's close to the same weight, yes.

18 Q How much interference would there have to be before a fuel  
19 assembly would not insert under its own weight?

20 A Excuse me. Your previous question, did you ask me if --  
21 did you say half an inch of interference or half an inch of  
22 bow?

23 Q I said interference and I should have said bow.

24 A Why don't you ask me what you want me to answer again.

25 MS. MURRAY: Let me restate the question.

1 BY MS. MURRAY:

2 Q If the fuel channel bowing increased to half an inch due to  
3 whatever factors, would the fuel assembly insert under its  
4 own weight?

5 A With a half an inch of bowing, yes.

6 Q How much would a fuel channel assembly have to bow before  
7 it wouldn't insert under its own weight?

8 A Approximately .65 inches.

9 Q And when we are talking about bow, I assume we both mean  
10 bow plus bulge; is that correct?

11 A That is correct.

12 JUDGE REMICK: Excuse me. I assume that you are  
13 are assuming no interference with lead-in clips in that  
14 reply?

15 THE WITNESS: That is correct.

16 MR. STAHL: Excuse me, Judge Wolf. I would like  
17 to have a clarification as to what kind of clearance is  
18 being assumed in that question as well, if it's the minimum  
19 clearance or something else?

20 JUDGE WOLF: In relation to your answer, what  
21 were you assuming as regards to that?

22 THE WITNESS: I am assuming in that case that we  
23 have the minimum fuel rack dimensions and the maximum fuel  
24 channel dimensions. In other words, that we have the  
25 minimum clearance that we have calculated.

1           If either the fuel channel dimensions are less than  
2 maximum or the fuel storage position -- fuel storage  
3 dimensions are greater than the minimum, then the amount of  
4 bowing would increase.

5           JUDGE WOLF: Next question, Ms. Murray, please.

6           MS. MURRAY: Judge Wolf, I don't believe I have  
7 any further questions.

8           JUDGE WOLF: Any questions from you, Mr. Goddard?

9           MR. GODDARD: If I may have a moment.

10          In view of the hour, I will like to discuss possible  
11 questions for Mr. Gilcrest with other NRC staff witnesses  
12 and would prefer that we resume tomorrow morning.

13          I believe you indicated that we would go for about an  
14 hour. There is no way that we are going to complete  
15 tonight, since in view of the earlier estimate by Ms.  
16 Murray, the staff's final witness, Mr. Shaw, has departed  
17 for the evening.

18          JUDGE WOLF: We expect to put him on first thing  
19 in the morning; right?

20          MR. GODDARD: Yes.

21          JUDGE WOLF: Very well.

22          MR. GODDARD: If I do have any questions for Mr.  
23 Gilcrest, they will not be lengthy.

24          JUDGE WOLF: We will let you reserve then until  
25 the morning with this witness.

1 MR. GODDARD: Thank you, Judge Wolf.

2 JUDGE WOLF: And we have come to the end of the  
3 period that we had indicated that we would sit tonight.

4 Dr. Remick has a request to make. Why don't you make  
5 that now?

6 JUDGE REMICK: Mr. Steptoe, it's in relation to  
7 the corrections of Mr. Gilcrest's testimony. He indicated  
8 reference to interference with the lead-in clips no longer  
9 applies.

10 I find that a little easier to say than to actually  
11 do, and I wonder if by tomorrow morning you could indicate  
12 how that would change the actual numbers here. I think  
13 otherwise the record is going to be very confused.

14 MR. STEPTOE: Sure, we will do that.

15 JUDGE WOLF: Do you have anything you want to  
16 add?

17 JUDGE LITTLE: No.

18 JUDGE WOLF: Well, I think that what we have to  
19 decide on is a time for starting in the morning, first.

20 I feel it's terribly important that we get through  
21 the witnesses on this question at this sitting. We still  
22 have open, as previously mentioned before, the answers to  
23 Board Question 2, which we expect will be finished in a  
24 couple of questions, three at the outside, perhaps.

25 Should we begin at 8:30 in the morning? Is that too

1 early or too late?

2 MS. MURRAY: It's not, certainly, too late.

3 MR. STEPTOE: That sounds fine to the Applicant.

4 JUDGE WOLF: How about you, Mr. Goddard, 8:30?

5 MR. GODDARD: 8:30 would be fine, sir.

6 JUDGE WOLF: In that case then, we will adjourn  
7 until 8:30 in the morning.

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

(Whereupon the hearing of the  
above-entitled matter was  
recessed to the hour of 8:30  
o'clock A. M., April 21, 1981.)

This is to certify that the attached proceedings before the  
Nuclear Regulatory Commission

in the matter of: Spent Fuel Rod Modification - Channel Bowing  
at Dresden Spent Fuel Pool - Commonwealth Edison, Chicago, Ill.

Date of Proceeding: 4/20/81

Docket Number: 50-237; 50-249 SP

Place of Proceeding: O'Hare Hilton, Chicago, Ill.

were held as herein appears, and that this is the original transcript  
thereof for the file of the Commission.

G. Allen Sonntag

Official Reporter (Typed)



Official Reporter (Signature)