

ORIGINAL

OFFICIAL TRANSCRIPT OF PROCEEDINGS

Agency: Nuclear Regulatory Commission

Title: Licensing Support System
Advisory Review Panel

Docket No.

LOCATION: Las Vegas, Nevada

DATE: Wednesday, October 6, 1993

PAGES: 207 - 320

ANN RILEY & ASSOCIATES, LTD.

1612 K St., N.W., Suite 300

Washington, D.C. 20006

(202) 293-3950

1 UNITED STATES
2 NUCLEAR REGULATORY COMMISSION

3 ***

4 LICENSING SUPPORT SYSTEM

5 ADVISORY REVIEW PANEL

6 ***

7
8 Holiday Inn

9 Magnolia Room

10 325 E. Flamingo

11 Las Vegas, Nevada

12
13 Wednesday, October 6, 1993

14
15 The panel met, pursuant to notice, at 8:40 a.m.,
16 before John C. Hoyle, Chairman.

17
18
19
20
21
22
23
24
25

ANN RILEY & ASSOCIATES, LTD.
Court Reporters
1612 K Street, N.W., Suite 300
Washington, D.C. 20006
(202) 293-3950

1 PARTICIPANTS:

2

3

John C. Hoyle, LSSARP Chairman, NRC

4

Christopher Henkel, Edison Electric Institute

5

Jay Silberg, Attorney, Shaw, Pittman

6

Robert Holden, Director, Nuclear Waste

7

Program, National Congress of American Indians

8

Boyd Alexander, Assistant Commissioner,

9

Information Systems, Patent and Trademark Office

10

Daniel Graser, Acting Director, Information

11

Management Division, Department of Energy

12

Linda DeSell, Chief, Regulatory Integration

13

Branch, Office of Civilian Radioactive Waste

14

Management, Department of Energy

15

Corinne Macaluso, Regulatory Integration Branch,

16

Department of Energy

17

Dennis Bechtel, Clark County, Nevada

18

Malschy Murphy, Regulatory and Licensing Advisor,

19

Nye County, Nevada

20

Kirk Balcom, State of Nevada

21

Chip Cameron, Office of General Counsel, NRC

22

George Hallnor, Environmental Support Services,

23

TRW

24

Gerald Cranford, Acting LSS Administrator

25

Betsy Shelburne

ANN RILEY & ASSOCIATES, LTD.

Court Reporters

1612 K Street, N.W., Suite 300

Washington, D.C. 20006

(202) 293-3950

1 PARTICIPANTS [continued]:

2

3 Dave Drapkin

4 Tom Nartker, UNLV

5 Lloyd Levy

6 Mike Baughman, Intertech Consultants

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

ANN RILEY & ASSOCIATES, LTD.
Court Reporters
1612 K Street, N.W., Suite 300
Washington, D.C. 20006
(202) 293-3950

P R O C E E D I N G S

[8:40 a.m.]

MR. HOYLE: We have two presentations this morning scheduled and Mal Murphy would like to also have a discussion of the topical guidelines. So we'll have that as the third item.

Our first is a presentation by Tom Nartker. Tom is a Professor of Computer Science at UNLV and Director of the Information Science Research Institute, where he is conducting work on OCR projects and text retrieval systems.

Tom, let's have your presentation, please.

MR. NARTKER: Thank you, John. As many of you know, I'm sure, UNLV has established a program of applied research in the two specific areas of technology which are important to DOE OCRWM type programs, the DOE OCRWM program and LSS kind of systems.

These two areas are, of course, optical character recognition and full text retrieval. They control the costs and the benefits of systems like the LSS. We have been operating now for about two-and-a-half years and a significant amount of work has been completed.

I will try to give you a quick overview of our activities this morning and talk about some of our most important results.

First, I will focus on practical, money-saving,

1 specific completed research results which could be used in a
2 future LSS system; that is, work which you think is of most
3 interest to you. In fact, we have begun discussions with
4 OCRWM, with Dan Graser, to implement systems, to actually
5 begin building some systems at UNLV, which can save the most
6 money.

7 We think we can save significant dollars and I
8 will tell you why. Second, I will give you a review of all
9 of our activities at the Institute, a quick review of
10 research projects that are in progress, now incomplete,
11 which have the potential to save more money or give improved
12 benefits.

13 I will give you an overview of the support and
14 funding we've been able to attract from other agencies to
15 support this kind of work, an overview of the funding we've
16 attracted from industry to support this kind of work.

17 I'll talk about our annual research symposium in
18 this area. Each year we sponsor, here in Las Vegas, a
19 symposium on document analysis and information retrieval,
20 which attracts about 150 to 200 scientists from around the
21 world. I will tell you about the plans for 1994. Finally,
22 I will give you the most specific evidence of the effect our
23 program has had on the industry in the last two-and-a-half
24 years.

25 First, specific research results that can save

1 money. The background is that one of the most important
2 requirements for the LSS system is for accurate text to
3 support a sufficient retrieval of meaningful documents for
4 LSS users. So a key requirement is for accurate text.

5 For new documents, if text is captured
6 electronically at the source, a hundred percent accuracy is
7 guaranteed. There will, however, be a significant number of
8 older or external documents, which text can only be made
9 available through OCR technology or through total manual-
10 key entry.

11 No current OCR technology can produce a hundred
12 percent accurate text or even close to a hundred percent
13 accurate text. Thus, for paper documents, the question
14 arises what accuracy is required for LSS users. The best
15 answer was provided by SAIC as part of the LSS prototype
16 tests they conducted. It addressed this accuracy question.

17 In these tests, they determined that 99.8 percent
18 character accuracy was required to properly support LSS
19 users. Note that this translates into an average of six
20 character errors on every page with 3,000 characters. If
21 you think about that, that seems a little high.

22 In the absence of more definitive results, this
23 has been the generally accepted requirement for the LSS, I
24 believe. SAIC found that none of the available OCR
25 technologies at that time would produce output text at 99.8

1 percent accuracy. That situation remains true today.

2 The only means to satisfy LSS accuracy
3 requirements, when SAIC did their original study, was to
4 provide expensive manual reentry and manual checking of all
5 documents, in addition to an initial OCR conversion step.
6 In fact, the cost of this additional manual entry and
7 checking dominated the cost of document capture for all
8 paper documents.

9 You may remember one-half of the projected \$200
10 million cost was for data capture. In fact, over half of
11 the data capture cost was directly linked to this manual
12 cleanup step. In 1992, when we first got started at UNLV,
13 we conducted our first thorough test of six of the most well
14 known commercially-available OCR systems using the LSS
15 prototype data prepared by SAIC.

16 This graph shows a summary of the results of that
17 test. The best device tested in 1992 was the Calera RS-
18 9000 and, in fact, it produced 98.67 percent correct output
19 text. Once again, SAIC determined that 99.8 percent correct
20 text was the probable LSS requirement. The best device in
21 1992 produced 98.67 percent accurate output.

22 If you calculate that out, that's about 40 errors
23 on every 3,000-character page. Clearly, character accuracy
24 is a very sensitive measure at this point. On this
25 particular graph, the Calera RS-9000 is represented by this

1 particular curve right here. Those curves show the
2 character accuracy as a function of page quality or OCR
3 difficulty for an initial group of 132 pages we used,
4 selected from the LSS prototype database, which we used to
5 test.

6 There were, on these pages, 278,000 characters.
7 So this test for each device represented 278,000 characters
8 of OCR. The characters are divided into the three groups;
9 the characters on bad pages, the characters on middle
10 quality, and the characters on best quality pages. But,
11 nevertheless, it's over a quarter of a million characters in
12 the OCR tests.

13 The devices tested were the Calera RS-9000, the
14 Xerox Curswile 5200, the Expervision Typereader, Omni Page
15 Professional, the Recognita Plus system and the Toshiba
16 system. Having built an automated system to conduct such
17 tests, we were able to use this system to try different
18 experiments and we have continued to do that.

19 One experiment which paid off the most is to
20 operate all six OCR systems in parallel. This was not a
21 particular surprise. We expected this might happen, but, in
22 fact, it has. We synchronized the text output from these
23 systems and attempted to choose on a character-at-a-time
24 basis, attempted to choose the best character output by a
25 simple majority voting type scheme or some slight

1 modification of majority voting.

2 In fact, our 1992 majority voting scheme, shown on
3 this graph as the top curve, produced 99.3 percent character
4 output. That's approximately 21 errors per page on a page
5 with 3,000 characters.

6 So this, in fact, is not a commercial device at
7 all. It shows the performance, the output character
8 accuracy performance of an engine we built at UNLV that, in
9 fact, is composed of all of the above devices, simply
10 connecting them in a way and trying to determine what the
11 correct character would be by majority vote.

12 The exciting thing about this is that with such a
13 simple idea, we were able to reduce the number of errors
14 made by the best device, by the best competing device, by 50
15 percent. In fact, the Calera RS-9000 made approximately
16 3,600 character errors on this test and this line shows the
17 accuracies resulting, but the total number of character
18 errors with that particular test was 3,600.

19 The ISI voting algorithm, in fact, cut that in
20 half. It made about 1,800 errors on the same test. We have
21 continued this research during 1993 with the newest and best
22 technologies available to us.

23 By the way, before I take this down, I will
24 mention to you what the overall accuracies of some of these
25 other devices were. I told you the Calera produced 98.67.

1 That's overall. On the bad quality pages, they were
2 actually down around 97 percent. On the intermediate
3 quality pages, they were up above 99 percent.

4 The Curswile 5200 was 98.31. The Expervision
5 Typereader was 97.73. The Omni Page Professional was 96.83.
6 The Recognita Plus system was 95.95. The Toshiba system was
7 95.64. These results are especially meaningful because this
8 data is directly sampled from the LSS prototype database.
9 These are LSS-type numbers.

10 This is a slightly different graph that shows some
11 of the results from 1992 tests. It's not shown in the same
12 way, but it happens to show what I think is most important
13 to us. So this year, using LSS prototype data as a measure,
14 we can produce an OCR machine, again, using a voting type
15 algorithm, which produces 99.73 percent character output.

16 At our current rate of improvement, we'll be able
17 to produce an OCR system which will exceed 99.8 percent
18 accuracy within the next six months and we're very confident
19 of that.

20 This particular curve actually shows character
21 efficiency and it's slightly different. The top graph
22 shows, in fact, the 1993 ISI voting algorithm and the top
23 point here shows that we're able, by correcting reject
24 characters in the output and we have our own scheme of
25 actually producing reject characters by vote, by correcting

1 reject characters, we can actually get to 99. something, and
2 that points end up being 99.73.

3 So we are, in fact, approaching very rapidly the
4 99.8 percent requirement for LSS documents, without manual
5 -- without expensive manual re-key, without expensive manual
6 correction, in completely automatic mode.

7 The availability of this kind of technology can
8 eliminate the need for manual checking for the LSS. Using
9 the 1988 estimated LSS dollar numbers, the \$200 million
10 figure, the savings which would result directly from the use
11 of this idea would most probably be between \$30 and \$60
12 million. That is over half of the \$200 million project cost
13 for data capture. So over \$100 million. Approximately \$110
14 million, as I recall.

15 Over half of that, which would be over \$50
16 million, was due to manual reentry. So, in fact, the \$30 to
17 \$60 million estimate in savings is probably conservative.
18 It's probably conservative especially when you consider that
19 perhaps the costs have increased since the original \$200
20 million estimate in 1988.

21 In fact, UNLV has begun discussions with the DOE,
22 with Dan Graser, and has proposed to build an operating
23 engine, OCR engine product tailored to the InfoSTREAMS
24 interface, which would achieve more than 99.8 percent
25 accuracy. We think that could be done perhaps not within a

1 year, but certainly in well under three years.

2 So we have started to talk about that and that is
3 probably the one issue which has the potential the soonest
4 to save the most money. We hope to -- it is our goal at the
5 university to try and tailor a design, an OCR engine, based
6 on some of the ideas, some of our research, that can save
7 significant money for this project.

8 Let me give you an overview. That's probably the
9 one aspect of the things we have done which you would be
10 most interested in, because it's the clearest place we can
11 save dollars in a very short time period.

12 As far as other projects at our Institute are
13 concerned, there are a large number which have more
14 potential for significant cost savings. Perhaps not as much
15 savings as represented by OCR accuracy, but significant,
16 nevertheless.

17 A good review of these projects I can show you by
18 just giving you a copy of our 1993 annual research report.
19 Let me pass those out.

20 MR. HOYLE: Tom hasn't got too many. We'll try to
21 give one per group, if we can.

22 MR. NARTKER: I'm missing some important groups.
23 Please just give me a call at -- my phone number is in
24 there. Give us a call at UNLV and we'll send some more out.
25 I think I brought a little more than this.

1 There are six different research projects written
2 up in there. I won't go through them all, but I will give
3 you kind of an overview of the results that you will read
4 about in that report.

5 One of the things we do every year is to conduct
6 an annual technology assessment test. We acquire one copy
7 of all of the best OCR devices that each vendor available
8 has to offer and we install them in our system and each year
9 we run a test versus DOE, versus LSS prototype data. Each
10 year we prepare more data and we prepared more measures of
11 performance, of goodness, more measures of performance.

12 As I told you before, our first round of testing
13 was conducted in 1992. The slides I'm going to show you now
14 are prepared from our 1993 tests and we're just getting
15 started this month and next month preparing for our 1994
16 round of testing.

17 The devices we tested in 1993 -- yes?

18 MR. BALCOM: Can I ask you a question? In terms
19 of throughput, are you also looking at like the page per
20 minute count between some of these various high end options,
21 like the voting? The voting machine, since it tries to
22 balance three or four or five or six different technologies,
23 does it take like three times as long?

24 MR. NARTKER: Actually, it's limited almost
25 completely the slowest device of the group. We operate all

1 devices in parallel and the voting machine works just about
2 as fast as the slowest device in the group. We do not
3 report -- we, of course, know about throughput
4 considerations. We know about the speed of these
5 technologies.

6 But speed is really not a very meaningful thing to
7 report on, for several reasons. It doesn't vary as much --
8 certainly, it varies by a factor of two, perhaps even more
9 than a factor of two, but in no case anything approaching a
10 factor of ten. So speed does vary somewhat, but compared to
11 accuracy, speed is simply not important.

12 MR. BALCOM: In terms of the cost savings, though,
13 since the people that will be operating this -- I was just
14 trying to get a feel for whether the old SAIC projections
15 are out of date because speed is so much faster now.

16 MR. NARTKER: Not especially. The dominant cost
17 factor, separate from speed, is accuracy, by far. You can
18 always buy another PC. If the machine is half the speed of
19 another machine, but ten percent more accurate, you buy two
20 PCs and run them in parallel. If that's not good enough,
21 buy ten PCs and run them, by 100. There is almost no limit
22 to the number of PCs you could afford if they will give you
23 good enough accuracy.

24 If they don't give you good enough accuracy, you
25 have to pay a manual typist to sit there and re-key and

1 reverify manually every document, and that's where the costs
2 really go outside.

3 So eventually we will probably report on
4 throughput, but we have focused our energies the first two
5 years on accuracy because it's such a dominant
6 consideration.

7 The specific technologies we tested in 1993 are
8 shown. The Care Corporation, Calera, CTC, CTA, Expervision,
9 Okon, Recognita, Xerox, and then the specific version
10 provided to us by these vendors and the actual version
11 number, because we ask each vendor to give us their latest
12 and greatest best technology, the best thing they can do.

13 We don't specifically test specific products. We
14 test technologies. By doing this, we hope, over a period of
15 three to five years, to have a profound effect on the market
16 to make the current level of technology more visible to
17 everyone, because that's one of the problems in this field.
18 The technology is so complex that even the Vice President of
19 a large company doesn't have the resources at his command to
20 make decisions in any reasonable period of time about which
21 technology best suits his needs, because it's too
22 complicated.

23 This is our 1993 graph showing character accuracy
24 versus page quality for all eight devices. In 1993, we
25 actually had a dead heat tie between three companies for the

1 best technology. The three lines at the top are, in fact,
2 completely over the top of one another. They are the new
3 Calera system, the Xerox system and the Expervision system.

4 Slightly behind them is the Care, the pink line.
5 Care, in fact, just about duplicated the performance of the
6 top three on normal pages, on good pages, but on poor
7 quality pages, Care's accuracy dropped off rather rapidly.
8 The other four products are shown as falling off even more.

9 We measure not only character accuracy and publish
10 that annual report showing to the world how these devices
11 compare, we measure word accuracy of all the words in these
12 documents, what percentage of them were correct. Notice the
13 word accuracy is somewhat lower than character accuracy.

14 The database used to test this year was slightly
15 different than last year's database. Once again, it was
16 page sampled from the LSS prototype database, but this year
17 it was 460 pages and these tests were conducted on 817,000
18 characters. So almost a million characters. We have built
19 an automated system to make this possible with just a few
20 keystrokes behind a computer system.

21 Another metric reported on in our annual report is
22 called non-stop word accuracy. If you use the text
23 retrieval system and know how they're built, you know that
24 within text retrieval systems, there are -- in the text
25 retrieval community, there are words called stop words and

1 the stop words are "in," "the," "and," "but." They are
2 words that have virtually no retrieval value.

3 You would never ask an information retrieval
4 system to give me all the documents in your memory that have
5 the word "the" in them. You'd almost always get them all,
6 wouldn't you? So there's no retrieval value to the word
7 "the" or "in" or "and."

8 It is only the non-stop words that have retrieval
9 value. In fact, in most retrieval systems, the stop words
10 are not even indexed. They are not even read into the
11 system. They're just eliminated and it's assumed that all
12 documents would probably have all stop words.

13 So you're not interested in all the word accuracy
14 because there are, in most cases, on the order of a hundred
15 common words, like "in" and "the," that aren't even indexed.
16 What you'd like to know is what is the accuracy on all the
17 words that are not stop words, because those are the ones
18 you're going to put in your text retrieval system. Those
19 are the ones that can cause you trouble.

20 We have invented a metric called non-stop word
21 accuracy and, in fact, measured that for the same 460 LSS
22 pages. It's interesting to compare the last three graphs
23 I've showed you side-by-side on the same scale on the same
24 page. This shows a trend which we have observed is
25 consistent in all of our testing.

1 That is the word accuracy is always lower than
2 character accuracy and that non-stop word accuracy is always
3 lower than word accuracy.

4 MR. HOYLE: Tom, let me ask you a question.

5 MR. NARTKER: Yes.

6 MR. HOYLE: Of the number of pages that you used,
7 how many were in the quality group five versus group one?

8 MR. NARTKER: The groups are defined in such a way
9 that the number of characters in each group is approximately
10 the same. It's approximately the same. It's within a few
11 percentage points of being the same number of characters in
12 each of the five groups.

13 Another metric we've defined on these pages is
14 called marked character efficiency. This actually shows
15 what the raw output of accuracy is of each of the devices.
16 It shows if you go in and find all of the reject characters,
17 which is the first point on the curve, and you go in and
18 find all the characters marked suspect, which is the second
19 and third and fourth points, it shows you what accuracy you
20 can obtain on the ordinate of the Y axis, plotted as a
21 function of the total percentage of the characters that were
22 marked that you have to look at to do that.

23 So the further out you are here shows you how much
24 work you have to do. The further up you go here shows you
25 what you get for doing that work and using each particular

1 technology. Marked character efficiency is a new metric
2 we've introduced. These curves show rather graphically how
3 these devices perform in a new way.

4 Once again, the three top performers were, in
5 fact, Expervision, Calera and Xerox. They all produced --
6 now they're up to about 99 -- you can get 99.3 percent
7 accuracy. As of today, the best device produces about 99.3
8 percent accuracy on DOE data, according to our best testing
9 results.

10 This is another metric. You will find it as the
11 third paper in that annual report. This shows the cost of
12 correcting automatic zoning errors. I don't want to get
13 into a lot of details and talking about intricacies of these
14 technologies. If you're interested, we could talk about it
15 later.

16 This is a new metric we've never introduced. It
17 has never been published before. It's a brand new idea. It
18 is the first time that anyone has ever come up with a way of
19 measuring how good devices do when they try and
20 automatically zone -- provide decomposition of a document at
21 a high level.

22 When we talk about zoning in OCR, we're talking
23 about the action of finding the photographs and not trying
24 to OCR the photographs because maybe there's no text on the
25 photograph. Differentiating between photographs and graphs

1 and main body text and tables and organizing; if there is
2 three-column newspaper-style print, decolumnizing the three
3 columns so that the text reads column-wise down.

4 If it's a table, on the other hand, of data, you
5 don't want to decolumnize a table. So how good vendors do
6 and properly decolumnizing multiple column input text, but
7 not decolumnizing the tables was something very interesting
8 to us.

9 This particular set of graphs shows that. On
10 these 460 LSS pages, this shows the cost of correcting
11 automatic zoning errors for the eight technologies. The
12 interesting curves are here. These show the costs for
13 multi-column pages and the better people are down at the
14 bottom. Lower cost is better.

15 So for the technologies tested, there were a few
16 that did pretty good in decolumnizing multiple column text,
17 but only two vendors had properly addressed the question of
18 trying to recognize when it's a table and you don't want to
19 decolumnize. Those two vendors are shown here. If you're
20 interested, they were Expervision and Xerox.

21 Another kind of test we ran was to take the ground
22 true text in our database, the text we knew that was
23 correct, that was already on the pages, and generate ideal
24 perfect images of those pages using a postscript processor
25 on our UNIX machine.

1 That is we produced a perfectly clean set of
2 documents at 12-point albetica, 12-point typed Roman, and
3 another complete set of documents at 12-point courier, and
4 we tested each of these versus absolutely perfect images,
5 where there was no speckle and no touching characters
6 resulting from second and third and fourth generation
7 photocopy process or from the scanning process or from
8 coffee stains or anything else.

9 We generated virtually perfect sort of
10 mathematically or computer-perfect images inside the machine
11 and sent the perfect images off to each of the OCR engines
12 and measured how good they did.

13 One might expect, because it's clear that the
14 thing that gives OCR devices most trouble is degraded
15 images, photocopies, Xerox copies, because of that, that if
16 you generated mathematically perfect images inside a
17 computer, that the devices would -- maybe some of them would
18 do a hundred percent correct.

19 In fact, on this particular test, which is
20 reported as the third article, I believe, in that annual
21 report, we tested nine complete copies from the database,
22 10-point, 12-point and 14-point, courier, albetica and typed
23 Roman versus the eight devices. On this test, we don't
24 identify who is who.

25 But the most important thing you can see is even

1 for a very idealized situation of characters generated
2 inside a computer by a postscript processor, that today's
3 technology does not produce a hundred percent correct
4 accuracy.

5 In fact, in a fairly large number of cases, it's
6 not as good as 99.8 for very perfect characters. We also
7 have completed several projects in experimenting with text
8 retrieval systems. If you look in the annual report, you
9 will see there is a noisy data project reported where we're
10 trying to measure what effects a person using an information
11 retrieval system notices as the data in that system gets
12 dirtier and dirtier or noisier and noisier, has more and
13 more character error, at what level of character error does
14 the use of the system become unacceptable to a retrieval
15 person.

16 It turns out that kind of data is not known.
17 There is no -- there is a lot of folklore in the business
18 and a lot of speculation, but there really has been no
19 definitive report that gives any insight into the
20 relationship between errors in text and retrieval
21 efficiency.

22 So there's a noisy data project in there. There's
23 also a project attempting to use text retrieval to do some
24 global type correction. So we have several approaches to
25 improving accuracy besides the voting algorithm, which I've

1 already told you about, and one of them is described in our
2 annual report.

3 During these last two years of operation, we have
4 secured several other grants from other Federal agencies.
5 From the Office of Research and Development, we managed to
6 secure an additional 145,000 in 1991 and another 140,000 or
7 145,000 in 1992. This year we have secured support from the
8 Department of Defense to extend this work and to actually
9 begin doing this kind of testing on foreign languages.

10 We, in fact, this year have an additional \$790,000
11 to begin doing testing not only on English devices, but on
12 Japanese and Zorilic. So by January, we are committed to be
13 producing the kind of performance comparisons I have shown
14 you not just for English, but also for Japanese OCR devices
15 and for Russian Zorilic OCR devices.

16 At the same time, we have initiated an industrial
17 affiliates program where we have solicited support from
18 companies who do business in this area. A collection of
19 companies -- we have asked these companies to contribute
20 annual membership fees, \$25,000 each, to support our work.
21 So far, five companies have signed up. We have \$125,000
22 from industry and we have good indications there are three
23 or four more who are very interested. We expect to see
24 probably two more companies sign up between now and
25 Christmas.

1 The brochure we have describing our affiliates
2 program is here. It's a little smaller and I have a few
3 more copies of that. Everyone can have a copy of that. You
4 can read that when you get time. That shows the benefits
5 and shows the goals of our research center. So you can,
6 indeed, learn quite a lot about us, what we're doing, by
7 reading carefully the annual report and that industrial
8 affiliates program brochure.

9 In addition to that, we, as I told you at the
10 beginning, sponsor an annual symposium on document analysis
11 and information retrieval. It's the only symposium that's
12 dedicated to both subjects at the same time and the
13 interaction between recognition accuracy and retrieval
14 effectiveness.

15 Most academic researchers work in one area or the
16 other and very few have considered that the two areas, in
17 fact, are intimately connected. We believe our symposium is
18 starting to be very successful because of this specific
19 feature.

20 The first annual symposium was in 1992 and, in
21 fact, I have a -- I just brought one copy of the
22 proceedings. This is the proceedings from our 1992
23 symposium, which was held in March of 1992 at the Tropicana
24 Hotel. Our 1993 symposium grew a little bit. It was held
25 in April of this year at Caesar's Palace. The 1994

1 symposium is scheduled for April 11 at Alexis Park.

2 Papers are arriving as we speak. We have about 38
3 submissions so far. We expect about 50. Approximately 30
4 to 35 of the papers will be accepted for presentation.

5 We currently have participation from ten foreign
6 countries and we expect about 200 people at this symposium.

7 Finally, we think the most profound evidence which
8 our annual technology assessment test program has had is in
9 the product improvements made by OCR vendors between 1992
10 and 1993. In fact, I told you we did -- and I showed you a
11 curve when we started showing the performance of devices in
12 1992. Subsequently, I have shown you some more graphs
13 showing the performance of devices from some of the same
14 vendors in 1993.

15 It's worthwhile to ask, well, the data you used to
16 test in 1992 was different from the data you used to test in
17 1993. The data we tested with in 1993 was a great deal more
18 -- was several times more, 817,000 characters instead of
19 278,000.

20 But you might ask how did the competing vendors do
21 between their 1992 products and their 1993 products. In
22 fact, there was very significant improvement. In 1992, five
23 of the six participating vendors were Care, Calera,
24 Expervision, Recognita and Xerox. The version tested was,
25 as you will remember, the RS-9000, the Curswile 5200, and so

1 forth.

2 The actual number of errors made on the 1991 data
3 -- that is the 278,000 characters in 1992 -- are shown in
4 this table. The number of errors made by the Calera RS-
5 9000, I told you, was 3,600. It was actually, in fact,
6 3,709. The number of errors made by the second device,
7 which I told you was the Xerox Curswile 5200, was 4,716.
8 The third device was Expervision, 6,318. Of course, the
9 worst of this five was the Recognita device, 11,282
10 character errors.

11 We took the 1993 version of the Care product and
12 the Calera product, the 1993 version of each of these
13 products, and we ran the same data across that to see how
14 many errors would be produced by the 1993 products. In
15 every case, in every single case, the improvement was
16 greater than 25 percent. There was more than a 25 percent
17 reduction.

18 In one case, one vendor, in fact, reduced the
19 number of errors by 52 percent between his 1992 product and
20 his 1993 product.

21 We know from talking to the technical staff of
22 these companies that we at least have a little bit to do
23 with that, because until UNLV began to do these tests and
24 publish them nationally for the world to see, it was quite
25 invisible how good the products were and how they compared.

1 Vendors could make assertions and it was -- PC
2 Magazine could run a test on four pages of maybe 2,000
3 characters, which was simply not sufficiently -- not a
4 sufficient sample size to be statistically significant.

5 So until we began to establish a system which
6 would compare the performance of devices on millions of
7 characters at a time, management was not motivated to spend
8 money on product improvement. Management was motivated to
9 bring their products out on more platforms, to conduct more
10 expensive advertising campaigns, to build more glitzy color
11 graphic interfaces to their products, to give expensive
12 demonstrations of conducts and other kinds of shows, but
13 they were not particularly motivated to invest a lot of
14 money in product improvement.

15 We think it's changed and we think we have
16 something to do with it. Perhaps in the long run, the most
17 valuable service we provide to the industry is in doing that
18 kind of thing and we hope to continue.

19 Any questions?

20 MR. HOYLE: Tom, did the cost of the products go
21 up very much between --

22 MR. NARTKER: Actually, it went down very
23 significantly. We paid -- when we got started, we paid
24 \$21,000 for the Curswile 5200. We still have it. A much
25 better product exists today. It's the new PC Stanwards

1 product that costs \$99. You could buy it yourself, \$99. It
2 is much better, more than 25 percent better than the
3 products which less than two years ago we paid \$21,000 for.

4 We paid \$30,000 for the Calera RX-9000. You can
5 now buy technology from Calera for well under \$1,000 that's
6 better, much better than the Calera RS-9000. That pattern
7 holds true across the market.

8 The market prices are changing certainly yearly,
9 maybe every few months. The market is very dynamic. The
10 thing you might not recognize is that the need for OCR
11 technology is probably greater than what you're aware of, if
12 you haven't paid a lot of attention to this kind of market.

13 What we really need is a Xerox machine where every
14 time you take a document up to the Xerox machine, the
15 machine first prompts you when you put the document in do
16 you want a paper copy of this document or do you want a
17 floppy disk copy of this document in ASCII text or do you
18 want both, because, in fact, almost every document you work
19 with, you'd really like to have it available on your PC so
20 you can manipulate the text and so you can make use of it
21 and other documents, so you can electronically forward it to
22 you friends.

23 Information in electronic form is significantly
24 more valuable than in paper form. The market is felt to be
25 about to explode. Think for a minute about the market for

1 Xerox machines. How big has the market for Xerox machines
2 been for the last over 30 years versus how big the market is
3 for OCR devices?

4 Most vendors believe that the measure of the
5 ultimate market for OCR technology is, in fact, the size of
6 the current Xerox machine photocopy market, which is huge.

7 Thank you.

8 MR. HOYLE: Thank you very much, Tom. George, are
9 you ready for your presentation?

10 MR. HALLNOR: What I will do here today is to very
11 briefly discuss a little bit of a study we did on text
12 information management systems, and that has a potential
13 component for InfoSTREAMS and also the LSS in terms of the
14 text search capability.

15 Specifically, I want to address why we undertook
16 the systems study here, what we view the concept of errors
17 against text in InfoSTREAMS and also anticipated in the LSS,
18 what the evaluation criteria was, and what we recommend for
19 a follow-on study.

20 It's very clear that a very rapid comprehensive
21 free text search capability is essential for both
22 InfoSTREAMS and the LSS. Free text search happens to be a
23 key component in what is known as the text information
24 management systems offered by a number of vendors.

25 The technology is changing very rapidly. So the

1 reason we wanted to take a quick look at this right now is
2 we wanted to get some baseline on what is out there and then
3 follow the technology over the next year or so to see what
4 we actually then want to build into the InfoSTREAMS and into
5 the LSS.

6 What we need to do in the selection of the product
7 is balance the features against both InfoSTREAMS and LSS
8 functional needs, the characteristics of the queries in
9 InfoSTREAMS and LSS, and, of course, we believe that the
10 queries will be different in the two systems and also, of
11 course, the architecture of the InfoSTREAMS is something we
12 haven't taken into account.

13 We started this study looking at the most
14 promising candidates to support a free text search
15 capability. Over 50 commercial products were identified and
16 the 50 established the 16 potential inclusion of the
17 architecture.

18 The evaluation resulted in four products that
19 ranked the highest in terms of satisfying the potential
20 constraints of InfoSTREAMS and LSS, as we see it, and then
21 would be suitable for integration in that architecture.

22 MR. SILBERG: When you talk about the need for a
23 rapid free text search, what criteria did you use and how
24 rapid is rapid and what was that based on?

25 MR. HALLNOR: We did not have a real scientific

1 means to identify that. We looked at search times for what
2 we considered a reasonable query that would give you been
3 ten and a hundred hits on the database of at least five
4 million pages, in the range of 30 seconds to two minutes to
5 find those hits doing a free text search.

6 In terms of the architecture, on the left, you see
7 the users that are connected to this text search complex,
8 server complex, either through dial-up, through local area
9 network. The query would be entered into the query server
10 system, which is another part of the picture.

11 An accessor will be queried when you -- when the
12 query server receives the user request for information, the
13 accessor will verify the user indeed has a right to do the
14 search. The query will be issued into both the document
15 header database, because there may be queries that are more
16 of a key word search, author, data, generation, specific
17 titles and so forth, and that can be handled obviously by
18 the database, and a full text search will be conducted with
19 constraints that are imposed by the query itself.

20 The text search engine would be a system that is
21 loosely coupled with the rest of InfoSTREAMS and it has its
22 own free text database that has been downloaded from the
23 document storage.

24 So the free text database we have is really a copy
25 of the originals that they have in our document repository.

1 So the data in this search system is not the data that you
2 would get back. It is actually referenced -- the queries
3 are referenced back to the header database and the header
4 database will be used to pull out the information you wanted
5 out of the document repository.

6 So we will always be assured that what we call the
7 original is actually what is going to be seen. Before we
8 started the evaluation, we identified a number of evaluation
9 criteria, and I will touch upon a few of the key areas.

10 Clearly, the criteria were selected to reflect the
11 use of InfoSTREAMS functional requirements, actual type of
12 experience, what had to be done, and also architecture and
13 life cycle concerns that were at issue.

14 As I mentioned, the initial product list had 50
15 products in it. We collected vendor information on that and
16 evaluated suitability of the product. The first cut
17 eliminated products that did not functionally address the
18 problems with InfoSTREAMS and LSS and also, of course,
19 things that were incompatible with the architecture.

20 Therefore, products that were mainframe oriented
21 and products that were only based on a personal computer
22 were not included in the set that we were looking for. So
23 there were 16 after the first weeding out of the vendor
24 offers.

25 Of those 16, six were eliminated for technical

1 reasons. They did not have certain query type capabilities.
2 They did not have the application program interfaces that
3 were required to integrate into the architecture or
4 something of that nature, or they were eliminated for
5 corporate viability reasons.

6 There are a number of products out there that
7 essentially are offered by a one-man company and we think
8 that is a little bit too risky for our needs in this
9 environment.

10 Then with the remaining products, what we did is
11 we evaluated each one and scored them against what we
12 considered the criteria. A key evaluation criteria is the
13 application interface, because we don't want a product that
14 is sold as an encapsulated product, where you can't use
15 interface and text search and the document management system
16 as one entity which cannot be broken apart.

17 The reason for that is we would like to keep the
18 common consistency of the user interface so there's not an
19 abrupt change in how the system operates in going from the
20 document integration, from the document routing and for
21 concurrence, and also for any other normal database queries
22 that we have already set up in InfoSTREAMS.

23 Also, of course, the application program interface
24 allows us to tailor the product in a manner that it fits
25 into the client server architecture that industry is using

1 at this time.

2 The client server support is obviously an
3 important factor. We would want the product -- to
4 understand the concept of client server as an inherent part
5 of the product and use a PC workstation for the clients.

6 Many of the information management systems out
7 there are UNIX-based systems, assuming an X terminal as the
8 client side rather than the PC. So that is an issue we have
9 here. The UNIX-based is something that is substantially
10 more costly and not as user-friendly as the PC as we'd like
11 to see that in the system.

12 The other thing we looked at very carefully is we
13 want to have the capability on the server side to expand the
14 system to address large databases through -- we can section
15 free text search into searches of multiple independent
16 databases concurrently to reduce the wait time that an
17 individual researcher would have to experience on the access
18 of data.

19 Another key criteria, of course, was the
20 capability to handle the query volumes expected in
21 InfoSTREAMS and LSS. The baseline we used there was, of
22 course, what we know we will have within InfoSTREAMS in
23 terms of its holdings and we also used the study, the SAIC
24 study in terms of estimating the number of pages that will
25 be on-line at certain times through the life cycle of this.

1 It's clear that both InfoSTREAMS and LSS are
2 rather large applications for this. LSS text holdings, the
3 text is estimated to be in excess of 100 gigabytes. There
4 are very few systems that have been put in place today out
5 there that uses that.

6 The other curious thing is the performance data is
7 very hard to get and that the industry, as such, has no
8 really established benchmarks. So there's a lot of hearsay
9 and there's this particular application here, but those
10 applications may or may not be relevant in LSS.

11 MR. BALCOM: Are there any client server
12 applications, to your knowledge, that are this size?

13 MR. HALLNOR: No, not as far as we know. The
14 strongest client server support was from a product called
15 Falcrom, which has a very large marketshare. They have
16 marketshare in that they have the search end in CD-ROM
17 that's used to distribute large databases and so forth.

18 But they do have the architectural concepts and
19 they also have an understanding of the issue of parallelism
20 and those things. There is, to my knowledge, nothing of
21 this kind of architecture. There may be some mainframe
22 systems that have this size.

23 MR. BALCOM: The reason I ask is because this is a
24 departure from the old study, not that anybody is wedded to
25 the SAIC study.

1 But eliminating mainframe only software, we're in
2 a different ballgame, it seems to me.

3 MR. HALLNOR: That's correct. But on the other
4 hand, there's a lot of systems being built today that are
5 heading this way. In the medical and insurance worlds,
6 these kinds of systems are coming in to search and they have
7 very large databases, too. So I think that we're not the
8 pioneers necessarily, but we're certainly at the edge of
9 what's out there.

10 MR. ALEXANDER: Actually, there is at least one,
11 Chemical Abstracts. They are messenger systems that run on
12 distributed processors. The 39.50 client server. We use it
13 on about 400 gigabytes.

14 MR. BALCOM: What's the software?

15 MR. ALEXANDER: They developed it. It's called
16 their messenger software.

17 MR. BALCOM: And was that one of the systems that
18 you looked at?

19 MR. HALLNOR: No, it was not. That is not a
20 commercial product.

21 MR. ALEXANDER: It's a license software product.
22 You can buy it. We bought it.

23 MR. HALLNOR: I don't recognize it as a thing we
24 might have looked at.

25 MR. BALCOM: Also, Dan, may I ask you is this a

1 --could we get a copy of this study? Could you make this
2 study available to the ARP? I'm a little bit concerned
3 about the mainframe -- the distinction between the mainframe
4 and the client server world and I personally would feel
5 better if I knew more about this.

6 MR. HALLNOR: These aren't distributed yet. It's
7 not mainframe oriented.

8 MR. GRASER: Let me respond to that. There's a
9 certain sensitivity about the study itself because we
10 actually went through the drill of assigning various weights
11 and scores that -- we just have not made a public
12 distribution of that.

13 Furthermore, we're probably approaching a point
14 where we need to make a decision in terms of procurement
15 activity. So certain sections of the report certainly; the
16 discussion sections of the various capabilities of the
17 software. So perhaps with having the opportunity to look at
18 it and ensure that we don't go out and compromise our future
19 activities, we could probably do that, yes.

20 MR. BALCOM: I think it's something that the ARP
21 ought to take a look at in terms of -- because of the fact
22 that for InfoSTREAMS, it might serve you very well, but when
23 you add -- when you multiply the volume by 600 percent or
24 1,000 percent, it seems to me that it's something we ought
25 to be looking at.

1 MR. CAMERON: Boyd, as a point of information, in
2 your system, you used advisory panels.

3 MR. ALEXANDER: We had an industry advisory panel.

4 MR. CAMERON: I'm just wondering how we handle --
5 this is going to come up probably time and time again about
6 how do we handle the sensitivity of information, like Dan is
7 pointing out, and still have the panel involved in
8 decisionmaking.

9 I know in operating in the procurement context,
10 there's going to be a lot of those types of issues. I
11 wondered how you might have handled it at Trademark.

12 MR. ALEXANDER: We had the Institute share the
13 panel and then they got people who were involved in the
14 standards of whatever technology you're looking at. We got
15 major -- ten co-representatives from industry. We had ten
16 different incorporation experts who had done it before, not
17 people who had heard about it or read about it, but who had
18 done it, come in and they came to us twice.

19 They spent three days one time, came back a year
20 later for another three days. This is looking at what we
21 had done and the progress we had made, gave us advice on
22 what technology to use and not to use, completely unbiased.
23 They were only paid their expenses. So there was no
24 consulting fee. We paid them \$150 a day for three days
25 each. That turned out to be invaluable.

1 They gave us a thumbs-up on part of our design and
2 suggested major changes in others and it was fairly cheap.

3 MR. CAMERON: Did they have access to material
4 that would --

5 MR. ALEXANDER: We gave them all the information
6 about a month ahead of time, all of the requirements, all of
7 our technical papers, etcetera, and then we had a library
8 there for them and then we had a lot of text searchable
9 information, as well. They had free access to that. They
10 made a non-disclosure agreement.

11 MR. CAMERON: So that's how you -- they signed a
12 non-disclosure agreement.

13 MR. ALEXANDER: Yes. It was a sanctioned advisory
14 panel through GSA. It took us about four months to set it
15 up. It was chaired by Jim Burroughs at NIST, National
16 Institute of Science and Technology.

17 MR. HOYLE: Were the meetings closed?

18 MR. ALEXANDER: They were closed to -- I guess
19 vendors were not involved. It was just them and the staff
20 and our own vendors at the time who were doing the work, but
21 other outside vendors were not allowed.

22 It was very profitable. It paid off very nicely.
23 And you have an unbiased report. None of these people were
24 -- one of the key things in selecting the members were that
25 they weren't going to do business with us. So we had

1 insurance companies, we had some aircraft corporations,
2 things like that, and these were people who had similar
3 problems and they solved it in whatever method at that time.

4 The technology has changed. That was in 1988 and
5 1990, but the concept works, I think, very well.

6 MR. CAMERON: I guess that's one thing we'll have
7 to keep in mind for the panel's operation in the future, how
8 we handle that type of sensitive procurement information.

9 MR. GRASER: I think what you are doing is
10 probably verbalizing, the first time I've heard it, a need
11 for the panel to have independent technologist resources
12 available to them, if, in fact, the level of -- I mean, we
13 have a certain comprehension here within the group, but some
14 of the things that we are talking about here, if you really
15 wanted to know the inside skinny, you would say let us have
16 access to some sort of technologist group.

17 It could be an individual, it could be an advisory
18 subcommittee or whatever the case may be. Maybe that's the
19 thing that's surfacing here in this discussion.

20 MR. SILBERG: It doesn't necessarily have to be
21 this group. I would feel confident if DOE or the M&O went
22 out and got a group like, let's say, that you put together
23 that is unrelated to the program, but has actually faced
24 these problems.

25 I don't think the people around this table, except

1 maybe Kirk and you guys, we certainly, between Chris and I,
2 don't have that kind of expertise. I'd feel much more
3 comfortable with the people who had really faced these
4 problems, and I would want you on that panel as someone who
5 has faced that problem.

6 But I am concerned, George, with your statement
7 that you are not aware of the one system that's up and
8 running that actually is of the size we're talking about.
9 That tells me that we're missing something. With the
10 investment that's being made, we need to make sure we have
11 access to all the stuff out there that's really relevant.

12 I'm concerned that we don't have that today.

13 MR. CAMERON: It's one of the values of the
14 Advisory Review Panel, as pointed out, that this type of
15 information comes on.

16 MR. SILBERG: But as I said, I don't think that
17 needs to be something that's a part of this panel or an
18 adjunct to this panel, but it sure would be nice to have it
19 done.

20 MR. CAMERON: Well, we can't advise on
21 procurements anyway in the way that some people are talking
22 about. I don't we can.

23 MR. ALEXANDER: This wasn't so much related to
24 procurement. There was a question about our system that was
25 raised by OMB and it was a goldplated, was it going to do

1 the job, would it work when we scaled it up from our test
2 bed to full size, what's the likelihood of it failing, what
3 would the performance be, would it be slow.

4 I happen to think some of the timings I'm hearing
5 here are very slow for text searching. I would think
6 anything over a second for text searching would be
7 unacceptable. At least in our world it is.

8 MR. MURPHY: Over a second for what?

9 MR. ALEXANDER: Response time. When you put in a
10 query to a text database, to wait 30 seconds or a few
11 minutes is -- I wouldn't --

12 MR. MURPHY: Not for my purposes.

13 MR. ALEXANDER: It depends on what your purposes
14 are. But if you do that and you're doing it many times over
15 a large database, after a while, you get tired.

16 MR. MURPHY: For your purposes --

17 MR. ALEXANDER: Yes, for our purposes.

18 MR. MURPHY: It wouldn't work.

19 MR. ALEXANDER: It depends on your requirements.

20 MR. SILBERG: For instance, on this chemical
21 abstract system, are they on a one-second delay?

22 MR. ALEXANDER: It's less. It's about seven-
23 tenths of a second.

24 MR. BALCOM: Is that a full text system?

25 MR. ALEXANDER: Full text, complete inverted file,

1 all except the stop words, go in search capability. But
2 it's a license product. That isn't one we developed and we
3 wouldn't want one. They developed for their chemical
4 abstract databases.

5 MR. BALCOM: Wasn't one of their components part
6 of the original PTO system?

7 MR. ALEXANDER: It was one of the original parts.
8 That was one them that passed muster when the review team
9 looked at it, because it was optimized for search. Now, I
10 don't know a lot about InfoSTREAMS, but I get the impression
11 that it's optimized for document handling, document
12 creation, and not for text search and they're getting ready
13 to add a text search capability.

14 So now is a good time to look at text search
15 systems meeting your requirements. You certainly pay more
16 for a higher performance system. There's no question about
17 it.

18 MR. MURPHY: Of course you do.

19 MR. HALLNOR: Of course, part of the performance
20 issues were the type of volume and retrievals available
21 there and we certainly want to have all the standard things
22 in there.

23 We also felt that advanced retrieval methods were
24 important and those are beginning to get integrated into
25 these commercial products right now, things like expansion.

1 There's a thesaurus that you can add to the search. For
2 example, match searches are going to increasingly important.
3 I think that sample may be something that LSS people would
4 use significantly. That allows you to extract documents of
5 similar content very easily.

6 The other thing we looked at also, which -- of
7 course, many of these products are an integral part of a
8 close products. In some instances, we may have a product
9 that has a very good system demonstration feature, but
10 something that may not necessarily integrate well into the
11 InfoSTREAMS architecture.

12 But we are looking at things like on-line backup
13 and indexing, the support recovery, the audit transactions
14 in the text search, collecting of statistics, security and
15 access. Some of those, of course, may fall outside of the
16 InfoSTREAMS architecture and outside of text searching
17 itself.

18 The products -- the evaluation resulted in the
19 four highest ranked products and they were very close, the
20 way we did our judgment, and they are listed here in terms
21 of alphabetical order. Comquest Software, Incorporated is
22 newly started up. They have about 30 individuals in the
23 company and they have some very novel techniques.

24 So they are a very interesting concept, especially
25 in advanced retrieval. The technology and information

1 dimensions are known now in this world. They have solid
2 systems on the market that actually use a variety of
3 applications and they have a larger marketshare than the
4 others listed here. Ameritech, Incorporated now has a very
5 nice product that works well for this kind of application.

6 The one thing I want to stress is that this was a
7 preliminary study to just get variance and obviously other
8 systems should be looked at, too. So the selection has not
9 been made.

10 Our suggestion is that we do some more in-depth
11 technical discussions with vendors out there to look at how
12 well these products will integrate in the InfoSTREAMS
13 architecture and, above all, also get a better handle on the
14 performance characteristics within the world that we live
15 in.

16 What I think we have to do is get down to the
17 point of trying to get sample databases that they can
18 possibly load up in their own systems and test against them,
19 but it's very hard to do that.

20 So that's where we stand today. Are there
21 questions?

22 [No response.]

23 MR. NARTKER: I meant to invite any of you who
24 have time this afternoon, after you adjourn this meeting,
25 after lunch, if you'd like, drop by the university and visit

1 our lab. You're certainly welcome. We'd be glad to conduct
2 a little tour for anybody who is around.

3 If you'd like, please let me know or just come on
4 by. My office is in Room B-382. Our lab is in -- we're in
5 the Engineering Building. Our lab is Room B-333 on the
6 third floor. We'd be glad to invite you. If you'd like to
7 wander around, we'll give you a short tour.

8 MR. HOYLE: Thank you, Tom. Why don't we take a
9 break now and come back and talk about the topical
10 guidelines.

11 [Recess.]

12 MR. HOYLE: I think all the members are back in
13 the room. Why don't we try to get started again, please.

14 Let me make an announcement. First, there are a
15 few in the room who are going out to Yucca Mountain
16 tomorrow. There will be a DOE bus arriving here at the
17 lobby entrance at 6:45 tomorrow morning, 6:45. It's going
18 to leave promptly at 7:00. There are eight or nine or ten
19 of us going out there who need to be ready to leave at 7:00.

20 The topical guidelines is the discussion we want
21 to turn to now. Mr. Murphy suggested that we do this
22 yesterday. I would like to note that I didn't bring very
23 many copies along, but I had sent it out to the members when
24 I sent the paper and the Commission position on the
25 Alternative 3. I think that letter was dated June 14 and I

1 sent the topical guidelines along at that time.

2 The announcement of availability of the draft
3 topical guidelines for comment then appeared a month or so
4 later, July 27, 1993, in the Federal Register. The document
5 itself is dated July. So we did try to get it into the
6 hands of the Committee members, but I did not specifically
7 ask for comments back to me.

8 But with that as background, let's talk about
9 them. Mal?

10 MR. MURPHY: Yes. I don't think this is going to
11 take very long. One of the reasons I brought it up was
12 procedural, John. It seems to me that one of the functions
13 of this Advisory Review Panel, certainly a function we
14 performed in our meeting in Reno in 1991, I guess it was, or
15 1990, was to review the topical guidelines and we went
16 through a very, very heated process of providing input and
17 advice to the Commission staff on them.

18 I just assumed that when the draft NUREG was
19 issued and the new topical guidelines were proposed that as
20 a matter of course, they would be brought back to this body
21 for its outside the Federal Register notice and comment sort
22 of process, that they would be brought back to this body to
23 see, for example, whether or not the later that Jay Silberg
24 so carefully drafted and which you then turned into the memo
25 to Bob Bernero had been responded to the way we hoped it

1 would be.

2 So I was surprised to see that the topical
3 guidelines were not on the agenda and that's why I brought
4 it up.

5 Substantively, I hope, at least, that the concerns
6 we raised at the meeting in Reno and which you expressed to
7 Bob in your memorandum have been addressed in the new draft
8 of the topical guidelines, but I need to clarify that. Chip
9 may be the one to answer this or maybe Joe Hallanich.

10 The argument was over primarily the exclusion of
11 environmental information and transportation information.
12 That has now apparently been included in the topical
13 guidelines and I need to satisfy myself that there are no
14 limitations on the environmental or transportation
15 information that the topical guidelines will encompass.

16 Let me just ask that question. Are we referring,
17 for example, to national transportation information, all
18 transportation information that the Department of Energy
19 relied on in drafting its environmental impact statement?
20 That appears to be what is said.

21 MR. CAMERON: The inclusion of the environmental
22 and transportation issue is tied to the adoption of the EIS.
23 I think that what's included follows from that premise; in
24 other words, keying on the scope of the Department's
25 environmental impact statement.

1 I would recommend, though, that as individual
2 members of the panel comment on the topical guidelines, that
3 they be very, very specific about their concerns in that
4 regard so that we can directly address any of those
5 concerns.

6 MR. MURPHY: How about environmental? At one
7 point in time in the topical guidelines, the socioeconomic
8 information was included. That is not -- that's gone now,
9 but the environmental information is in there, as well as
10 transportation. Does environmental information include the
11 socioeconomic environment? Is DOE going to -- and us --
12 going to be putting socioeconomic information into the LSS?

13 MR. CAMERON: I guess, again, that turns on what
14 the scope of the Department's environmental impact statement
15 is going to be.

16 MR. MURPHY: Well, they have to address
17 socioeconomic. They can't draft an environmental impact
18 statement without socioeconomic information, unless they
19 want -- that's a guaranteed reversal.

20 MR. CAMERON: Then I would think that that would
21 be within the scope. But comment on that and let us clarify
22 that.

23 MR. MURPHY: I think that's probably going to be
24 necessary. I think the NUREG itself should indicate that
25 the term "environment" includes the socioeconomic

1 environment.

2 MR. CAMERON: Rather than just the birds and --

3 MR. MURPHY: The physical environment.

4 MR. CAMERON: -- bunnies.

5 MR. MURPHY: Right.

6 MR. CAMERON: I think the analogy is that if we
7 weren't adopting the Department's environmental impact
8 statement -- and I guess this is the issue. If we weren't
9 adopting the environmental impact statement, if we were
10 preparing an environmental impact statement on our licensing
11 action, what would be in the NRC's environmental impact
12 statement? What should be in the NRC's environmental impact
13 statement on more licensing action?

14 I think that we need to further clarify that.
15 Robert?

16 MR. HOLDEN: Included in the socioeconomic studies
17 should be, in bold letters, cultural resource management
18 issues, because that's been quite an issue for tribes,
19 particularly in the Yucca Mountain Project Office area.

20 MR. CAMERON: Good point, well taken.

21 MR. HOLDEN: With tribal advisory boards, the
22 whole nine yards in terms of cultural resource management
23 issues.

24 MR. SILBERG: I think that the basic philosophy
25 has to be that any information that's going to be developed

1 to answer environmental issues in the NRC process or which
2 is relevant to that needs to be in the system.

3 This wording, looking at it, may be a little too
4 restrictive, because it talks about the issues are limited
5 to those needed to determine whether it's practical to adopt
6 -- for NRC to adopt the EIS. I think the bottom line is
7 whatever is in the NRC EIS, all that information and what
8 leads up to it needs to be in the system.

9 MR. CAMERON: You mean in the DOE --

10 MR. SILBERG: No, no. In the NRC EIS and to the
11 extent that the DOE EIS is adopted.

12 MR. BECHTEL: Since that appears to be -- the
13 environmental appears to be open to interpretation right
14 now, would it be any -- I know at one time, we had a section
15 that specifically said socioeconomic. I would recommend
16 that, as a representative of an affected local government,
17 that we would like to have it included as a separate section
18 again.

19 MR. SILBERG: Right now they just have the one --

20 MR. BECHTEL: I know.

21 MR. SILBERG: -- line that says environmental.

22 MR. BECHTEL: Yes, I know. And that's open to
23 interpretation. If, in fact, it does encompass the entire
24 EIS, I guess it would be part of it, because that's part of
25 the scoping. But it's no real clear as noted.

1 MR. BAUGHMAN: Mal, I think it's also important to
2 note that the EIS would also include transportation. The
3 transportation is broken out as a distinct topic. It was my
4 sense that in the last couple of years, whenever we were
5 working hard together, that we had reached some general
6 consensus on the inclusion of socioeconomics explicitly and
7 now we see that it's been taken out and I'm not quite sure
8 why.

9 MR. SILBERG: I think the only reason it's been
10 taken out is because they've put in a one-liner which they
11 think is global or at least --

12 MR. CAMERON: Yes. That's the idea.

13 MR. MURPHY: I think Chip assumes that
14 socioeconomic information is subsumed, and Joe is nodding
15 his head, is subsumed within the phrase "environmental." I
16 just think that that ought to be made clear. We'll include
17 that in our written comments.

18 MR. BAUGHMAN: I guess the other thing I'm curious
19 about is the inclusion of environmental issues seems to be
20 kind of couched again in letting us figure out whether or
21 not it's practical to adopt EIS. It seems to me as though
22 the parties that might become party to the actual licensing
23 process may challenge other aspects of licensing, like the
24 risk assessment work, which would involve population
25 exposure and some of these things which would come back to

1 economic demographics of population kinds of issues.

2 I guess I'm a little concerned that the only
3 perhaps justification for including environmental issues is
4 couched in determining whether or not we adopt the EIS.
5 There may be a lot of other reasons to consider
6 environmental issues and, particularly socioeconomic issues
7 as different aspects of licensing are challenged.

8 MR. SILBERG: That would fall, as I read this,
9 under other parts of the analysis, like the 5.3.3
10 consequence analysis for radioactive releases. That
11 obviously has to include your doses in the individual
12 population, which obviously has to include where is the
13 nearest person and where are your populations and where are
14 your projected populations out however long you want to go
15 out.

16 MR. CAMERON: I would agree with Jay on that,
17 Mike. I think that your point is just another example of
18 why it is efficient to put the environmental information and
19 environmental, in the broad scope, into the licensing
20 support system.

21 MR. SILBERG: I do have a question on the
22 guidelines. I don't know if you can answer it, Chip. In
23 1.10, where it says information relevant to NRC findings
24 regarding compliance with statutes other than, and then it
25 says the Atomic Energy Act, Energy Organization Act, the

1 NHPA, and then it adds like the American Indian Religious
2 Freedom Act and the Endangered Species Act, but it doesn't
3 list NEPA in either the first group of statutes or the
4 second group of statutes. I'm just curious as to why NEPA
5 is --

6 MR. CAMERON: So you found a hole in this. No.
7 The idea there, Jay, is that often the compliance with other
8 statutes, such as Endangered Species, American Indian
9 Religious Freedom Act, is all wrapped up in the NEPA
10 compliance document. We didn't mean to exclude NEPA there
11 and we better spell that out.

12 MR. SILBERG: I just think your primary set of
13 statutes on which NRC findings are required --

14 MR. CAMERON: NEPA should be up in the front.

15 MR. SILBERG: I would think NEPA ought to be
16 included in there.

17 MR. CAMERON: Good point.

18 MR. HOYLE: Any other comments?

19 MR. BALCOM: I have a small issue I want to raise
20 on behalf of the state. I'm doing this on the basis of
21 incomplete information. It won't take but a second.

22 The state is attempting to depose some scientists
23 now and there is a concern -- Harry Swainston has a concern
24 that there may be something in the rule or the topical
25 guidelines that would exclude those depositions maybe on the

1 basis of deliberative process or some other basis.

2 So I simply want to raise that concern. I've
3 talked to a couple people informally and there may not be an
4 issue there, but I want to put it out there anyway, having
5 said that.

6 MR. HENKEL: The state wants those definitions
7 inserted in the LSS?

8 MR. BALCOM: Yes.

9 MR. SILBERG: If those depositions take place.

10 MR. BALCOM: If the depositions take place,
11 there's a slight concern that they may not make it into the
12 LSS for some reason. Once again, I don't have the whole
13 story here.

14 MR. HOYLE: Whose documents would they be?

15 MR. BALCOM: Well, they would be the state -- the
16 state would take the depositions.

17 MR. SILBERG: The state can put them in.

18 MR. BALCOM: Right, but there may be a
19 deliberative process problem.

20 MR. SILBERG: If there is a privilege, then it
21 goes in under the rules in Subpart J that deal with
22 privilege.

23 MR. BALCOM: And since Harry's --

24 MR. SILBERG: I'm not sure I understand why that
25 --

1 MR. MURPHY: Well, I think he must be concerned
2 about exhibits to those depositions, memoranda and stuff
3 that these scientists may have written.

4 MR. SILBERG: If those memoranda or statements
5 that they make are somehow privileged, we'll already have
6 developed some procedures to handle privileged information.
7 I would think those procedures probably will work.

8 MR. MURPHY: But, again, the privilege attaches to
9 the scientist in that case, if there is one. If the state
10 can get its hands on that memorandum, the state can put it
11 in the LSS, if it's got it, if it's successful in taking the
12 deposition.

13 MR. SILBERG: But it may be in the LSS with a
14 privilege flag attached to it is all I'm saying.

15 MR. CAMERON: I would agree with what Jay and Mal
16 are saying. Again, speaking from even less information
17 perhaps than Kirk has, I thought that the problem was that
18 the Department of Justice might have raised concerns about
19 those depositions going into the LSS.

20 MR. BALCOM: Could be. Harry is not here, so I
21 can't give you the full story. We may address it in the
22 comments somehow.

23 MR. HOYLE: Okay. I would remind the members that
24 although I would include your comments on the topical
25 guidelines in my own writeup of the meeting, but comments

1 should also be sent by you as individual organizations to
2 the agency. There is an address and everything for that.
3 It would be most helpful if they were received by the end of
4 October.

5 Any other business to talk about before we go back
6 over where we are and what we want to do?

7 [No response.]

8 MR. HOYLE: Let's talk about where we are and what
9 we want to do. The issue of control was raised yesterday,
10 control of non-DOE participants' documents. I think we
11 ought to see if there's more to discuss on that today.
12 Otherwise, I think we -- we left it that we would owe the
13 Committee members some additional information. I think
14 let's clarify exactly what information members might want to
15 help decide within a couple months, if that timing is all
16 right by DOE, that Alternative 3 or some variation of it is
17 the way to go.

18 DOE needs to get going on its design now. So I
19 open the floor for discussion.

20 MR. SILBERG: Let me frame a question to Mal and
21 Kirk and Bob and anybody else who I think has or might have
22 had a philosophical problem with DOE control.

23 That is are there circumstances -- well, first of
24 all, does that philosophical problem still exist today?

25 MR. BECHTEL: Yes.

1 MR. SILBERG: Second, are there circumstances or
2 controls which you can envision which would sufficiently
3 alleviate that concern for you that you would be willing to
4 accept DOE control?

5 MR. MURPHY: I think that's what we need to talk
6 more about, but let me -- it seems to me we went through
7 this same analogy during the original negotiations, but let
8 me do that again. Let me analogize this to litigation,
9 which you and I might be more familiar with, Jay.

10 If we conceive of this as a large antitrust action
11 in which someone -- some plaintiff is suing the General
12 Motors Corporation and the Federal Court is going to decide
13 whether or not the General Motors Corporation engaged in
14 price fixing and the Federal Court says we're going to do
15 this by an electronic data and document information
16 management system.

17 So that all of the data that you guys generate
18 from each other in the course of discovery is going to be
19 handled electronically during discovery, as well as during
20 the trial itself. And we want you, the plaintiff, or we
21 want you, the defendant, General Motors Corporation, to turn
22 over your documents for entry into that system to the
23 plaintiff.

24 The Department of Energy here is the plaintiff in
25 my analogy. No way, absolutely no way, under any

1 circumstances, would, in any other context, a defendant be
2 required to give their documents to the plaintiff to input
3 into a system and manage that.

4 Using that sort of philosophical analogy, I cannot
5 conceive of any circumstances under which we who, in a very
6 loose term, may be considered in the same sort of position
7 as a defendant in litigation, would be willing to give our
8 documents to the license applicant for inputting into the
9 system.

10 MR. SILBERG: Let me put the question a little
11 differently or term the analogy a little differently. If,
12 in fact, there is discovery and you are asked by the
13 plaintiff to turn over all your documents, he will, in fact,
14 to the extent he receives those documents, put them into his
15 system.

16 MR. MURPHY: That's right.

17 MR. SILBERG: So the question is not so much are
18 you required to turn over your documents to the plaintiff,
19 but are you entitled and can you rely on using his system as
20 a way of searching those documents and his own -- and the
21 plaintiff's own documents, with some controls.

22 For instance, if EDS, the data processing arm of
23 General Motors, I think they still are, were being used by
24 GM to run their database, a kind of separate company, and
25 the defendants, as part of discovery, turned their documents

1 over to EDS and General Motors turned their documents over
2 to EDS and the Court appointed a special master to monitor
3 how EDS operated its database to make it available to all
4 parties and accuracy and all that stuff, that's, I think, a
5 little bit more the analogy that we're talking about here.

6 That still may not be acceptable and I can
7 understand that, but there are some differences and there
8 are some controls and it's not quite the same private
9 adversarial nature, because while DOE is the license
10 applicant, it is also a governmental entity which, I think,
11 puts it in a little bit different position.

12 In addition to its responsibility to its
13 shareholders, it's got political oversight, it's got public
14 accountability, etcetera.

15 MR. MURPHY: Have you read the public trust and
16 confidence report?

17 MR. SILBERG: Yes.

18 MR. MURPHY: Do I need to say anything more?

19 MR. SILBERG: I think you still need to respond to
20 the analogy.

21 MR. MURPHY: Let me just respond to that. I don't
22 mean to be directing this to any individual in this room or
23 in the Department of Energy, but this Alternative 3 is
24 asking the State of Nevada, Nye County, other affected units
25 of local government, American Congress of -- National

1 Congress of American Indians, individual indian tribes,
2 environmental organizations to turn over their documents and
3 to rely on a department for the accurate and timely
4 inclusion of those documents into the LSS, to rely on a
5 department which has, on more than one occasion, on numerous
6 occasions given parties such as I represent ample reason for
7 doubting the integrity of that department.

8 All you need to do is look at the proceedings of
9 the Secretary of Energy's Public Trust and Confidence Task
10 Force to understand what I'm talking about. We are not
11 willing to do that.

12 But you also have to keep in mind that what this
13 -- what we are talking about here is the result of a
14 compromise. The parties to the negotiated rulemaking gave
15 up their right to conduct hard copy discovery under
16 currently existing Nuclear Regulatory Commission discovery
17 processes, gave up their right to stretch this licensing
18 proceeding out for seven to ten to twelve years while we
19 looked at every single paper copy of data that was produced.

20 In turn for compromising away that right to hard
21 copy discovery, we got what we felt, at least, was an
22 assurance from the Nuclear Regulatory Commission that the
23 system which was going to manage the documents which the
24 Department of Energy produced, as well as the documents
25 which Nye County produces, would be under the control of the

1 neutral adjudicatory body, the Nuclear Regulatory
2 Commission; that we would not be required to turn over our
3 work product.

4 I'm not worried about the massive amounts of
5 documents that we get from the Department of Energy or from
6 Sandia or Livermore. I'm talking about the documents that
7 we ourselves produce, that we would not be required to turn
8 that work product over and rely on the Department of Energy
9 to input our documents before they input their own.

10 MR. CAMERON: Just a question, Mal. The concern
11 is somehow that the Department would deliberately input
12 those documents incorrectly. Is the concern that the
13 Department would not put those documents in in a timely
14 manner? Those concerns, I think, could be met through
15 controls.

16 MR. MURPHY: Well, they can be met through
17 controls, but, by the same token, you're asking those of us
18 on this side of the project to rely on government, to
19 control government in carrying out this function and in
20 protecting the rights of the affected units of local
21 government in the state.

22 We compromised down to the point where we said we
23 were willing to rely on the NRC as an independent regulatory
24 agency to do that. I think it's unreasonable to expect us
25 to compromise further or to accede to the -- and I want to

1 use this word advised now -- accede to the NRC's reneging on
2 that promise and requiring us to now accede to or agree to a
3 process that some of the parties in the negotiation, at
4 least, vehemently opposed in arriving at the consensus that
5 we all worked so hard to get.

6 The NRC has already on one occasion taken back
7 from some of the parties, governmental organizations, the
8 Indian tribes, etcetera, not so much the state and Nye
9 County, but in its second round of rulemaking in cranking
10 down on intervention and the timeliness of contention
11 filing, etcetera, they already took away half of the benefit
12 of the compromises that the environmental organizations and
13 the tribes and others made.

14 Now you're asking us to agree to give back some of
15 the other compromises that we got the benefit of. I am not
16 going to recommend to my principals in Nye County, the Nye
17 County policymakers that they agree to do that.

18 MR. SILBERG: Is the concern with the inputting of
19 the documents?

20 MR. MURPHY: The concern is in turning over
21 control of this system to the Department of Energy.

22 MR. CAMERON: There's two issues here. One is the
23 integrity of document input and the second issue is control
24 of the system. You indicated that there may be a way that
25 controls could solve the problem in terms of the input.

1 There may be a way that controls can also solve the concerns
2 in terms of control of the system.

3 But talking about what people gave up in the
4 negotiating Committee sessions, I think that the giving up
5 of hard copy discovery, the quid pro quo there was the fact
6 that we were going to get a full text system that would make
7 all of the parties' jobs easier in going through the license
8 application. I think that that's still an important point
9 here.

10 If you look over the past three or four years
11 since the rule was negotiated, it hasn't been that the NRC
12 or the Department hasn't been trying to get this system
13 moving, get it under development. I think that what the
14 Commission believes at this point is that this type of
15 division of responsibility, which is sort of administrative,
16 running the system, system design, is the best way to bring
17 the LSS to fruition; in other words, that quid pro quo for
18 giving up hard copy discovery.

19 It's a practical issue, as far as I'm concerned,
20 and trying to see a system come into effect that works and,
21 yes, the NRC is going to have to monitor DOE's inputting of
22 the documents and DOE's administration of the system.

23 MR. MURPHY: The NRC is currently monitoring DOE's
24 conduct of its site characterization program and talk to Joe
25 about how frustrating that can be when the Department of

1 Energy, on a daily basis, just blightfully ignores all of
2 the technical advice and guidance that they're given by the
3 NRC, the State of Nevada, the Technical Review Board,
4 National Academy of Sciences, everybody else in the world.

5 My own personal feeling is that if they wanted
6 this whole bloody Yucca Mountain project conducted more
7 efficiently, they ought to turn it over to the Office of
8 Information Resources Management, because they've been able
9 to accomplish something in the Department of Energy and
10 nobody else has.

11 MR. SILBERG: You're talking about the fee
12 collection part of it.

13 MR. MURPHY: The fee collection, they do okay,
14 too. But it comes down asking us to give up the benefit of
15 our bargain in return for we don't see -- sure, we may get
16 an LSS out of it that way, but we're going to get an LSS in
17 any case because the Department of Energy is -- they're
18 going to do this under any circumstances.

19 And now you're asking us to give up the benefit of
20 a bargain that we fought hard for in 1988. I don't see why
21 we should be willing to do that when there's an alternative.
22 Why don't the non-DOE parties just turn over their documents
23 and rely on the LSS Administrator for inputting the non-DOE
24 documents?

25 MR. CAMERON: Into what system?

1 MR. SILBERG: Yes. That's part one. The second
2 part is control, operation and maintenance of the system.

3 MR. MURPHY: Even under the current rule, it was
4 always envisioned that the Department of Energy design and
5 develop the system and get it running and functioning and
6 then turn it over to the Licensing Support System
7 Administrator.

8 We're now talking about perhaps the DOE keeping
9 the system for a little bit longer than we had originally
10 envisioned, but that's more a detail than a real substantive
11 concern, I think.

12 They are still required -- they would still be
13 required to turn over the -- before licensing starts, turn
14 over the system to the LSSA. I think even under Alternative
15 3, the staff is suggesting a rule amendment to require them
16 to do that within -- I can't remember, what it is -- three
17 years now?

18 MR. SILBERG: No, not to turn over the system. As
19 I understood it, Alternative 3 was the system would remain
20 in DOE's care and feeding.

21 MR. MURPHY: That's right.

22 MR. SILBERG: And the document input would be all
23 done within the DOE -- by the DOE worker bees. I don't
24 recall anything about turning the system over to the LSSA
25 for operation and maintenance. The staff recommendation was

1 to require the system to be up and running three years
2 before license application. That was rejected by the
3 Commission in favor of --

4 MR. MURPHY: You may be right. Let me ask John
5 what this -- maybe I'm not reading this language correctly.
6 I'm looking at the last sentence beginning on the bottom of
7 Page 11 on the SECY 93-107 and proceeding to the top of Page
8 12.

9 It says "In order to give DOE more incentive to
10 assure that the LSS will be available, this provision should
11 be changed so that the NRC determines when and under what
12 procedures it will accept the DOE license application for
13 staff review. This change will tie NRC acceptance of the
14 DOE application not only to the completeness of their
15 application, but also to DOE's success in furnishing the LSS
16 as a vehicle."

17 I read that as under the current LSS rule,
18 furnishing the LSS to the LSS Administrator.

19 MR. CAMERON: No. Furnishing is used in the sense
20 of having the system up and running. Furnishing is value-
21 neutral in terms of who is running the system in the context
22 of the language you just read.

23 So if you go back to the discussion description of
24 Alternative 3, the big point there, the big change is that
25 DOE would be maintaining and running the system, albeit with

1 supervision and oversight from the LSS Administrator.

2 MR. MURPHY: Then I have the same sort of a
3 problem. I think at some point in time, that system has to
4 come under the direct control of the NRC.

5 MR. HENKEL: Mal, I have another question for you.
6 I may be struck dead for suggesting that the DOE bring on
7 another contractor, but is it conceivable that perhaps since
8 the InfoSTREAMS system would be managed by a contractor,
9 i.e., TRW, anyway, that some sort of an independent
10 contractual relationship be set up with another contractor
11 such that they will be satisfied?

12 MR. MURPHY: I'm only speaking for Nye County.

13 MR. HENKEL: That's true, but Nye County, the
14 state, and other parties.

15 MR. MURPHY: It wouldn't satisfy my concern. My
16 concern is that the system be controlled by the adjudicatory
17 body that's going to make the decision as to whether or not
18 to grant the construction authorization. Maybe you can ramp
19 up the compliance and audit program to a point sufficient
20 that it becomes virtual control. I would be willing to
21 consider that.

22 It could become the functional equivalent of LSSA
23 control. I'm not worried about nomenclature. I'm worried
24 about who in the office on a daily basis is going to have
25 the authority to say do this, do that or you're fired. I

1 don't want that to be a Department -- I don't want Dan to be
2 put in the position of having to tell his supervisor I'm
3 working on Nye County data today, I'm not working on DOE
4 data, and be told you're getting paid by DOE, we're putting
5 DOE data in.

6 MR. SILBERG: One part of the equation that we
7 haven't talked about, which I think ought to go some
8 distance to satisfy your concern, is the role of the pre-
9 licensing application by the Safety Licensing Board,
10 whatever we call that. There you do have a body independent
11 of NRC staff and, indeed, independent of the LSSA that you
12 could bring any complaints to.

13 As someone who has adjudicatory authority over
14 everybody, it would certainly have the ability to order DOE
15 or NRC staff or LSSA to do things that you thought were not
16 being done and should be done.

17 So I think you already have existing in the rule a
18 mechanism to provide substantial independent oversight and
19 control.

20 MR. MURPHY: All of those things are true, but the
21 political reality is that you're asking Nye County, Nevada
22 to agree to a process where the project manager and the
23 county administrator and the county commissioners are going
24 to go back to their people and say guess what we've done,
25 we've agreed to turn over our documents to the Department of

1 Energy, but don't worry, in this case, you can trust them.

2 We are not going to do that without some further
3 neutral non-DOE assurances that this system is going to
4 function the way we bargained for it.

5 MR. SILBERG: I guess I don't understand why you
6 have a concern over turning over your documents. I would be
7 more concerned about access to DOE's documents than I would
8 be about your documents. Turning over your documents --

9 MR. MURPHY: We're also concerned about that.

10 MR. SILBERG: But turning over your documents is
11 no different than normal paper discovery when you drive the
12 truck up to the back door to their lawyer's offices and say
13 take these 94,000 cartons and have fun.

14 You do that regularly in any big case litigation
15 and the fact that you're turning over your documents,
16 actually copies of your documents to your adversaries, who
17 cares? I don't think that loading up the LSS with your
18 documents or my documents or Nevada's documents or tribes'
19 documents or whoever is any different than that.

20 My concern -- you know, there is an accuracy
21 concern, which I look at as, pardon the insult, concerning
22 the computer nerds of the world, as to how much accuracy we
23 can get out of these machines and is it good enough.

24 I can't see that anybody is going to sit there in
25 that room and say, well, for Nye County's documents, I'm

1 going to delete all the "ands" and change them to "nots" or
2 something like that. We're not talking about mechanical
3 kind of electronic operations that are party-neutral.

4 MR. MURPHY: We're concerned about the priorities
5 that are going to be given to various kinds of work,
6 management of the system, the things of that nature. But we
7 also have the perception issue.

8 MR. SILBERG: I agree that --

9 MR. CAMERON: That seems to be the key issue.

10 MR. SILBERG: The politics and the perception is a
11 significant concern that you guys have. I understand that.
12 In the commercial world, what people do is called out-
13 sourcing. People turn over their entire data processing
14 operation to some third party and they contract for it.

15 MR. MURPHY: That's good. That's what we
16 originally wanted in the negotiations. We wanted someone
17 other than DOE or the NRC to run the LSS. We'll agree to
18 that.

19 MR. SILBERG: In fact, that's what you're going to
20 have if you're going to have some contractor doing that.

21 MR. MURPHY: I don't mean a contractor. I mean
22 someone with independent standing in the Federal Government.
23 Turn it over to the Patent and Trademark Office.

24 MR. CAMERON: Boyd, do you want that?

25 MR. ALEXANDER: Let me work up an estimate for

1 you.

2 MR. MURPHY: Just a simple yes or no will do.

3 MR. ALEXANDER: Anything is possible. We work for
4 a fee. We don't get any taxpayer money. So I'm more than
5 happy to talk.

6 MR. SILBERG: Put in those terms, I'm sure Jay
7 Silberg's firm would be happy to do it.

8 MR. MURPHY: I don't want to hog all the time
9 here, John. Other people have concerns, as well.

10 MR. HENKEL: I think this is the principal issue,
11 Mal. I don't think you're hogging the time at all. We've
12 put off the cost issues until further information. The
13 question is will the local units of government in the State
14 of Nevada, are they willing to accept DOE as the primary
15 manager of Option 3.

16 MR. CAMERON: I think that turns on how it's
17 presented, too. We've talked a lot about controls, about
18 the fact that turning over documents is similar to what you
19 would have to do during physical discovery, that a
20 contractor would be running the system for DOE, that we have
21 a pre-license application Licensing Board.

22 There's a lot of things that could mitigate the
23 public perception about, hey, guess what, we just turned
24 over all of our documents to the Department of Energy or put
25 it as boldly as you want it.

1 So is there a way to deal with the public
2 perception problem by working out an alternative system
3 here?

4 MR. SILBERG: The first part, to say you're
5 turning over all your documents, that's kind of a --

6 MR. CAMERON: I understand that.

7 MR. MURPHY: That's used loosely.

8 MR. HOYLE: I think another element that we
9 haven't mentioned today and we didn't really get into the
10 cost issue much yet, but the Commission started off with
11 trying to see if there was a way to save or avoid major
12 costs. They didn't just arbitrarily decide to renege, as
13 you put it, on an earlier promise.

14 MR. MURPHY: They did.

15 MR. HOYLE: But they decided to look for an
16 approach that would save some money. I think that has to be
17 kept in the mix here. If there were no cost avoidance, if
18 there were no cost saving, the Commission wouldn't have been
19 proposing this.

20 MR. MURPHY: This approach saves the NRC money.
21 It doesn't save the total system any money.

22 MR. SILBERG: That's the question we have.

23 MR. HENKEL: That's the exact question we have.

24 MR. MURPHY: It just transfers costs to the
25 Department of Energy. I can understand that the NRC -- and

1 I agree with the NRC's concern in that respect. They ought
2 to be more worried about making sure that the Division of
3 High Level Waste Management has enough money to adequately
4 oversee the technical work that's being done out there. I'm
5 not arguing. I'm not faulting the NRC for that concern.

6 But that's what Alternative 3 does. It doesn't
7 save the licensing support system any money. It just saves
8 the NRC money.

9 MR. SILBERG: We don't know that.

10 MR. MURPHY: That's right. You don't know that
11 and we won't know that until we see the cost information.

12 MR. CAMERON: Take another cost issue that is more
13 important than just where the pool for the money comes from.
14 Making -- and this goes to sort of changed circumstances, in
15 a sense, since we did negotiate the rule.

16 When you get more involved in the design of these
17 complex and implementation of these costs or these systems,
18 you find out that making a handoff from DOE, as the system
19 designer and developer, and its contractors to another
20 agency, the NRC and its contractors to run the system, this
21 creates the potential for massive cost problems and
22 inefficiencies.

23 Dan might be able to speak more to that,
24 definitely could speak more, and Boyd, than I could. I'm
25 not saying it's impossible. It's just we recognized when we

1 got involved in this that that would be a big problem and
2 it's a con that's identified -- it's either a pro or a con,
3 an issue identified in the Commission paper.

4 Dan, you had something to say before.

5 MR. GRASER: No. I was going to speak back to
6 just an additional comment on the control issue. I would
7 just like to verbalize a concern also that everybody is
8 affected by this control issue and obviously looking out in
9 the long term, Mal gave a hypothetical situation about a
10 truckload of stuff driving up at the 11th hour and why
11 didn't you get it in on time sort of issue.

12 The other one that I'd like to raise obviously is
13 that if DOE were operating the system and responsible for
14 maintaining the operation of that system during the critical
15 periods, pre-license hearing and during the license hearing
16 timeframes, that we would probably also have to have some
17 kind of an environment where we would have a comfort level
18 that if the system had normal technical problems during any
19 of those critical timeframes, that that would not reflect on
20 our status during the license hearing, as well, as if it
21 were something that were being done intentionally.

22 Obviously, being honest people in an honest
23 environment, we would say the mainframe crashed, but the
24 optics of the situation, depending on the timing, could
25 perhaps put the Department of Energy in a situation where

1 the optics of it look terrible.

2 And talk about bad PR in the past, there is
3 another opportunity for that sort of bad PR in the future,
4 even though it was totally innocent and totally unprotected.
5 So I think in terms of control, we also have to be forward
6 looking and say does it put us in a potential situation
7 where I would have to go to my management say I don't think
8 we should place ourselves in a situation of an act of -- not
9 an act of God, but it's like an act of God in the computer
10 world when you have a crash and it impacts on everybody's
11 ability to move forward during a critical period.

12 So that's a concern, as well, and I just wanted to
13 make sure I verbalized that.

14 MR. BAUGHMAN: I guess beyond perception, one of
15 the things that I think may be -- DOE is struggling right
16 now with this budget in terms of getting work done out on
17 the site, to characterize the site and actually get itself
18 to the point of being able to submit a license application.

19 I wonder if they assume this program entirely.
20 How do we know that resources that are required to get this
21 system up and operating aren't going to be deferred to
22 support site characterization activities and, in the end, we
23 don't have the system that you all are looking for or
24 perhaps the system isn't quite up to snuff because we've
25 made some tradeoffs along the way.

1 I think there are some real concerns in terms of
2 resource allocation, whereas at least, the way it was
3 envisioned, those monies would flow to the NRC and the NRC
4 would be responsible for implementing that system.

5 MR. GRASER: We still have that problem, because
6 the design and implementation under the rule right now is
7 still being done under DOE money.

8 MR. BAUGHMAN: But there is some compelling -- you
9 are accountable to another party, in a sense, to keep coming
10 forward with that product, whereas if you have it all
11 internalized, then everybody is looking in to see what
12 you're doing, but you have control.

13 MR. SILBERG: The rule recognized that and we
14 created the doomsday device. Subpart J self-destructs and
15 we revert back to Subpart G if the LSS isn't up and running
16 by six months before submission of the license application.

17 MR. MURPHY: I like the alternative even better.
18 If you don't have it ready within three years, we won't take
19 your license application. I mean three years in advance of
20 licensing.

21 MR. BAUGHMAN: I don't think that's what the SECY
22 says.

23 MR. CAMERON: The SECY says that the Commission
24 rejected that proposal. But I think on Mike's point, we've
25 already seen that particular phenomenon happening where

1 money that should have been spent in developing the system
2 was traded off to the technical.

3 MR. BAUGHMAN: I agree, and that's where it comes
4 back to this public perception thing again. I feel in some
5 ways we've been led to this decision by the DOE and its
6 contractors because of their own management actions. By
7 making choices along the way, we have been led into this
8 point where we're assuming that the NRC is now kind of
9 throwing up its hands and saying we're not going to be able
10 to do it ourselves, guys, and we're not going to be able to
11 have the resources, we have not been given the resources.

12 It's been a dogfight between the NRC and DOE on
13 resources on this issue. I have a sense we're kind of just
14 throwing in the towel and saying, well, we lose. My view is
15 so do all the other parties and I'm not sure that's the way
16 to go about doing business.

17 MR. HENKEL: Mike, we have to recognize that DOE
18 is responsible for developing the nation's waste management
19 system. It's their management decisions that are going to
20 determine success or failure of the system. We can't begin
21 to try and determine every management decision they make
22 that makes or breaks the system.

23 If they understand that failure to have the LSS
24 operating in a timely manner is going to postpone or
25 preclude their license application, then that's a management

1 decision they have to make.

2 We're going to hold them accountable. We're not
3 going to be pleased if they postpone things because this the
4 system wasn't up and operating. But I don't think we should
5 try to control their management process because of the LSS
6 system.

7 MR. MURPHY: And I think it's primarily Congress'
8 responsibility, not DOE's. If DOE had been given all the
9 money that they asked for by Congress, I assume the LSS
10 would have been under development. Correct?

11 MR. GRASER: That's fair.

12 MR. CAMERON: Maybe a way to work at this is,
13 picking up on some things that Chris said and that Mike
14 said, is that we -- we at the NRC ran into two problems that
15 led us to this point now.

16 One, and this is no reflection on Dan or Barbara
17 or anybody at DOE, getting some progress to be made on
18 design and development of the system in terms of the
19 schedule that we thought was necessary, etcetera, etcetera,
20 etcetera, and that was a resource problem at DOE.

21 The second one was getting any sort of assurance
22 that we were going to be able to get the money to run the
23 system. The Commission, operating on an agreement that was
24 reached during the negotiated rulemaking, where the money to
25 run the system, for our running of the system, would come

1 from DOE, not being able to really get anywhere with DOE on
2 that, but primarily, at least at the later portions of this
3 debate, because OMB, under the Bush Administration, said
4 that we don't want a split between program responsibility,
5 that is, running the system, and budget responsibility,
6 where that money is going to come from.

7 Mike is right. It's been a real dogfight on both
8 of those issues. We're looking for a way to try to resolve
9 that. The cost savings issue, I think, may be neutral.
10 It's saving money by using InfoSTREAMS. We can still do
11 that through whatever -- however we configure this thing.

12 That's what brings us to this point, trying to
13 figure out some way to get the system completed.

14 MR. HOLDEN: At this point, I would like to weigh
15 in on how NCAI is probably come down on this. We probably
16 need to go back and talk with one of our representatives, a
17 consultant who tracked this issue, worked with a lot of you
18 folks at the table here in previous years.

19 At this point, it seems to me, as I recall, that
20 the parties come down and support Mal's supposition there.
21 But, in addition, NCAI is a constituent organization and
22 those tribes -- we can't speak in the place of those tribes.
23 We can supplement their positions.

24 But in the meeting in Las Vegas in the spring, 20
25 tribal representatives from 20 tribes and bands in this

1 area, the Yucca Mountain project area, informed DOE of the
2 lackluster performance of DOE in just providing them basic
3 public information.

4 On top of that, some tribes in this area are
5 involved in numerous litigation over minerals and water.
6 Lots of Las Vegas is run by Indian water. Those water
7 rights went under significant and lengthy litigation and the
8 tribes, whenever these court decisions say that, well, the
9 counties, the state or whomever is entitled to have this
10 water, some of the people say that the tribes want half the
11 water rights. No, we lost. When we win, we lose because
12 those tribes had all of it at one time.

13 And these even innocent studies, hydrological and
14 mineral data, that are performed by USGS, the Bureau of
15 Indian Affairs, so forth, when it makes its way into certain
16 files and archives, it can be brought up and used against
17 them. So that's something else that's a concern in terms of
18 privileged data.

19 But I probably need to speak with those tribes,
20 many tribes, particularly in this area in terms of what they
21 come down on this. If they don't think it's going to be
22 positive in terms of what they were saying in March, I'll
23 just have to get back to them on that, get back to this
24 Committee on that.

25 MR. HOYLE: Dennis?

1 MR. BECHTEL: I can't speak for all the counties,
2 but I think with respect to Clark County, I think it would
3 be our preference to have an independent entity controlling
4 the information. I think the perception is a large issue
5 and I think -- I don't think you're going to be able to
6 avoid it and I think the only way to avoid it would be to
7 have an independent entity, preferably the NRC, controlling
8 the system.

9 With regard to your other question about
10 information we may need, I think it's important that we have
11 this technical document that looks at the 11 alternatives
12 and any backup to that document. As far as the document
13 itself, Dan, maybe you might be able to answer this, were
14 there any options considered that looked at a non-DOE
15 control of the system?

16 MR. GRASER: Yes.

17 MR. BECHTEL: We're just kind of curious. Why
18 were those not considered further?

19 MR. GRASER: How can I say this delicately? A
20 number of options and alternatives were discussed and when
21 initially presented to the Chairman, the response back from
22 the Chairman was that they were not in line with his
23 expectation. That's the most close to characterization that
24 I can place on it.

25 There were a number of other alternatives. For

1 example, having the database, in fact, be maintained and
2 operated by someone, like Mead Data Center or Chem
3 Abstracts, there were distribution alternatives in terms of
4 just publishing CD-ROM versions of the entire database and
5 making them available to everybody and not having the grand
6 design of telecommunications and so forth.

7 A fair large number of technical, because the
8 focus and the mandate that was given, is it technically
9 feasible to reuse InfoSTREAMS. If you're going off on any
10 other tangent, that wasn't what Chairman Selin wanted to see
11 at the time. That's my interpretation of it.

12 MR. CAMERON: Dan, can I ask you a question about
13 that? I may have misspoke before. What some members of the
14 panel are espousing, I think, fit into Alternative 2, as
15 presented to the Commission.

16 MR. MURPHY: That's right.

17 MR. CAMERON: In other words, we would still use
18 InfoSTREAMS to capture non-DOE data. But at some point, the
19 system would be turned over to the NRC to operate. Now,
20 there would still be cost savings realized associated with
21 using InfoSTREAMS; maybe not the full cost savings that we
22 were talking about if DOE would continue to operate it, but
23 there would still be cost savings associated.

24 MR. GRASER: All three of the alternatives that
25 were finally elucidated showed some degree of cost savings,

1 yes.

2 MR. BAUGHMAN: Isn't it likely, Chip, that a
3 contractor would actually run this for you, as well?

4 MR. CAMERON: That's right. I wanted to point
5 that out. For the NRC, we would be using a contractor.

6 MR. BAUGHMAN: And DOE is using a contractor. In
7 my experience with the work here at Yucca Mountain, when you
8 have a change in contractors, the key personnel move with
9 the contract. So my sense would be that if DOE were to
10 develop this system and they're paying TRW or SASC or
11 whomever, they've got contractors doing this and they know
12 how to run and operate the system and they are the ideal
13 candidate to manage that system.

14 When it gets turned over to NRC, NRC's contractor
15 assumes responsibility this, that person is going to go to
16 work for that contractor. There's a very high likelihood of
17 that. So this handoff -- the issue of handoff being
18 difficult and all that strikes me, though, that these things
19 are handed off all the time.

20 I don't know why it wouldn't work.

21 MR. HENKEL: That's precisely why I was thinking
22 that perhaps another contractor, other than TRW, should
23 develop and implement InfoSTREAMS and then when the handoff
24 was made, it's just the source of funding for that contract
25 issue.

1 MR. BAUGHMAN: And the contractor is actually
2 under NRC.

3 MR. HENKEL: That's what I'm saying.

4 MR. BAUGHMAN: The individual now is employed
5 under NRC.

6 MR. HENKEL: That's what I'm saying. Rather than
7 relying on a theoretical handoff of these employees, you
8 just transfer the contract, lock, stock and barrel from DOE
9 to NRC.

10 MR. GRASER: Illegal. Can't do that.

11 MR. HENKEL: There's no way to do that.

12 MR. GRASER: No. There's no way to do that.

13 MR. BAUGHMAN: The difficulty, also, would be that
14 TRW isn't de facto to perform it, as well.

15 MR. HENKEL: That's one of the reasons that I'm
16 suggesting that perhaps a contractor other than TRW should
17 be the one running the system. Again, I will probably be
18 struck dead for suggesting that.

19 MR. CAMERON: The thing would be that the scope of
20 work would include design and development, operation and
21 maintenance for this particular contractor, and I think this
22 gets to the illegal part. It's can you change who your
23 funding agency is.

24 MR. GRASER: You can have an interagency transfer
25 of funds.

1 MR. CAMERON: You would have two different
2 contracting officers.

3 MR. GRASER: The issue is who controls the dollar.
4 Whoever controls the dollar controls the pace, the tempo and
5 the direction of the work. Fundamentally, you can channel
6 it any direction you want, but whoever ultimately is the guy
7 who has -- I'm taking from the Treasury and I'm giving to
8 accomplish a mission, whoever is in that catbird seat has
9 the control of the resource.

10 That is control down to a very technical level.
11 It is not really just a question of day-to-day maintenance,
12 because I think the oversight plan that was presented would
13 respond to that. They were actually talking about having
14 on-site representatives of the ARP -- not the ARP, the
15 LSSA's office being right there.

16 So in terms of the actual management of the
17 system, that's a much smaller issue and it's certainly
18 workable. It's just like the actual transfer. Yes, indeed,
19 it can be done. The expectation is it can be happening
20 overnight with no disruption of service.

21 Loosely using the term guarantee, I could no
22 guarantee that we could unplug it from the DOE FTS network
23 on a Friday afternoon at 5:00 and plug it in to an NRC FTS-
24 2000 network and not experience any disruption in our
25 telecommunications network.

1 And it goes beyond the people, because certainly
2 people transfer. But the amount of work and the amount of
3 coordination that would be necessary, for example, to
4 transfer software license maintenance agreements and
5 hardware maintenance agreements, not saying it can't be
6 done, but it is certainly a larger effort for an
7 administrative churning drill.

8 If people were really concerned about costs, there
9 would have to be a certain period of overlap between the
10 contractors and everything and it's an administrative cost
11 to do that. We're not saying it can't be done, but we're
12 just saying that is not, certainly from a management
13 perspective, the best way to go about doing it.

14 MR. MURPHY: Let me just clarify something, Chip.
15 I misspoke. What we would prefer is Alternative 1, not
16 Alternative 2.

17 MR. CAMERON: I know you would prefer Alternative
18 1. I was making an assumption that we still might be able
19 to realize the cost savings -- some cost savings by using
20 DOE InfoSTREAMS to capture documents. It seemed to me that
21 the big issue that it really is coming down to here is not
22 that DOE is capturing our Nye County documents, but DOE is
23 controlling the system.

24 So I thought that, okay, at least we might be in
25 the Alternative 2 ballgame, which is realizing some cost

1 savings from using InfoSTREAMS. DOE is still doing the
2 design and development of the LSS based on the InfoSTREAMS
3 design and development, but at some point there would be a
4 turnover to NRC to operate and maintain the system. That
5 comes down to the money issue.

6 Originally conceived as money being in DOE's
7 budget and being transferred to NRC to run the system or
8 having the money directly in the NRC budget to run the
9 system. Betsy, did you want to clarify something?

10 MS. SHELBURNE: I just want to make sure --
11 correct me in terms of how we did Alternative 2 versus 3.
12 If there was to be an LSS based on InfoSTREAMS development,
13 we would still have to develop a separate system from
14 InfoSTREAMS that you would hand over to us. Right? So
15 we're not talking about handing over --

16 MR. CAMERON: InfoSTREAMS.

17 MS. SHELBURNE: -- what they envisioned under
18 Alternative 3, because that's basically an expanded records
19 management system. They're not going to hand over. They're
20 going to replicate the 90 percent, separate machines, if
21 that's what Alternative 2 is.

22 MR. CAMERON: Alternative 2 is more expensive than
23 Alternative 3.

24 MS. SHELBURNE: The delta, if you look at the
25 paper, between one and two, the savings would only be about,

1 I think, only 17 or 18 million, because of the idea of a
2 separate system that we took control of. So it's not moving
3 a contractor in and out. It's replicating that --
4 duplicating something.

5 I just want to make sure that that's clear in
6 terms of -- there will still be an InfoSTREAMS management
7 contract for DOE's purposes.

8 MR. BAUGHMAN: Is InfoSTREAMS presently an
9 underutilized system?

10 MR. GRASER: It's presently a system that is in
11 the process of being developed.

12 MR. BAUGHMAN: So presumably, though, if this
13 program becomes the major -- which I assume it would become
14 the major funder of development of InfoSTREAMS. This
15 strikes me as though this initiative would be the largest
16 use that InfoSTREAMS could match.

17 So the dollars that are supporting building
18 InfoSTREAMS are going to flow primarily for this single
19 purpose. It would strike as though that all the additional
20 equipment you acquire, all the technical capabilities and
21 licensing and all these things that are set up, if done
22 correctly, could all be done in such a way that they were
23 moved through interagency agreement or whatever.

24 From day one, the intent is -- because if your
25 system right now is -- you know, you're going to have to buy

1 more equipment. You're going to have to -- everything is
2 --you're, in a sense, building this up from the ground. So
3 all of that can be designed to move.

4 There's no additional cost, then. That's what I'm
5 saying.

6 MR. SILBERG: If they move it, DOE will still want
7 to maintain the entire InfoSTREAMS database, which will
8 include the LSS database and you'll have the database in the
9 LSS portion of that in two different places instead of only
10 in one place.

11 MR. BAUGHMAN: Right. But I think that that
12 should be a lesser objective. If DOE wants to do that,
13 fine, but that's a lesser objective than meeting the three
14 licensing requirements of the NRC. If that means that they
15 have to give up a lot of capability in the short run and the
16 NRC all of a sudden has it and you've got to now in several
17 budget cycles pick up that equipment, whatnot, to get back
18 to that capability you had before you let all this stuff go,
19 so be it.

20 MR. HENKEL: I guess at least a question I have
21 had is is there a way to develop InfoSTREAMS and the LSS
22 within the InfoSTREAMS system such that it is somewhat
23 independent of DOE from day one, so that it addresses your
24 concerns, as well as is available to DOE to facilitate its
25 day-to-day management of the program.

1 MR. SILBERG: You mean have InfoSTREAMS itself be
2 independent of DOE?

3 MR. HENKEL: I don't think you could do it totally
4 independent, but is there some middle ground here?

5 MR. CAMERON: The rule contemplated that if DOE or
6 any other party wanted to use the LSS as its records
7 management system, that it could do so. But I know that
8 there are legal requirements associated with agency
9 recordkeeping and things like that that could be satisfied,
10 I suppose, by hard copy documents.

11 One of the things that we looked at originally,
12 and it's mentioned in the Commission paper, was a proposal
13 that the NRC take over design, development, operation and
14 maintenance; in other words, centralize the whole thing.

15 MR. SILBERG: Of InfoSTREAMS and LSS?

16 MR. CAMERON: No, of LSS. We would be -- that
17 proposal would have the LSS independent of anything that DOE
18 was doing, although DOE's development of InfoSTREAMS would
19 be DOE's way of complying with their LSS document
20 preparation and submission requirements.

21 So now we've gone to the other extreme of having
22 DOE design, develop, operate and maintain.

23 MR. CRANFORD: I just want to respond to Chris'
24 question about developing a separate LSS on an InfoSTREAMS
25 basis. From a technological standpoint, and Dan can either

1 agree or disagree with me on this one, it certainly can be
2 done, but all of the time and effort that has gone into
3 InfoSTREAMS development up until now, unless Dan had the
4 presence of mind to assume that we'd ever get to a point
5 where we'd ever ask to make this type of a decision, that
6 you'd basically be starting from scratch.

7 So whatever you would have saved in your
8 InfoSTREAMS development you would have to, in all
9 likelihood, repeat those costs. So it's not like you can
10 just take a tool that you designed for a particular purpose
11 and then in the middle of that development cycle decide,
12 well, I'm going to use it for maybe something else.

13 MR. HENKEL: I think maybe you misunderstood me a
14 little bit. I was suggesting that is there a compelling
15 reason why InfoSTREAMS itself has to be internal to DOE. If
16 there isn't, can we separate out the entire InfoSTREAMS
17 system, as well as the LSS as an integral part of that
18 system, and somehow set it up somewhat independently so that
19 we can address some of the concerns that have been expressed
20 here from day one?

21 MR. MURPHY: Could you say that, in a paper to the
22 Commission and by rule, that DOE would design, develop,
23 install, operate and maintain the LSS information storage
24 and dissemination capability within InfoSTREAMS under the
25 control and direction of the LSS Administrator?

1 MR. CAMERON: Depending on what you mean by
2 control.

3 MR. GRASER: Let me respond to one of the
4 statements that Chris asked, is there a compelling reason
5 why infoSTREAMS at all even needs to be developed. The
6 answer is yes, because InfoSTREAMS has as its primary
7 mission our internal records management for which we have 36
8 CFR obligations, we have DOE order obligations, we have NARA
9 requirements.

10 We are doing InfoSTREAMS. We conceived of, we
11 implemented, we are moving forward with InfoSTREAMS in
12 response to our own internal requirements. It was not the
13 Department of Energy's idea to seize upon making InfoSTREAMS
14 do double duty. That was at the request of Chairman Selin
15 that that be examined. We were not the ones to put that on
16 the table.

17 MR. HENKEL: You missed a key phrase in what I
18 said. I'm not saying that InfoSTREAMS is perhaps not
19 justified. I'm saying does it have to be internal to the
20 Department of Energy. It can still serve the same function.

21 MR. GRASER: Yes. It has to be internal to the
22 Department of Energy because we are solely charged with our
23 responsibility for maintaining a system of records in
24 response to 36 CFR type requirements. Yes. I have a
25 mandate, Federal reg mandate that I be able to maintain and

1 control the system of records.

2 MR. CAMERON: How does that tie in with Mal's -- I
3 won't call it a suggestion, but Mal's question about control
4 and supervision? I don't remember your exact words.

5 MR. MURPHY: Why not just say DOE would design,
6 develop, install, operate and maintain the LSS information
7 storage and dissemination capability within InfoSTREAMS,
8 under the control and direction of the Licensing Support
9 System Administrator?

10 MR. CAMERON: And then you get down to what is
11 control and supervision.

12 MR. MURPHY: Just the LSS portion of InfoSTREAMS,
13 under the LSS Administrator's direction and control.

14 MR. CAMERON: How is that different from maybe
15 what we thought we had in Alternative 3?

16 MR. SILBERG: There's a difference between audit
17 and oversight and control.

18 MR. MURPHY: Right.

19 MR. HENKEL: Exactly.

20 MR. CRANFORD: What Mal is suggesting implies to
21 me that we would have presence on the site in the day-to-
22 day. The database administrator would be either one of our
23 contractors or one of our employees, that type of thing. In
24 order to effectively have control, you've got to be the DBA.
25 There's no --

1 MR. MURPHY: Well, I don't know about that.
2 That's within your ability, but somehow --

3 MR. CAMERON: Database administrator, DBA.

4 MR. MURPHY: But somehow when the kind of
5 decisions that Dan referred to come up, the decisions are
6 made by the LSSA or subject to that control.

7 MR. GRASER: I don't want to offer a design from
8 the hip and I don't even want to entertain design by
9 Committee. What I would like to hear is what environment do
10 you expect the LSS to be developed in and under what sort of
11 control constraints.

12 If I can identify what the requirement is, if
13 there will be a requirement, then perhaps, within a certain
14 amount of time, we can turn around and say, architecturally,
15 what we have done with InfoSTREAMS --

16 MR. SILBERG: No. We're not talking about the
17 design of the database and the architecture of the software
18 or anything. We're talking about management administration
19 and control over the people.

20 MR. GRASER: The feasibility will -- the
21 InfoSTREAMS technological infrastructure will support a
22 means whereby the entire plateau of 15-plus million pages
23 over and above what InfoSTREAMS was going to have, how can
24 that be controlled, effectively controlled by somebody
25 outside of the Department of Energy?

1 I need to have time to examine whether or not the
2 architecture would support setting up a separately
3 controllable adjunct database environment, which is the LSS
4 collection.

5 MR. SILBERG: Put aside the computer aspect of the
6 question. From the standpoint of a government agency's
7 requirements, can one government agency or a group of
8 government employees within one agency put itself under the
9 control of another government agency. I think that's the
10 major question.

11 Hardware we can solve at some cost, but, legally,
12 is there a mechanism by which three DOE employees can say
13 we're going to listen to this guy over at One White Flint.
14 If he tells us to jump, we will jump. If the guy up in
15 Forestville tells me to jump, I'm going to say go talk to
16 the guy in White Flint.

17 Is that --

18 MR. CAMERON: Is there any analogies --

19 MR. SILBERG: -- permissible under the way the
20 U.S. Government operates?

21 MR. MURPHY: We're reinventing government these
22 days.

23 MR. CAMERON: That's right. I forgot. I'm sorry.

24 MR. MURPHY: I don't want to hear this we've never
25 done it that way before.

1 MR. MURPHY: Dan had a good point. What about
2 that DOE would design, develop and install the LSS system
3 under InfoSTREAMS and would operate and maintain it subject
4 to the direction and control of the LSS Administrator?

5 MR. SILBERG: Can you do that bureaucratically?

6 MR. MURPHY: That's the question.

7 MR. GRASER: I have no idea.

8 MR. MURPHY: Well, let's find out. That might
9 solve a big problem.

10 MR. HOLDEN: I'm not sure of the mechanics or
11 procedurally how it's done, but isn't that what IPAs are all
12 about, the individual and the temporary?

13 MR. CAMERON: Governmental personnel.

14 MR. HOLDEN: Transfer or something, whatever it
15 is.

16 MR. ALEXANDER: The point that Dan made earlier,
17 really control rests where the dollars are. If the dollars
18 are still in DOE, I don't know how effective that control
19 would be. He's going to control the dollars. He'll just say
20 I won't pay for that.

21 MR. GRASER: It was the dollar issue that launched
22 some of this discussion in the first place.

23 MR. ALEXANDER: If you want to ask for special
24 legislation in your authorization, if you really want to do
25 this with a temporary transfer of the funds and the people

1 to overcome this objection, propose legislation to allow
2 that to occur.

3 That's the best way to do it, if you really want
4 to do it.

5 MR. CAMERON: I think we need to think about what
6 is the basic base roots of the problem here. It's not
7 necessarily the turnover from one contractor -- one agency's
8 contractors to another, although that's problematic. It
9 seems like it comes down to who is going to be able to get
10 the money.

11 There is another part. There are cost savings
12 involved with one agency, with DOE doing the whole thing.
13 Then there's the big issue of where do the dollars come from
14 to do this. I guess the thought was that it would be easier
15 for DOE to have the dollars to do this in terms of operation
16 than NRC. That's an untested supposition.

17 But if we had -- let me just throw this
18 hypothetical out there. If we knew -- if Congress said
19 we're going to give you, NRC, so many millions of dollars a
20 year to operate and maintain this system, no big deal, would
21 we really be here today examining these alternatives.

22 MR. BAUGHMAN: One has to ask what has prevented
23 Congress from doing that.

24 MR. MURPHY: Lack of wisdom.

25 MR. BAUGHMAN: If that's the root problem, aren't

1 we working a little downstream in terms of problem solving
2 and maybe we ought to go to the root problem?

3 MR. CAMERON: I guess it's going more upstream
4 from that. It comes down to does the Commission -- is the
5 Commission ready to ask the Congress to give us those funds
6 to operate and maintain the system.

7 Is that a true statement, John?

8 MR. MURPHY: I think you got your answer to that.

9 MR. HOYLE: All along, I think the Commission has
10 been very concerned about funding this project within its
11 own budget. Its budget is relatively small. This would be
12 a very large amount in the budget. Congress comes along and
13 says, all right, we're going to cut ten percent. They might
14 say and don't take it out of the LSS.

15 So NRC's small budget get cut a larger amount. So
16 I don't know if the Commission is prepared to go any
17 further.

18 MR. CAMERON: And I don't want to downplay the
19 Chairman's or the Commission's concerns, either, with the
20 potential cost savings involved from having the InfoSTREAMS
21 design used for capture of operation and maintenance.

22 I know that some of you remain to be convinced
23 about the cost savings because you want to see the data, but
24 I don't want to downplay the fact that there are some
25 substantial cost savings associated with Alternative 3.

1 MR. MURPHY: Also, I don't want anybody to get the
2 impression that I think the LSS should take precedence over
3 the technical oversight, either. If there's a choice
4 between developing the LSS and making sure that the science
5 out at Yucca Mountain is done correctly, then the science is
6 obviously going to take precedence.

7 I think I've said this before. In that respect,
8 I'm not arguing that the NRC's fear that budget cuts will
9 impact more severely their ability to technically oversee
10 this characterization program, we don't want that to happen.

11 We think more needs to be done in that area than
12 less.

13 MR. HOYLE: Well, we've got a number of issues
14 that we've brought out. I think Mal and others have made a
15 valiant attempt here to look for that sacred middle ground
16 that will work. He also said a few magic words a moment
17 ago, reinventing the government.

18 I think we are looking here for a solution that
19 might be a little bit unique, but when you put that up
20 against perceptions, concerns that have built up over a
21 period of time by those out here in Nevada, particularly,
22 you almost meet a brick wall and you can't go beyond.

23 So I think we still need to spend a little time at
24 this. I don't know whether there's some other way or forum
25 in which we could do it, other than just plowing through it

1 like we're doing.

2 MR. CAMERON: I think at some point, we can go
3 back and report to the Commission on what transpired at this
4 meeting, but I think at some point it might be useful, apart
5 from the cost issue that we're going to take up later, if
6 the sense of the panel was expressed to the Commission --
7 and I know there is not consensus here.

8 I don't know if there was non-consensus, but I
9 don't want to assume that there is consensus among the panel
10 on their feelings about Alternative 3. But even majority,
11 minority -- I mean, that's one option is to have the panel
12 develop some type of a response to the Commission on this.

13 That means you're going to have to sort of try to
14 figure out how to coordinate it, but --

15 MR. SILBERG: Well, we can do what we did the last
16 time. This time I guess I'd let Mal -- I think it's his
17 concern more than mine. What we did last time is one party
18 draft a letter, circulate it around, and to the extent
19 people had different views, we wound up with a letter from
20 John that kind of summarized the views and laid out some
21 variance on those views and at least one party submitted its
22 own separate views. We can certainly do that.

23 I don't think it would take an inordinate amount
24 of time to do that. I think we all understand everybody
25 else's positions on this.

1 MR. HOYLE: Mal, what do you think?

2 MR. MURPHY: I'd be certainly willing to do that,
3 but I think you also -- don't you need to report on the
4 results of this panel meeting? In that report, you're going
5 to have to say what you think you heard. But, sure, I'd be
6 willing to -- I sort of hesitate to try to put Dan's
7 concerns in words, but I can try that.

8 I'll circulate a letter that certainly expresses
9 the concerns that I feel on the control issue. I will
10 perhaps suggest some language as an alternative that might
11 go some way towards satisfying those concerns.

12 MR. CAMERON: We can report back on this meeting
13 and say strong message to follow.

14 MR. MURPHY: Send a telegram, Chip.

15 MR. BALCOM: In terms of any recommendations, I
16 would also ask that Boyd be involved in that process. I
17 heard him mention a couple things and you may be a little
18 more familiar with some interagency ways of dealing with
19 issues like this and simply to make sure that, if you're
20 willing, that you put your two cents in there about that.

21 I also want to say that the State of Nevada also
22 is opposed to Alternative 3, probably more from the
23 standpoint of the control of Department of Energy documents
24 than its own documents.

25 MR. HOYLE: Mal, I will look through the

1 transcript and share with you, as well, my initial thoughts
2 on what I see out of here on this topic and then will
3 circulate, as soon as I can, some material to everyone.

4 MR. SILBERG: Can I suggest -- I don't know who
5 the right person is to do this, but the solution that Mal
6 posed about having DOE folks who were running the LSS
7 portion be under the control of an NRC person.

8 The NRC and the DOE folks who understand
9 government bureaucracies, I would encourage someone to take
10 a look at that and see whether that's a non-starter or
11 whether that's feasible. If it's feasible, I don't think it
12 bothers us one way or the other, from our standpoint.

13 Alternative 3 is probably acceptable, but if this
14 is a solution which will allow cost savings, if any, from
15 Alternative 3 to go forward, but solve problems of Mal and
16 Kirk and others, it's probably okay. But let's find out
17 whether, bureaucratically, it's possible or not.

18 MR. GRASER: It may, in fact, be feasible, but
19 still objectionable. In terms of saying I have an
20 InfoSTREAMS that is also the LSS and it is doing double
21 duty, I don't know if it would pass muster within the IRM
22 and records management, powers that be within the Department
23 of Energy, while the system is doing that double duty, to be
24 able to say those guys are working for NRC.

25 So obviously we would have to look very closely

1 --I'm just saying we will look at whether or not it's
2 feasible. We will address the issues of whether or not
3 that's going to cause other sorts of administrative
4 headaches to the extent that we would say no. But I will do
5 as suggested and go off and explore whether it's feasible.

6 MR. MURPHY: But don't look at it as though
7 they're working for the NRC. There's lots of circumstances
8 in life where we operate independently, but somebody else is
9 controlling the intersection or the street we move down when
10 we come to an intersection. That's all I'm talking about.

11 MR. GRASER: And all I'm saying is that DOE
12 bureaucracies tend to look at what they see in black and
13 white rather than what the operative world really reflects.

14 MR. HOLDEN: In terms of cost and what's happening
15 up to this point, if anything goes down the tubes, all that
16 investment goes down the drain. That wouldn't be the first
17 time something like that has happened within this program,
18 going back to the second repository days and so forth and
19 even in the days of when sites were narrowed down to three.

20 There was a drill that sat on Gable Mountain at
21 the reservation, which was a visionquest site for the Yakima
22 Indian people, that sat there at over a million dollars a
23 day cost to the taxpayers just waiting to drill and it sat
24 there for over a year.

25 MR. MURPHY: I want to make one other point before

1 we leave, and that has to deal with the technical
2 feasibility of InfoSTREAMS to do this job. I think, Dan,
3 that without InfoSTREAMS currently having the ability -- I
4 shouldn't say ability.

5 Without InfoSTREAMS currently capturing that
6 Defense high level waste information, you've got a big, big
7 problem that somebody needs to take a look at. You are not
8 going to have an acceptable licensing support system when
9 the time comes to do whatever we're going to do with it,
10 unless you've got all of that Defense high level waste
11 information into that system.

12 MR. GRASER: As long as everybody is taking the
13 opportunity to say one last thing, I would just like to make
14 the offer before all of the members of the panel that we
15 have had hour-long or hour-and-a-half-long snapshots at
16 InfoSTREAMS and I know there are a number of the members of
17 the panel who have a strong foundation in ADP activities and
18 in the complexity of systems.

19 I would just like to extend the offer to anyone,
20 but specifically those who feel that they would really like
21 to get down and ask very specific questions about the
22 hardware and the software and the architecture that we're
23 building for InfoSTREAMS, I'd like to extend the offer that
24 if you get in touch with me after the meeting, I will be
25 happy to set up a point in time where you can sit down and

1 talk with the system architects and engineers and ask very
2 specific technological questions that may leave you with a
3 feeling of unease right now.

4 In addition to offering that availability for in-
5 depth technical discussions, in the February timeframe, we
6 will be rolling out our Increment 2, which will complete our
7 whole desktop office automation side of the system, and I'd
8 like to extend the opportunity to everybody, at that time,
9 also, please, if you have an interest in seeing a
10 demonstration of the system, get in touch with me.

11 The third piece of technology is that we have an
12 operational document capture system. We have a template for
13 using it in a very similar manner to the way the document
14 capture systems would be used under the old SAIC design.
15 They are essentially standalone, remotely located and feed
16 into a central processing environment.

17 We have developed a paper documenting how that can
18 be distributed in an enterprise-wide environment and I'd
19 like to offer that we provide John with a copy of that and
20 that it be included with additional package information.

21 It may very well be that when you see how we are
22 doing document capture system in a distributed environment,
23 that may be at least one piece of the discomfort level that
24 you could look at, at least, and having something in your
25 hands to give you a foundation for making an analysis.

1 So I will get my hands on a copy of that report
2 and get it to John. I want to encourage you to look at it
3 critically and see if it fits or doesn't fit.

4 But the bottom line is that pieces of technology
5 are being developed by the Department of Energy in a context
6 where, if you look at them, they all come very close to
7 meeting pieces of the licensing support system
8 functionality.

9 If you wanted to take a philosophical look at it,
10 even though we haven't had LSS line item budget money
11 because of the OMB feedback on the 1989 budget cycle, the
12 bottom line is that pieces of licensing support system
13 technology, for all intents and purposes, are being built.
14 The degree of reusability is something that I need to come
15 to closure on and I would like everybody to walk away
16 understanding that I have a certain degree of urgency in
17 knowing whether or not I should be designing a big bread box
18 or a medium size bread box or a small bread box.

19 That's the stake that I have in getting some
20 movement on these issues.

21 MR. HOYLE: If we got and circulated information
22 and corresponded with one another through me, perhaps, do
23 you feel that if we had another meeting in, say, the middle
24 of January timeframe, would that still be timely, in your
25 view, if a decision were made at that point as to

1 Alternative --

2 MR. GRASER: Yes, that would be timely. I
3 certainly did not have any expectation that we would get any
4 closure on these issues during this meeting. I did expect
5 that there would be a period of time that would be required
6 to work these issues through. So January is fine with me.

7 MR. MURPHY: I think that's a good idea.

8 MR. HOYLE: I don't see any need to set up any
9 subcommittees at this time to look at any particular
10 individual things, unless -- I saw one hand shoot up in the
11 back of the room, but we need to do first things first here,
12 in my view.

13 What do you want to talk about?

14 MS. SHELBURNE: Well, several of the issues that
15 Dan brought up yesterday, the header definition, the
16 copyright -- I've forgotten the other one -- whether or not
17 LSS would be independent or part of InfoSTREAMS, that stuff
18 needs to be discussed.

19 I would like to suggest, and I think other people
20 that have left the room now have got issues related to
21 locking in the header definition and the indexing groups.

22 MR. HOYLE: Betsy has suggested that at least we
23 breathe new life into Kirk's Subcommittee on Headers. Kirk,
24 are you willing to restart?

25 MR. MURPHY: Sure.

1 MR. CAMERON: Enthusiasm.

2 MR. HOYLE: Volunteers for that subcommittee?

3 MR. BECHTEL: I can volunteer a member of my staff
4 who is not here.

5 MR. HOYLE: So at least we would have Clark County
6 and DOE, NRC, and the State of Nevada.

7 MS. SHELBURNE: What about the copyright issue?

8 MR. HOYLE: Could that same group study that
9 issue?

10 MR. GRASER: We need to do some more work on that
11 first before it goes to --

12 MR. CAMERON: We're not sure that that's an
13 unalterable position.

14 MR. HOYLE: How about DOE's word changes to the
15 rule based on technology advancement?

16 MR. GRASER: There is very much contention on the
17 foundational issues.

18 MR. SILBERG: I don't think, from our standpoint,
19 that those are tied to control. Do you want to have the
20 rule make sense technologically? I don't think anybody is
21 going to object to that kind of stuff. Those, I think, are
22 going to be uncontroversial.

23 MR. MURPHY: I think that's right.

24 MR. SILBERG: To the extent we have to make
25 changes later, you just do that and that will go through. I

1 wouldn't bother with a separate --

2 MR. GRASER: But not as a separate drill. Do it
3 all once and then decide which direction we're going to go.

4 MR. SILBERG: I don't see any philosophical
5 problem with making those kinds of changes to the rule, to
6 just make it make sense in today's environment, do you?

7 MR. CAMERON: And if we need to do a rule change
8 to reflect whatever alternative is selected here, then we
9 could wrap that all up into one.

10 MR. SILBERG: Yes. Unless there is some other
11 reason to start playing around with Subpart J, to go through
12 another rulemaking docket at this point for those changes
13 makes no sense.

14 MR. CAMERON: I agree.

15 MR. BALCOM: Let me just briefly add about the
16 header working group. It seems a lot of those changed are
17 tied to InfoSTREAMS. I wonder if there's a potential here
18 for InfoSTREAMS to be in jeopardy and maybe the working
19 group could meet once to talk about this.

20 But if InfoSTREAMS doesn't end up being the
21 vehicle, then --

22 MR. GRASER: The original 28 fields would still
23 stand. Although there probably are a couple of fields that,
24 regardless of what happens with InfoSTREAMS, you might want
25 to consider including WBS numbers or QA status, for example.

1 I think that is something that the Committee could focus on
2 which is InfoSTREAMS dependent.

3 MR. SILBERG: Just for my naive understanding,
4 would all of those fields be mandatory?

5 MR. GRASER: No.

6 MR. SILBERG: Because to the extent you're putting
7 it in on DOE documents and you need those for InfoSTREAMS
8 purposes, a lot of that looked to me non-essential for LSS
9 purposes, particularly for non-DOE participants.

10 MR. GRASER: But if you had it as a freebie, you
11 would take it.

12 MR. SILBERG: To the extent that it didn't
13 increase the effort we had to take to create the header in
14 the first place.

15 MR. CAMERON: At least by the participant.

16 MR. SILBERG: Right.

17 MR. GRASER: Right.

18 MR. HOYLE: Okay. I will go through the
19 transcript and try to pull out all the pertinent things.
20 Are there more promises that were made here that we want to
21 talk about? I'll find them in the text.

22 MR. BECHTEL: Just one other --

23 MR. HOYLE: Dan promised excerpts of DOE's --
24 TRW's review of the text processing products.

25 MR. GRASER: Right.

1 MR. HOYLE: Dennis?

2 MR. BECHTEL: Just to make sure that all the
3 affected counties that weren't here maybe are able to get
4 the handouts.

5 MR. SILBERG: What do we want to do in terms of
6 comments on the compliance assessment program? It seems to
7 me that that's -- the effort in going through that and
8 recasting it or improving it or whatever doesn't make sense
9 at this point in time, until we understand where we're going
10 on Alternative 3 or whatever.

11 MR. CAMERON: Only one part of it deals with the
12 system audit and the rest would apply regardless of what
13 alternative was chosen. But it still might not make sense
14 to comment at this point. What's the contracting situation?
15 What do we need to do on that?

16 MR. DRAPKIN: What we need to do is obviously to
17 come to closure as quickly as we can. What I would like is
18 our suggestions. These may not be comments specific to the
19 document that you have, but addressing your concerns and how
20 better controls, better audit controls, more teeth, whatever
21 you think would be appropriate given in the context of
22 Alternative 3 for those portions that apply just to
23 Alternative 3.

24 The portions that apply generally, we would like
25 your comments as quickly as we could get them. There's

1 nothing that precludes us from having another comment
2 period.

3 MR. CAMERON: So you would like comments on those
4 portions of CAP that are not dependent on Alternative 3.

5 MR. DRAPKIN: Right. And if you have problems
6 with Alternative 3 and you want to express some opinion on
7 how to solve that problem through the compliance assessment
8 program, I'd certainly like to hear about it.

9 MR. SILBERG: The reason you want this now is so
10 you can wrap up this contract you have or other reasons?

11 MR. DRAPKIN: It's principally a contracting
12 issue, I think. We have a schedule and funds that get
13 expended at a certain rate. We'd certainly like to make use
14 of that in a productive way.

15 MR. HOYLE: Is there anything else? Jay, were you
16 finished?

17 [No response.]

18 MR. HOYLE: Thank you very, very much. I will set
19 up -- well, I will be sending you material and then we'll
20 look -- please think about mid-January. Do you want to come
21 east?

22 MR. HENKEL: No. Tahoe.

23 MR. CAMERON: In January?

24 MR. HOYLE: Reno.

25 MR. HENKEL: We don't want to go to Reno either,

1 right?

2 MR. HOYLE: Reno's great.

3 MR. HENKEL: And get really close to a weekend,
4 too.

5 MR. HOYLE: I should have made the offer to anyone
6 in the audience, any member of the public who would like to
7 make any statements. You may submit them, if you'd like,
8 but is there anyone who wants to make a statement at this
9 time?

10 [No response.]

11 MR. HOYLE: Thank you very much.

12 [Whereupon, at 12:21 p.m., the meeting was
13 concluded.]

14

15

16

17

18

19

20

21

22

23

24

25

REPORTER'S CERTIFICATE

This is to certify that the attached proceedings
before the United States Nuclear Regulatory
Commission
in the matter of:

NAME OF PROCEEDING: Licensing System Review Panel

DOCKET NUMBER:

PLACE OF PROCEEDING: Las Vegas, NV

were held as herein appears, and that this is the
original transcript thereof for the file of the
United States Nuclear Regulatory Commission taken
by me and thereafter reduced to typewriting by me
or under the direction of the court reporting
company, and that the transcript is a true and
accurate record of the foregoing proceedings.

Margaret Nickson
Official Reporter
Ann Riley & Associates, Ltd.