

March 19, 1997

Mr. Leon R. Eliason
Chief Nuclear Officer & President
Nuclear Business Unit
Public Service Electric and Gas Company
P. O. Box 236
Hancocks Bridge, New Jersey 08038

SUBJECT: MARCH 4, 1997 MEETING TRANSCRIPTS

Dear Mr. Eliason:

The purpose of this letter is to forward for your review and response the transcript of the March 4, 1997 meeting (Enclosure 1) the NRC held with the public at the Salem Community College to describe NRC activities relative to the Salem 2 restart process and to receive public comments. Notwithstanding, the large number of corrective action reports being generated at Salem, it is of particular concern that six of twenty commenters, including one current and one former PSE&G employee, expressed concern about the continuing reluctance of PSE&G's employees to raise safety concerns at Salem. Please provide a response to this and any other issues that you deem appropriate within 30 days. Written comments submitted by four of the speakers are also included (Enclosure 2) for your review and response as appropriate.

Upon receipt of your response, the NRC will provide responses to issues and questions raised by the speakers as appropriate, along with your response.

Thank you for your cooperation and participation in this process.

ORIGINAL SIGNED BY:
James L. Linville, Chief
Projects Branch 3
Division of Reactor Projects

Enclosures: As Stated

Docket No. 50-311

9703260124 970319
PDR ADDCK 05000311
P PDR



cc w/encl:

L. Storz, Senior Vice President - Nuclear Operations
E. Simpson, Senior Vice President - Nuclear Engineering
E. Salowitz, Director - Nuclear Business Support
A. F. Kirby, III, External Operations - Nuclear, Delmarva Power & Light Co.
D. Garchow, General Manager - Salem Operations
J. Benjamin, Director - Quality Assurance & Nuclear Safety Review
D. Powell, Manager, Licensing and Regulation
R. Kankus, Joint Owner Affairs
A. Tapert, Program Administrator
J. J. Keenan, Esquire
M. Wetterhahn, Esquire
J. A. Isabella, Manager, Joint Generation
Atlantic Electric
Consumer Advocate, Office of Consumer Advocate
William Conklin, Public Safety Consultant, Lower Alloways Creek Township
Public Service Commission of Maryland
State of New Jersey
State of Delaware
R. Fisher
P. Gunter, Director, Alternatives to Nuclear Power Project
W. Burton, Broker, Burton Realty
B. Frankheiser, Secretary, Environmental Response Network
G. Flanagan, New Jersey Public Interest Research Group
A. Totah, Jr., Clean Ocean Action
F. McLaughlin

Mr. L. Eliason

3

Distribution: *w/ encl.*

Region I Docket Room (with concurrences)

Kay Gallagher, DRP

Nuclear Safety Information Center (NSIC)

J. Zwolinski, NRR

L. Nicholson, DRP

J. Linville, DRP

S. Barber, DRP

G. Kelly, DRS

N. Della Greca, DRS

D. Screnci, PAO

C. Marschall, SRI

J. Schoppy, RI

R. Lorson, RI

PUBLIC

L. Olshan, NRR

W. Dean, OEDO

J. Stolz, PDI-2, NRR

M. Callahan, OCA

Inspection Program Branch, NRR (IPAS)

R. Correia, NRR

D. Taylor, NRR

DOCUMENT NAME: g:\branch3\trnsrpt.br3

To receive a copy of this document, indicate in the box: "C" = Copy without attachment/enclosure "E" = Copy with attachment/enclosure "N" = No copy

OFFICE	RI:DRP			
NAME	JLinville <i>et</i>			
DATE	3/1/97			

OFFICIAL RECORD COPY

ENCLOSURE 1

UNITED STATES NUCLEAR REGULATORY COMMISSION
REGION 1

In re: SALEM UNIT 2 RESTART

A public meeting was held before
Loretta B. Devery, Registered Professional Reporter
and Notary Public, at Salem Community College,
Carneys Point, New Jersey, on Tuesday, March 4,
1997, commencing at 3:00 P.M.

PRESENT FROM NRC:

LARRY NICHOLSON, Deputy Director, DRP
JOHN ZWOLINSKI, Deputy Director, DRP&R
JIM LINVILLE, Branch Chief, Projects Branch 3
LENNY OLSHAN, Salem Project Manager, NRR
CHARLIE MARSCHALL, Senior Resident Inspector
RAY LORSON, Resident Inspector
JOE SCHOPPY, Resident Inspector

ALL POINTS REPORTING
723 Erlen Road
Norristown, PA 19401
(610) 272-6731

ORIGINAL

1
2 MR. NICHOLSON: My name is Larry
3 Nicholson. I'd like to welcome everybody here. I'm
4 the Deputy Division Director in DRP, Division of
5 Reactor Projects, that's Region 1 in King of
6 Prussia. I have direct oversight responsibility for
7 all the inspection activities and enforcement
8 activities at Salem and Hope Creek.

9 This is an informal type meeting -- we
10 don't want to make this a real, you know, formal
11 stand behind a podium lecture and so forth --
12 between the key NRC people that are associated with
13 Salem and we've got the key both from Headquarters
14 in Washington and the Regional Office in King of
15 Prussia and the public that -- surrounding
16 interested public in Salem. We have the key folks
17 that are involved in the oversight of Salem.

18 The purpose of the meeting is to
19 discuss Salem. And we'd like to try to limit the
20 general discussion to Salem and its restart and
21 corrective actions.

22 I'd like to welcome you again. This
23 meeting is being transcribed. The reason for that
24 is that we can place a copy of this meeting in the

1 public document room, such as the local document
2 room here. Other folks can have access to it that
3 didn't have the opportunity to come and be here
4 firsthand.

5 We're glad to see this turnout. We
6 welcome your comments, questions, concerns. We're
7 here to basically describe to you what we've been
8 doing, what we've been finding, where we're going,
9 what we have left to do.

10 So with that, we have some general
11 points we wanted to make before we kind of throw it
12 open to question and answer comment period. And
13 before we kind of run through the things we've put
14 on the board here, I'd like to start by introducing
15 ourselves. I'll start with Ray -- I mean Joe.

16 MR. SCHOPPY: I'm Joe Schoppy, one of
17 the Resident Inspectors at Salem.

18 MR. ZWOLINSKI: I'm John Zwolinski.
19 I'm the Deputy Division Director for Reactor
20 Projects in our Headquarters Office, responsible for
21 the plants on the East Coast.

22 MR. OLSHAN: I'm Lenny Olshan. I'm the
23 Salem Project Manager out of Headquarters.

24 MR. LINVILLE: I'm Jim Linville. I'm

1 the Projects Branch Chief from the Regional Office
2 in King of Prussia.

3 MR. MARSCHALL: I'm Charlie Marschall.
4 I'm the Senior Resident Inspector at Salem.

5 MR. LORSON: I'm Ray Lorson. I'm also
6 a Resident Inspector at Salem.

7 MR. NICHOLSON: So as you heard, we've
8 got a field office at every power plant, Salem is no
9 different. Really the difference in Salem is the
10 field office there is about three times the size of
11 a normal power plant field office. Right now we
12 have nine full time inspectors assigned to Salem.
13 That is pretty unusual for us to have that size of
14 an inspection force at a plant.

15 So what we wanted to do is go through
16 some points, kind of where we're at, some key things
17 that we're dealing with with Salem right now. I'd
18 like to start with licensing issues over on this
19 one. And Lenny Olshan is the Project Manager from
20 Headquarters, if he could just talk some.

21 MR. OLSHAN: I just want to briefly go
22 over these three issues. Since Salem has been shut
23 down, we've processed about 20 licensing issues.
24 I've put these three up because these are the three

1 that are still unresolved and have to be resolved
2 prior to restart at Salem.

3 The first one involves the fan coolers
4 which right now are subject to water hammer after
5 certain events. And they're making a modification
6 now to install some piping and additional tanks to
7 keep the pipes full so they won't be subject to
8 water hammer when they do that.

9 The next item is fire protection, which
10 has been a longstanding issue here at Salem, and
11 they've made considerable progress in upgrading
12 their program. And they're still reviewing that and
13 deciding what has to be implemented prior to
14 restart.

15 And the last thing is the pressure
16 relieving capacity with the primary cooling system.
17 After certain events, the pressurizer gets a
18 pressure spike. And right now they're looking at
19 ways to relieve that pressure spike either by using
20 their spring operated safety valves or qualifying
21 their power operated relief valves. And they're
22 investigating that as a possible modification.

23 All three of these things will be
24 changed and modified prior to restart. And we're

1 still doing a review on those.

2 MR. NICHOLSON: Thanks, Lenny. We have
3 some more chairs over here and there's some more.
4 If anybody needs a chair, we can get some more, have
5 some more brought in. There's three or four extra
6 ones here, so if you care to come in, sit down,
7 whatever. Okay?

8 The next area is inspection area.
9 We've expended -- last year we expended over 9,000
10 inspection, direct inspection hours at Salem. Like
11 I said, we have nine full time inspectors there. A
12 typical office at Salem has -- or a plant such as
13 Salem would have three, a senior resident and two
14 residents. That has to do with -- we've got a lot
15 of issues that we've either inspected or are
16 currently inspecting.

17 So Charlie Marschall is the Senior
18 Resident. He really runs the field office at Salem.
19 He's assigned there full time. He has a staff, a
20 secretary. And if he could touch through some of
21 the inspections, key inspections that we've done.

22 MR. MARSCHALL: I've been at Salem
23 since the summer of 1993. I was there when both
24 plants were still in operation, when Hope Creek was

1 operating at the same time. And I originally had
2 responsibility for the entire site, Salem and Hope
3 Creek. But because there was so much inspection
4 that we needed to do for Salem, within the first
5 year that I was there, management in the Region made
6 a decision to add resources to the inspection staff
7 at Salem. And since then we've added another Senior
8 Resident Inspector who has responsibility only for
9 Hope Creek and another Resident Inspector. So that
10 at this point we have a total of four Resident
11 Inspectors down there full time and two Senior
12 Resident Inspectors down there full time to provide
13 coverage for both Salem and Hope Creek.

14 Since a little over a year ago, we've
15 also added additional resources from our Division of
16 Reactor Safety, which is our engineering division in
17 the Region. We have a gentleman who's the same pay
18 grade that I am that's down there full time. We've
19 got two contractors that are working with us on
20 Salem full time. And we typically have anywhere
21 between two and five or six additional people that
22 come from the Region or Headquarters helping us out
23 at any given point in time.

24 We've done a lot of inspection in the

1 past year and a half that Salem has been shut down.
2 Also, these are some of the major team inspections
3 that we've done. Last summer we brought a team of
4 people in from the Region and Headquarters to look
5 at the shape of the design bases documents for Salem
6 and how they were applied.

7 And as a result of that inspection,
8 Salem has since devoted a lot of resources to taking
9 their own broader, more detailed look at their
10 design bases and, you know, to try to make sure that
11 their design bases is captured and their plant is
12 built in accordance with their design bases.

13 Subsequent to that -- that was a very
14 general across the board type of inspection. Since
15 then, what we've done is we've brought a team of
16 people in late last year to look at a particular
17 system, the component cooling water system, to do
18 what we call a safety system functional inspection,
19 and to verify in great detail whether or not that
20 system is built in accordance with the design bases.

21 The team found a number of problems,
22 but they also found that Salem had identified the
23 great majority of the problems that had existed with
24 that system and was well along the way to

1 correcting, had in fact corrected most of the
2 problems already.

3 And then finally, as part of the
4 resident process, we have -- and it's on the
5 docket -- we have a restart inspection plan that
6 we're implementing. The resident staff, the
7 contractors, all those people I mentioned previously
8 are implementing the inspection plan. And we've got
9 a number of specific issues that we're inspecting
10 based on the inspection record problems we've seen
11 in the past.

12 There are 43 issues that have to do
13 with specific pieces of hardware, and there are
14 another 20 or so that have to do with more
15 programmatic things, in-service testing program,
16 things of that nature. We've completed the
17 inspection, the reviews on the great majority of the
18 technical issues, not all of them, but there's still
19 a few of those that are open, maybe a quarter of
20 them. But for most of them, we've completed the
21 review for the technical issues. We still have some
22 of the programmatic issues, maybe half of those that
23 are still under review, and we haven't finished the
24 inspection.

1 Our intent is between now and the time
2 that we do some of these following major team
3 inspections that Larry will talk about here in a
4 minute, between now and the time that the Salem
5 folks think they're ready to start the plant up, we
6 will close out all of those inspections, if they can
7 be closed. So we still have a fair amount of
8 inspections left to do.

9 MR. ZWOLINSKI: Charlie, can you talk
10 about how you document your work?

11 MR. MARSCHALL: Yeah, I should have
12 mentioned that. All of our inspection activities
13 are documented in inspection reports which go --
14 they're public documents, they're available at the
15 Salem Public Library is the local public docket room
16 where you can get copies of those inspection
17 reports, through the public docket room at
18 Headquarters. Write letters or contact those folks
19 on the phone. And if you need any help with that,
20 our number at the resident site is area code
21 609-935-3850.

22 AUDIENCE: Could you give that again?

23 MR. MARSCHALL: 609-935-3850. We could
24 help you with how you could obtain public documents,

1 get in touch with the right people. You could also
2 call our Regional Office in Pennsylvania, and their
3 number is available through the information
4 directory.

5 All of these -- these, by the way,
6 these major team inspections, the licensing bases
7 and the Salem safety system functional inspection
8 have individual inspection reports which again you
9 can obtain copies of through the local public docket
10 room or the public docket room at Headquarters.

11 MR. NICHOLSON: What I want to do is
12 kind of step through where we're at in the process,
13 and this from here on kind of goes starting today
14 and going forward. But before I do that, I wanted
15 to kind of touch on how we got where we're at and up
16 to this point.

17 As most of you may know, Salem shut
18 down both units in 1995. There was a series of
19 problems. Shortly after that, there was what was
20 issued a comfirmatory action letter. That is a
21 letter where essentially the NRC confirmed the
22 utility's commitment that they evaluate the problems
23 at Salem and fix them. And it requires the Regional
24 Administrator's approval before they can restart.

1 So in place over this process is you'll hear it
2 referred to as a CAL or comfirmatory action letter.

3 So Salem, Public Service Electric and
4 Gas then went and established what they call a
5 restart plan. They did an evaluation. They looked
6 across the board, what do we need to fix, both
7 hardware, process, people, organizationally, what
8 are our weaknesses, what are our objectives to fix
9 this outage. And then they established a restart
10 action plan with specific items to fix.

11 We had a series of management meetings
12 in late '95. Their plan is on the docket. It can
13 be obtained also as a public document. We reviewed
14 that and said okay, we now understand, you know,
15 your basic plan, what you plan on doing, and if
16 implemented effectively should fix the problem.
17 That's a key point, if implemented effectively.

18 Since then, that was in '95, '96 has
19 come and gone, they started on Unit 1 and then had
20 problems with the steam generator, transitioned to
21 Unit 2 as a lead unit. We have expended resources
22 to inspect their performance both on a day-to-day
23 basis and as they correct these problems, you know,
24 throughout the period.

1 One of the things we've been careful to
2 do is to -- we don't go and inspect and review it
3 until they say they're ready. We don't want to get
4 into a consulting role or we go inspect and we find
5 a problem. They say oh, yeah, we've still got to
6 fix that. When they tell us they've fixed a
7 problem, that's when we go in and look at it.

8 We have managed our process of managing
9 the NRC resources of what items we want to look at,
10 when do we want to look at. We have an NRC manual
11 chapter, a guidance, a procedure, if you will, and
12 you'll hear it referred to or see it in the
13 documents at 0350. That's just a number on a
14 procedure. But it's a guiding NRC-wide procedure on
15 how to manage an effort such as this. And it's a
16 very sizable effort for the NRC. This is not an
17 easy effort to pull off given the resources.

18 That chapter, 0350 manual chapter
19 outlines -- it's a checklist sort of thing. It
20 outlines things that we need to make sure of that
21 we've looked at. It takes advantage of previous
22 plants that have been in this position that have had
23 these problems. It takes advantages of lessons
24 learned from others, say you better go look at this.

1 It also allows us the opportunity to develop a site
2 specific restart list. These are the things just at
3 Salem we want to go look at.

4 That whole process has been governed or
5 oversought by what we call a Salem Assessment Panel.
6 And it's a group, that's the key members here
7 really, and a few other specialists,
8 engineering-type inspectors. I'm the chairman of
9 it. It's a board, if you will, we meet about every
10 month. We review -- Charlie mentioned the
11 inspection record. We review the inspection
12 record as it's produced. What are we seeing, where
13 do we need to look next, what are the problems, you
14 know. And as this whole process has progressed
15 along, as we see problems raised, we divert
16 resources here.

17 It allows the flexibility, it allows
18 us -- it gives us Headquarters input, they're key
19 players in this, so it's not just a Regional
20 activity. It really allows us to pull on the
21 resources of the entire agency and communicate
22 throughout our agency on what we're finding.

23 A key player in all this has been the
24 State of New Jersey. The State of New Jersey has

1 several very talented representatives that are
2 knowledgeable in the nuclear industry. They have
3 been actively involved, participating in all our
4 meetings, observing us. They accompany us on nearly
5 all the key inspections to independently confirm for
6 themselves that Salem, the problems there are
7 getting corrected.

8 Delaware is also a small player. We
9 communicate with them frequently. They don't
10 accompany us as much as New Jersey does, but we do
11 talk to those folks and keep in good close
12 communication.

13 So the Salem Assessment Panel is the
14 NRC really body that focuses on Salem. What we do,
15 a project of this magnitude, our normal management
16 process and so forth, this is really outside the
17 scope of that process. So this pulls together a
18 group and really focuses on what we need to do at
19 Salem.

20 As we've gone through these major
21 things, issues arise, you know, we've regrouped,
22 we've restructured, we've called on expertise.
23 Charlie mentioned contractors. If we don't have the
24 expertise or resources inside the NRC, we'll go out

1 and solicit outside help as independent contractors
2 to help. So that's kind of the framework of how
3 we've been running the Salem assessment.

4 We had a meeting, December 18th of '95
5 I think it was, in this facility here, that kind of
6 framed this thing out, going into this evolutionary
7 thing here. And so I know I see some familiar
8 faces, you were there. We discussed how we were
9 going to proceed. And that meeting was also
10 transcribed and you can get a copy of that for your
11 reference.

12 So that kind of brings us up to today.
13 Lots of inspections. We've got a few issues still
14 going. Some major inspections we've conducted.
15 We've still got some significant activities and work
16 to accomplish.

17 So here we are today, and we have this
18 meeting, this is an important one. It gives us
19 feedback. We get a chance to speak to the public.
20 We work for the public. We're a government agency.
21 It's important to us.

22 Thursday of this week, we have a
23 meeting in Headquarters. This meeting will be open
24 for public observation, and it's called Design and

1 Licensing Management Meeting. Some of the problems
2 that are running through the industry now have to do
3 with their understanding and implementation of
4 really detailed engineering calculations, design
5 work that went into the building and licensing of
6 these plants. Some of the issues and problems that
7 have arisen are very subtle. They're deeply buried
8 in real technical engineering work.

9 And it's -- there's a generic issue
10 across the industry for the agency. The NRC has
11 asked the industry to go and look at this issue.
12 Actually before the agency asked the industry to go
13 out and look, we were asking Salem why do you think
14 it's okay, what is your basis for thinking you can
15 proceed.

16 We had a series of -- this inspection
17 here that Charlie mentioned happened in the late
18 spring of '96. We went and looked and found some
19 problems. They mounted an effort, a pretty sizable
20 effort to go and evaluate engineering effort,
21 brought in a number of folks through the summer. We
22 oversaw that. We had folks observe what they were
23 doing, the process, how they were identifying and
24 how they came up with their conclusions, what did

1 they do with their problems when they found them and
2 why do you think that's as far as the problem goes.
3 What's the extent of condition is the phrase we use.

4 So they did an effort. And we went in
5 this fall actually, in November, December time
6 frame, and sent an expert in, and I mean top notch
7 inspection team in there to take one system and
8 drill very deep in that system. We wanted to scrub
9 it, all the engineering calcs, everything. And that
10 report is -- that's this report here. The report
11 number is 9681.

12 It generally found -- they fixed a lot
13 of problems with this system. It was a component
14 cooling water system, which is an important safety
15 system. However, they also found a couple of areas
16 that they challenged. One of them was, for the
17 technical types here, had to do with pump runout and
18 ventilation.

19 So we rolled that over and said okay,
20 Public Service, we need to meet with you and
21 understand what this all means to you, why do you
22 think -- roll all this up and what is your basis,
23 given all the findings, what you've done, what you
24 fixed, is it your conclusion that you can proceed in

1 the design licensing bases area.

2 The meeting this Thursday will be for
3 them to present their results to us, their
4 assessment. Here's, you know, here's all the
5 findings collected together and here's our basis for
6 concluding that what we're going to do is
7 acceptable, here's what we're going to do after
8 restart and here's the type of commitments and so
9 forth.

10 We'll sit and listen and caucus
11 internally and decide is that acceptable, do we need
12 more, you know, how does that square with other
13 plants. It's being held in Headquarters. It's a
14 Region, really a regional meeting, but it's being
15 held in Headquarters so we can get a large group of
16 Headquarters key managers in to listen to it because
17 it will be an important decision. So that's this
18 Thursday.

19 That's about the only date I have to
20 give. The rest of these are floating dates of when
21 it will occur. At some point in the next couple,
22 three weeks, Public Service intends to do what I've
23 called a mini heat-up. They're sitting right now
24 less than 200 degrees, what we call cold shutdown,

1 less than 200 degrees and about 310 pounds I guess
2 pressure in the primary. Once they go over 200
3 degrees, they're what's called -- you'll hear them
4 refer to it as Mode 4. That's the first heat-up.

5 They don't take the reactor critical,
6 it has nothing to do with the reactor. What they do
7 is start a reactor coolant pump and the pump in
8 itself generates enough heat to heat up. They've
9 got one running right now, right, one reactor
10 cooling pump running today.

11 What they'll do, the purpose of this
12 heat-up is really to shake down their organization.
13 They've been in an outage, they've been in a
14 non-operating state for a large part of this outage.
15 They've had all the fuel off. So they really
16 haven't had to worry about a lot of plant
17 operational stuff.

18 They've changed out key operators.
19 They've sent all their operators to be kind of
20 retrained and regrouped as a team. And some of the
21 things they wanted to accomplish is to look at the
22 organization, the plant, when they go through this
23 evolution.

24 It's our understanding that essentially

1 what this will mean is they'll let the temperature
2 rise maybe 20 or 30 degrees for maybe two hours and
3 then cool back down. It has nothing to do with the
4 reactor. The reactor will be subcritical. They
5 will not make steam, they will not be turning the
6 turbine, they'll be nowhere close to that type of
7 evolution.

8 But there's some key things that have
9 to happen when they go into -- when this occurs.
10 They have to have key safety systems set and ready
11 to go. They have to have the containment
12 established. These are all hard requirements. And
13 it will also give us a chance to look at it in
14 really a non-threatening type. There's no real
15 potential there. There's not a lot of energy
16 they're adding.

17 So the schedule depends on dealing with
18 some of these issues and others, clearing up a lot
19 of paperwork, getting a lot of procedures signed
20 off. But you may hear that in the news, you may see
21 something on that. So we'll be watching it and have
22 a group of folks there in the control room watching
23 it pretty close.

24 So it at some point, you know, after

1 that, they'll -- they plan on -- and this is a plan,
2 and it's their plan, it's not ours, but I'm just
3 kind of giving you a flavor of what we expect --
4 they plan on going back to cold shutdown it's
5 called, or cool back down.

6 There's some technical issues they've
7 still got to resolve that will not impair them from
8 going to this little mini heat-up, but they need to
9 deal with it. We've got some issues we still need
10 to work through. We will have not released the CAL
11 or comfirmatory action letter at that point.

12 So they'll go back down, they fix all
13 their stuff, and that will run on for, I don't know
14 how long, through the spring sometime. You know,
15 they can provide the schedules.

16 At some point though when they think
17 they're close, and very close, not just kind of
18 close, but very close, they're going to docket a
19 letter, send us a letter on the docket stating that
20 they think they're very close; with the exception of
21 the following items, we think we're essentially
22 there.

23 And that's the first public statement
24 they're going to make, and it's an important one

1 that they make that statement, that they think
2 they're ready. It's not us saying it, it's them
3 saying it. They're going to say that. And they're
4 going to send us a letter to that effect.

5 Along about this -- shortly after we
6 get this letter, and it could be as early as, you
7 know, their schedule sometime in a month, two months
8 from now, we're going to have a meeting location,
9 still not decided yet. The Delaware folks want us
10 to have it over there and New Jersey wants to have
11 it over here. So we try to have it in the middle,
12 but somehow we'll try to -- can't satisfy everyone.
13 We'll have a meeting, it will probably be at night.
14 It will be a similar meeting.

15 It will be to say hey, they said we're
16 ready, here's copies of their letter saying they're
17 ready. It will be another opportunity for you folks
18 and others to come forward, express your concerns,
19 what's on your mind, let us answer questions. And
20 really what this meeting will do for us, this right
21 here, it will allow us to fold your concerns and
22 findings into our readiness team inspection.

23 So rough time frame, about two weeks
24 after we get this letter, we will launch a major

6
1 team inspection at Salem. And you'll hear it
2 referred to as a RATI, Readiness Assessment Team
3 Inspection. I'll try not to use that, but anyway,
4 I'll call it a Readiness Assessment Team Inspection.

5 They'll have a public entrance. So
6 when the team arrives onsite, it's typically a
7 Monday, it will be at the site, but it will be
8 outside the gate. It will be available for public
9 observation. So you can come sit in a room and
10 listen. Some of you have been to those, and they're
11 not all that exciting, but it will be the team, once
12 again the licensee saying, a presentation, here's
13 where we're at, and it will be here's the team
14 that's going to look at you.

15 We have a Senior Regional Manager who's
16 going to run that team as a key manager. He's got a
17 lot of experience with some of the other plants that
18 have been through this, Indian Point, some of the
19 other plants in the Northeast. So he brings that to
20 the table.

21 The rest of the team, it is our intent
22 to staff with folks that have never been associated
23 with Salem, even folks that are not associated with
24 this region, from outside the region, from the Texas

1 Region or Headquarters, to get an independent review
2 of the integrated performance of Salem. A lot of
3 this stuff we've been doing over here, you know,
4 they have a technical issue, we go in and inspect
5 it. If you pull these inspections, we go in and
6 look at the issue and say here's some concerns, and
7 it's real focused on technical issues.

8 This team really looks at the whole
9 integrated performance, how does the organization
10 come together, how are they performing, do they have
11 their priorities right, what do they do when they
12 find problems, who do they tell, how do they react,
13 how broad do they look. And it has a real
14 independent element to it.

15 Typically, this team will last -- be a
16 couple, a week or so on the site and they could go
17 away for a week, regroup, huddle, come back, it just
18 depends on how things are going. But it's a major
19 key player in this process. And then they'll have
20 the team exit, and that will be a public meeting at
21 the site where the manager of that team will stand
22 up and say here's our findings. We believe, you
23 know, in the key functional areas, and again it will
24 cross engineering, operations, maintenance,

1 corrective action, self assessment, are they
2 critically looking at themselves. So that's the
3 team exit.

4 At that point, there's typically some
5 issues that if you follow through the history of
6 these things, there's some issues that have to be
7 addressed after that.. I mean it's a big team,
8 they're going to ask a lot of questions. There may
9 be some things to follow up on, there typically is.
10 But when all that gets finished and Public Service
11 is required to -- is expected to send us another
12 letter saying okay, you've sent your team in, here's
13 what we've done about it, here's what we have
14 remaining, and we're now thinking we're ready to
15 restart. That's their letter affirming readiness.

16 And again, it's very important, it's
17 important for them to say first, because they own
18 that thing and they have to run it. So they send us
19 a letter. Then we're faced with a restart decision.
20 And essentially what that is is we'll take all this
21 data in, as we have been for almost two years now,
22 and the key is that Salem Assessment Panel, they'll
23 bring it in, the team manager will come in and say
24 here's our findings. We'll continue to review the

1 inspection record and what we're finding,
2 continually churning.

3 We got guys there every day watching
4 it, feeding it back in. And then it comes together,
5 and we'll get Headquarters folks involved, we get
6 the Regional folks together, and we make a decision
7 whether to recommend to the Regional Administrator
8 to amend the confirmatory action letter to allow
9 them to restart. And that's only until -- only
10 then, if that occurs, can they go critical. They
11 can't go critical until that happens. It's built
12 into the structure.

13 So, you know, that's a huge decision.
14 The Regional Administrator doesn't make that in a
15 vacuum either. He consults with the Commission, key
16 managers across the agency. That's not an easy
17 decision.

18 So that's kind of the -- and then I
19 mean following through, if at some point it is
20 decided that they restart -- and I didn't go through
21 the rest of it -- we will have what we call
22 augmented restart inspection. Once they start
23 heating up, they go critical, we'll have inspectors
24 in the control room around the clock. We watch them

1 very closely. We've also reviewed their plan, and
2 they go to plateaus they call it, and they stop and
3 they look and self assess. So it's a real measured,
4 deliberate stepping up in the power ascension.

5 Once you restart, it's not just, you
6 know, go. There's a very deliberate -- that process
7 is described in their restart plan. We've
8 developed -- we've done this before at many plants
9 actually developed a restart plan that steps through
10 with that. We have inspectors onsite in the control
11 room and follow it through.

12 This is kind of the process for Salem.
13 2. Salem 1 is down the road, you know, most of you
14 probably know that the steam generator replacement
15 is ongoing. We've had a separate side project group
16 that's followed that, and they'll start rolling up
17 at some point, but it really hasn't been all that
18 active, except for the steam generator replacement.
19 We've been watching that with some folks that
20 watched it at North Hanover and others. So there
21 will be a test afterwards.

22 I would offer the folks up here, if
23 they've got anything they need to add, John,
24 comments?

1 MR. ZWOLINSKI: I might embellish a
2 little bit that we did try to characterize a success
3 path. This preassumes that there is success by the
4 licensee once the RATI or the Readiness Inspection
5 Team has done its job, it's been a very thorough,
6 very comprehensive inspection, and the results are
7 generally positive. It's possible, and we have done
8 these readiness inspections in which the licensee
9 really was not ready. And you then have a pause
10 that can be quite sometime. I'm talking several
11 months, not weeks now for the licensee to take
12 corrective action. And we will actually ask that
13 RATI or the Readiness Inspection Team to come back
14 if they have significant findings.

15 We can't predict the future as to what
16 Salem would have or not have, but just so you have
17 the logic of our thinking. So if something is awry,
18 we try to identify it, and the plant will go nowhere
19 until we assure that that's been resolved to the
20 staff's satisfaction. And we do weigh very heavy on
21 the licensee affirming their readiness. We think
22 that a licensee that affirms their readiness when
23 they're really not ready may be miscommunicating
24 with us and may not be a self-critical organization.

1 So we look at that as a very significant affirmation
2 by the licensee.

3 I think Larry was trying to make the
4 point, but I wanted to reaffirm that, that it's a
5 very important step in the entire process.

6 MR. NICHOLSON: Anybody else? Like I
7 say, that concludes our kind of walk through the
8 situation here. We want to give a chance for you
9 folks to speak, ask questions. We have a group of
10 folks here that can answer both the technical,
11 specific technical issues or the process questions,
12 or if not, we'll take them down and try to get you
13 an answer if we can't answer it here.

14 Due to the turnout, I guess we need to
15 limit the amount of time that each speak so we can
16 afford courtesy to all who wants to speak. We have
17 this room until 6:00. Hopefully, if we say we'll
18 start out with a five-minute ground rule here of
19 speaking at a turn and maybe let all the folks that
20 want to speak go through once before someone wants
21 to get back up and ask another question.

22 AUDIENCE: Is it possible to move to
23 another room? A number of us are standing back here
24 and we're really uncomfortable. We have I would

1 say, what, at least two and a half hours.

2 Down the hall, I think there's an
3 auditorium that I thought would be available.

4 MR. NICHOLSON: I guess we could check,
5 but I believe they have something going on there
6 tonight! Maybe if we could just bring some more
7 chairs in. How many are out in the hall?

8 (Off the record discussion.)

9 MR. NICHOLSON: We'll take a ten-minute
10 break and reconvene there then.

11 (Recess.)

12 MR. NICHOLSON: Because it's being
13 transcribed, it would help in the folks that want to
14 speak could come down for the benefit of the
15 transcriber so she can hear you. It may be easier
16 for us to talk this way so we can hear you.

17 Some of the folks that came in late
18 wanted us to reintroduce ourselves just so they know
19 who we are. Again, my name is Larry Nicholson, and
20 I'm the Deputy Division Director in the Division of
21 Reactor Projects in Region 1. That's up in King of
22 Prussia, in Pennsylvania.

23 MR. OLSHAN: And I'm Lenny Olshan. I'm
24 the Salem Project Manager out of Headquarters, which

1 is in Rockville, Maryland.

2 MR. ZWOLINSKI: I'm John Zwolinski.
3 I'm the Deputy Division Director, responsible for
4 plants on the East Coast, overseeing Salem
5 activities, assisting Larry and his staff from the
6 Region.

7 MR. MARSCHALL: I'm Charlie Marschall.
8 I'm the Senior Resident Inspector at Salem. I
9 oversee the routine inspection activities at Salem.

10 MR. LINVILLE: I'm Jim Linville, the
11 Projects Branch Chief in Region 1, responsible for
12 the management of the field office at Salem.

13 MR. LORSON: I'm Ray Lorson. I'm a
14 Resident Inspector at Salem.

15 MR. SCHOPPY: Joe Schoppy, Resident
16 Inspector at Salem.

17 MR. NICHOLSON: Is this working back in
18 the back? Can you hear okay back there? With that,
19 I guess we'll start with a question and answer
20 period.

21 Again, we would like, so that everyone
22 gets at least one run through, limit your speaking
23 to about five minutes. If you could stand, and
24 maybe for those in the back, come down so we can get

1 the record right, go ahead.

2 AUDIENCE: Do you have a sign-up sheet
3 there that you're going to refer to?

4 MR. NICHOLSON: We didn't sign up.

5 AUDIENCE: We signed up.

6 MR. NICHOLSON: Well, then you may
7 start.

8 MR. GUNTER: My name is Paul Gunter.
9 I'm with Nuclear Information and Resource Service in
10 Washington, D.C.

11 And we've been following the Salem
12 issue precisely because we think that the plant is
13 unsafe. Our concern is that the Nuclear Regulatory
14 Commission, through the use of enforcement
15 discretion and acceptable deviations to the
16 regulations, we're sort of building up to a prelude
17 not unlike the Challenger launch accident. We view
18 this as a very critical moment.

19 The NRC does have an opportunity to
20 make a difference here, but if you don't enforce
21 your own regulations, how can the public have any
22 confidence in the regulator.

23 There are two critical issues that I'd
24 like to address from this perspective. First is the

1 safety function inspection that you all did and
2 second is the fire protection issue.

3 Now, you're aware that in this safety
4 functionality inspection, you did this vertical
5 slice inspection, or this intensified inspection on
6 three systems, you screened 10. But there are about
7 40 different safety related systems plus at the
8 reactor. I guess the concern is that on your
9 vertical inspection of those three, you found
10 problems in all three areas that you looked at.
11 Some were identified by the utility and closed out,
12 and then when you reinspected them, you found more
13 problems.

14 Now, from a public health and safety
15 advocacy point of view, three for three on this
16 vertical inspection should be a red flag that you
17 should be looking further into, you know, utilizing
18 more of these vertical slices to look at some of
19 these other critical safety systems. Yet we don't
20 see that that's happening here, when in fact the red
21 flag is on the field.

22 And so one question would be why
23 didn't -- why doesn't the NRC take the cue from
24 these three problem areas turned up under this

1 intensified inspection, why don't you take that as a
2 cue to look at these other areas, these other safety
3 related areas in this same intensified vertical
4 slice.

5 The second area is the whole issue of
6 fire protection. And I understand that on your
7 checklist, the penetration -- fire barrier
8 penetration seals is one of the issues that you're
9 going to look at. Now, from our concern, we're
10 aware that the whole issue of fire barrier
11 penetration problems and the promulgation of your
12 regulations on that comes out of the 1975 Browns
13 Ferry fire where a worker using a candle to check
14 for drafts caught fire to some fire barrier
15 penetration material, urethane foam, and the
16 material was combustible and the plant went out of
17 control for 16 hours, lost emergency core cooling
18 system. And as one NRC official said, by the grace
19 of God, we averted a nuclear catastrophe at Browns
20 Ferry.

21 I guess the question that I have for
22 you is first of all what are the fire barrier
23 penetration seal issues that you're looking at, and
24 are you aware that the Salem Nuclear Power Station

1 is loaded with Dow Corning silicone foam penetration
2 seal material, which is combustible, has been
3 recognized as combustible by the NRC, some of that
4 documentation is up here in the front of the room.
5 Simultaneously, up here is also the Code of Federal
6 Regulation 10 CFR 50, Appendix R, Section 3, subpart
7 M, that says thou shalt not use -- or thou shall use
8 only non-combustible material in fire penetration
9 seals.

10 Salem is loaded with a combustible
11 material that's supposed to be a barrier to prevent
12 fire from moving from one zone to another. Why
13 hasn't that come to the attention of the NRC?

14 Why is it that the public has to pound
15 on the door, has to go to the press to bring about
16 something as obvious as a deficiency involving a
17 combustible material installed in this plant as a
18 fire barrier?

19 MR. NICHOLSON: Okay, let me answer the
20 first question. Let me answer the first question in
21 regards to the SFI vertical slice. We looked at
22 what they did. They did seven or eight vertical
23 slices. We decided to do one deeper. We found
24 really a mixed bag, as you know. We found that they

1 had fixed a lot of things, but we had some
2 additional questions. We put the questions back on
3 their table.

4 Really, the heart of your issue is
5 extended condition, given this, what is the extent,
6 how far does this go out, why doesn't it apply to
7 other systems. That's exactly the question that we
8 were asking.

9 One of the purposes of the meeting this
10 Thursday in Headquarters is to hear them
11 characterize the extent of that condition, why they
12 think they've done enough, and why and what they're
13 going to do industry wide. So the question you're
14 asking is also the same question we're asking.

15 If you read the inspection report, the
16 cover letter even says, you know, we ask you in this
17 meeting to describe for us why you believe, you
18 know, that these issues aren't germane to others,
19 and we'll have to listen to that. We may do more
20 inspecting, that's always an option.

21 We'll have this meeting on Thursday and
22 then caucus and decide, you know, have we done
23 enough, have they done enough. So you're right. I
24 mean I guess I would agree with you that we did find

1 problems, we have to deal with that. And the way we
2 deal with them is we give them back to the licensee
3 and say we went and looked independently and we
4 found problems, now what are you going to do about
5 them.

6 And it's important to -- one of the
7 most important elements of these plants is to watch
8 how they deal with problems. If they had been
9 dealing with problems, thoroughly addressing the
10 issues, aggressively attacking the root causes of
11 issues all along, none of us would be in this room.
12 I mean that's the key of this is you've got to find
13 your problems and fix them and how they deal with
14 it. So we'll be watching that and we're still, you
15 know, we're still going to decide on that.

16 As far as the Appendix R fire barrier
17 wrap issue, I guess --

18 MR. ZWOLINSKI: We recognize that the
19 licensee does make use of various materials that
20 have combustible properties. The staff is currently
21 evaluating the acceptability of those materials in
22 this use. That's a generic issue that's currently
23 under evaluation.

24 This licensee is making use of 3M

1 materials as well as other materials. You referred
2 to the Dow Corning material. As of today, I don't
3 have a black and white answer for you. It's an
4 industry issue that we'll be addressing generically,
5 and I don't know if it will be resolved prior to
6 this plant requesting it restart.

7 There are expectations that the staff
8 holds associated with the facility that if they have
9 materials that are found to be unacceptable, we
10 would expect to see those addressed, but yet the
11 licensee is waiting for the NRC to speak on that
12 matter.

13 I will say that the licensee is
14 expected to put in place compensatory measures,
15 something that is routinely found with the
16 imposition of Appendix R after it was developed
17 following the Browns Ferry fire to which you
18 alluded. But to speak to your point on removal of
19 the material or addressing the material, it's being
20 done on a generic basis for all plants across the
21 country.

22 MR. GUNTER: If I just have a quick
23 follow-up point?

24 MR. ZWOLINSKI: I'd like to, if I

1 could, add a little bit to what Larry has said about
2 the safety system functional inspection and looking
3 at a number of systems. The burden is always on the
4 licensee to assure that the unit will operate
5 safely. This is predicated in part by the team will
6 indeed have findings, but in and of themselves are
7 those individual findings sufficiently detrimental
8 to the safe performance of the plant that must
9 change its current operating status.

10 And this essentially comes down to some
11 of the basic philosophy of how these plants are
12 licensed and how we oversee the safe operation of
13 these facilities. These principles are called
14 Defense in Depth, in which you have redundancy
15 that's built into each of the systems, you have
16 independency of electrical systems tied to fuel
17 systems. You have extensive corrective action
18 programs. You have extensive gone to rule making,
19 with our maintenance rule, which you may be familiar
20 with, a number of ongoing programs associated with
21 quality assurance to assure that Defense in Depth is
22 always there.

23 Even though we as inspectors may have a
24 finding, the licensee themselves may have findings,

1 those individual issues are assessed collectively as
2 to how important they are, and then a determination
3 is made as to the status of the facility and should
4 it change mode of operation.

5 So I wanted to make clear that when the
6 staff does do these inspections, we look very hard
7 to ascertain is this plant indeed still safe to
8 operate, noting the philosophy of the agency, and
9 the Defense in Depth that exists, and the ability of
10 the licensee to take effective corrective action and
11 permanent corrective action, not a one-time shot.
12 You had a follow-up question?

13 MR. OLSHAN: One more thing I wanted to
14 point out, Paul. As I pointed out earlier, I had
15 those three items that we're still looking at as
16 unresolved. The middle one was fire protection.
17 And we're aware of your concern regarding fire
18 barrier as well as other issues. And we have a
19 programmatic issue in the 0350 process that
20 specifically addresses fire protection issues, and
21 we haven't completed our review.

22 MR. GUNTER: Just real briefly though,
23 you know, one of the major concerns with the
24 silicone foam issue and Appendix R is that the

1 current NRC effort to address the combustible
2 silicone foam is to remove the non-combustibility
3 requirement from the Code of Federal Regulation. I
4 mean that's what's coming out of NRC in Rockville is
5 that to remedy the problem, they're going to remove
6 the requirement.

7 Now, to remove the non-combustibility
8 requirement for fire barrier penetration seals is a
9 prescription for disaster. And at some point, you
10 need to take a stand and you need to show yourself
11 as an enforcement agency as well as an inspector.
12 And this is the plea that the public is making to
13 you before the next disaster, enforce your own
14 regulations.

15 MR. NICHOLSON: Thank you. Next? Yes.

16 MS. BERRYHILL: I was here 20 years ago
17 when the safety engineer for Salem resigned from the
18 NRC because he said that plant was unsafe.

19 MR. NICHOLSON: Could I ask you for
20 your name?

21 MS. BERRYHILL: My name is Freida
22 Berryhill. I'm from Delaware.

23 MR. NICHOLSON: Thank you.

24 MS. BERRYHILL: I watched for 20 years

1 all this widget fixing, all the public hearings.
2 There was never one iota of evidence that the public
3 was ever heard. It's kind of a cover your rear
4 action is what it actually is.

5 You mentioned the meeting of December
6 18th. At that meeting, we heard a litany of
7 horrible testimony of personnel dissatisfaction in
8 that plant. All this widget fixing isn't going to
9 do any good when you have people that are scared to
10 death to point out the safety issues to the NRC.

11 I have prepared testimony and studies
12 over the years, you wouldn't believe it. I was
13 there during the licensing hearing, I was there
14 during the fuel expansion hearing, I was there
15 during the cooling tower hearing. Nothing made any
16 difference.

17 But I have the difference today. I
18 have it today. I have with me the New Republic,
19 current, March 3rd, and it says that the state of
20 the S and L crisis was the savings of little old
21 ladies in their tennis shoes who feared for their
22 investments. The utilities, with deregulations,
23 better be scared of this little old tennis shoes who
24 is pulling her investments from every power plant

1 that is involved in nuclear.

2 I'll give you one example. I had a
3 very good producing stock, several of them in
4 several companies. The best example is Potomac
5 Electric, good company, well run company, good
6 dividends, good investment. My stock is now
7 worthless because it's combined with Baltimore
8 Electric and Gas with involvement at Calvert Cliffs.
9 I pulled it out.

10 Now, don't think that this is an
11 isolated incident, because we little old ladies have
12 learned to work politics and we have learned to work
13 the Internet. And we have become a lot stronger and
14 smarter than we used to be.

15 This article goes on to say what all
16 the sit-ins and all the demonstrations over the
17 years could not accomplish can now be accomplished,
18 namely to stop nuclear power, and that is through
19 stockholders like myself.

20 Now, let me tell you one thing. You
21 cannot afford this plant. What in the world are you
22 trying to do? Salem 1 has a lifetime capacity
23 factor of 57.9 percent. Salem 2 has a lifetime
24 capacity factor of 55.5 percent. You can't make

1 money, you couldn't make money when it was running,
2 and you couldn't make money now. This plant was
3 shut down through the heat of the summer, it was
4 shut down through the freezing winter. The need for
5 power is not demonstrated.

6 I have been busy the last two years
7 stopping PECO from going all to the municipalities
8 in Delaware, Newark, Delaware, trying to sell their
9 power, their heavy nuclear power to the
10 municipalities. I contacted every city councilman,
11 I laid the problem out to them, and they voted it
12 down. They're not buying PECO power. PECO, of two
13 dozen utilities in the region, PECO has the highest
14 electric rates with the highest involvement in
15 nuclear power.

16 Do you know the utilites, when they
17 first started nuclear business, they went before the
18 Joint Committee of Atomic Energy, they said we can't
19 build nuclear power plants, we can't afford it. So
20 they threw them some carrots. One carrot was
21 subsidized fuel. They don't pay for their own fuel.

22 The second carrot was the
23 Price-Anderson Act, which was passed in 1957, for
24 protection, the Price-Anderson of -- a Class 4

1 accident.

2 And the third one was waste disposal
3 for the thousands years that we're going to be
4 responsible for. Without those three provisions,
5 they could not be built the plants. But you know
6 what's going to killing it? Deregulation. That
7 corporate welfare train has left the station. And I
8 will personally see to it the Price-Anderson Act
9 will be repealed as soon as every nuclear power
10 utility is deregulated.

11 You can't tell me you're making money
12 with this plant. Midland, Michigan --

13 MR. NICHOLSON: One more point and I
14 will respond.

15 MS. BERRYHILL: 85 percent completed,
16 stopped construction. Ohio Signal plant, 97 percent
17 completed, stop construction. New York Shoreham
18 plant, a hundred percent completed, never produced
19 an ounce of power. There are utilities who know
20 what the score is. There are utilities who are
21 going to get out.

22 MR. NICHOLSON: Let me break you right
23 there and respond. I think you raise a good point.
24 However, from the NRC's perspective, the financial

1 aspect of whether the utility makes money, whether
2 they survive really is not germane to what we're
3 doing here. So, you know, it's certainly your
4 privilege to --

5 MS. BERRYHILL: You have to
6 decommission that plant too, don't you? Where's
7 that money coming from?

8 MR. NICHOLSON: Our principal
9 requirement is safety in the plant. We do have to
10 ensure that there's adequate resources to safely
11 operate the plant. Where the stock moves around,
12 it's a good investment, really is not of --

13 MS. BERRYHILL: Why are you wasting
14 all this money? Who's going to pay for all this
15 money you're wasting? That plant five years from
16 now is not in operation, I absolutely guarantee it,
17 and that's the point I'm making. You've stolen for
18 time, you're fighting for your jobs, fine, you
19 probably have a mortgage and whatever, but that's
20 all it is. It's a shell game.

21 MR. ZWOLINSKI: Thank you for your
22 comment.

23 MR. NICHOLSON: Thank you. There was
24 really two points I heard there. One was the

1 financial aspect. The first one though was the
2 employee concerns aspect, which was in the December
3 18th meeting, as you mentioned. We did take the
4 transcript of the December 18th meeting and rolled
5 it back in. As a matter of fact, we studied it very
6 closely, said is there any issues buried in there
7 that we should be concerned with. In fact, we did
8 revise our restart plan, which wasn't finalized yet,
9 to account for some of those.

10 Key in our whole restart effort, and I
11 mentioned it earlier, is the corrective action
12 program. A big element of the corrective action
13 program is the ability of folks at the site to feel
14 that they can raise safety issues and get them
15 addressed adequately. We've continually looked at
16 that. We've watched how they deal with people,
17 we've looked at their program and fed it back to the
18 folks that identify it. We've looked at their
19 employee concerns program, we've documented it in
20 several inspection reports. So that is an important
21 issue to us and it's really one of the center piece
22 issues of this restart. And we've documented -- we
23 looked at it, it's in a document that's called Salem
24 Restart Activities where we discuss the employee

1 concerns, the ability for them to raise -- folks to
2 raise safety issues, that's very important to us.

3 MR. ZWOLINSKI: Which, by the way, this
4 document I think is available in the room. It's the
5 January Commission paper.

6 If I might digress a little bit just to
7 help everyone appreciate the role and responsibility
8 of the NRC, some of you may recall in the '50s and
9 '60s and early '70s, there was the Atomic Energy
10 Commission. In 1974, Congress enacted legislation
11 forming the Department of Energy that was to carry
12 on the role of sponsorship or advocacy of various
13 new power producing techniques. This was looking at
14 state of the art initiatives that President Carter
15 had for a legislative agenda.

16 The NRC was removed from the advocacy
17 role and placed into the role of focusing primarily
18 on safety and safety first. And thus you won't find
19 in our course of business, our inspection programs,
20 our licensing agenda, anything that gets into
21 financial endorsement or efforts or initiatives that
22 are targeted to the creditworthiness of a facility.

23 When we license a plant, we want to be
24 assured they have resources to be able to employ

1 their employees, be able to run the plant safely.
2 That as far as an ongoing oversight of financial
3 activities, we stay quite removed from that aspect,
4 and indeed focus on safety first and foremost, as we
5 are representing you and your interests, to assure
6 the plant is indeed operated in a safe manner.

7 It's the protection of the public
8 health and safety and the environs that we're
9 mandated by law to carry through with. And we're
10 just an extension of the Commission as we sit before
11 you. We're citizens just as you are. Our job or
12 our role here is to report to you what we have been
13 doing in discharging our responsibilities in looking
14 at the safety of this facility and nothing more.

15 MR. NICHOLSON: Yes, sir.

16 MR. BURTON: My name is Willard Burton.
17 I'm from Bridgeton. What are the chances and what
18 is needed to be done by the public to keep these
19 units permanently closed, keep them from ever
20 opening? Could it be done now? Would petitions be
21 the answer? If we got petitions and sent them in,
22 and if so, where would you send them?

23 MR. ZWOLINSKI: As a member of the
24 public, you have -- obviously you have the

1 opportunity to petition the company itself. You can
2 speak to the company via shareholders, and stock
3 activities. You also have the opportunity to
4 petition the Commission if you find or are aware of
5 safety concerns in which, in your view, there are
6 violations of rules, regulations, in which you would
7 essentially make the argument that the staff should
8 take enforcement. The enforcement would be
9 something as severe as perhaps revoking the
10 licensee's license to operate the plant.

11 So the burden is placed on members of
12 the public to come forward and say here's a safety
13 concern, it's very egregious, and we expect the
14 agency to take action. And that's done under
15 specific legislation in our Code of Federal
16 Regulations. I'm referring specifically to Part
17 2.206.

18 And that would receive critical staff
19 evaluation, whatever your safety concern may be. If
20 you have safety concerns, I wish you could give them
21 to us today just so our inspection and the
22 inspection work force would be able to assess, even
23 though the licensee is going through a very minimal
24 change in operation here in the next few weeks, we

1 don't want the licensee doing anything that we don't
2 feel is safe. And we want to understand if people
3 are aware of any safety concerns, please give them
4 to us so that we can understand them ourselves and
5 disposition them thumbs up, thumbs down.

6 I don't want to presuppose I know the
7 answer to the question.

8 MR. BURTON: Nuclear plants in general
9 haven't been doing too well, and the public was just
10 fed up with it and they generally didn't want it.
11 Would petitions signed and sent into the NRC, would
12 that do any good, without coming up with any set
13 safety violations or anything like that? The public
14 today is getting very concerned.

15 MR. ZWOLINSKI: The ballot box is
16 clearly a way to address issues that may be before a
17 large number of the public. If you wish to provide
18 the agency referenda or signatures of folks that
19 have their views regarding this particular site and
20 its perhaps operation this year, we would have to
21 take that petition and weigh it on its merits and
22 come to a safety decision about the case that you've
23 made.

24 MR. NICHOLSON: We have some brochures

1 that may help you, if you want to file 2206
2 petition. If you see me afterwards, I can maybe get
3 you a point of contact.

4 MR. BURTON: Okay, thank you.

5 MR. THOMAS: My name is Dave Thomas,
6 local resident. The reason we're here, and I would
7 really like to be clear about this, is it's
8 management. The only reason we're sitting here and
9 you're sitting over is they've got a management
10 problem. They've had a management problem for quite
11 awhile. The outage they're involved with is over
12 600 days, someplace in there.

13 The way in which they're handling their
14 manpower, the issues of staffing, the people who I
15 talk to in the community -- I'm a local person, I
16 see a lot of people -- bring a lot of questions in
17 my mind.

18 The NRC is here to ensure the safety
19 and welfare of the public. The thing that bothers
20 me is they're becoming a participant in this
21 company, not directly so, but indirectly so. PS is
22 trying to satisfy you. And they're not doing their
23 job as far as becoming a living company.

24 The management that they've had in the

1 last two years has been rolling over. They're
2 losing their key people, as they say. There's a lot
3 of people bailing out, they don't want to work
4 there. The ones that are there are scared to death.
5 And if you think the average worker is going to
6 bring to you concerns, safety concerns, when it
7 comes down to their job, as soon as they can find a
8 job, they're bailing out. That is not a healthy
9 environment.

10 You know, the action that the people
11 should be taking, the management, is to be getting
12 better, well. And this thing looks like a leper
13 with pieces of their body are falling off and they
14 don't care. They can go on forever. And that's not
15 the point. The point is that it's got to get
16 better.

17 They don't have a startup date, 630
18 some days and they don't know when they're going to
19 start up. I understand they've got a lot of issues,
20 but still they don't know. The staffing, just as a
21 point, and again I found out that they're very close
22 to not being able to operate because the number of
23 operators have been depleted. People are bailing
24 out. You know, in the maintenance area, people are

1 very unhappy. They're doing exactly what they're
2 told. They're not allowed to think anymore. These
3 guys are scaring me to death. I would like you to
4 respond to that and I have one question afterwards.

5 MR. NICHOLSON: You touched a number of
6 issues. And we would agree that, you know, they've
7 gone through a lot of management changes going into
8 this outage. Again, the employee concerns program,
9 prior to this outage, really was not existent at
10 that plant. It's there, we're overseeing it, we've
11 evaluated it, we're continuing to watch that as part
12 of the corrective action program.

13 The fact that they don't have a startup
14 date can be -- can be two-sided actually. Once you
15 put a startup date out there, you could send a
16 message that, you know, no matter what problems are
17 out there, we're going to start up on this date. So
18 they've allowed it to -- the startup date to kind of
19 float as they address these issues.

20 So we really don't get involved in
21 their startup, the published startup date. We just
22 want to make sure that the prerequisite items and
23 problems are addressed before they restart.

24 Staffing, we have some minimum required

1 staffing in the control room, as I'm sure you're
2 aware. We've looked at that, they've recast their
3 staff, really the entire organization, you know,
4 they've shuffled around.

5 Really the place that we will watch a
6 lot of the points that you raise is in the Readiness
7 Assessment Team Inspection. That's when the whole
8 organization, you know, we go in and look at it
9 integrated. And we do on a daily basis, on a weekly
10 basis. The residents put out an inspection report
11 about every month to six weeks. But this Readiness
12 Assistentment Team will look at it across the board.
13 Do they have the right level of folks,
14 communications and so forth. So we're watching that
15 area very closely. Thank you.

16 MR. MARSCHALL: I'd like to add that I
17 think it was you -- someone in here commented on the
18 fact that corrective action, the ability to identify
19 problems and correct them is a key piece of
20 operating a plant safely. And we have looked, it's
21 on the inspection record, it's in inspection report.
22 9618, if you want to get that from the public docket
23 room, we have looked at the corrective action
24 program and assessed the effectiveness of that. And

1 that is a big piece of assessment of management
2 effectiveness.

3 So we have looked at that, and we will
4 look at that again as a part of the Readiness
5 Assessment Team Inspection that will occur sometime
6 after they tell us that they're ready to start the
7 plant back up. We'll take another look, and even a
8 broader look, actually, at the effectiveness of
9 management and the effectiveness of the overall
10 organization in their ability to operate the plant
11 and respond to problems.

12 MS. BERRYHILL: Excuse me, how can you
13 take corrective action when the personnel is not
14 allowed to say something? They're scared to death
15 to point it out to you.

16 MR. NICHOLSON: Let's go around the
17 room once and make sure we touch all the bases. You
18 had a follow-up?

19 MR. THOMAS: I'd just like to finish.
20 The reason I bring that up, the corrective action,
21 is I've had people call me and ask me if I would be
22 a go-between the NRC and them to bring actions up
23 because they don't want to be identified as the
24 person bringing those points up. They're afraid for

1 their jobs. That can't be.

2 I mean for somebody to act with a
3 nuclear ethic, you have to be free and have the
4 ability to say what they think. These people are
5 afraid for their jobs. They're making decisions
6 between money, for their kids, for food on their
7 table and their job and the safety and the welfare
8 of the public.

9 When this stuff happens, when they call
10 me and ask if I would send a letter and would
11 actually be the go-between the NRC and them, there's
12 a real problem, a tremendous problem. And the NRC
13 has control over some of this.

14 Two years ago, there was an offhand
15 comment made by an NRC person, what did you do with
16 poor performance? Because of that statement, 62
17 people were fired in two days.

18 MR. NICHOLSON: Your point, you know,
19 touches on harassment and intimidation, folks that
20 are scared to raise an issue. The agency is very
21 strong that that is completely unacceptable. And we
22 have a track record of taking pretty harsh action
23 against folks when we find that's occurring.

24 We have an arm of our agency, we have a

1 field office in the Region of the Office of
2 Investigation. We're kind of technical folks here.
3 We have another set, they're investigators, they go
4 out and interview, was there a chilling effect where
5 you ask folks. We use that process. There's an 800
6 number that folks can call us. So, you know, we're
7 continually mindful of the issue that you're
8 raising. And if you have specifics, I'd be glad to
9 meet with you following or you can call me. You
10 know, I can give you my number.

11 MR. THOMAS: That would be fine.

12 MR. NICHOLSON: I'd be glad to talk to
13 you tonight, tomorrow, whenever.

14 MR. THOMAS: Thank you.

15 MS. WEILER: My name is Barbara Weiler.
16 I live in Salem County. I want to know how we're
17 supposed to, after what Mr. Thomas just said, how
18 are any of us supposed to feel safe living here.
19 You just said the harassment and intimidation of
20 people with safety concerns has a chilling effect.
21 It not only has a chilling effect on those people
22 working at the plant, it's got a chilling effect on
23 me.

24 This firm has proven themselves to us

1 that we can't trust them. They've continually made
2 bad management decisions. They've made decisions to
3 not do maintenance in the turbine building. The
4 blade flew out of the turbine building. That's an
5 example of well, we're on line, we're running, we're
6 making money, let's keep making money and let's not
7 shut down to do maintenance. They've made those
8 kinds of decisions. How am I supposed to keep my
9 family, that little boy, how am I supposed to keep
10 him safe when this stuff goes on?

11 MR. NICHOLSON: Well, you know, you
12 mentioned the turbine blade incident. There was a
13 series of events in the early '90s leading up to the
14 shutdown and the confirmatory action letter. And
15 it's no secret that we were not satisfied with their
16 performance. It was building, and all those events
17 are problems. They were not fixing the problems,
18 they were not doing the maintenance they're supposed
19 to do. The margin to safety was being reduced all
20 through those years. Our job is to make sure
21 there's an adequate margin of safety. And John
22 spoke of Defense in Depth earlier. There's no doubt
23 about it, that margin was being reduced to the point
24 where we could no longer provide adequate resources

1 to represent you that that margin was acceptable.
2 And that's really where we came to in 1995 and we
3 said that's enough. We couldn't -- I couldn't face
4 you at that point, and I wasn't associated, but I'm
5 speaking as an agency, and say we have confidence
6 that there's adequate margin given the resources we
7 have to apply at that.

8 Now, you know, and so we engaged with
9 the utility and they also, you know, and I'm sure
10 you've heard them say they shut the units down
11 themselves and, you know, I think through this
12 outage they have done some things that have
13 demonstrated that they've attempted to address those
14 issues, material condition issues..

15 If you go look at what they fixed in
16 this outage, and we're certainly looking at that,
17 you know, the amount of things they've fixed, the
18 resolve to spend the money or take the time, all
19 those are indicators, and we look at all that and
20 monitor it.

21 But we have stated, and it's in this
22 paper that we have copies here, that for us to feel
23 confidence that they can restart, there needs to be
24 a significant improvement. You know, we need to see

1 not just old business as usual, we need to have
2 demonstrated a significant improvement in
3 performance before we're going to be satisfied.

4 The process, you know, I described is
5 still playing out. You know, we're still watching.

6 MS. WEILER: How long will you be
7 baby-sitting them and then what happens when you're
8 done baby-sitting them, are they going to go back to
9 their old ways?

10 MR. NICHOLSON: Well, we're going to
11 keep the Salem Assessment Panel in tact even after
12 restart. So we're in this for the long haul. You
13 know, one of the elements that we look at in all
14 their corrective action is it a short term, quick
15 fix, or does it look like what they're doing should
16 pay long term to correcting the problem.

17 We, as many folks, you know, saw too
18 many years of short term, quick fix, not addressing
19 the issues. And so, you know -- but to answer your
20 question directly, we will continue to have
21 significant oversight at Salem. You may or may not
22 know that we recently placed them -- decided -- the
23 Commission decided to place them on the watch list
24 plant, you know, that was really an underscoring of

1 the fact that we're committed to stay in there until
2 we see sustained, successful, event free operation.
3 Thank you.

4 MR. FLANIGAN: Gerald Flanigan from New
5 Jersey Public Interest Research Group. It's a
6 lobby. I have a history of working on the plant.
7 It's a State consumer environmental watchdog. And
8 you've invited some safety comments. I'd like to
9 summarize some of our concerns.

10 The statement was made earlier that if
11 the plant was operating safely under safe operating
12 conditions, we would not be here. The bottom line
13 is that we are here. There are a number of problems
14 in the plant. There are a number of things we think
15 the NRC has responsibility for before even beginning
16 to talk about restarting the plant. I think we're
17 being very hasty here.

18 It's a scary thought to even think
19 about restart with all these problems that are
20 outlined in the team inspection report that I did
21 have a chance to review. And I'd like to just lay
22 out our concerns very simply.

23 Number one, Salem is not meeting its
24 design bases. It's not operating under its safety

1 design bases whatsoever. NRC knows this.

2 Number two, unless Salem meets its
3 design bases, the NRC cannot ensure that the plant
4 will operate safely, the bottom line.

5 Three, if we can't ensure they operate
6 safely, it would be much too hasty to have a meeting
7 concerning restarting the plant. It should be
8 delayed until we can get a firm statement from PSE&G
9 and from NRC officials that, assuming that thing
10 ever goes online, it will be operating within the
11 parameters that it was laid out to operate in. It's
12 my feeling and I think from the NRC report that this
13 is never going to happen. Maybe part of the reason
14 that NRC and PSE&G officials have been delayed
15 really attacking some of the real problems is that
16 they cannot be addressed. The plant is never going
17 to operate the way it was supposed to safely.

18 If you look at the special team report
19 that is being discussed here, there are a number of
20 issues that are very hair raising indeed. And
21 nearly so was the gentleman talking about the issues
22 of plant officials and workers afraid to step forth,
23 for good reason. There's a number of issues that
24 are really shockingly uncalled for.

1 One, the licensing bases systems
2 review, the three systems that were really looked
3 at, the fuel handling, ventilation control area and
4 service waters were not even well understood in what
5 they have in the report called the Final Safety
6 Analysis Report. NRC also found in its report that
7 PSE&G was -- the testing practices appeared weak in
8 many situations. And apparently they weren't even
9 paying attention to testing some of the procedures.

10 Let me also -- but thank you for again
11 holding this meeting. It's important to be
12 participating. And I thank Ruth Fisher for her role
13 for organizing the meeting and getting Congressman
14 LoBiondo's office to hold the first NRC safety
15 meeting in Salem County. It's high time that people
16 in the area get a chance to address NRC officials
17 face-to-face, and that's very important because this
18 is a very important process.

19 Number one concern really is that there
20 seems to be a certain lack of commitment throughout.
21 You know, we acknowledge there's a lot of safety
22 issues in the history of the plant. It's time now
23 before we can even think about restart to answer the
24 questions and make sure that the design bases

1 specifications are met now and before that thing is
2 even ever brought on, and also a plan is made that
3 would put it in that design bases.

4 Three systems were looked at closely.
5 10 systems were only, you know, roughly looked at.
6 And of the three systems that were looked at
7 closely, a number of problems were found. You know,
8 we know what those are.

9 When the plant operates in these
10 unanalyzed systems and their design base is not
11 being met, you can't guarantee that the plant is
12 going to operate safely. You don't know what's
13 going to happen at that point. It's important that
14 the people know that it's been running, given, you
15 know, this kind of open license to operate in an
16 unsafe, unanalyzed condition for years. And we
17 can't talk about restart until all those questions
18 and all those procedural issues are laid out.

19 PSE&G has a commitment. They're not
20 here. You know, we're asking the NRC to take up
21 their responsibility here and really get commitment
22 from the PSE&G that they're going to actually change
23 the management problems, allow people to talk about
24 the concerns they're having, and also to come up

1 with a real plan. PSE&G doesn't seem to be very
2 committed at all in this process.

3 The third point is that Salem and the
4 PSE&G officials have to demonstrate that the plant
5 is going to come up to specs and operating design
6 bases before it's allowed to go back online.
7 There's never been a plan set forth by PSE&G that
8 says this is the point in which we'll fix this
9 problem or fix this problem even while this thing
10 was running.

11 Now we've got this thing shut down now,
12 there's been the Millstone plant down South shut
13 down because they're outside design bases. We're
14 saying now this plant is already shut down, let's
15 definitely not think about restarting until we can
16 get these design bases and safety questions out of
17 the way.

18 And thirdly, just calling on the NRC to
19 do a vertical slice inspection that doesn't just
20 look at three systems but looks at the entirety of
21 all operations at the plant.

22 And also, and particularly looking at
23 Salem 1 problems, I mean as far as I know, and I
24 could be wrong, but it seems likes Salem 1 I know

1 has the same design as Salem 2. And there's been a
2 number of problems with the steam generation plant
3 there and a number of operational problems. Are
4 those problems being, you know, analyzed and then
5 applied to Salem 2? Is there a complete disconnect
6 or are we picking up the problems there and carrying
7 them to Salem 2? These are not separate entities,
8 they are the same design plan. These are concerns
9 that we need to address.

10 The number one thing that we need to
11 get from the NRC and I think would make many people
12 here feel better is that before we even think about
13 the restart plan, we really need to address these
14 problems set forth in the team inspection report. I
15 think it's very well said that we realize that PSE&G
16 has not been able to conform to design bases, and we
17 need to have that happen before we can even begin to
18 mention the word restart.

19 And, you know, I recognize these
20 problems here, and I'm not definitely looking for
21 restart myself, but I'm, you know, these plants I
22 think have demonstrated that they should never go
23 back online. But it's number one the NRC's
24 responsibility that at least the questions they have

1 raised are at least addressed by PSE&G.

2 MR. NICHOLSON: Thank you. Thanks for
3 your kind words and acknowledging that we came out
4 tonight.

5 MR. FLANIGAN: You know, Carney's Point
6 isn't near to anyone except for the people down
7 here, and we have other people, activists that are
8 from around the state down here tonight. It's great
9 to have everyone in a room that we can talk about
10 these issues.

11 MR. NICHOLSON: You know, this is an
12 important meeting for us too to hear you. The
13 design issues that you raised are on our plate as
14 well. You mentioned some other plants, you know, I
15 mentioned earlier there's a generic, it's called a
16 5054-F letter that went out to all the utilities
17 saying show us your plant and why you think you're
18 okay in this area.

19 Before any of that started, we, as the
20 Salem Assessment Panel overseeing Salem, said a year
21 ago we need to address this issue at Salem. And so
22 we set a course of action in place about a year ago
23 to get this issue on the table, and that's why we're
24 having the meeting this week, even before, you know,

1 the industry was set out to address it.

2 We look at the findings, we put it all
3 into context. We evaluate it against the margin I
4 spoke about, the Defense in Depth mechanism, the
5 extent of the condition, could it be transposed to
6 other systems, is this a generic issue across the
7 plant. And we come to a decision. We haven't
8 reached that decision yet on Salem.

9 MR. FLANIGAN: But isn't it true in
10 those 5059 reports that PSE&G hasn't responded to
11 the issues and the out of sight design bases? It
12 seems to me that there's a certain defense of PSE&G,
13 and you shouldn't be doing that.

14 MR. NICHOLSON: I don't mean to defend
15 them. I'm just speaking where we're at in the
16 process. They have docketed their -- it's a 5054-F
17 response it's called -- they've docketed that. We
18 are reviewing that. That will be one of the center
19 issues we talk about Thursday, as well as what is
20 their long range plans.

21 You know, the other aspect, for
22 example, in the steam generators, one of the
23 criteria we established for ourselves is if they
24 have those problems in Unit 1, why are we okay on

1 Unit 2. We brought in experts. We did our own
2 independent looking evaluation of some of their
3 data. We looked at the inspection techniques they
4 used, looked at the failure mechanism that was
5 involved on Unit 1, do we see that on Unit 2. You
6 know, that was, again, one of the issues we put on
7 our plate to say we have to be able to address.

8 We've done that and concluded that
9 there's -- there is a difference in the condition of
10 the steam generators. Unit 2 steam generators are
11 in much better shape. And we've concluded -- you
12 know, there's a difference, and we've evaluated that
13 using the technical expertise.

14 MR. OLSHAN: Let me elaborate on that.
15 Even though the steam generators are identical in
16 design, in the early stages of Unit 1 operation,
17 they had some water chemistry problems that
18 contributed to the extent of the damage to the tubes
19 that exist today; and Unit 2 didn't have the same
20 problems.

21 MR. MARSCHALL: I'd also offer that
22 water chemistry in steam generators is a very
23 complex problem. And whereas the problem that Lenny
24 mentions about the chemistry control from the early

1 days of Unit 1 steam generators, which is different
2 than the way the Unit 2 has been operated, may have
3 a great deal to do with it. The cause of the
4 problems in the steam generator is really pretty
5 much not well known.

6 The fact is, however, that the effects
7 are well known and the effects are observable. And
8 based on tests in the steam generator, what we know
9 is the condition of the Unit 2 steam generators is
10 much better than the condition of the Unit 1 steam
11 generators was, for whatever reason. And ultimately
12 there's a program to monitor the conditions of the
13 steam generators on a periodic basis. So if the
14 condition of the Unit 2 steam generators changes for
15 some reason, that will be detected.

16 MR. NICHOLSON: You also handed us a
17 document, which of course we haven't had a chance to
18 read, but we appreciate you taking the time to write
19 it down. We'll take this back, we'll review it, if
20 there's any questions or concern, I guess we use
21 this address --

22 MR. FLANIGAN: Right. I think the
23 general concern, to reiterate, is that there seems
24 to be a lot of unassurance of exactly what is wrong

1 with a lot of systems in the plant and exactly how
2 to get it back to the design bases. And the number
3 one issue that New Jersey PIRG, the concern that we
4 have and a number of other people here as well
5 share, these things should not even be anywhere near
6 thought to restart until we can answer every
7 question beforehand.

8 And the fact that these plants have
9 been running so long with all these problems
10 floating around is a true testament to the
11 mismanagement that has brought up here in the back,
12 and for good reason why some people have been afraid
13 to come forward. If this has been going on for so
14 long, I don't think it's inappropriate to ask that
15 we know what is the safe operation of the plant.

16 MR. ZWOLINSKI: If the licensee can't
17 answer that question on Thursday, then indeed it
18 will be sometime before this plant can ever consider
19 to operate again. That's a very significant meeting
20 to discuss the licensing bases, the design bases and
21 why do they believe they have the design bases
22 well-defined and translated, that is reconciled with
23 the as-built plant. Your technical evaluations,
24 your calculations, assumptions, drawings, all of

1 that must match the plant such that we can assure
2 ourselves from an engineering perspective that any
3 analysis the licensee performs in the future is
4 always predicated on sound, accurate information.

5 So the point you're making is one that
6 we've tried to say yes to you a couple, three times
7 and to others, it's a very important point, and
8 indeed we are getting after that very issue. And
9 we'll let the licensee speak for themselves this
10 Thursday as to where they believe they are with this
11 particular concern. And as Larry alluded, we'll get
12 back to you promptly regarding some of your own
13 comments.

14 MR. FLANIGAN: I'm just curious, is it
15 your opinion that PSE&G and the plant will ever be
16 able to come back from the design bases? Just from
17 your experience with the operation of that plant and
18 the overseeing of it, do you think that's actually
19 something that can happen? That doesn't appear to
20 me as a possibility. I mean I could be wrong, but
21 it seems that with the problems that they've been
22 faced with that it doesn't seem that they even want
23 to talk about coming from the design bases.

24 MR. ZWOLINSKI: Again, I can't speak

1 for the licensee. They're going to address this
2 specific question on Thursday.

3 MR. FLANIGAN: But your feeling though,
4 I mean do you think it's something --

5 MR. ZWOLINSKI: They have applied
6 significant resources to the issue, and have they
7 been able to reconcile their design bases
8 information with the as-built plan, I'd like them to
9 answer the question.

10 MR. FLANIGAN: They've definitely
11 dumped a lot of money into what seems to be a black
12 hole at this point.

13 MR. ZWOLINSKI: I really don't have
14 anymore to say on the problem.

15 MS. NOGAKI: I'm Jane Nogaki. I
16 represent the New Jersey Environmental Federation.
17 It's a statewide organization. And we have 70
18 thousand individual members and 72 member groups.
19 It's also the State chapter of Clean Water Action, a
20 national environmental organization.

21 My question is from a technical point
22 and from a management commitment to safety point,
23 what will you accept as a satisfactory solution?
24 Are you looking for a hundred percent satisfaction

1 on your questions and concerns answered and
2 resolution of problems, or will you accept 70
3 percent, you know, solution, an 80 percent solution?

4 My concern is that when you've
5 identified problems and you've asked them to be
6 addressed, are these going to be toted up on a
7 checklist and then, you know, the preponderance of
8 the evidence is going to sway your mind. Because my
9 concern is that even though some of these problems
10 may be able to be technically achieved by PSE&G, in
11 the past, their performance, their management
12 performance has shown that time and time again
13 they've cut corners.

14 And I'll give you just two examples
15 that I've personally dealt with. The last time that
16 I came to testify at a hearing was regarding cooling
17 towers which were considered the best available
18 technology to mitigate the fish loss from the intake
19 structure, millions of pounds of fish killed
20 annually at the intake structure. PSE&G argued at
21 that point that the cost of building the cooling
22 towers was disproportionate to the benefit. And
23 they offered an alternative strategy of buying
24 wetlands as a mitigation project to restore marshes

1 and regenerate the fish out of marshes to offset the
2 loss from the cooling structures. So they were
3 making an economic argument of why they wouldn't do
4 best available technology in that instance.

5 Then when they developed their marsh
6 restoration plan, they used cutting corners again to
7 achieve their marsh restoration by using a massive
8 herbiciding approach to killing fragmitis and trying
9 to regenerate spartium, 5,000 pounds of pesticide
10 applied to the area. And again, the rationale was
11 that was the cheapest and quickest way to achieve
12 their goals.

13 And so what I'm asking you is how do
14 you know that even if there's a technical way to do
15 what they're supposed to that they won't again cut
16 corners as they've demonstrated to do by every means
17 in the past?

18 MR. NICHOLSON: Thank you. We've
19 mentioned a couple times a document that's dated
20 January 2nd, '97. It's a document from the staff to
21 the Commission that really hits upon some of your
22 questions, and we have some copies available. But
23 if I could steal a minute from some words we put in
24 there regarding expectations, do we just, you know,

1 how far, how much is good enough, the term we've
2 used, you've heard us bat around margins of safety,
3 reasonable assurance is another term.

4 You know, we're not predicting or we
5 would expect I guess if at some point they restart
6 this unit that there will be additional problems.
7 What we would also expect that the number and nature
8 of those problems as compared to what was occurring
9 in the early '90s is significantly reduced.

10 We've said in this paper that our
11 expectation is that they address the significant
12 problems with the process. That's corrective
13 action, plant equipment and human performance, so
14 we're looking at all three of those elements. We've
15 said in this paper and we've told the utility our
16 expectation is that fundamental change is required
17 to assure that these past problems do not reoccur.
18 I mentioned that we're going to keep the Salem
19 Assessment Panel intact for the long haul.

20 We expect that they demonstrate -- I'm
21 stealing here from words -- that the previous
22 management weaknesses and flaws in problem
23 identification and corrective action have been
24 effectively addressed. And that's some of that that

1 you're getting at. You know, we talked about the
2 quick fix, you know, taking the easy way out, not
3 addressing the problems. And they've overhauled
4 their processes, corrective action processes.

5 And we go in and we look at that and
6 say well, does this have staying power, is this
7 going to escalate, are issues going to escalate on
8 their own merit or what happens to them. We're
9 going to look at them, you know, again
10 organizationally and eventually do a Readiness
11 Assessment Team.

12 But that's the fundamental problem
13 you're talking about that they, you know, that
14 they -- that plagued this place for years. So, you
15 know, we're in agreement with that.

16 We also watch them very closely against
17 the requirement, you know, the tech spec,
18 operability of systems, we'll be watching that to
19 make sure we have everything in place. We'll be
20 watching the problems they have, and they're going
21 to have more problems, you know, that we'll watch it
22 and see are they dealing with it now, how are they
23 reacting to that, because they were not reacting
24 well to them for years.

1 It's important, you know, they have it
2 institutionalized how they react, how to prioritize,
3 how they develop, you know, root cause, do they have
4 the right expertise to get to the bottom of some of
5 these technical issues. Are they sending the right
6 messages to the organization and staff. So it's an
7 issue that we've framed and I think, you know, we
8 hit on the answer to this letter.

9 MS. NOGAKI: But just coming back to my
10 question, do you expect to a hundred percent? When
11 you add it all up, how do you make that final
12 decision?

13 MR. NICHOLSON: Well, it comes down to
14 the reasonable assurance, the engineering judgment.
15 You have to look at the situation in total with, you
16 know, if you look, there's some safety nets built in
17 in the regulation with the tech spec, operability,
18 you have to have these systems operable, that's
19 built into the fundamental structure.

20 MR. ZWOLINSKI: And fundamentally they
21 must be in 100 percent compliance with the technical
22 specifications. Those are the most fundamental
23 requirements that the agency imposes when they issue
24 the license itself.

1 And then secondly, conformance with our
2 rules and regulations and their commitments and
3 their final safety analysis report, the very issues
4 this other gentleman was alluding to, are
5 expectations the staff holds for this licensee.

6 Now, does that mean that there could be
7 a widget that's out of place or something askew
8 within the context, all of that got into a little
9 bit of our Defense in Depth redundancy. There's no
10 margin for error with these technical
11 specifications. You must conform and meet your
12 technical specifications, period. If you don't meet
13 it, then you have an action that you must implement.

14 If you have a rule that you're not in
15 conformance with, you must bring yourself back into
16 conformance immediately, otherwise there's actions
17 that must be taken by the licensee in working with
18 the agency. So there is a push towards the way
19 you're using the word hundred percent, I don't think
20 we mean to convey it will be a hundred percent
21 perfect. That's where we're saying the
22 reasonableness test comes in, engineering judgment.

23 But for the higher tier, most important
24 documents that the licensee is required to operate

1 by, yes, indeed, they'll be required to meet all
2 those higher tier documents. The lower tier or sub-
3 tier documents that form the entire licensing and
4 design bases may not necessarily be a hundred
5 percent complete.

6 MR. NICHOLSON: Thank you.

7 UNIDENTIFIED MAN: I don't want my name
8 recorded or picture taken, please.

9 MR. NICHOLSON: You have to make sure
10 you speak up.

11 UNIDENTIFIED MAN: I said I don't want
12 my name recorded or my picture taken for any people
13 out there, but I just want to say I've worked for
14 Salem for 21 years, and I'm still working there.
15 The point of management people being able to speak
16 their mind and raise those issues, I ask the NRC
17 please look at that very closely. Please go around
18 to the field people, go out and talk to the guys
19 with wrenches in their hands, see if they're
20 comfortable. Get to the grass roots of people being
21 able to speak their minds and having issues
22 addressed and concerns looked at.

23 I'm a management employee. I fear for
24 my job just being here today. I can't emphasize

1 enough, please look at that issue, please make that
2 heavy emphasis on your decision on the restart of
3 Salem.

4 MR. ZWOLINSKI: We will. Sir, to the
5 extent that you could possibly stop by the Resident
6 Office or engage our Resident to give us any type of
7 insight, any specifics whatsoever that would afford
8 us an opportunity or a lead to pursue would be
9 greatly appreciated.

10 UNIDENTIFIED MAN: I will do that.
11 I'll call tomorrow morning.

12 MR. ZWOLINSKI: Thank you very much.

13 MR. AUGUST: I'm Bernard August with
14 the Coalition for Nuclear Power Postponement out of
15 Wilmington, Delaware. Also part of another group
16 called Green Delaware, along with a coalition of
17 environmental groups.

18 I have a specific question to ask about
19 the earthquake viability of that site. What
20 magnitude earthquake can that plant stand before
21 severe structural damage is done to it?

22 MR. NICHOLSON: We'd have to look that
23 up. We don't know off the top of our head. But
24 it's described in their the design bases of the

1 license. So we could find that out for you and get
2 back to you.

3 MR. AUGUST: How many acres does that
4 plant cover, do you know?

5 MR. NICHOLSON: We'd have to get back
6 to you on that too.

7 MR. AUGUST: Who would I call to get
8 that information from?

9 MR. LORSON: You can call any of the
10 Residents. We're at 935-5151, it's area code 609.

11 MR. MARSCHALL: That information should
12 also be available to you at the Salem Library.

13 MR. AUGUST: Salem Library too?

14 MR. ZWOLINSKI: Chapter 1 of the Final
15 Safety Analysis Report gives a fairly exhaustive
16 description of the site, site characteristics. And
17 then seismic issues such as that you raise I believe
18 is in Chapter 3, but there's an index in the
19 beginning of the Final Safety Analysis Report, and
20 you'll find that readily under seismic.

21 MR. AUGUST: Well, if you can tell me
22 what chapters in the book, how come you can't tell
23 me what it is?

24 MR. MARSCHALL: There's a great deal of

1 design bases information about a nuclear power
2 plant.

3 MR. AUGUST: I understand all of that,
4 I'm just asking a simple question what, on a Richter
5 scale, what damage occurs to that plant, what is it
6 made to take. I mean you should be able to tell me
7 that. I don't understand that. I mean you can tell
8 me what chapter to go and where it is and all of
9 that, why can't you tell me what that plant can
10 withstand?

11 MR. ZWOLINSKI: I've been in the
12 industry for quite sometime. I've reviewed many of
13 these facilities and was involved in initial
14 licensing. Unfortunately, you can't commit all
15 design parameters to memory for all plants.

16 MR. AUGUST: Is there a national
17 standard where they have to locate a site, where you
18 have to come up with a range?

19 MR. ZWOLINSKI: The agency siting
20 characteristics that we have worked extensively over
21 the last 25 years with industry groups in the area
22 of seismicity would have the design bases earthquake
23 for plants on the West Coast to be significantly
24 higher than those on the East Coast.

1 It would not be fair to just guess off
2 the top of my head what I believe the number to be.
3 I have a working knowledge in the field, but to give
4 you the specific, unfortunately I don't have it. I
5 can tell you that those numbers have been developed
6 over a long period of time, going back into the late
7 '50s, early '60s, and were part of the initial
8 regulations and requirements that the agency
9 developed and promulgated. So seismic concerns have
10 always been a very important concern for the staff.

11 MR. AUGUST: What's liquefaction?

12 MR. ZWOLINSKI: Well, we've used the
13 word liquefaction most recently in the siting of dry
14 cask storage canisters at sites where you'll have a
15 civil structure interaction deep into the earth,
16 where you'll essentially have earth slide along a
17 fault line, along the gradient. You'll also have
18 the potential for the site to see that effect due to
19 movement of terrain, subterranean, deep below the
20 site itself.

21 And the concern that I've addressed in
22 the past related to dry cask storage was the
23 possibility of having soil movement at the surface
24 of the earth and translated from as much as a couple

1 of hundred feet below the earth up to the top. So
2 if there's a slippage of soil of a couple hundred
3 feet beneath the earth will that cause soil to move
4 at the top.

5 MR. AUGUST: Okay. Another question
6 too is I visited your plant today. I notice a
7 complete absence of security.

8 MR. ZWOLINSKI: At Salem?

9 MR. AUGUST: At Salem. I drove into
10 Salem today at the Visitors Center. I left there, I
11 took a wrong turn by accident, I drove right by
12 the -- I don't know -- some kind of employee parking
13 lot, around some kind of generating system that's
14 there and then I drove out. And there was not one
15 guard to be seen anywhere.

16 And I said to myself as I left there, I
17 said to myself I'm glad I'm not a person that is not
18 of ill intent or anything. Because there was no
19 guards. There was no security whatsoever. I could
20 have drove in there with a truck full of explosives
21 and set that son of a bitch off and it would have
22 been all over, and it would have taken me less than
23 five minutes to do that, and I was just astounded by
24 that. And I just don't understand it.

1 I can understand about the contractors
2 going on. There are always people coming in and
3 out. I just hope that they're people that can be
4 trusted, that there are people that security cleared
5 or whatever your processes are. I know a lot about
6 nuclear energy, you know, from over the years, but
7 the security plan is just something that always has
8 been a rub with me. Because we're talking, you
9 know, not peanuts here, we're talking total
10 destruction of large square miles of area here,
11 uninhabitable. And we're talking about a lot of
12 maniacs out there who have a beef to grind and use
13 any method to get their point across. And I was
14 really upset about that today, and I'm sorry I have
15 to bring this up here. I'm infuriated by that.

16 MR. MARSCHALL: I was on the site
17 today, and without getting into a lot of detail on
18 what the security measures are, I can tell you that
19 I would normally expect that the area that you drove
20 around, it wouldn't have a great deal of presence of
21 guards. Maybe occasionally, but there really isn't
22 a whole lot of requirement for the presence of
23 security force based on what the regulations
24 require.

1 Let me finish before you jump to any
2 conclusions. There is a requirement for security
3 force on the site, and at the point where you get to
4 challenging the design bases security force, you
5 would have encountered guards. So it's all
6 according to you have to be familiar with what the
7 general requirements are for security on a nuclear
8 power plant, and you just didn't get to the point
9 where you would have encountered the guard force,
10 but believe me, they're there.

11 MR. NICHOLSON: They have a security
12 plan that implements their program. And, you know,
13 that's another area we inspect. We're not at
14 liberty to discuss a lot of the security aspects in
15 a public forum, but, you know, I can assure you
16 there was a guard force present at Salem today.

17 You know, I drive in and out of that
18 parking lot all the time. You know, the parking
19 lot, part -- how far you put the fence out, it's
20 part of the security plan. Parking lots are outside
21 of that, are not normally in the primary security
22 focus area, but it's an area we inspect also.

23 MR. AUGUST: I know way back when, I
24 was over here at a demonstration, they had a fence

1 up. And where the old visitor shed used to be a
2 trailer, there was no guards there. I reported that
3 to the NRC years ago and the plant was fined, and at
4 least they had a fence up.

5 But, you know, how it's set up right
6 now, you can drive right onto the site. The
7 Visitors Center is like, what is it a hundred 55
8 yards from one of the containment buildings or, you
9 know, the cooling tower that's there. I mean it
10 just floored me.

11 But the technology that is nuclear, as
12 volatile as nuclear energy, as destructive it is,
13 that there isn't lower accessibility to driving into
14 that plant in its present state, regardless of the
15 NRC regulation. They need to modify them. I want
16 to file a complaint on that. I find it appalling,
17 absolutely appalling.

18 MR. ZWOLINSKI: If I can offer to you
19 regarding the security issue, if you will be so kind
20 as to give us your name and address, to the extent
21 we could provide you additional information, we
22 would be more than happy to.

23 MR. AUGUST: I understand.

24 MR. ZWOLINSKI: Again, recognize that

1 much of that information in the area of safeguards
2 which is not publicly available, but we'll try to be
3 a little bit more comprehensive in our response to
4 you than we were here at the table, if that would be
5 acceptable.

6 MR. SOLOMON: My name is Edward
7 Solomon. I can see those cooling towers from my
8 lawn. I think in a lot of respects, Public Service
9 is getting a bad rap. I have been in that area
10 many, many times as an engineer for the telephone
11 company. I know what he's talking about when he
12 talks about security.

13 Hell, I don't think most of these
14 people could find their way out to the island, and I
15 can see it from my farm. I'm not afraid of it.
16 Where are you going to get your electricity from?
17 You don't want coal. They're concerned about the
18 sulfur. If you shut all the nukes down, go ahead,
19 sell all your stock in your utilities, turn the
20 lights out, then what are they going to do?

1 21 I'm not concerned about them. I think
22 Public Service is doing the best they can. Every
23 morning that chopper flies over my farm with that
24 fellow from Newark who is supposed to correct the

1 problems down there. Philadelphia Electric
2 basically had the same problems and Paquette
3 straightened them out.

4 Give these people a chance. You people
5 will monitor them. You know what they're doing in
6 there. If that plant isn't safe to start up, you'll
7 shut it down, not Public Service.

8 Let me say this, I happen to be a
9 stockholder in Public Service, yeah, and so you can
10 say that I have a biased opinion. And I told my
11 wife when I came here I was going to keep my mouth
12 shut. But I mean I've boated out there, I've
13 crabbed out there. I know about the security
14 problem. I've been in the dome, I've been in the
15 control room. I put phones in Bethesda, Maryland
16 for you people. And I think they're getting a bad
17 rap. I think they're trying to straighten it out
18 and I think you ought to give them a chance.

19 Let me say this, if that plant blows
20 up, I go with it, because I can see the tower from
21 my farm. And I'm not afraid of it. And I don't
22 think all the muskrat packers that live down there
23 in Lower Alloway Township are afraid of it either.

24 MR. NICHOLSON: We're here to make sure

1 it doesn't blow up.

2 MR. SOLOMON: Unplug it, let the lights
3 go out for a week and there'll be a lot of opinions
4 changed.

5 MR. NICHOLSON: Yes, ma'am.

6 MS. FRANKHEISER: I'm Barbara
7 Frankheiser. I'm from the Environmental Response
8 Network of Cape May County. First of all, I'd like
9 to tell the gentleman that we found it very easily
10 today, and we saw one very disinterested security
11 guard. And I'm in Cape May County and I don't feel
12 safe with that plant.

13 MR. SOLOMON: Wait a minute, ma'am, if
14 you go in the visitors area, that's one thing, but
15 I'm going to tell you something, I defy you to go up
16 to that dome where they've got double doors in
17 there. Let me see you get past there.

18 MR. NICHOLSON: If you folks want to
19 meet afterwards --

20 MS. FRANKHEISER: I don't want to think
21 about an evacuation on a summer weekend, a holiday
22 weekend, if this plant, something happens and we
23 have to evacuate, because I think in Cape May County
24 we'd be going out by ferry boat. There's just no

1 way.

2 Anyway, we would like to call upon the
3 NRC to shut down Salem permanently. We feel it's a
4 safety hazard, equipment failures, safety hazards
5 and mismanagement. We don't feel safe in Cape May
6 County. I'm glad people in Salem County feel safe,
7 I don't think too many do. And we would like to
8 call for safe alternatives to nuclear energy, wind
9 power, windmill fields, solar power plant. This is
10 safe, clean energy. We don't need nuclear power and
11 we don't need coal.

12 In addition, solar energy and wind
13 power, they have no intake valves to kill wildlife
14 and there's no spent fuel to be radioactive for
15 years and years.

16 We'd also like to thank Ruth Fisher for
17 being instrumental in setting this meeting up.

18 Now, I have a question. I'm very naive
19 about the whole thing. I don't understand how an
20 industry can set up these power plants without being
21 able to dispose of the fuel safely and permanently.
22 If anybody has an answer here, I'd love to hear it
23 from you or anyone else.

24 Why were these plants on line in the

1 first place, what, 20, 35 years ago when there is no
2 way to dispose of the fuel? It's radioactive and it
3 will remain that way. That's one of my problems.

4 MR. ZWOLINSKI: When the industry was
5 in its infancy, it was certainly perceived to be
6 well controlled, well understood, and quite bounded
7 as far as the direction of generating electric
8 power. And you had a number of very small plants
9 scattered about the country. Many of these were
10 demonstration projects more than they were large
11 commercial nuclear power plants.

12 As the industry began to grow in the
13 '60s and on into the '70s, Congress essentially
14 developed a handshake with the electric power
15 industry to find a repository for high level waste.
16 So Congress, our federal Congress has essentially
17 said we will take responsibility.

18 MS. FRANKHEISER: But they haven't.
19 Where does it go?

20 MR. ZWOLINSKI: Unfortunately, you
21 probably are as well versed as I am as to the starts
22 and stops of some of the activities across the
23 country, specifically Yucca Mountain in Nevada where
24 we've spent a tremendous amount of money to develop

1 that particular site. And there's certainly some
2 question as to whether it would ever be used or not
3 for the storage of high level waste.

4 As an alternative, many licensees
5 today, for the onsite safe storage of spent fuel,
6 this is fuel that was burned in the reactor and
7 stored in a spent fuel pool, licensees are actually
8 putting that in what we call dry cask storage
9 devices.

10 And the dry cask storage device is
11 essentially a very large protective device located
12 onsite. The fuel is not shipped offsite as there is
13 no repository to ship the fuel to. Those particular
14 casks that I've referred to have undergone extensive
15 design and elaborate controls as to their safety.
16 The majority of the designs that the staff has
17 reviewed and approved and have been constructed have
18 no mechanical parts. There's no moving parts, thus
19 the maintenance of the device itself is very, very
20 low and requires only a monitoring.

21 Thus it's viewed by the Commission as
22 an alternative to spent fuel storage. Spent fuel
23 storage requires mechanical systems and support
24 systems as these plants operate. The dry cask

1 storage is self-sustaining unto itself. Some sites
2 have a large number of these dry cask storage
3 canisters, others are planning on using that vehicle
4 to dispose of it.

5 MS. FRANKHEISER: What is the life of
6 those dry cask storage units?

7 MR. ZWOLINSKI: Could I get back to you
8 with the specifics? I thought the design life was a
9 hundred years.

10 MS. FISHER: Just within a thousand
11 years.

12 MS. FRANKHEISER: That would be safe
13 for -- this will be radioactive for what, 250
14 thousand years?

15 MR. ZWOLINSKI: The philosophy of the
16 dry cask storage by the utility industry is this is
17 an interim until the United States finds a way or a
18 manner or a place to essentially develop a
19 repository in form you could ultimately take the
20 fuel from the dry cask storage vehicle and transport
21 it to a longer term repository.

22 MS. FRANKHEISER: In other words, it's
23 like putting astronauts up in space and say okay,
24 we'll get them down when we figure out how, right?

1 Nobody knows exactly what's going to happen to this.
2 You don't know the life of the dry cask storage
3 units. Nobody knows, bury it or keep it.

4 MR. ZWOLINSKI: There is a finite
5 defined life for dry cask storage, each one of these
6 canisters I referred to. So that's well-defined.
7 It's predicated in part on the establishment of a
8 permanent repository in which one day in the future
9 we would move that fuel.

10 MS. FRANKHEISER: One day in the
11 future?

12 MR. ZWOLINSKI: To a permanent site,
13 yes. And I would owe you the details of what our
14 regulations require as far as length of time that
15 the dry cask storage has been licensed.

16 MS. FRANKHEISER: Our group address is
17 on there, if you would send me information.

18 MR. ZWOLINSKI: I'll be more than happy
19 to give you additional information on that topic.

20 MR. NAVE: My name is Bob Nave. I'm
21 from Philadelphia Solar Energy Association. I just
22 have a hard time accepting the fact that all of you
23 are experts in nuclear power, I can't believe no one
24 up there can venture an answer as to the life

1 expectancy of the dry cask systems. Come on,
2 somebody up there knows the answer.

3 MR. ZWOLINSKI: Well, the agency, in
4 another office not associated with Reactor
5 Operations, handles the licensing and certification
6 of the dry cask storage casks themselves. I'm
7 knowledgeable only because sites that I've been
8 responsible for reactor safety have adopted the use
9 of dry cask storage. And off the top of my head, I
10 didn't want to give this lady a misleading answer.
11 I would prefer to go back to the experts in our
12 agency familiar with that technology. I am
13 sufficiently familiar to be able to represent it,
14 but I don't have the number at my finger tips.

15 MR. OLSHAN: Salem is not using dry
16 cask storage. They're not using it.

17 MS. FRANKHEISER: What are they using?

18 MR. ZWOLINSKI: If you would like
19 details of what I've just committed here, I'd be
20 more than happy to furnish those. So if I get your
21 name and address later.

22 MR. NICHOLSON: Yes, sir.

23 MR. HAMILTON: Mike Hamilton from
24 CHORD, Communities Helping to Oppose Radioactive

1 Dumping. Our organization is a grass roots
2 organization. It's composed of men and women and
3 children, common folks like myself, who live regular
4 lives, don't work in the utility industry.

5 And it was started because some folks
6 came knocking at our door, offered us zero taxes and
7 said we'd like to give you \$2 million to store power
8 utility waste in your backyard, would you mind. We
9 essentially said yes, we mind very much and we said
10 we're not interested.

11 The so-called low level nuclear waste
12 that power plants produce has to be stored safely
13 somewhere. And it's active, it's dangerous, some of
14 it for at least 500 years.

15 The common people in the small towns in
16 New Jersey are not interested in the \$2 million
17 incentive that the New Jersey Low Level Radioactive
18 Waste Facility Siting Board is offering a small town
19 to accept.

20 This so-called low level waste, low
21 level is really a misnomer. When you look into it,
22 you find that it's composed of class A, B and C
23 wastes. Some of it's highly radioactive and lasts a
24 long time. It has no bearing, the word low level,

1 on risk at all, it's not low risk.

2 What we don't want to worry about is
3 cancer in our families. We're not interested in
4 free college educations for our children. I don't
5 want to worry about my wife coming to me and saying
6 I have breast cancer. We're concerned about the
7 women who may come down with breast cancer from
8 being exposed to low level radioactivity over time.

9 I don't think these facilities can be
10 guaranteed not to leak. I think some leakage is
11 inevitable given enough time. We're concerned with
12 the fathers who may come down with prostate cancer
13 and won't be able to live a long, happy life and see
14 their children grow up.

15 Nuclear power plants produce nuclear
16 waste. The waste is I think from Salem 1 and Salem
17 2 there's 38 hundred cubic feet, approximately,
18 that's put out every year when it's operating
19 efficiently.

20 What I'm here to say is when it's
21 operating efficiently, it's also a very efficient
22 producer of low level waste, something that can't be
23 made to go away. It can only be stored for a very
24 long time and it becomes a hazard, not only for my

1 children but my children's children and their
2 children to come.

3 And by allowing that to happen, we're
4 giving approval for accumulated risk that we don't
5 know the quantity of, we don't know the extent of.
6 You get low level ionizing radiation from hospital
7 x-rays, and I know we all at one time have had a
8 hospital x-ray of some sort, a dental x-ray,
9 exposure to radon.

10 Low level ionizing radiation is
11 something that every one of us encounter every
12 single day. Everyone one of us in this room is
13 exposed to ionizing radiation, the same kind of
14 radiation that a low level waste facility might emit
15 and might increase the background levels of
16 radiation.

17 Every year longer that we permit Salem
18 1 and 2 to operate, it's another 38 hundred cubic
19 foot of waste that enters the waste stream and has
20 to be stored somewhere, whether it's stored onsite
21 at the power plant, at one central location, which
22 is what the states want because it's easier to
23 monitor. It's costly. It cost 3 hundred 15
24 dollars, approximately, per cubic foot to dispose

1 of. Right now we're shipping it out to a facility
2 Barnwell, in South Carolina.

3 MR. ZWOLINSKI: Yes, sir.

4 MR. HAMILTON: It costs us over a
5 million dollars just for Salem 1 and 2 waste, just
6 to store it in that facility every year.

7 We're looking forward to a day when I
8 can tell my three daughters that breast cancer rates
9 are on the decline in the environment. I'm looking
10 forward to the day that I can tell my friends who
11 are fathers that prostate cancer is on the decline
12 because we're doing something about it, because
13 we're lowering risk over time that we all are
14 subject to even when things are operating perfectly.

15 I'd like to tell my children that early
16 detection is not the answer, don't wait until you
17 have cancer. I would like to tell them that I did
18 something to prevent cancer in my lifetime and for
19 their benefit as well.

20 I'd like to ask you, and I know you
21 know I was leading up to a question somewhere in
22 here, what's being done to safeguard the safety of
23 the public from the waste stream generated by
24 nuclear power plants. And I wouldn't consider

1 putting it in a small residential area something
2 that is a good way of safeguarding it and separating
3 it from the public.

4 MR. ZWOLINSKI: So that everyone may
5 appreciate the topic of low level waste, Congress,
6 in 1982, and in enabling legislation in the late
7 '80s, essentially directed that the states take
8 responsibility via the formulation of compacts.

9 And there are a variety of compacts
10 that have been formed with typically seven or eight
11 states agreeing to come together and identifying a
12 specific waste disposal site within the boundaries
13 of those six, seven, eight states to indeed store
14 safely low level waste.

15 The genesis of this is really rooted,
16 as you articulated earlier, with the lower level
17 waste, A, B, C, found generated from dental offices,
18 hospitals, waste of that sort, rather than storing
19 it in institutions that provide caretakers, we're
20 looking for a way to move that to some sort of a
21 repository. Most of those compacts across the
22 country have not been very successful in identifying
23 a site.

24 Power plants generate low level waste

1 also, as you alluded to. However, power plants are
2 not involved in sending low level waste to any of
3 those compact agreement states to store low level
4 waste. They store it on their site or indeed enter
5 into a contract, such as you referred to with the
6 State of South Carolina, that has been willing to
7 assess fees on a pro rata basis, I think it's cubic
8 feet, and that number has continued to escalate
9 dramatically over the last three or four or five
10 years. So there's a little bit of a dichotomy.

11 I think your question of what happens
12 with the low level waste from Salem versus what
13 happens to all the other low level waste that's
14 produced in this area. And the waste produced in
15 this area is what somebody has probably approached
16 you on. Low level waste at Salem would be stored
17 typically onsite or shipped to one of these states
18 that have an agreement with Salem to accept that low
19 level waste.

20 This is not high level waste that I was
21 talking to this other lady about, but the overalls,
22 coveralls that might pick up some minor level of
23 exposure, how do I dispose of that. Typically you
24 try to incinerate it on the site, whatever, you

1 compact it to a fairly small package.

2 As far as the numbers of cubic feet,
3 I'm not familiar specifically with the amount of
4 waste that Salem is generating, but they're required
5 to monitor that very closely.

6 MR. HAMILTON: Just as a quick
7 follow-up, and correct me if I'm wrong, if you
8 measure by radioactivity, the amount of
9 radioactivity that is generated by the low level
10 waste that we ship to Barnwell, 93 percent of the
11 radioactivity is produced as a by-product of the
12 generation of energy by nuclear power plants. The
13 remaining 7 percent of the radioactivity, which is
14 the hazard that we're concerned about, we're not
15 concerned about it falling on our heads, we're not
16 worried about volumetric measures.

17 What I'm concerned about is the State
18 is going around and they're saying we have the
19 technology to dispose of this safely; furthermore,
20 we'd like to put it in your backyard. And nobody
21 has shown me -- and I don't know what the NRC
22 exactly has to do with this -- but nobody has shown
23 me that it can be safely stored for 500 years in a
24 residential area. In my town they wanted to put it

1 two-tenths of a mile from a school.

2 I'd just like to know that the real
3 public health issues are being addressed. It seems
4 to me my impression is this is a closed system. You
5 talk to Public Service, Public Service talks to you.
6 If we have a health concern, we're told that we go
7 to Public Service as shareholders and say we're not
8 going to invest in your company. So they kick up
9 the dividend two-tenths of a point and they get all
10 those shareholders back in.

11 Where are we left in terms of the
12 negative health effects from the generation of
13 electricity through nuclear power?

14 MR. ZWOLINSKI: Siting a low level
15 waste repository in New Jersey and associated the
16 compact states is a State issue. And the mechanism
17 that is used or the device that would be used to
18 store that in, the agency would be involved with,
19 but it's left to the State as to where -- the State
20 and the other compact states to decide where the
21 waste would be landed.

22 So that's not -- that's a State issue.
23 I'm not aware that this electric company or any
24 other company is involved. That's a State

1 Government issue.

2 MS. BERRYHILL: May I ask a question,
3 please?

4 MR. ZWOLINSKI: I think we're trying to
5 go with everyone who hasn't spoken yet.

6 MS. BERRYHILL: It pertains to the
7 compacts.

8 MR. ZWOLINSKI: Yes.

9 MS. BERRYHILL: Delaware voted to join
10 the Appalachian Compact. I served on the Governor's
11 Advisory Board at that time, because the '82 Waste
12 Policy Act was heralded as the solution. There was
13 a lot of politicking, a lot of states didn't pass
14 it. Of all the planning, can you tell me how many
15 compacts are actually now effectively operating?

16 MR. ZWOLINSKI: I'm sorry, you're into
17 an area that's beyond my expertise as far as the
18 effectiveness of each of the various compacts.

19 MR. NICHOLSON: The answer is none.

20 MR. McLAUGHLIN: The question was how
21 many are effectively operating.

22 MR. NICHOLSON: Right.

23 MR. McLAUGHLIN: Yeah.

24 MR. TOTA: Tony Tota for Clean Ocean

1 Action. We're a coalition of organizations of about
2 75 organizations in the State of New Jersey. And I
3 have a question. Would you allow the Salem to
4 restart if it's in violation of other Federal
5 regulations?

6 MR. NICHOLSON: We'd have to look. I
7 guess, you know, like OSHA?

8 MR. TOTA: Looking at the Clean Water
9 Act, Section 316-B having to do with best technology
10 available for preventing adverse impact to the
11 environment with regard to the intake system.

12 MR. NICHOLSON: I guess although it
13 wouldn't be under our expertise, we would certainly
14 take the specifics of a concern you've got and, you
15 know, both evaluate it and hand it to the
16 appropriate agency that would deal with that,
17 whether it be State or Federal. I'm not familiar
18 with the act you're speaking of. But if you've got
19 some specifics, I'd be glad to --

20 MR. TOTA: As Jane had mentioned
21 earlier, PSE&G has used the minimal in regard to the
22 way that they've been treating different things.
23 They do the minimal amount of things available.

24 A perfect example has to do with the

1 cooling water system at the plant. And the best
2 technology available was cooling towers. They opted
3 to do the marsh mitigation, which is like treating a
4 cancer with a Band-Aid, it does little to prevent
5 the impact that the cooling water system is doing on
6 the environment. Essentially they're destroying the
7 base of the food chain by sucking 3 billion gallons
8 of water a day in once they're back in operation,
9 and essentially almost sterilizing that water,
10 killing all the microorganisms, which are the base
11 of the food chain.

12 Under the federal and state law, they
13 must use the best technology available. Instead
14 they opted for this plan. They got the DEP to back
15 them in the plan. And it still does not meet the
16 requirement of the Clean Water Act. And here we
17 have a law, and the law is being violated.

18 And, you know, that's just like saying
19 oh, it's illegal to drink and drive except for on
20 Saturday nights. It's a law, but it's being
21 violated. And if you allow them to restart up,
22 they're going to be in violation of that law.

23 MR. ZWOLINSKI: As Larry alluded to,
24 we're regulators, heavily focused on the safety of

1 operating reactors, that's what our training is, our
2 natural bents. You do raise a fair concern. I
3 guess I was under the impression that the State had
4 regulatory authority over the marshlands, wetlands,
5 and any effects the site had on the environs, and
6 it's a matter to share with the State.

7 We can certainly take the transcription
8 and any other materials you may have or wish to
9 provide us and forward it not only to the State, but
10 if there is a Federal agency that's involved, get
11 them involved and at least make them aware.

12 Going back to our opening comments and
13 remarks, our purpose in life is to assure that if
14 this plant ever operates again, it's operated safely
15 and in conformance with rules, regulations, what
16 have you. And I don't want to minimize your issue,
17 I just want to say we'll be receptive to help you
18 out, but recognize where our focus is.

19 MR. TOTA: But a lot of this has to do
20 with safety issues, because they seem to be taking
21 the minimal amount of effort that they can get away
22 with. Here if it's with the environment, again if
23 it's safety, what's the future for closedown of the
24 plant. Here they didn't put money aside for

1 building cooling towers. They had 16 years to save
2 money set aside for building the cooling towers.
3 Instead of investing properly, they didn't do that.
4 Eventually when they have to close down this plant,
5 do they have the resources now for dismantling the
6 plant, the resources for handling the waste
7 material?

8 MR. ZWOLINSKI: Now you're getting into
9 an area where I can speak a little bit more
10 forthrightly. The decommissioning fund that this
11 plant, both units, are required to have has just
12 been revisited by the agency. As far as across the
13 nation, rule making that has taken place to assure
14 that indeed they're fully funded to account for
15 uncertainties, what have you, such that when the day
16 comes that the plant does enter the decommissioning
17 mode, there would be sufficient resources to indeed
18 bring adequate closure to this site, the safe
19 closure of the site.

20 So the decommissioning laws are very
21 current and do require that the licensee maintain a
22 reserve fund to address the entire cost of that
23 action.

24 MR. TOTA: I just feel that the Salem

1 Power Plant, if it goes back online, should be in
2 compliance with all federal laws. And I have a
3 statement.

4 MR. NICHOLSON: Ms. Fisher.

5 MS. FISHER: My name's Ruth Fisher from
6 South Dennis. First of all, I'm glad to hear Mr.
7 Zwolinski say if this plant operates again. It
8 seems to mean a change of tone.

9 I have many questions with regard to
10 grasses, radiation, biomass, and storage from the
11 dry cask system. First I'd like to say that in the
12 past, I've attended two NRC meetings. One meeting
13 focused on cultural problems. I stayed for about
14 four hours of what I understand was a seven-hour
15 meeting, filled with inside jargon that made it seem
16 like we could fix everything with Dale Carnegie
17 courses, and everyone would be smiling at one
18 another once again. They even had one fellow jump
19 up from the audience and swear "I love my company."

20 Maybe the problem, underlying cultural
21 problem was in fear of what this plant was all about
22 and fear of speaking out. I wonder if Mr. Marschall
23 ever had anybody come from within the plant with a
24 problem, confronted him with it, and if so, what

1 that problem was, or if any of the others that are
2 there, onsite inspectors, ever had anybody come to
3 them.

4 MR. MARSCHALL: The answer to your
5 question is yes, I've had a number of occasions
6 where I've had people come talk to me directly or
7 send me mail, call me on the phone to voice concerns
8 about problems at the power plant. A wide variety
9 of problems, some of them having to do with
10 processes that they used to operate the plant, some
11 of them having to do with specific equipment
12 problems, some of them having to do with cultural
13 issues, some of them having to do with many concerns
14 that have been voiced here tonight. Yes, people do
15 come forward and talk to me and the other Resident
16 Inspectors on a fairly regular basis.

6
17 We have a process to record those
18 concerns and put them into our inspection program.
19 And we go out and do inspections to look at those
20 concerns and determine whether they're valid. And
21 if they're valid, to ensure that the problems get
22 addressed. So the answer to your question is yes,
23 people do come to me with problems.

24 MS. FISHER: I really am relieved to

1 hear that because I felt that there was from some
2 things I heard tonight and, you know, I have no
3 access to the plant beyond the inside problems.
4 It's very hard to gather them from sitting through
5 those meeting at which the public cannot ask
6 questions or there can be no dialogue such as there
7 is tonight.

8 For that reason, one of the primary
9 questions that Paul Gunter started the meeting with,
10 you said you would ask PSE&G about in Rockville,
11 Maryland. I would urge you to change your plans and
12 have that meeting here, the one coming up on
13 Thursday, and that all futures meetings be held here
14 rather than in Rockville, which is totally
15 inaccessible to myself and many other people.

16 I don't understand that. There seems
17 to be some distrust of the NRC. And I know from
18 Senator Biden's office that the GOA is preparing a
19 report, the GAO I guess it is, and it's supposed to
20 be ready shortly. Would you consider waiting until
21 that report is out before considering whether or not
22 to restart Salem at all? Do you trust that agency?

23 MR. NICHOLSON: Do we trust GAO?

24 MS. FISHER: Yes.

1 MR. NICHOLSON: I have no basis to say
2 I don't trust them. I guess I'm not intimately
3 familiar with the GAO. I am aware of the report
4 that they're generating. Yeah, I mean as far as I'm
5 concerned, they're a very credible agency.

6 MS. FISHER: So why not wait until this
7 independent audit of what's happening at Salem is
8 available to you before making any decision?

9 MR. NICHOLSON: First of all, we're not
10 really aware of the schedule that that audit will be
11 available.

12 MR. GUNTER: May.

13 MR. NICHOLSON: Whenever that's made
14 available, we will certainly view it and factor it
15 in to the way we are doing business, but, you know,
16 I don't know if it's fair to wait until something
17 comes out.

18 I think the thrust of the audit, it's
19 my understanding, is looking at how we've handled
20 Salem in the past, the problems they've had, what
21 actions the agency has taken. We feel very
22 confident with the recent actions of our agency with
23 the 0350 process, the assessment panel, the decision
24 to include them on the watch list is the right thing

1 to do, and we've been applying the correct resources
2 to it. So we feel confident in the direction we're
3 going. Will we take their findings under
4 advisement, sure.

5 MS. FISHER: But you won't guarantee
6 that you'll wait until their report is in?

7 MR. NICHOLSON: I wouldn't offer that
8 guarantee. We're going to make the decision, you
9 know, with our processes, the decisions as we're
10 presented with them. And just as GAO has to decide
11 whether to issue the report and how to proceed
12 accordingly. The two are not obviously coupled.

13 MR. ZWOLINSKI: As I said to another
14 gentleman, we're kind of the folks on the firing
15 line, responsible for reactor safety. And
16 ultimately we have the inspectors, the licensing
17 folks, the technical folks that will make decisions
18 as to are things in good stead at this facility.
19 And I still don't know if they are or are not. The
20 jury is still out. We have a job to perform.

21 The day will come in which many of us
22 will feel that the licensee is either in good shape
23 or not in good shape, whatever will be will be.

24 If we were to make a recommendation to

1 our management that we believe this plant is ready
2 to restart, my impression of what's going on with
3 this independent audit of the agency is that our
4 Commission and our more senior executives will take
5 it under consideration and advisement. And they're
6 essentially the folks that will review the
7 transcript, and they'll be asking themselves the
8 question should we allow Salem to proceed in light
9 of a report that hasn't been provided or has been
10 provided.

11 If we have the report, we will
12 certainly take it under advisement. But I don't
13 believe -- we're really not the right folks, other
14 than whatever the message from the report is, to try
15 to implement or learn or respond to. We're focusing
16 on is this plant safe and operating. Do you
17 understand the distinction I'm trying to make?

18 MS. FISHER: Yes, I understand
19 completely, but --

20 MR. ZWOLINSKI: So I think the agency,
21 trying to speak for a much higher level of the
22 Commission, will not move forward without at least
23 some consideration of that report. And I don't
24 know, I can't speak for our Commission as to what

1 they may or may not do, but I would think that they
2 would want to understand that report before the
3 plant restarts.

4 MS. FISHER: Well, yesterday I spoke
5 with Larry Nicholson, and many people, including
6 apparently Senator Biden, are concerned about the
7 makeup of the NRC. And he sent me a resume of
8 Shirley Jackson, who's the chairman of the NRC. He
9 had asked that there be a full NRC board vote on
10 this restart, but apparently she wouldn't recuse
11 herself from any vote because she has been and may
12 still be on the board of PSE&G.

13 MR. ZWOLINSKI: Our chairman would not
14 be able to serve on the board of the utility she's
15 regulating, so she's not on the board. She's
16 working in one capacity and is the chairman of our
17 agency and that solely.

18 As to what is the Commission's role in
19 the restart of this facility, we're following our
20 internal policy and guidance with respect to plants
21 that are considered on the watch list and Category 2
22 plants. Those plants typically are not brought to
23 the Commission to ask the Commission's endorsement
24 of the staff activity. The staff will keep the

1 Commission informed of its plans and will proceed.
2 And if the Commission wants to intervene, they
3 always have an opportunity.

4 MS. FISHER: But --

5 MR. ZWOLINSKI: And I think that's kind
6 of the thrust of the letters that Chairman Jackson
7 wrote to Senator Biden.

8 MS. FISHER: Well, I haven't seen that
9 letter, but speaking for myself, I think that Ms.
10 Jackson -- in fact you may tell her that I think she
11 should either resign from the NRC or vacate herself
12 totally from PSE&G. She doesn't walk in both
13 places, and somehow she should straighten that out.

14 MR. ZWOLINSKI: I'm certainly not aware
15 that she's in both places whatsoever. And as the
16 head of our agency, she'll be made aware of your
17 comments and take whatever action she thinks is
18 appropriate.

19 But I can certainly assure you that she
20 does not wear a hat for an industry organization and
21 then work for the Federal Government. She has one
22 job and one job only. And she's trying to lead the
23 NRC forward to be a better, stronger, more effective
24 regulator in the future.

1 MS. FISHER: I hope so. There are -- I
2 have a number of things, but because it's so late,
3 I'm going to just dwell on one of them ever so
4 briefly. And it relates to what Tony Tota has said.

5 I work on a number of issues, and
6 recently I have been concerned about the number of
7 eels harvested in Cape May County. It may sound
8 miniscule to you. And also about the number of
9 terrapin turtles that are accidentally caught in
10 crab traps. Those people that hear me at the public
11 meeting are most annoyed to see me wasting my time
12 talking about the few animals they are taking when
13 PSE&G will be sweeping zillions, immeasurable
14 amounts of larval stages and even small fry through
15 these intake tubes again. You see the dilemma for
16 somebody like me. How can you help? How can you
17 stop it once and for all? What agency do I appeal
18 to? You say it's not you, well who then?

19 MR. MARSCHALL: I don't think we have
20 the exact answer to that. I think my sense is that
21 it's the State that is involved in that. There may
22 be Federal agencies involved in those issues as
23 well. We certainly are not. But if you can give us
24 your concerns, as we offered the other gentleman

1 here, one of the things we can do is be sure that
2 the concerns get conveyed to the right people and,
3 you know, maybe put you in touch with the right
4 people.

5 MR. NICHOLSON: We work with the State
6 pretty closely.

7 MS. FISHER: I know all those boys, you
8 know. There's no working -- they can't enforce, for
9 instance, if you catch large sturgeon or turtles or
10 whatever, I know you have holding pens for them and
11 so forth. Imagine the fines for a fisherman if he
12 destroyed that much life. Why can't there be some
13 way that the NRC attacks this problem as well?

14 MR. MARSCHALL: Well, the only way that
15 we could attack the problem is if there were laws
16 that were passed that the NRC enforce. Currently
17 there aren't any laws that we measure the compliance
18 for a licensee that deal with those kinds of
19 environmental issues. That's what it would take for
20 Congress to pass a law.

21 MR. NICHOLSON: I think I understand
22 your concern. And I think what we need to do is
23 find out who's the right person and communicate to
24 both them and you the issue. So I mean I'll

1 certainly take that as an action to do, you know, to
2 get it -- my sense is you want to get it off top
3 dead center, your frustration, who can I go to.

4 MS. FISHER: Well, an obvious answer is
5 to close the plant, then it won't happen.

6 MR. NICHOLSON: I can find out who to
7 go to.

8 MR. HUFTY: My name is Jack Hufty. I
9 don't represent any organization. I'm just here for
10 my interest. But as I've listened through the
11 afternoon, I had certain thoughts that came to me.
12 Maybe you can straighten me out on some of those.

13 Early in the proceeding you mentioned
14 that the NRC's function is not to look into the
15 fiscal operation of PSE&G or any other group you
16 regulate, but just to look at the overall safety.
17 But I'm concerned about money being a motivator. I
18 do not understand the technical issues, but I can
19 tell you that I'm greatly concerned at the
20 possibility that you may have a situation where the
21 operator cannot make money operating the plant and
22 they cannot afford to close it down. If that
23 situation would exist, that would scare me.

24 MR. ZWOLINSKI: The decommissioning

1 fund I alluded to earlier is totally independent of
2 what the licensee's activity has as far as whether
3 the plant is operating or not.

4 MR. HUFTY: I understand that part of
5 it. What I'm worried about --

6 MR. ZWOLINSKI: And the company, not
7 the plant, the company is required to fund the
8 decommissioning fund whether the plant is making
9 electricity or not.

10 MR. HUFTY: I realize that, but what
11 I'm worried about is the financial effect of a
12 write-off of that magnitude to the company, not so
13 much the money per se itself, but if they project a
14 certain amount of income and if in fact they can't
15 make that income, that's going to have an impact on
16 their fiscal position. And insofar as that would
17 effect the company, that would bother me.

18 The second point I had is I have heard
19 throughout the afternoon people allude to employee
20 morale or the inability of people to talk freely at
21 the plant. I do not know that to be true. But I'm
22 sorry, there was people hear from the plant who left
23 earlier, I do not know what the truth of that
24 allegation is or not. Obviously that scares the

1 hell out of me. Okay. If in fact those people feel
2 free to come to you, that's fine. I'm satisfied
3 with that. Please, again I'm representing just
4 myself as a citizen, please dig into that as deep as
5 you can.

6 The third point is the gentleman up
7 here has said that the fact that the plant went to
8 watch list was in fact -- it underscored your
9 concerns that you had with the plant operator. The
10 representation that was made in the local media was
11 in fact this was not really a change in situation
12 since Salem had in fact been under increased
13 scrutiny at that time.

14 I would like you to address the fact
15 was there in fact a change of status, not only a
16 change of status, but really was there a change in
17 your mind in this situation when you went to the
18 watch list, or was it in fact the reality of putting
19 somebody on a list when they'd already been on a
20 list in the past.

21 And finally, just one final thing, I do
22 not understand the term design bases and why it's
23 important. And I wonder if somebody can explain
24 that to me.

1 MR. NICHOLSON: Okay. Let me hit on
2 the -- regarding the watch list decision, I think
3 the letter that went out explained it. The decision
4 to go on -- to place them on a watch list did not
5 imply that what they're doing today or have done,
6 the direction they've taken during this outage has
7 taken a turn for the worst or we have, you know --
8 is a statement that it's not adequate. It's simply
9 a recognition that over the last couple of years,
10 the processes I mentioned, the 0350 procedure, the
11 assessment panel, all those are things that we do to
12 watch list plants.

13 So it's essentially a squaring of the
14 record that hey, we're treating them like a watch
15 list plant, it's time we call them that and that we
16 maintain that vigilance until we are assured that
17 they could perform sustained performance at a level
18 that's needed to come off the list. So that's what
19 I meant by underscoring. I hope that clears that
20 up.

21 You mentioned your concern of employee
22 concerns, again, we agree. There's signs around the
23 plant offering ways to contact the NRC. There's
24 phone numbers. There's -- we have an office there

1 with a big sign on the door. We are out in the
2 plant. I've been a Resident Inspector and a Senior
3 Resident Inspector at plants. I've had guys meet me
4 at parking lots, call me at home. That's not
5 unusual.

6 We have a process when we get those
7 types of concerns and we put them into a process and
8 we communicate directly with the individual as
9 opposed to the plant and, you know, that's ongoing
10 all the time. I mean we monitor the activity in
11 that area as an indication of, you know, if a lot of
12 folks are coming to us, where do they stand in that
13 area.

14 But another, as part of the corrective
15 action program, frequently these plants that have
16 got into these situations, maybe QA was the only
17 group that wrote up problems, and you've seen those
18 in plants. If you look at these, I mean one of the
19 early findings at Salem when they put their new
20 corrective action program is they implemented via
21 PCs, anybody could go in. But, you know, it was
22 lost on them that there's a lot of folks that are
23 not comfortable sitting down at a computer and
24 entering it in. That issue was raised and they

1 addressed it. I mean it's that kind of thing,
2 you've got to continually talk about it, the
3 importance of addressing issues and having a healthy
4 challenge of the corrective action process.

5 So, you know, there's no doubt about it
6 it's a center piece big issue at all these plants.
7 Certainly at Salem, they have not done well in the
8 past. They've got the program in place and we've
9 inspected that, we're watching it. We're watching
10 how they -- the back end, once problems get
11 identified, what are they doing with them? It's a
12 constant effort. Design bases?

13 MR. HUFTY: I'm sorry, before you get
14 to that one, because I'm sure there's a rather
15 specific answer to that, could you address the fact
16 that again my concern is if an operator in today's
17 environment simply can't afford to operate the plant
18 and can't afford to not operate it.

19 MR. NICHOLSON: Well, we have, you
20 know, as we've stated up here, a set of regulations
21 that there's no choice they have to meet. So that's
22 not an option. Or they take actions as prescribed,
23 shut the plant down is one of them, if they can't
24 meet a certain set of requirements, so that's in

1 place. It's mandated, there's no option there.

2 The other things we look at is, you
3 know, we are always watching back logs of items, you
4 know, are they letting it pile up, are they dealing
5 with it. All those are indicators that they're not
6 addressing aggressively the issues. We watch the
7 corrective action process, we watch that things are
8 getting fixed.

9 So our involvement is not so much, you
10 know, going and looking at their financial books and
11 making sure, but we watch performance in the plant.
12 And you can see performance. It's very telling in a
13 lot of those areas. Engineering applications, you
14 know, are they going to do a deep root cause
15 assessment of an issue or are they just -- those are
16 all little indicators. And so one of our jobs
17 routinely is to watch all those little things, and
18 that's what we're mindful of.

19 MR. HUFTY: But you would, as far as
20 given the scope of you what do, it would be all
21 right with you if they lost money running the plant?

22 MR. NICHOLSON: We're not involved in
23 any way in their financial success or failure at
24 making money.

1 MR. ZWOLINSKI: I would argue if we
2 felt that there were safety concerns emanating from
3 plant equipment that was not being maintained
4 adequately, if we felt that the root cause was
5 economic pressure, in other words, the company
6 didn't provide money to replace obsolete equipment,
7 didn't provide money to do the correct maintenance,
8 that root cause would certainly surface, and we
9 would be asking the utility to explain why they
10 should continue operating. If that helps you in the
11 context of where economics may play a factor.

12 MR. NICHOLSON: We have really time for
13 one more question. There's a lady here that's been
14 raising her hand.

15 MS. ERNEST: My name is Cheryl Ernest.
16 I'm a former PSE&G employee. I no longer work for
17 them anymore. I just want to say this gentleman had
18 addressed do you listen to people's concerns at the
19 plant. You might, but upper management does not,
20 and I just wanted to add that little comment. Thank
21 you.

22 MR. NICHOLSON: Again, if you've got
23 specific examples, we'd be --

24 MS. ERNEST: I do, but I really don't

1 want to get into it here. But yes, I do have a lot
2 of concerns. You might as well say I got fired or
3 terminated last October. I've been down there for
4 15 years. I was harassed for a year from upper
5 management.

6 MR. ERNEST: From a supervisor and a
7 manager from PSE&G with new management that came in.

8 MR. NICHOLSON: Stop right there. We
9 need to go to a different forum.

10 MS. ERNEST: I can talk to you another
11 time.

12 MR. NICHOLSON: I can give you my card.
13 The best way is to contact the Resident Office.

14 MS. ERNEST: What's your number?

15 MR. MARSCHALL: 609-935-3850 or
16 935-5151.

17 MR. NICHOLSON: We really have to get
18 out of here by 6:00 or we're going to be in --

19 MS. ERNEST: Thank you.

20 MR. McLAUGHLIN: Can I make a quick
21 comment? Can you maybe make allowance for maybe two
22 more questions? I know there's a lot of information
23 here being disseminated. We appreciate your being
24 here.

1 MR. NICHOLSON: Your name, please.

2 MR. McLAUGHLIN: My name is Frank

3 McLaughlin. I live in Avalon, New Jersey. And I
4 looked around the faces in this room, I really see
5 fear, I mean literal fear in many people's faces.
6 The poor lady here, the gentleman who couldn't even
7 give us his name. And looking at you gentlemen up
8 here, once again I reiterate Ms. Fisher's thanks for
9 having us here.

10 And I look at your faces and I don't
11 envy you. You look very fearful to me. You're very
12 intelligent gentlemen, and I appreciate your manner.
13 But I think there's a very, very big picture here.
14 The more I look into it, the scarier it gets. Fire
15 penetration seals, it just goes on and on.

16 At first when many people voiced
17 concerns about this plant, the people who are
18 proponents of the plant, they stood there laughing.
19 No one is here laughing anymore. It's a very
20 serious matter here. I would hope that this plant
21 would be shut down, never restarted, both of these
22 two Salem plants, 1 and 2.

23 As you know, they've been rated by
24 independent agencies, citizens watch groups and what

1 not as Salem 1 is the worst nuclear plant in the
2 whole United States of America and Salem 2 as the
3 eighth worst nuclear plant in the whole United
4 States of America.

5 And, you know, I had heard earlier that
6 you had an expert and you were very proud that you
7 had an expert come in, when we were in the other
8 little, tiny, sardine packed room, to come in and
9 look at a particular amount of systems. But man, I
10 would sure hope to God that on nuclear power
11 everybody who does anything with nuclear power is an
12 expert, let alone that you were proud of an expert.

13 And I've heard the word critical come
14 up so many times, it's going to be critical when
15 we're operating the plant. When you're talking
16 about so many people's lives that are at stake with
17 something like this -- and I have a chart and an
18 outline that I'm going to hand each of you
19 gentlemen -- but Salem is within 200 miles of
20 one-fourth of the population -- I'm sorry, 250 miles
21 of one-quarter of the population of the United
22 States of America.

23 Now, if it's the worst nuclear plant,
24 second worst nuclear plant, with all these things

1 I've been hearing here today, I'm no expert, but all
2 these things and all these extremely intelligent
3 people, yourselves included, have been relaying back
4 and forth here and all the vibes going around this
5 room, all these people can't be wrong.

6 I've got a list of a couple things I'd
7 like to mention here very quickly, and I'll let the
8 next person say something hopefully helpful as well.

9 These plants are now at the end of
10 their design life. These plants have not worked
11 well basically since the beginning. Ms. Berryhill
12 had mentioned the amount of operating efficiencies
13 and whatnot. They've always been substandard
14 operating, substandard plants, they've always been
15 in the media. We've been reading about it and
16 worrying about it until the cows come home here in
17 South Jersey.

18 How would we ever expect broken down,
19 delapidated plants that are now white elephants that
20 people are trying to put Band-Aids on them, how
21 could those plants ever operate in a way that it
22 would be safe for people to be close to those
23 plants, let alone one-quarter of the United States
24 population.

1 You know, the NRC has promised that our
2 country's people will only be allowed to be having
3 nuclear plants if the license is given as a
4 privilege to operate. That it's on -- I mean the
5 license is only given, it's a privilege to get a
6 license, and that's if everything is perfect. As
7 this gentleman said, hey, it's got to be a hundred
8 percent.

9 When you get to human error, I mean I
10 don't think anybody in this room is perfect. And
11 the only person that's ever been perfect is the good
12 Lord. Nobody in this room is perfect. When you
13 talk about human error with a nuclear plant and when
14 you talk about the privilege to operate a nuclear
15 plant and you have to get a license to do that, with
16 these plants, there will be many failures with
17 security, we've heard about that already, management
18 and safety standards, and that's the purpose of this
19 meeting is the management, the safety of it, the
20 management and the proper safety concerns of that.

21 I feel also there's a conflict between
22 the NRC and PSE&G because one of their directors
23 from PSE&G has now come over and worked with you
24 gentlemen. I think that is wrong. I mean I feel

1 the fox is watching the henhouse.

2 The artificial islands that these
3 plants are built on are not solid, and an earthquake
4 could cause catastrophic problems.

5 Salem sucks in 3 billion gallons of
6 water a day. When I gave a speech about the Salem
7 plant once, I told them a million gallons a day.
8 And this gentleman, Tony Tota here, came up to me
9 afterwards. You know, you're way out of line here.
10 I said is a million gallons, you know, high. And he
11 said no, it's 3 billion gallons a day. And all the
12 sealife in the Delaware Bay and the Delaware River
13 combined goes in with that.

14 Salem 1's reactor system has failed to
15 operate automatically, according to New Jersey PIRG
16 and nonprofit groups that have researched this, it's
17 failed to operate automatically 26 times from 1993
18 to 1995. And I'll repeat that for anybody that's
19 not a fast writer. Salem 1's reactor safety system
20 failed to operate automatically 26 times from 1993
21 to 1995.

22 You, the NRC, hit Salem with three of
23 the biggest fines ever that were ever imposed, okay.
24 And most of this was when it was within the design

1 life, you know, hey, it's going to last for 25
2 years, it will be mothballed and something bigger
3 and better and everything else and it never
4 happened.

5 Well, I can't imagine with my peanut
6 brain here how something that didn't run right from
7 the beginning, now that it's all broken down and
8 everything, we're going to put enough Band-Aids and
9 duct tape or whatever else we're going to put on it
10 to make it run perfectly and safely near all this
11 population.

12 These plants are constantly operated
13 out of their design bases. They should never be
14 allowed to restart. Radioactive waste has always
15 been a problem, especially with these plants and the
16 less than stellar safety and security leaves these
17 plants more exposed than normal to terrorist
18 activities. And gentlemen, if every one of the
19 seven of you, if you make a decision on this, if you
20 do err, please err on the side of caution. Thank
21 you.

22 MR. ZWOLINSKI: There was one portion
23 of your remarks which I feel that I would be held to
24 at least make a statement. And that's along the

1 lines of the integrity of the folks at this table.
2 I would argue very strongly that these folks are
3 trying their level best to perform a function which
4 they've been trained, highly skilled. They're on
5 the job more than 40 hours a week as Federal civil
6 servants. There's a great number of expectations
7 placed on us to be as diligent as possible in
8 fulfilling the mandate of the Nuclear Regulatory
9 Commission.

10 You're certainly willing to and can
11 have whatever observations or beliefs about people
12 in the agency, but don't impugn our integrity based
13 on perception or lack of evidence. And I would ask
14 to be measured on my activity and my results and my
15 work.

16 MR. McLAUGHLIN: Absolutely. I have no
17 problem with the credibility of you gentlemen here.
18 Once again, I appreciate you having this meeting
19 here. Having heard, you know, I couldn't believe it
20 when I had heard someone from PSE&G now was with the
21 NRC. PSE&G has these two plants and some other
22 nuclear interests that they have problems with.

23 MR. ZWOLINSKI: And I think I stated to
24 one of the ladies, as I stated earlier, that we'll

1 assure you that the issue is made known.

2 I will say that each person is
3 certainly allowed to have, in this country, to have
4 their own views and opinions, what have you. I want
5 to come to the defense of my chairman. I think she
6 is trying her level best to take an agency that has
7 been identified to have some ills -- if you look
8 back to the Time Magazine article of approximately a
9 year ago, our performance was less than stellar at
10 the Millstone site -- she's trying to lead us
11 forward with a great number of lessons learned.

12 Much of the staff at this table are
13 attempting to perform at a higher level, meeting
14 agency expectations, and much of that is coming from
15 her and her diligence in forging a new path for the
16 agency. With that --

17 MR. NICHOLSON: We really need to wrap
18 up. Let me say that we've taken a lot of
19 information in. This poor lady here needs a break.
20 What we will do is we'll review the transcript. Any
21 questions that we glean from that directly that we,
22 you know, that we really need to address and answer
23 we'll append that to the transcript when it goes
24 into the public document room.

1 We've also got some specific addresses
2 here. We can make sure that the transcript gets
3 sent to these folks and anybody else that wants to
4 give us their name and address or mailing address or
5 somehow get that. Absent that, you can always
6 contact us, the NRC, or the public document room,
7 you know, we'll try our best to get a copy of that
8 to all interested parties.

9 Again, thank you for the evening and
10 good night.

11 (Proceedings closed.)

12 ---

CERTIFICATION

I, Loretta B. Devery, do hereby certify that the testimony and proceedings in the foregoing matter, taken on March 4, 1997, are contained fully and accurately in the stenographic notes taken by me and that it is a true and correct transcript of the same.

Loretta B. Devery
LORETTA B. DEVERY, RPR

The foregoing certification of this transcript does not apply to any reproduction of the same by any means unless under the direct control and/or supervision of the certifying reporter.

ENCLOSURE 2



11 North Willow Street, Trenton, NJ 08608
(609) 394-8155 phone (609) 989-9013 fax

**New Jersey Public Interest Research Group (NJPIRG) Citizen Lobby Testimony to the
Nuclear Regulatory Commission Concerning Unanalyzed Operation Condition,
Operation Outside of Design Basis, and General Safety Concerns of the Salem Unit I
and Unit II Nuclear Facilities**

**Gerald Flanagan
4. March, 1997**

Good afternoon. My name is Gerald Flanagan of New Jersey Public Interest Research Group (NJPIRG) Citizen Lobby-- the state's leading non-partisan environmental, consumer, and good government watchdog organization, with over 20,000 active, dues-paying members. Let me start by thanking the Nuclear Regulatory Commission (NRC) for their role as organizer and participant in this safety meeting. Let me further commend the NRC's recent listing of the Salem reactors on the nationwide Watch List of troubled reactors-- an action that demonstrates the NRC's ongoing commitment to safe operation and monitoring of nuclear facilities.

The addition of Salem to this list was made necessary by the reactors history of gross mismanagement and violation of the NRC's safety standards. This same history, and the absence of any affirmative showing by PSE&G that Salem can operate within its design basis, leads us to believe that restarting either Salem 1 or Salem 2 is premature, and would pose an extreme risk to public health and safety. I have four points to make today:

1. Salem is not meeting its design basis;
2. Unless Salem meets its design basis, the NRC cannot ensure that it is operating safely;
3. Therefore Salem should remain closed until there is an affirmative showing that both reactors will operate within design basis. A vertical slice test at both units should be performed to determine the extent of any design shortfalls.

A. PSE&G has not demonstrated that Salem can meet its design basis.

In May, 1996 an NRC investigation was initiated to examine the fidelity between the Salem Unit II as-built plant configuration, design, and the current licensing basis in the Updated Final Safety Analyses Report (UFSAR). In addition, a limited Vertical Slice investigation was carried out. To date, no such investigations have been initiated at Salem Unit 1 to my knowledge.

The Special Team Inspection (STI) presented its findings in the Salem Licensing Team Inspection Report 96-80. The report cites many instances Salem Unit II was operating outside design basis prior to shut-down, where design and licensing bases were not well understood and connected, and where NRC safety regulations were violated. Among the reports findings were the following:

- The licensing and design bases of the systems reviewed by the team (fuel handling ventilation, emergency control air, and service water/containment fan cooling) were not well understood nor were they accurately articulated in the UFSAR and CBD.
- With respect to the Fuel Handling Area Ventilation system, which ensures that radioactive material released from a fuel assembly is filtered before discharge to the atmosphere, "inspectors encountered difficulty in performing a comparison of the design and the licensing basis . . . due to the number and extent of existing and planned change notices to various documents."
- Testing appeared weak and ineffective in a number of instances, particularly for the compressed air system.
- In response to NRC concerns about the resolution of previously identified design deficiencies (DEF's) the UFSA project resulted in a detailed review of 500 deficiencies associated with design basis questions.

Further, the limited Vertical Slice Investigation at Salem Unit II led investigators to conclude:

"The inspectors encountered difficulty in performing a comparison of design and licensing basis described in the Technical Specifications, UFSAR, and CBD due to the number and extent of existing and planned change notices to various documents" (pg. 10, "Salem Licensing Team Inspection Report 96-60").

Despite these difficulties, the Special Team Inspection found discrepancies not identified as part of recent system readiness reviews, or other design activities prior to May 1996 in the nine separate systems. The inspector questioned whether an operability determination had been performed at all by facility representatives.

Simply, the report details numerous, repeated, failures of Salem Unit II to operate per design basis. Again, there is no comparable report for Salem Unit I because, to our knowledge, there has been no inspection of Salem Unit 1's adherence to its design basis.

B. When the reactor operates in unanalyzed condition, safety parameters and safe operating levels cannot be determined accurately.

In instances where reactors operate outside basis in an unanalyzed condition there is no basis on which to determine safety of operation. Based on the high level of uncertainty as to safe operation under these unanalyzed conditions, safe operation of Salem Unit II can be characterized as an unknown variable.

PSE&G has a history of repeated failure to meet safety standards at Salem, and failure to take action to correct identified safety concerns. Because PSE&G cannot be entrusted to maintain and operate Salem in a manner that ensures safety, the NRC's role as the watchdog of Salem is critical. However, NRC inspectors cannot ensure that safety parameters are being met unless the plant is being operated as it was designed to be operated.

C. Salem 1 and 2 must be demonstrated to be within their design bases before restart.

We cannot allow Salem 1 or Salem 2 to re-start without careful demonstration that the reactor will operate within design basis from the day it goes back on line and for an uninterrupted period thereafter.

Before anyone can fully appreciate the scope of these safety shortfalls of Salem Unit 2 we must first fully investigate the facility and the nature of each of the instances that the facility has operated outside design basis in the past. NJPIRG Citizen Lobby calls on the NRC to demand that PSE&G adopt practices that put Salem 1 and 2 within design basis in all instances before restart planning can begin.

Finally, NJPIRG Citizen Lobby calls on the NRC to conduct full top down Vertical Slice Inspections at both Unit I and Unit II to determine the extent of the design shortfalls. Specifically, NJPIRG Citizen Lobby requests the NRC conduct extensive inspection of steam generators and associated hardware and procedure.

Again, thank-you for the opportunity to present these concerns. We look forward to increased oversight of Salem by the NRC.



ERN

The Environmental Response Network

P.O. Box 105 • Ocean View, New Jersey 08230 • 609-463-1700

THE ENVIRONMENTAL RESPONSE NETWORK OF CAPE MAY COUNTY, NEW JERSEY, WOULD LIKE TO CALL UPON THE NUCLEAR REGULATORY COMMISSION TO SHUT DOWN THE SALEM GENERATING PLANT PERMANENTLY. THE SALEM PLANT HAS OPERATED APPROXIMATELY 55% OF THE TIME FOR THE LAST TWO DECADES DUE TO SAFETY VIOLATIONS, EQUIPMENT FAILURES AND MISMANAGEMENT.

THE SALEM PLANT IS A DANGER TO ALL OF US WHO LIVE IN SOUTH JERSEY. I SHUDDER TO THINK ABOUT AN ACCIDENT RESULTING IN EVACUATION, ESPECIALLY ON A SUMMER HOLIDAY WEEKEND.

THE E.R.N. WANTS TO SEE CHEAP, SAFE ALTERNATIVES TO NUCLEAR ENERGY. SOLAR POWER PLANTS AND WINDMILL FIELDS ARE THE WAY TO SAFE ENERGY. IN ADDITION, SOLAR ENERGY AND WIND POWER DO NOT HAVE INTAKE VALVES TO DESTROY WILDLIFE AND THERE IS NO RADIOACTIVE SPENT FUEL TO CREATE A DISPOSAL PROBLEM.

THE E.R.N. WOULD ALSO LIKE TO THANK RUTH FISHER OF CAPE MAY COUNTY FOR BEING INSTRUMENTAL IN BRINGING THIS MEETING INTO BEING.

Barbara L. Frankheiser
Secretary, E.R.N.

March 4, 1997

Salem Nuclear Generating Station Meeting

March 4, 1997

Introduction

My name is Anthony A. Totah Jr. I am presenting more written comments on behalf of Clean Ocean Action concerning Public Service Electric & Gas Company's ("PSE&G") Salem Nuclear Generating Station ("SNGS").

I am a marine biologist and environmental educator with over thirteen years experience in research and education. I graduated from the University of Texas at Austin with a bachelor of Science degree in Biology, with emphasis in Marine Science. Graduate Studies at University of West Indies' Discovery Bay Marine Lab, Jamaica; Bermuda Biological Station; and Smithsonian Institute's coral reef laboratory in Belize included: coral reef ecology and competition and diversity of tropical marine invertebrates. I have spent the last eleven years during research and educational programs in South Jersey. This experience includes research of coastal ecosystems, focusing on population dynamics of different marine invertebrates, non-point source pollution, and littoral processes. Five years of this research was with Lehigh University's Stone Harbor Marine Laboratory, where I served as lab manager for a year. I'm currently employed by Clean Ocean Action ("COA") as head of their South Jersey Office and have held this position since 1993. I have been an active volunteer for the Marine Mammal Stranding Center's stranding network for the last six years and have volunteered at the New Jersey State Aquarium at Camden in the education department.

Clean Ocean Action opposes the restart of the Public Service Electric & Gas Company's Salem Nuclear Generating Station 1 & 2 on the basis that it does not comply with section 316(b) of the Clean Water Act. Below is a list of reasons for these recommendations.

Section 316(b) of the 1972 Clean Water Act provides the mechanism for a regulatory agency determination as to whether the location, design, construction and capacity of the cooling water intake structure reflects

the best technology available for minimizing adverse environmental impact. The PSE&G's new operating permit granted by New Jersey Department of Environmental Protection (NJDEP) does not support "Best Technology Available" for minimizing adverse environmental impact.

The best way to minimize any negative environmental impact of cooling a power plant is to minimize the the amount and rate of water that flows through the cooling system. To date, the best technology that has been developed is the closed-cycle system with cooling towers. A closed-cycle system with cooling towers would greatly reduce the adverse impact on the environment. By reducing the flow rate and volume needed to cool the power station by 95%, the close-cycle system would proportionally reduce the adverse impact on fish and all other marine life by 95%. Closed-cycle systems with cooling towers and their positive benefits to the environment are proven and well documented. Nothing in PSE&G's Permit granted by NJDEP comes near to the adverse impact on the environment by 95%, especially in regards to entrainment. If fact, the design changes and wetlands mitigation to the power plant will have no effect on entrainment.

Biological Compensation

PSE&G believes that it is actually beneficial for the environment to destroy a large number for fish and other marine organisms. They use the concept of biological compensation to justify the killing of marine animals through entrainment. PSE&G senior scientist, Garald J. Lauer states:

"The populations of the smaller organisms are able to withstand loss as a result of their high abundance, high reproductive capacity and short generation times. These populations, as well as those of the longer-lived, recreationally and commercially important Target Species have the ability to compensate biologically for losses of smaller, early life stages of the organisms by increased rate of population survival, growth and reproduction. Compensation occurs as a result of a number of factors underlying decrease competition for food, decrease competition for living space,

decreased incidence of disease, and decrease cannibalism."

At a Vineland presentation (9/9/93), PSE&G used the example of "clear cutting" in a densely grown forest to demonstrate biological compensation. This process thins of the tree population of the forest. They said that younger trees grow faster, are much healthier and there is an increase in diversity.

Biological compensation works in forest with regards to "clear cutting" for several reasons. First, there is a limiting factor: space to obtain sunlight for growth and food production. Second, "clear cutting" directly addresses the limiting factor to reduce its limiting ability. Third, "clear cutting" is a "controlled" thinning of the population. Fourth, the trees that are removed from the environment by "clear cutting" are adults and have had a chance to pay their "genetic obligations" to the species. Fifth, the effects of biological compensation can easily be measured by photography over time and growth rings in trees.

Biological compensation does not work in the Delaware Bay with regards to the cooling intake system of the SNGS for several reasons. First, there must be a limiting factor and the effects of population thinning must address that limiting factor to reduce its limiting ability. Second, the thinning/killing of the marine population; fishes, invertebrates, and plankton, is indiscriminate and effects all trophic levels of the food chain. Third, most of the marine animals killed by the cooling system are juveniles and have not had a chance to paid their "genetic obligations" to the species. Fourth for biological compensation to occur, its effects must be measurable.

Biological compensation has been demonstrated in controlled or artificial environments and natural habitats where there are limiting factors (e.g. food supply, living space, and nutrient requirements) that affect the growth rate, reproductivity, survival of a species. Biological compensation occurs when a controlled processes of population thinning directly addresses a limiting factor to reduce it's limiting ability on the environment and a positive effect can be directly measured.

How would a forest look if the same area was indiscriminately

"clear cut" for 16 years straight? The SNGS has been killing marine animals indiscriminately in the same area for 16 years. If biological compensation has been occurring, where are the fish?

No measurable evidence of biological compensation has been presented with regard to the cooling water intake system of the SNGS. In fact the opposite may be occurring in the Delaware Estuary. Not only does the intake kill small fish but it kills the food source for these fish. Each day countless billions of microscopic plants and animals are drawn through the cooling system and killed. These plants and animals are an important base of the food chain. Instead of addressing a limiting factor needed for biological compensation, SNGS may be creating a limiting factor by disrupting the base of the food chain in the Delaware Bay. This destruction of the juvenile fishes food source will cost the fish of the estuary more energy in searching for food, make it more vulnerable to predation due to increased food searching time, and increase the incidence of disease due to insufficient food intake and increased energy expenditures.

The loss of large numbers of small and early life stages of fish species also undermines conservation and regulatory fishing measures on number, size and time frame in which fish can be caught and kept by fishermen. NJDEPE regulations on size limits allows the fish to pay it's genetic obligation to the species. Juvenile fish killed by the SNGS cooling water intake have not had a chance to fulfill this obligation. Removal of a large number of juvenile fish in an area can threaten fish stocks of that area and diminish the genetic pool of the species effected. A diminished genetic pool decreases the ability for a species to recover from biological pressures such as infectious epidemics.

Survivalship of Entrainment

Fish and other marine organisms are subjected to both impingement on and entrainment through the intake system of the power plant. Impingement accounts for only a small portion of fish kills. On the other hand, entrainment has a greater adverse effect on the environment. The majority of fish and other marine life are killed by being sucked through the cooling system a baked alive. William G. Gordon states,

"Of the organisms entrained or impinged, some survive. Those that do survive continue their role in the Bay ecosystem...."

PSE&G and NJDEPE, at the roundtable in Trenton, both stated that there is survivalship of entrainment through the cooling system of the SNGS, but provide no statistical data. Is this based on theory or is there a scientific basis to this belief? If so, then what is the percentage of survivalship of entrainment, what is the condition of the animal surviving entrainment, what is the percentage of survivalship after entrainment, and what animals survive to best versus animals that have little survivalship? These are important questions that need to be answered to assess the impact of the cooling system on the environment. If PSE&G and NJDEPE believe there is survivalship then they should also have some type of answers for these questions, whether it is based on fact or theory.

Survivalship of entrainment is an important fact in determining the future of SNGS. If survivalship of fishes and other marine animals is low, it would be more beneficial to the environment to reduce flow rate through the cooling system and have no survival of entrainment. The reduce flow rate would save the lives of marine organisms proportionally to reduction of the flow rate by preventing entrainment.

To our knowledge there is no direct way to ascertain survivalship of entrainment. The only way to accurately measure the effects of entrainment is to directly sample the cooling water before it enters the Delaware Bay. Any permit issued should have the provision for the installation of a method to directly study the effects of entrainment. This can be easily accomplished by installing a continuous flow loop from the cooling outfall pipe at a point along the pipe before it enters the Delaware Bay. This loop would allow direct access to the cooling waters before it enters the bay and would provide valuable information on survivalship, species effected, and numbers killed by the cooling system of the power plant.

PSE&G's proposal does little to minimize the effect of entrainment. Modified fish buckets and intake screens will have little or no effect on reducing entrainment, sound deterrent "study" will have no effect on

reducing entrainment, and the so-called intake limitation (actuality standard operation level of 3.024 billion gallons a day) will have no effect on reducing entrainment.

On the other hand, a closed-cycle system with cooling towers would reduce the flow rate and volume needed to cool the power plant by 95%. This would proportionally reduce entrainment by 95%, saving the lives of millions of fishes a year and billions of invertebrates a day.

If PSE&G's proposal reflects the best technology available for minimizing (not compensating for) adverse environmental impact, what are they doing to prevent entrainment and how does that compare to the 95% reduction of entrainment that a closed-cycle system would have?

Limiting Factors

At the roundtable meeting in Trenton, officials from NJDEPE stated that the limiting factor for fish in the Delaware estuary was saltwater wetlands. If saltwater wetlands are such a limiting factor, why is so little amount of wetlands needed to offset the vast number of fish that are being killed by the cooling system of the power plant, especially when these wetlands do not directly support the target species of fish (e.g. weakfish, spot, bay anchovy and white perch)? NJDEPE officials stated that 7,400 acres was needed to offset the killing and that this acre value was between the PSE&G's number of 2,425 and Richard Delgado values of 25,000. The 7,400 acres that NJDEPE said is need is about 1% of the total amount of wetlands in the Delaware estuary. It is interesting because, the same percentage of tidal flow (1%) is being used to cool the power plant. An increase of 1% of wetlands can not offset the destruction that is caused by the cooling system which utilizing 1% of the tidal flow. The cooling water system of the SNGS is much more efficient in destroying life than that of the mitigation of wetlands in its ability to create life.

During the roundtable, I ask how long would it take the mitigation process to produce the number of target species fish equal to the number being killed by the cooling system of the power plant. NJDEPE stated it did not

know how long it would take because there were many variables to consider, and that total equality is not necessary. How was NJDEPE able to access the number of acres needed to compensate for the adverse impact that the power plant was having on the environment without knowing how long it would take? How can NJDEPE get 7,400 acres without a time frame? One number is needed to obtain the other. Also, has NJDEPE consider the lag-time in its calculation? The SNGS is killing fish and other marine animals at a steady rate, the mitigation process does not happen instantly.

The wetland mitigation proposal does not create any new marshlands, it just changes the marsh from freshwater wetland to a saltwater wetland. In this process the net gain of wetlands is zero! The salt-hay farms that are to be converted in this mitigation process do provide nutrients and vegetative material to the Delaware estuary during peak flood tides throughout the year. The overall productivity yield in this mitigation process is minimal. NJDEPE has not taken into consideration the productivity of the freshwater wetlands. Freshwater wetlands are almost as productive as is saltwater counter parts. The change in productivity in this mitigation process is not large enough to compensate for the adverse impact that the cooling system of the SNGS is having on the environment.

The wetlands mitigation will most likely benefit the species that are closely associated with a saltmarsh community; killifish, mummichogs, sheepshead minnows, grass shrimp and blue crabs. But the potential benefits to target species like stripe sea bass, weakfish, white perch, spot and bay anchovy is questionable. NJDEPE stated that the mitigation of the wetlands would provide vegetative material to the estuary and that the breakdown of this material would produce more organisms in which the fish intern would feed on. So, the marsh mitigation is a step wise process, which indirectly creates more food for the target species of fish.

The limiting factor for target fish in the Delaware estuary is not saltwater wetlands but food source for the fish. This food source is the same that is being destroyed by entrainment through the cooling system of the SNGS. Each gallon of water from the Delaware Bay contains hundreds of microscopic organisms which are an important base to the food chain of the estuary. If you multiply this by the 3.024 billion gallons of water that

flow throw the cooling system a day, countless billion marine organisms are being entrained each day. The majority of these don't survive the entrainment process. PSE&G officials stated,

...Even the ones that don't survive are returned to the ecosystem and remain in the food web of the Estuary. Many of these are consumed by predators which would have been their fate even if they had not gone through the power plant."

This statement has several flaws. First, studies have shown that in larval fish, the motion of food particles/prey play an important roll in food selection. Eyes in larval fishes are highly develop and are used will determine whether the fish will strike at and eat a particular food source. Larval fish are attracted to food sources that are moving in a variety of different ways, whether it be a swimming motion, the pulsation of internal organs or a motion that sets an animal apart from a small piece of detritus. Secondly, fish and other marine organisms that die naturally provide a biological benefit to the environment and the rate of death is equivalent to the natural pressures placed on the species. Death from entrainment is not equivalent to the natural pressures of the environment and many that die are not utilized by consumption but by microbial breakdown

Sea Turtles, Shortnose Sturgeon, & Diamondback Terrapins

During the NJDEP roundtable meeting, PSE&G was claiming how much it was concerned about the environment when it planed it's proposal and how going to outside sources for energy replacement would be more detrimental because fossil fuels would be used for this energy. PSE&G's concerns for the environment stops when it comes to endangered species. Instead of trying to improve and protect endangered species, PSE&G brushes the issue off by saying they are within federal limits. The current operating procedures of the SNGS does little to reduction of adverse impact to endangered and threatened species.

SNGS has had an adverse impact on endangered species like sea turtles and the shortnose sturgeons. From 1977 to 1993, 36% of endangered sea turtles that have been trapped against the trash racks by the powerful

current have died. Of the 86 sea turtles trapped, the 31 that died include: 19 loggerheads, 11 Kemp's Ridleys and one Atlantic green turtle. Endangered shortnose sturgeons also get trapped and killed by the intake of the power plant. In 1992 the plant killed 2 sturgeon. None of PSE&G's improvements address the issues of endangered species and how to minimize the impact on them. No information is available on the number of diamondback terrapins trapped or killed at the SNGS. Since the population of diamondback terrapins is much greater than the population of sea turtles, the frequency of entrapment should proportionally higher.

A cooling tower system would virtually eliminate entrapment and death of endangered sea turtles, shortnose sturgeons and the protected diamondback terrapin. If a cooling tower system is not used at the SNGS, the entrapment and death of endangered species should be considered "harassment" as specified by the Endangered Species Act, because the "Best Technology Available" is not being utilized.

Disproportionate Costs vs. Environmental Benefits

PSE&G's has two objections to using the closed-cycle system with cooling towers. First, PSE&G's objection to the use of a closed-cycled system with cooling towers because the system is not cost-effective for the environmental gain. This not a valid reason why it should not construct the cooling tower system. Section 316b of the Clean Water Act does not use the "cost" of the technology as a determining value of "Best Technology Available".

Since 1977, PSE&G has known that when their discharge permit renewal came due, the SNGS would have to comply with the Clean Water Act and that the "Best Technology Available". PSE&G has had over 16 years to save and invest for the expenditures associated with demolition, construction and refit of the SNGS. On the other hand, did PSE&G officials feel that they would never have to comply with section 316b of Clean Water Act, so there was no need to set funds aside for this purpose?

PSE&G's first estimate of demolition, construction and refit of the SNGS with the cooling tower system had a price tag of \$2 billion. Debate revolves around PSE&G's \$2 billion price tag for this system. There are

some who suggest this figure is inflated by more than \$1.3 billion. Recently, PSE&G did revised this figure using two scenarios.

In determining whether the cost of installing a closed-cycled system with cooling towers is "wholly disproportionate" to the ecological benefits, NJDEPE did not access who will be paying for the changes to the cooling system in the long run. PSE&G intends to pass the cost of any changes at SNGS to its customers as "operation expenses". So, NJDEPE did not determine whether the cost to the rate user is wholly disproportionate to the environmental benefits to be gained.

It has been estimated that even a total cost of \$2 billion (PSE&G's estimate of cost) to construct the close-cycle system would increase the rate user utility bill by only 1%. An increase of 1% in consumers utility bill is well worth the environmental benefits and is not wholly disproportionate. PSE&G try to brush this fact off by saying "Diluting the cost by enough people you can get any price down to a reasonable amount." In the long run, it will be the costumers of PSE&G will pay for any changes to the cooling system.

NJDEPE did not also access the economical benefits to the area that the construction of a close-cycle system would provide. The current mitigation plan only benefits a few land owners and would not provide many jobs to the area. On the other hand the construction of a closed-cycle system would have provided hundreds jobs to an economically depressed area. These jobs would in turn support other businesses and improve the local economy.

The instillation of closed-cycle cooling system would also benefit the commercial and sport fishing industry as well as the tourist industry of South Jersey by directly protecting a vital resource in the Delaware estuary, the fishes and marine organisms.

If PSE&G officials thought a closed-cycled system with cooling towers was not cost-effective for the environmental gain, it had over 16 years to research and investigate new alternatives to improve on the technology that directly corresponds with location, design, construction and capacity of the cooling water intake structure to minimize adverse environmental

impact.

Instead PSE&G developed a proposal based primarily on theory and secondarily on methodology that has no scientific correlation with the cooling intake structure of the power station. PSE&G proposal substitutes an experimental hypothesis, "an educated guess", for a proven technology. A theory experiment can not replace a proven technology when the law states "Best Technology Available". SNGS is not the place for an experiment with the environment! NJDEP granted permit to operate based on these experimental proposal and disregarded section 316(b) of the 1972 Clean Water Act.

Adverse Environmental Impact

PSE&G's second objections to using the closed-cycle system with cooling towers is that they believe that the current intake system does not have an adverse impact on the environment. So, there is no need for closed-cycle system with cooling towers.

In PSE&G's senior scientist stated that SNGS was not having an adverse environmental impact on the community of fish, shellfish and other aquatic life in the Delaware Estuary. They attempt to dilute the impact by relating it to the total population of the east coast of the United States. In William G. Gordon's testimony, he states:

"The numbers lost to impingement and entrainment may seem large to some of you but in terms of the total population, they represent a very small fraction of those life stages of the species susceptible to the plant operation."

Lost large numbers organisms due to impingement and entrainment will greatly effect the local population thus having an adverse impact on the local environment. An adverse environmental impact can occur on a local scale especially in a simi-enclosed water basin like the Delaware Bay. The Clean Water Act does not specify a comparison of environmental impact on a "Global Scale", but specifies "for minimizing adverse environmental impact", which can be on a local scale.

PSE&G's senior scientist, Gerald J. Lauer's testimony on the effect of the

once-through cooling system on the environment only reflects studies preformed by PSE&G and provides incomplete information to the public. In his testimony Lauer states:

"While recognizing that losses of small aquatic organisms occur as a result of the operation of Salem's cooling water intake system, my colleagues and I conclude, based on the best information available, that these losses are not causing and will not cause an adverse impact on the community of fish, shellfish and other aquatic life in the Delaware Estuary."

In this statement, the phrase "based on the best information available" means based on the PSE&G research, and it excludes research such as the Versar report. PSE&G has not allowed scientific review of it's own findings.

Conclusion

PSE&G's public relations can be addressed as "Doggie Bone Diplomacy". Like a burglar that tosses a dog a bone to keep it quiet while the burglar steals, PSE&G attempts to pacify the public with operational procedures that don't directly address section 316b of the Clean Water Act. If the dog doesn't go for the first bone, the burglar tosses a larger and meatier bone. The bones that PSE&G has tossed to the public and NJDEP are: a sound deterrent study, modified fish buckets and intake screens, fish population monitoring program, and the biggest and juiciest bone - 10,000 acres of mitigated marshlands. What is being stolen are the lives of billions of invertebrates and millions of fish, and PSE&G hopes to get away with not complying with the Clean Water Act's "Best Technology Available" section.

Finally, laws are written to stop an injustice and maintain a civilized society. Whether the law is for human interaction with other humans or with the environment, laws were written to be upheld, not bypassed! More and more, environmental laws seem to be susceptible to negotiation. It is time to stop negotiating environmental laws and begin enforcing them. To this date the Clean Water Act has not been enforced. If the Clean Water Act is not enforced at Salem, when and where will it be enforced? It's

time to enforce so others will take notice.

Section 316b of the Clean Water Act specifies that best technology available must be used to minimizing adverse environmental impact with regard to the location, design, construction and capacity of the cooling water intake structure. The purpose of this law is "prevent" an adverse impact. The law was not written so a company could "compensate" for an adverse environmental impact on the environment.

In conclusion, it is our professional judgment that PSE&G's Salem Nuclear Generation Station cooling water intake system causes an adverse impact on the local environment of the Delaware Estuary and if allowed to restart operations again, the generation station will not be in compliance with section 316(b) of the Clean Water Act of 1972. We urge you to withhold operation of Salem 1 & 2 until SNGS fulfills the "best technology available" with regards location, design, construction and capacity of the cooling water intake structure for minimizing adverse environmental impact. We urge you to consider the environmental and economical benefits that a close-cycle cooling system with cooling tower would have. If SNGS reactors 1 & 2 cannot meet the requirements of section 316(b) then they should permanently be closed and dismantled.

Thank You,

Anthony A. Totah Jr.
Marine Biologist/Environmental Educator
Clean Ocean Action
1600 Delaware Ave.
Cape May, New Jersey 08204
(609) 729-9262


SALEM NUCLEAR PLANTS-NRC HEARINGS

To: Nuclear Regulatory Commission

Written Testimony Page 1 of 2

From: Frank McLaughlin
POST OFFICE BOX 31
Stone Harbor NJ 08247

*****WHENEVER SAFETY IS A QUESTION, RESTART SHOULD NOT OCCUR!!



Salem 1 and Salem 2 should not be restarted because these two old, outdated plants have been plagued with poor records for safety, security and performance since at least 1980. Your organization is responsible for the safe operation of nuclear plants in this country. You, the employees of the NRC, are employees of the citizens of The United States of America, & would not be upholding your fiduciary responsibility to the people of New Jersey, the people of the East Coast, and the people of the U.S.A., if you allowed either Salem nuclear reactor to restart.

The Salem 1 and Salem 2 nuclear plants should be closed because:

1. The plants are now at the end of their design lives.
2. When the plants were not old, as they are now, many safety violations occurred. The owners of these plants should not be allowed to put PEOPLE AT RISK because of profits. Now the plants are crumbling and restart would be foolish.
3. $\frac{1}{4}$ of the U.S. population is only 200 miles from Salem! See diagram.
4. A thin slice across the board complete inspection of these plants will show they are not safe. I demand this inspection.
5. The NRC has promised our country's people to only allow any nuclear plant a license to operate if it is totally up to standards. A license is a privilege to operate. Salem 1 & 2 have often FAILED security, management, and safety standards. Once again, these problems occurred when the equipment was operating within its design life. How much worse would failures be with band-aids on old equipment?
6. There is a conflict of interest between the NRC and PSE&G, an owner of the plant. PSE&G director Jackson now works for the NRC.
7. The artificial islands the plants are built on are not solid, and an earthquake could cause a catastrophic nightmare.
8. Salem sucks in 3 BILLION GALLONS OF WATER A DAY and much of the Delaware Bay estuary's sealife as well. This sealife gets killed. A major radioactive leak could contaminate this entire estuary.
9. Salem 1's reactor safety system failed to operate automatically 26 times from 1993-1995.
10. You, the NRC, have hit Salem with 3 of the biggest 7 fines ever imposed.
11. These plants are constantly operated outside of their design bases. Therefore they should never be allowed to restart.
12. Radioactive waste is always a problem with nuclear energy.
13. Less than stellar safety and security leaves these plants more exposed than normal to terrorist activity.
14. If you err, do it on the side of caution.