

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: ACRS Power Uprate Subcommittee - Open Session

Docket Number: N/A

Location: Rockville, Maryland

Date: May 16, 2018

Work Order No.: NRC-3732

Pages 1-84

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

POWER UPRATE SUBCOMMITTEE

+ + + + +

WEDNESDAY

MAY 16, 2018

+ + + + +

OPEN SESSION

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Subcommittee met at the Nuclear  
Regulatory Commission, Two White Flint North, Room  
T2B1, 11545 Rockville Pike, at 8:30 a.m., Joy L.  
Rempe, Chairwoman, presiding.

COMMITTEE MEMBERS:

JOY L. REMPE, Chairwoman

RONALD G. BALLINGER, Member

MICHAEL L. CORRADINI, Member

WALTER L. KIRCHNER, Member

JOSE A. MARCH-LEUBA, Member

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

PETER C. RICCARDELLA, Member

GORDON R. SKILLMAN, Member

DESIGNATED FEDERAL OFFICIAL:

WEIDONG WANG

ALSO PRESENT:

JOSH BORROMEO, NRR

RALPH GRUMMER, Framatome

DAVID MCBURNEY, Framatome\*

AHSAN SALLMAN, NRR

ROBERT SCHAPP, Framatome\*

ASHLEY S. SMITH, NRR\*

DAN TINKLER, Framatome\*

AARON WYSOCKI, ORNL

STEPHEN YODERSMITH, Duke

\*Present via telephone

CONTENTS

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Opening Remarks . . . . . 4

Review Introduction . . . . . 7

LAR Overview . . . . . 8

Public Comments . . . . . 54

Open Session Closed . . . . . 55

P-R-O-C-E-E-D-I-N-G-S

8:29 a.m.

CHAIRWOMAN REMPE: This meeting will now come to order.

This is a meeting of the Power Uprate Subcommittee, a Standing Subcommittee of the ACRS.

And, I'm Joy Rempe and I Chair this Subcommittee.

ACRS members in attendance include Ron Ballinger, Dick Skillman, Mike Corradini, Pete Riccardella, Jose March-Leuba and Walt Kirchner.

Weidong Wang is the -- of the ACRS staff is the Designated Federal Official for the this meeting.

In this meeting, the Subcommittee will review the safety evaluation for the Brunswick Steam Electric Plant Units 1 and 2 Operating License Amendment Request to allow plant operation in the expanded maximum extended load line limited analysis plus or MELLLA+ domain.

As you may recall, this is the fifth plant to submit an LAR for operation in the MELLLA+ domain, but the first to rely on GEH methods with Framatome, formerly AREVA, ATRIUM 10XM fuel.

And, in this meeting, we'll hear

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 presentations from the NRC staff and representatives  
2 from the licensee, Duke Energy Progress, Incorporated.

3 We did not receive written comments or  
4 requests for time to make oral statements from any  
5 member of the public regarding today's meeting.

6 Part of the presentations by the licensee  
7 and the NRC staff will be closed in order to discuss  
8 information that's proprietary to the licensee and its  
9 contractors pursuant 5 USC 552(b)(c)(4).

10 Attendance at these portions of the  
11 meetings that deals with such information will be  
12 limited to the NRC staff and its consultants, Duke  
13 Energy Progress, Incorporated and those individuals  
14 and organizations who've entered into an appropriate  
15 confidentiality agreement with them.

16 So, consequently, we'll need to confirm  
17 that we only have eligible observers and participants  
18 in the room for the closed portions of this meeting.  
19 And, we're going to rely on the staff and Duke Energy  
20 to assist us with this when we reach that point during  
21 the meeting.

22 The Subcommittee today will gather  
23 information, analyze relevant issues and facts and  
24 formulate proposed positions and actions as  
25 appropriate for deliberations by the Full Committee.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The rules for participating in today's  
2 meeting have been announced as part of the Notice of  
3 this meeting previously published in the Federal  
4 Register.

5           A transcript of the meeting is being kept  
6 and will be made available in the Federal Register  
7 Notice.

8           Therefore, we request that participants in  
9 this meeting using the microphones located throughout  
10 the meeting room when addressing the Subcommittee  
11 meeting.

12           And, the participants should first  
13 identify themselves and speak with sufficient clarity  
14 and volume so that they may be readily heard.

15           I want to remind everyone, we start --  
16 before we start to turn off your noisy little devices  
17 and make sure that they don't interrupt us.

18           MEMBER KIRCHNER: Getting feedback from  
19 somewhere.

20           CHAIRWOMAN REMPE: Weidong -- he's working  
21 on it? Which actually means we need to --

22           (SIMULTANEOUS SPEAKING)

23           CHAIRWOMAN REMPE: Yes, we have to wait  
24 until we have a minder, but I'm going to go ahead and  
25 say that we're going to soon proceed with the meeting

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 and, when we do start the meeting, Jose -- Weidong's  
2 back. So, are you taking care of the noise? There's  
3 some feedback up here.

4 MEMBER KIRCHNER: Someone may have their  
5 phone on watching.

6 CHAIRWOMAN REMPE: Maybe --

7 MEMBER MARCH-LEUBA: You think it's the  
8 phone line?

9 CHAIRWOMAN REMPE: Yes, why don't you  
10 check and see and maybe Theron can help with that.

11 But, when we do start the meeting, I'm  
12 going to call on Gregory Suber to start. Okay?

13 Okay, Gregory, go ahead and start.

14 MR. SUBER: Okay, thank you.

15 And, good morning. My name is Gregory  
16 Suber and I am a Deputy Director in the Division of  
17 Operating Reactor Licensing in the Office of Nuclear  
18 Reactor Regulation.

19 It is my pleasure to introduce you to the  
20 ACRS Subcommittee, the NRC staff who have been working  
21 on the Brunswick MELLLA+ review.

22 So, we have presented a number of extended  
23 power uprates for this Subcommittee. This is the  
24 first application with the combination of GEH  
25 methodology and Framatome fuel.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The staff's presentation will highlight  
2 this important methodology that increases operational  
3 efficiencies, by reducing downpowers and control rod  
4 manipulation.

5           During this review, the staff leveraged  
6 precedents from previous reviews like Grand Gulf, Nine  
7 Mile Point, Monticello and Peach Bottom.

8           Additionally, we have reached out to our  
9 colleagues in the Office of Research who our user need  
10 request to perform plant-specific independent studies  
11 for ATWS events with the NRC's TRACE code and with the  
12 latest costing thermal hydraulic test loop data.

13           Their assistance was instrumental in  
14 completing this review and we'd like to express our  
15 gratitude to Research for their participation.

16           As the staff's presentation will show,  
17 special attention was paid to the interface between  
18 the key elements and the first review with the GEH  
19 methodology and Framatome fume -- fuel -- it's not  
20 fume, it's fuel, sorry about that.

21           We have initiated a review of Browns Ferry  
22 which utilizes a similar approach.

23           Thank you for your attention and I will  
24 turn it over to Mr. Andy Hon.

25           MR. HON: Thank you, Gregory.

1           Good morning, Chairman Rempe and  
2 distinguished members of ACRS. I'm Andy Hon. I'm the  
3 Project Manager for the Brunswick MELLLA+ application  
4 with NRR. And, I'm going to give a quick overview of  
5 the project. My colleague, Josh, will be leading the  
6 technical discussion later on in the closed session.

7           For Brunswick, the plant was approved for  
8 EPU uprate in 2002 to allow them to operate at  
9 additional 20 percent above the original license power  
10 limit.

11           However, by doing that, they also lost  
12 some of their flexibility in their flow window.

13           And, in 2012, in 2013, both units  
14 transitioned to AREVA XM11 fuel. And, the MELLLA+  
15 amendment was submitted last -- in the -- more than  
16 last year, actually, November 2016.

17           The purpose of the increase the  
18 operational efficiencies and also reduced need to move  
19 the control rod especially near the end of the  
20 operating cycle by expanding the license flow window  
21 at full power from 80 to 104 percent total core flow.

22           Like Gregory mentioned, this is the first  
23 time the application on top the original GEH licensing  
24 topical report for the otherwise known as the GEH M+  
25 LTR Methodology and also their AREVA Fuel XM11

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analysis.

2 This is, for us, it's a typical license  
3 amendment. The structure of the application as a  
4 usual introduction, no sig, et cetera.

5 But, the core of the application is the M+  
6 SAR and also known as the BSEP Safety Analysis Report.

7 If pretty much follow the original GEH  
8 MELLLA+ License Topical Report, and also the  
9 integrated analyses from both GEH and AREVA, now known  
10 as Framatome and others.

11 And then, we also dispositioned other  
12 limitations and conditions spelled out in the License  
13 Topical Reports.

14 And then, you include the markups. So,  
15 this is a typical application of the core is the M+  
16 SAR that we reviewed.

17 The major four changes requested are  
18 pretty much typical to other MELLLA+.

19 The first is the Instrumentation Technical  
20 Specification changes so that it will be consistent  
21 with the M+ License Topical Report and mainly for the  
22 DSS-CD methodology to control the stability of the  
23 core.

24 And then, the next thing is the increase,  
25 almost double, the standby liquid control boron

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 enrichment. Actually, that has been physically  
2 implemented at the plant already.

3 The third one is more important, is the  
4 operational restrictions that was imposed before --  
5 beyond the original EPU. Right now, with a request,  
6 it will prohibit feedwater temperature reduction and  
7 also single loop operations in the MELLLA+ domain.

8 And, lastly, some administrative changes.

9 Our staff reviewed approaches similar to  
10 other MELLLA+ like Gregory mentioned earlier. We  
11 addressed each section of the BSEP SAR and all the  
12 applicable limitations and conditions spelled out in  
13 the License Topical Report.

14 Our team conducted two audits. The first  
15 one is a detailed Safety Analysis Audit of both GEH  
16 and Framatome. That was done in Rockville here in  
17 July last year.

18 And then, earlier this year, we went to  
19 the site and audited the simulator and observed the  
20 operator actions and we discussed with operators on  
21 site.

22 And, our -- we sent the Committee a draft  
23 SE about a month ago. At that time, our colleagues at  
24 Research are still finishing up their TRACE study.  
25 So, at that point, we included a placeholder in our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 draft report. Later on, we submitted a -- well, we  
2 plugged in to summarize the result of the Research  
3 TRACE study.

4 And, that, again, we heard yesterday,  
5 that's specifically to model the Brunswick  
6 configuration. And, that will give the complete  
7 result.

8 I need to emphasize that what you saw is  
9 kind of rough because we had to include the research  
10 as a plug-in. Some of the references may not be  
11 correct. The reference 30 in the plug-in actually is  
12 pointing to the full report that Dr. Yarsky was  
13 talking about yesterday. It hasn't been published  
14 yet.

15 So, that is the full report. The research  
16 is going to be submitted to the Committee if not have  
17 done already. So, there's some disconnects in the  
18 reference.

19 So, we are polishing the final SE and  
20 there's little -- very little change in the technical  
21 substance, especially the area we'll discuss today,  
22 mostly just to make sure the references are consistent  
23 and also some of the words will be better looking  
24 back, you know, say it better this way.

25 But, you know, we did not change the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 substance. We will be submitting a final polished  
2 version through Weidong and send it to the Committee  
3 in about a month's time.

4 CHAIRWOMAN REMPE: Okay, just a second, so  
5 make sure that I've got it on the record and that I  
6 understand.

7 There will be some minor changes including  
8 correlation of references or word changes so that  
9 plug-in will be incorporated. And, you're going to  
10 send us an updated version of the SE with no  
11 substantial changes. And, that's going to come in?

12 MR. HON: I'm looking at about three, four  
13 weeks time frame.

14 CHAIRWOMAN REMPE: Okay.

15 MR. HON: I want to through a technical  
16 editor first so that we have it more polished.

17 CHAIRWOMAN REMPE: And so, it's real  
18 important to have it to the Full Committee a month  
19 ahead of time.

20 MR. HON: Yes.

21 CHAIRWOMAN REMPE: That's my understanding  
22 is -- there were no open items in the SE that you gave  
23 us that was a draft, so it looked pretty good.

24 But, we will not see any substantial  
25 changes in it --

1 MR. BORROMEO: So, this is Josh Borromeo  
2 from the staff.

3 There is one change that you will see that  
4 is semi-substantial. It's Limitation Condition 9.23  
5 which is the Item Value Tracking that is supposed to  
6 be submitted after the first MELLLA+ application.

7 GE has done that previously, so we said  
8 that wasn't applicable for GE on MELLLA+ applications.  
9 AREVA and Monticello came in like two years ago with  
10 their EFW on MELLLA+ application.

11 Because of the lower power density of that  
12 plant, we said it wasn't necessary for them to provide  
13 us that -- all that data.

14 For Brunswick, however, since they're a  
15 higher power density, we are going to be requesting  
16 that data.

17 Right now, the SE says it's not applicable  
18 but we have updated that and that's consistent with  
19 what the licensee committed in a supplement to their  
20 Safety Evaluation -- to their License Amendment  
21 Request.

22 CHAIRWOMAN REMPE: Okay.

23 MEMBER MARCH-LEUBA: So that's going to be  
24 a licensing commitment by the licensee or is it going  
25 to be a limitation on the SER?



1 MR. BORROMEEO: It's applying with the  
2 limitation and condition. Right now, they said this  
3 -- originally, when they came in, they said this is  
4 applicable. We did a non-accept with an opportunity  
5 to supplement where we said, well, I think, you know  
6 --

7 MEMBER MARCH-LEUBA: It's up to you, but  
8 typically --

9 MR. BORROMEEO: Yes.

10 MEMBER MARCH-LEUBA: -- put it in the  
11 licensing conditions --

12 MR. BORROMEEO: Yes, it will be  
13 enforceable.

14 MEMBER MARCH-LEUBA: Yes, but this -- it's  
15 unfortunate but because of the sunset provision that  
16 the moment you send it back, this doesn't apply  
17 anymore. It's kind of weird to do it that way.

18 MR. BORROMEEO: So, that's the only  
19 substantial difference that you'll see.

20 CHAIRWOMAN REMPE: I'm going to really  
21 emphasize, again, we have told you a lot, so we have  
22 some flexibility.

23 MR. BORROMEEO: Right.

24 CHAIRWOMAN REMPE: So, this isn't the June  
25 meeting or doing this letter and I didn't know about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this.

2 MR. BORROMEO: Yes, we identified this  
3 maybe a week or so after we sent the SE to --

4 CHAIRWOMAN REMPE: Okay. So, really try  
5 hard to get this to us by the first of June, please.

6 MR. BORROMEO: Yes, absolutely. Although,  
7 all the technical updates are -- I mean, the update is  
8 already incorporated. It's --

9 CHAIRWOMAN REMPE: Okay. Again, I don't  
10 think we care if it's gone through tech editing.

11 MR. BORROMEO: Okay.

12 CHAIRWOMAN REMPE: But, bet something to  
13 ACRS that's not going to change a month in advance.  
14 Okay?

15 MR. HON: Thank you.

16 CHAIRWOMAN REMPE: Thank you.

17 MR. HON: All right, we'll try to send you  
18 sooner.

19 CHAIRWOMAN REMPE: Okay, thank you.

20 MR. HON: Like Josh said, we're not making  
21 any substantial changes, just polishing it. Thank  
22 you.

23 CHAIRWOMAN REMPE: Okay, thank you for  
24 getting that on the record here.

25 MR. HON: Again, this is a very involved

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 view. We have -- I want to acknowledge the review  
2 team on the slide here, especially, of course, the  
3 team leader and the support for my research that Dr.  
4 Yarsky presented yesterday.

5 Today's presentation agenda is the  
6 following. Because this is a combination of GEH and  
7 Framatome technology, due to commercial agreement  
8 limitations, there's not a full exchange of  
9 information between the two vendors.

10 So, we want to be very careful to have the  
11 closed sessions that are only applicable to one  
12 vendor. So, we structured the presentation as  
13 follows.

14 Following my presentation, licensee will  
15 come and give an overview, that will be the public  
16 session.

17 And then, after that, we take a break and  
18 we'll excuse I think people who don't have access to  
19 the GEH proprietary information and the licensee will  
20 present that part after that.

21 The staff will present our result of the  
22 review and then we'll swap people out. The only  
23 people who have access to Framatome proprietary  
24 information will stay at 10:40 or so and present the  
25 -- I believe the aspect of the application.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Likewise, the staff will immediately  
2 follow that and present our results.

3                   So, if it's okay with members of the  
4 Committee, we'll follow that.

5                   Again, this is a -- what I call an error  
6 likely situation for spills so I hope that won't  
7 happen today.

8                   Thank you for your patience with the  
9 arrangement.

10                   With that, I'd like introduce Jane  
11 Marshall which is our Deputy Director for the  
12 Technical Division.

13                   Jane?

14                   MS. MARSHALL: As Andy said, my name is  
15 Jane Marshall and I'm the Deputy Director for the  
16 Division of Safety Systems in the Office of Nuclear  
17 Reactor Regulation.

18                   Today, we're presenting the staff review  
19 of Brunswick Unit 1 and 2 MELLLA+ License Amendment  
20 review.

21                   The primary focus of NRR's review for this  
22 application were the new approaches in areas that have  
23 been historically challenging in these reviews.

24                   To ensure consistency among reviews, the  
25 staff used previous MELLLA+ reviews as well as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 relevant prior Tropical Report reviews.

2 While this review contains several new  
3 items, I'd like to highlight the main technical  
4 challenge for this review was the interface between  
5 GEH methods and the Framatome fuel.

6 To support the NRR staff conclusions,  
7 particularly the anticipated transient without SCRAM  
8 instability, or ATWS-I calculations, the staff used  
9 TRAC RELAP Advanced Computation Engine, or TRACE code,  
10 confirmatory results which were completed by the  
11 Office of Research and presented to the ACRS Thermal  
12 Hydraulic Subcommittee yesterday.

13 These confirmatory results are intended to  
14 help gain efficiency in the staff's review and help  
15 flesh out any unknown issues.

16 In addition to the Office of Research  
17 supporting the review, other offices from NRC  
18 supported this review, many staff across NRR and we  
19 contracted with Oak Ridge National Labs.

20 Thank you, and I'll now turn it over to  
21 Josh Borromeo.

22 (OFF MICROPHONE COMMENTS)

23 MS. MARSHALL: Oh, licensee, I'm sorry.

24 CHAIRWOMAN REMPE: So, let's --

25 MS. MARSHALL: Turn it over to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 licensee.

2 CHAIRWOMAN REMPE: -- go ahead and do that  
3 since we had a tight schedule today. Okay.

4 Andy, can you hit escape again? Yes.

5 MR. NOLIN: We're good? We're good to go.

6 CHAIRWOMAN REMPE: Okay.

7 MR. NOLIN: Good morning. I'd like to  
8 thank you for having Duke Energy here for the  
9 discussion on MELLLA+.

10 I'm Jeff Nolin, I'm the General Manager of  
11 Engineering at Brunswick.

12 We'll be presenting a few objectives for  
13 the discussion today.

14 First, to show the need for MELLLA+, why  
15 we're submitting the License Amendment, demonstrating  
16 the key aspects of our request and demonstrating  
17 readiness.

18 So, there was a discussion already today  
19 about the key differences between integration of  
20 AREVA, now Framatome, fuel and the GE methodology, so  
21 demonstrating our readiness relative to the  
22 integration of that aspect.

23 And, the request for submitting the  
24 approval, we're looking for a third quarter 2018  
25 implementation.

1           The reasons for that are Unit 2 is -- will  
2           be approaching end of life in the current cycle. We  
3           have a March 2019 refueling outage on Unit 2. So,  
4           Unit 2 will be approaching a condition with final  
5           feedwater temperature reduction in December. We would  
6           like to implement in the fall of 2018.

7           We would like -- Duke Energy would like to  
8           implement both units at the same time from an  
9           integration of procedures, operator training,  
10          consistency of maintaining the units.

11          MEMBER MARCH-LEUBA: So, then is Unit 1  
12          already loaded? The core welding supports MELLLA+?

13          MR. NOLIN: Yes. So, Unit 1 and Unit 2,  
14          in a couple of slides --

15          MEMBER MARCH-LEUBA: Okay, keep going.

16          MR. NOLIN: Perhaps the next slide, I get  
17          to that exact question.

18          So, anyway, our intent is to integrate  
19          both units at the same time and support for that  
20          relative to the timing of the third quarter of 2018  
21          because of the Unit 2 fuel cycle.

22          Next slide?

23          So, Brunswick Nuclear Plant, Brunswick  
24          Steam Electric Plant is a two unit GE BWR-4 design.  
25          We started commercial operation, Unit 2 was the lead

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 unit in 1975, Unit 1 followed shortly after.

2 So, we have 42 and 43 years of operating  
3 experience at Brunswick, so we are in the license  
4 renewal period of extended operation for both units at  
5 Brunswick.

6 Brunswick did do an extended power uprate  
7 to 2923 megawatts thermal and we have been operating  
8 in with EPU conditions for 13, 14 years now.

9 So, many of the prior license amendments  
10 relative to MELLLA+ were integrated with the power  
11 uprate. Brunswick has been operating with EPU for  
12 more than a decade now on each unit.

13 And so, this license amendment is strictly  
14 for MELLLA+, not the power uprate.

15 MEMBER SKILLMAN: Jeff, were you always  
16 24-month operating cycle or were you 18 originally and  
17 up bumped it 24? Mark, do I need to defer that to  
18 you?

19 MR. NOLIN: Eighteen originally, we came  
20 up to 24 months.

21 MEMBER MARCH-LEUBA: Mark, turn your  
22 microphone on when you speak.

23 MR. DEWIRE: It is on.

24 MEMBER MARCH-LEUBA: Oh, it is on?

25 MR. NOLIN: No, no.



1 MEMBER MARCH-LEUBA: He was looking maybe

2 --

3 CHAIRWOMAN REMPE: What's the power  
4 density of Brunswick? The Brunswick plants?

5 MR. YODERSMITH: We have a backup slide.

6 CHAIRWOMAN REMPE: I looked for it on the  
7 backup slide, I didn't see the power density like  
8 kilowatts per liter.

9 MR. YODERSMITH: Give me one second.

10 MR. BORROMEO: I think -- this is Josh  
11 Borrromeo --

12 MR. YODERSMITH: Page 20.

13 MR. BORROMEO: -- I think they're around  
14 59 kilowatts per liter.

15 CHAIRWOMAN REMPE: Okay. It'd be good to  
16 confirm that and you don't have to do it now, but --

17 MR. YODERSMITH: We -- sorry, we present  
18 it in kilowatts per foot here.

19 CHAIRWOMAN REMPE: Okay. But, you think  
20 it's 59 kilowatts per liter?

21 MR. BORROMEO: It was 4.9 kilowatts per  
22 foot and here's how we stack up against the previous  
23 submittals.

24 CHAIRWOMAN REMPE: Okay. So, again, I'd  
25 like to know what it is kilowatts per liter. And,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I've been told by the staff it's 59. Could you get  
2 that confirmed for me today?

3 MR. YODERSMITH: Sure.

4 CHAIRWOMAN REMPE: Thank you.

5 MR. NOLIN: So, we are operating on a 24-  
6 month fuel cycle. So, we have a refueling each March  
7 on alternating units.

8 We did transition to Framatome fuel in  
9 2008 in Unit 1, 2009 in Unit 2. So, we have  
10 approximately a decade of operating experience with  
11 Framatome fuel.

12 We are initially ATRIUM 10. We are a full  
13 core ATRIUM 10XM fuel now. And, our licensed core  
14 flow is 104.5 percent as was previously mentioned at  
15 full power.

16 The project overview, the reason for the  
17 submittal is to expand the flow window at full power.  
18 The benefits of that is that we are required with the  
19 current flow window to have multiple reactivity  
20 manipulations for sequence exchanges.

21 So, the MELLLA+ will allow us to reduce  
22 the number of downpowers, the number of reactivity  
23 manipulations of the plant.

24 MEMBER MARCH-LEUBA: Jeff, on the top of  
25 your head, how often do you change route, do you move

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 those today?

2 MR. NOLIN: There's sequence exchange  
3 quarterly.

4 MR. THOMAS: Sequence exchanges are about  
5 every 2500 megawatt days per metric ton. And then, as  
6 you get into the latter half of the cycle, maybe two-  
7 thirds, we sometimes have to do them weekly to stay  
8 within our flow window.

9 Essentially, it's the hot access  
10 reactivity begins to drop off at the end of cycle.

11 MEMBER MARCH-LEUBA: So, about once a  
12 week?

13 MR. THOMAS: Yes.

14 MR. YODERSMITH: Towards the end of cycle,  
15 that's about what it is, about once a week, maybe --

16 MR. THOMAS: Yes, maybe two-thirds of the  
17 way through the cycle.

18 MEMBER MARCH-LEUBA: So, MELLLA+ would  
19 allow you to extend that probably for a month?

20 MR. THOMAS: Yes.

21 MR. YODERSMITH: Correct, at least.

22 MEMBER MARCH-LEUBA: It's a big, big  
23 improvement.

24 MR. YODERSMITH: Yes.

25 MR. NOLIN: So, in addition to that, it'll

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 help with recirc pumps, the operation of the recirc  
2 pump seals has been a reliability issue for many  
3 plants. And so, being able to expand the flow window  
4 will also help improve recirc pump seal reliability.

5 So, it has some benefits beyond the  
6 reactivity manipulations as well.

7 CHAIRWOMAN REMPE: So, I don't recall  
8 other MELLLA+ applicants coming in and saying this  
9 about the pump seals. And, is there evidence to say  
10 yes, that's occurred with the ones that have gone in  
11 to MELLLA+? Or have they not had much experience or  
12 is this a well-substantiated issue?

13 MEMBER MARCH-LEUBA: I believe the issue  
14 is, I mean, because they cannot go below 99 percent  
15 flow, they have to be running at full power all the  
16 time. The maximum you can crank out of them.

17 When they go to MELLLA+, they can be  
18 running at 80 percent of it.

19 CHAIRWOMAN REMPE: But, is there evidence  
20 to support this claim that it's really helping with  
21 seals? I just -- I've not seen any other applicant  
22 come in with that.

23 MR. THOMAS: I think it's the opposite.  
24 I think it's the evidence is that the staying  
25 consistently at the higher flows is adverse to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 seals.

2 MR. NOLIN: We've seen since -- I  
3 mentioned earlier that we have approximately a decade  
4 at post-EPU. And, our experience was that the recirc  
5 pump seals have been more challenged by operating at  
6 a 100 percent flow consistently.

7 So that --

8 CHAIRWOMAN REMPE: Well, in the recent  
9 years, you've seen --

10 MR. NOLIN: -- experience at Brunswick.

11 MR. DEWIRE: Yes.

12 CHAIRWOMAN REMPE: Have you had to replace  
13 them?

14 MR. NOLIN: We're doing a design change to  
15 the seals to support the sustained operation at high  
16 flow. So, we're doing other things to improve recirc  
17 pump reliability. But this will also help it.

18 CHAIRWOMAN REMPE: Okay, thank you.

19 MR. NOLIN: So, a prior question about  
20 readiness for the station for implementation on each  
21 unit. So, we've -- the Phase I prior to  
22 implementation, plant modifications and training, we  
23 did do the upgrade of our standby liquid control  
24 system.

25 We increased the enrichment from 47

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 percent to 92 percent on each unit. And, that is  
2 complete.

3 We did the APRM EPROM modifications a  
4 couple years ago in each unit. So, the physical  
5 changes with the power range monitors have been  
6 completed.

7 And, Mark DeWire, our senior license  
8 holder will also discuss the operator training. So,  
9 we've been through a couple of cycles of operator  
10 training on MELLLA+ for readiness.

11 The implementation phase, we'll implement  
12 --

13 MEMBER MARCH-LEUBA: Sorry, go back to  
14 that. You do parallel training because you have to  
15 train your operators to what is today applicable?

16 But then, on Friday afternoon you talk  
17 about what you'll be doing next year?

18 MR. NOLIN: So, we have -- Mark will get  
19 into that in much more detail.

20 MR. DEWIRE: Yes, if you can just hold  
21 that question until I get up with my presentation,  
22 then I'll address your question.

23 MEMBER MARCH-LEUBA: We'll wait.

24 MR. DEWIRE: Thank you, sir.

25 MR. NOLIN: So, the implementation phase

1 will consist of implementing the tech specs procedure  
2 changes. We'll also go through a testing phase in the  
3 MELLLA+ domain which will include level and pressure  
4 perturbations in a series of five test conditions.

5 And then, the implementation of the detect  
6 and suppress solution for the MELLLA+.

7 So, the plant is physically ready and the  
8 implementation will be integrated on both units at the  
9 same time.

10 With that, I'd like to turn it over to  
11 Roger Thomas, he's our Manager in Nuclear Fuels.

12 MR. THOMAS: Thanks and, as Jeff said,  
13 John Siphers was originally scheduled to give this  
14 presentation, but because of the weather, his flight  
15 was cancelled, so I am acting as his understudy today.

16 I am Manager of Brunswick Nuclear Design  
17 which is a unit within John's group.

18 So, the focus of my part of the  
19 presentation is something that's already been touched  
20 on, is some of the unique aspects of our LAR compared  
21 to some of the previous ones.

22 We, of course, did follow the generic  
23 MELLLA+ LTR, but there was a division of labor between  
24 Framatome and GE that will be described in greater  
25 detail in some of the proprietary presentations.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But, briefly, GEH, their division of labor  
2 was to evaluate the overall plant response. They  
3 focused on ATWS, ATWSI, long-term stability and DSS-  
4 CD.

5           Framatome focused on those areas of the  
6 analysis specific mostly to the fuels, the kinds of  
7 analysis that you would typically see on a reload or  
8 cycle specific basis.

9           As also previously been mentioned that GEH  
10 and Framatome both have long and extensive experience  
11 modeling the Brunswick plant.

12           GE, from initial startup, through extended  
13 power operation and beyond, all the way to 2008 at  
14 which time we transitioned to ATRIUM 10 fuel and in  
15 2008. And then, later, in 2011, to ATRIUM 10XM.

16           Framatome has modeled the core and the  
17 plant through that period all at extended power  
18 uprate.

19           Another thing that might be unique is that  
20 the cap credit, because we have had extended power  
21 uprate for some time, we are proposing no changes to  
22 our cap credit that we currently have.

23           MELLLA+ doesn't impact cap credit and the  
24 NRC has a slide where they go into greater detail on  
25 that. So, we're standing pat on that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 All right, so, looking at vendor  
2 methodology applicability, that's also something  
3 that's been touched on. It's something that we were  
4 challenged on early on.

5 Specifically, the challenge was, how --  
6 are GE methods applicable to AREVA fuel, excuse me,  
7 Framatome fuel? And, whether or not Framatome methods  
8 are applicable in the expanded MELLLA+ flow regime?

9 So, starting with Framatome, there are no  
10 SER restrictions on Framatome methodology that are  
11 impacted by MELLLA+.

12 And, the Brunswick core and assembly  
13 conditions that we will have in MELLLA+ are equivalent  
14 to core and assembly conditions of other plants for  
15 which Framatome's methodology was benchmarked.

16 And, of course, they elaborate on that in  
17 the report that you see there in the first bullet.

18 GEH methods are applicable to MELLLA+, of  
19 course, and they are capable of modeling Framatome  
20 fuel.

21 There was an extensive transfer of  
22 information about the characteristics and the  
23 dimensions of the fuel from Framatome to GEH. GEH  
24 explicitly modeled the ATRIUM 10XM fuel.

25 Duke had an interface role there where

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what we did is we developed a GEH thermal hydraulic  
2 model for them in ISCOR. We translated the X-code  
3 results. And, this is something we have done many  
4 times in the past for other reasons. So, it was just  
5 a matter of going a different direction.

6 And, in response to some RAIs, we also  
7 provided steady state core simulator comparisons  
8 between Framatome and GE and they showed excellent  
9 agreement and excellent results.

10 And, they prove, for the purposes of the  
11 work that GE is doing, that they could satisfactorily  
12 model the ATRIUM, or excuse me, yes, the ATRIUM 10XM  
13 fuel.

14 MEMBER MARCH-LEUBA: Roger, did I hear you  
15 correctly, instead of passing -- you passing the  
16 Framatome, call it equivalent diameter from the fuel  
17 to GE, you actually rolled the ISCOR model for them?

18 MR. THOMAS: We created an ISCOR model for  
19 them. And, it was the equivalent to Framatome's X-  
20 cover modeling.

21 MEMBER MARCH-LEUBA: So, instead of  
22 parsing the dimensions of the fuel --

23 MR. THOMAS: No, no, no.

24 MEMBER MARCH-LEUBA: -- you created --

25 MR. THOMAS: No, fuel dimensions were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 passed.

2 CHAIRWOMAN REMPE: So, in some of the  
3 information I read, some dimensions might have been  
4 passed, but they basically said, we gave -- GEH gave  
5 a range of conditions or parameters and sent it over  
6 the fence. And, AREVA or Framatome said, yes, that'll  
7 bound it.

8 So, what exactly -- and maybe we could get  
9 into the proprietary --

10 MR. THOMAS: That was -- yes, that's --

11 CHAIRWOMAN REMPE: -- and discussion, too.

12 MR. THOMAS: Yes, the details of that are  
13 proprietary, but the concept is on, if not the next  
14 slide, the slide after that.

15 CHAIRWOMAN REMPE: Okay.

16 MR. THOMAS: Okay, so, GEH key analysis,  
17 so, this is where we speak to this a little bit.

18 So, in the previous slide, I mentioned  
19 that GEH analyzed anticipated transient without SCRAM  
20 and ATWS with instability.

21 The uncertainties and the ranges that you  
22 mentioned are what AREVA provided were nominal  
23 dimensions, nominal and so, GE identified to AREVA  
24 what the important sensitive parameters would be in  
25 their analyses.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And, they said, can you give us the  
2           uncertainties for these?

3           That's a very sensitive thing, so, what  
4           they did is they bounded the ranges. I think it was  
5           kind of like, you know, The Price is Right game,  
6           higher, lower, higher, lower, ding, ding, ding, ding.  
7           Okay, that'll bound it. All right? That's kind of  
8           how it went.

9           And, Framatome will have to speak to how  
10          those ranges actually bound their uncertainties. All  
11          right?

12          Additionally, coming out of the LAR audit  
13          that we had last July, GEH uses a different Tmin  
14          correlation, I guess you would call it. And, or they  
15          have a preferred one, but the NRC requested that they  
16          provide -- they do additional sensitivities using the  
17          homogeneous nucleation plus contact temperature model,  
18          which I have to read to say that.

19          But, those were also provided in a  
20          response to an LAR. And, I believe the key conclusion  
21          here is, even with all of those parameters and  
22          sensitivity studies applied, the results were still  
23          favorable overall to the result and to support of the  
24          MELLLA+ LAR.

25          So, again, there's a lot of proprietary

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 information supporting those three bullets there, and  
2 it will be addressed in some of the follow on.

3 All right, one of the things that we also  
4 did, some of this has also been touched on a little  
5 bit, is mitigating actions.

6 Clearly, MELLLA+ is a more challenging  
7 area of operation for the plant. So, we wanted to  
8 talk what actions made sense to sort of soften that  
9 impact.

10 The first is the adoption of the Detect  
11 and Suppress Solution Confirmation Density. We're  
12 currently in Option 3 for non-MELLLA+ operation. We  
13 will be transitioning to the DSS-CD for this which  
14 adds the additional layer of checking and that  
15 additional algorithms associated with that.

16 The second thing we did which Jeff also  
17 touched on was we have already increased our SLCS B-10  
18 enrichment from 46 to 92 or greater. And, what this  
19 did for us is, it actually reduced the heat load and  
20 suppression pool for the ATWS analyses in MELLLA+  
21 relative to our original license condition.

22 So, in the box at the bottom, we compared  
23 the two at 2436 and 75 percent flow which is several  
24 power uprates ago that the result was 189 degrees.  
25 And, you can see that there's an approximately 15

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 degree improvement there which is a quantifiable  
2 increase in the safety margin that we have for the  
3 plant. So, that was a very positive result.

4 MEMBER MARCH-LEUBA: The other licensees  
5 -- previous licensees have opted also to a speed up  
6 their operation -- operator actions from 120 to 90  
7 seconds, the water level reduction.

8 However, you decided to keep it at 120.

9 MR. THOMAS: Yes.

10 MEMBER MARCH-LEUBA: And, yesterday in  
11 open session, we were told that in reality you're  
12 trained to 96 seconds.

13 MR. THOMAS: That's right.

14 MEMBER MARCH-LEUBA: Which is 80 percent  
15 of 120.

16 CHAIRWOMAN REMPE: So, there's some slides  
17 coming up in this open session on this, so because I'm  
18 going to try and keep us on schedule, I'd like to let  
19 them have the opportunity to answer that question  
20 later.

21 MR. THOMAS: Yes, that --

22 CHAIRWOMAN REMPE: I think it fits in a  
23 better slide.

24 MR. THOMAS: Yes.

25 CHAIRWOMAN REMPE: Okay? Sorry.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. THOMAS: That's okay.

2 Okay, and the final topic that I have is  
3 Safety Limit MCPR. Unlike some of the previous  
4 MELLLA+ LARs, we are proposing that there's no penalty  
5 required for the safety limit MCPR in MELLLA+.

6 Framatome has a great deal of information  
7 in their proprietary session that will support this.  
8 But, what I can say is the primary concern that  
9 prompted the previous penalties was the increased void  
10 fractions and the concern that, as you move to those  
11 increased void fractions you would see increases in  
12 your uncertainties.

13 And, there was a lack of operating data to  
14 justify those uncertainties.

15 Framatome will present operating  
16 experience that includes data in those ranges that  
17 validates the use of their existing uncertainties.

18 And, we will also present some Brunswick  
19 specific information that shows that as we increase --  
20 as we go along the line of increasing void fractions,  
21 we do not see a negative trend in our applied  
22 uncertainties. So, both of those will be presented in  
23 the Framatome session.

24 So, the conclusion of that would be that  
25 operation in the MELLLA+ region is within the analysis

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 capabilities of Framatome methods and uncertainties  
2 and so, no safety limit penalty is warranted.

3 So, with that, I'll turn it over to Mark  
4 DeWire to address operator actions and training.

5 MR. DEWIRE: Good morning, I am Mark  
6 DeWire. I'm Assistant Ops Manager for the Shift at  
7 the Brunswick Nuclear Power Plant.

8 We're going to talk about operator  
9 training. It was conducted in two cycles over the  
10 year 2017 and it began in the spring, May/June time  
11 frame where we started with just classroom discussion  
12 which included a high level overview of the changes  
13 that were coming and what we are intending to  
14 accomplish.

15 Came back around in 2017 in the fall with  
16 more classroom training which was on tech spec  
17 changes, procedure updates and included a tech spec  
18 workbook to allow the senior licensed operators to  
19 work through that and understand the tech spec  
20 changes.

21 And then, we also went into the simulator,  
22 we did the hands on training, did demonstrations and  
23 the hands on training where we focused more on the  
24 time critical operator action of 120 seconds for  
25 initiating water level reduction which get into your

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 question.

2 So, the ATWS training's not a new concept.  
3 We have been training -- always been training on ATWS.  
4 The 120 seconds, we had started training to that a  
5 year and a half to two years ago when we first knew  
6 that MELLLA+ was coming our way.

7 So, we worked our way through that and we  
8 designated it as a time critical operator action.

9 So, I'll keep going on to the next slides.

10 So, the operating crews were trained on  
11 the time critical actions, as I mentioned. Each crew  
12 was given three high power ATWS simulator scenarios to  
13 be performed. And then, as mentioned earlier, in  
14 February 2018, the NRC came down and did an audit and  
15 observed the performance of the high power ATWS time  
16 critical actions with no comments.

17 Twelve operating crews that --

18 MEMBER SKILLMAN: Can you back a slide,  
19 please?

20 MR. DEWIRE: Yes, sir.

21 MEMBER SKILLMAN: So, the NRC comes down  
22 and takes a look. Are the crews informed when the  
23 event is going to occur or how to ensure that the crew  
24 really knows when to take that action and that they're  
25 not pre-staged waiting like a vulture to meet their

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 120 seconds.

2 MR. DEWIRE: Right. So, that's a good  
3 question.

4 So, the crews know there's an ATWS coming,  
5 they're in there for that specific event, so you can't  
6 hide that from them.

7 However, the plant is put through a  
8 transient and then they worked their way into the  
9 ATWS. So, they're not standing by with people at the  
10 ready at various locations. They're dealing with a  
11 simulator scenario and they're working their way in to  
12 ultimately the ATWS actions on it.

13 So, I don't have people preprogrammed  
14 standing over ready to go.

15 MEMBER SKILLMAN: That's probably as good  
16 as you can do. So, thank you.

17 MR. DEWIRE: As mentioned, 12 operating  
18 crews at three scenarios, so 36 total scenarios. The  
19 average time was 85 seconds. The standard deviation  
20 was 16 seconds. And, we were able to successfully  
21 demonstrate that we could perform the time critical  
22 operator actions within the 120 seconds and with  
23 margin.

24 CHAIRWOMAN REMPE: Okay, so now I want to  
25 stop and have you answer Jose's question about why not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 go to 96 seconds.

2 I also am curious, what was the longest  
3 time someone took?

4 MR. DEWIRE: Hundred and twenty-one  
5 seconds, one operating crew.

6 CHAIRWOMAN REMPE: So, that's above the 96  
7 metric we were told about yesterday.

8 MEMBER MARCH-LEUBA: How about the 120 --  
9 so, if you do 121, that will fail, right?

10 MR. DEWIRE: That's correct.

11 MEMBER MARCH-LEUBA: They have to retake  
12 it?

13 MR. DESIRE: That's correct. So, they  
14 fail the time critical operator action. So, we go  
15 into the training process and they get remediated and  
16 they do it again.

17 MEMBER MARCH-LEUBA: Remedial training, we  
18 have people going through that.

19 MR. DEWIRE: So, the 120 -- so, the 85  
20 seconds, when we get back to the 120 second question,  
21 we did benchmarking and we brought in and we actually  
22 changed the initial operator actions for reactor  
23 operator.

24 We gave them a hard car where they could  
25 secure the recirc pumps and they could initiate SLC

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 based on their actions and reading the control board.

2 When we looked at other ways to get  
3 leveled down rapidly required just to the design of  
4 our plant, pretty significant engineering change to  
5 get the level to come down with like the push of a  
6 button or something like that. It takes operator  
7 action.

8 And, when you incorporate INPO's IER 17-5  
9 with leadership trades and maintaining command and  
10 control, we felt prudent to maintain command and  
11 control with the control room supervisor directing the  
12 initiation of the reactor wide level reduction.

13 So, given that philosophy, we were able to  
14 demonstrate right around 85 seconds is where we come  
15 in with that time critical. Maintaining the command  
16 and control yet allowing the operator to take actions.

17 MEMBER MARCH-LEUBA: So, you're saying the  
18 design of the control -- the pump control requires you  
19 to roll them back slowly? You cannot just read them?

20 MR. DEWIRE: They do. They run -- they  
21 get run back on the SCRAM signal from the reactor  
22 protection system and then --

23 MEMBER MARCH-LEUBA: No, I'm talking --  
24 sorry, I was talking about -- I said pumps, I meant  
25 feedwater pumps.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DEWIRE: The feedwater pumps are  
2 directed from -- so, the order to terminate and  
3 prevent will come from the control room supervisor  
4 then the reactor operator would take action, it would  
5 be another hard car.

6 MEMBER MARCH-LEUBA: How long does it take  
7 to terminate and prevent?

8 MR. DEWIRE: Eighty-five seconds.

9 MEMBER MARCH-LEUBA: No, no, I mean, it  
10 probably takes 80 seconds to start --

11 MR. DEWIRE: All right, so the valve  
12 strokes on the feedwater systems are probably around  
13 80 seconds for them to complete total stroking. But,  
14 the one feed pump is tripped off, the other feed pump  
15 is run down, it's discharged pressure so it cannot  
16 inject.

17 So, it's terminated that way and you're  
18 waiting on the valves for the prevention.

19 MEMBER MARCH-LEUBA: Okay, thank you.

20 MEMBER SKILLMAN: How significant were the  
21 changes to the operating procedures to accommodate the  
22 successful outcome here?

23 MR. DEWIRE: Not very, the only --

24 MEMBER SKILLMAN: Just a couple of --

25 MR. DEWIRE: Yes, the only thing we really

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 added was we allowed the RO more flexibility to take  
2 action at the control board with the initiation of SOC  
3 and the tripping of the recirc pumps.

4 MEMBER SKILLMAN: Okay, thank you.

5 CHAIRWOMAN REMPE: So, is this the only  
6 time critical operator action associated with MELLLA+  
7 or does the initiation of like SLC injection --

8 MR. DEWIRE: SLC injection of less than  
9 five minutes is a time sensitive with -- time  
10 sensitive operator action.

11 CHAIRWOMAN REMPE: But, it's not time  
12 critical, it's a different --

13 MR. DEWIRE: Right, it's a different  
14 category.

15 CHAIRWOMAN REMPE: -- category and how you  
16 train for it and treat it?

17 MR. DEWIRE: Right. But, again, we added  
18 that to the hard car so that was one of the immediate  
19 actions that the rad dropper is going to take.

20 MEMBER MARCH-LEUBA: Plus, in my  
21 experience the SLC -- the boron injection always  
22 happens before it's needed because the EOP's still  
23 your -- if you think you're going to get there, push  
24 the button, is that correct?

25 MR. DEWIRE: Right. So, he's going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 look at power level and if it's greater than a certain  
2 percent, he's going to initiate SLC.

3 MEMBER MARCH-LEUBA: And then --

4 MR. DEWIRE: But, that boron enrichment,  
5 I've been there since '95, licensed since 2000. It is  
6 a significant difference with that enriched boron and  
7 how fast power comes down.

8 MEMBER MARCH-LEUBA: Yes, but what -- I  
9 was trying to say is that the boron injection time,  
10 you can call it critical, you never -- your crews are  
11 never going to fail it, right? Is that your  
12 experience?

13 MR. DEWIRE: Right, it's pretty quick  
14 right off the bat.

15 CHAIRWOMAN REMPE: Are we good to go on  
16 guys?

17 MR. DEWIRE: All right.

18 CHAIRWOMAN REMPE: Thank you.

19 MR. DEWIRE: Yes, ma'am.

20 So, in conclusion, implementation of the  
21 MELLLA+, we're talking about the benefits, greater  
22 flexibility in using core flow to control reactivity.  
23 That's near and dear to my heart as an operator with  
24 reactivity manipulation in a cycle.

25 Reduces the number of plant downpowers,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reactivity manipulations and increases the station's  
2 capacity factor for the operating cycle.

3 We'll be ready to implement MELLLA+  
4 License Amendment, we talked about the installation of  
5 the hardware changes with the DSS-CD firmware and the  
6 SLC enrichment.

7 We've completed training on MELLLA+, the  
8 procedures and required operator actions.

9 The final PRNM nuclear monitoring setpoint  
10 engineering change is being finalized and  
11 implementation of a test plan has also been  
12 established.

13 And, with all that, we're -- as mentioned,  
14 we're requesting approval for the third quarter of  
15 2018 implementation.

16 MEMBER MARCH-LEUBA: So, go to MELLLA+,  
17 you don't have to change any hardware other than  
18 EPROMs and things like that?

19 MR. DEWIRE: That's correct. It's already  
20 installed, it's a matter of turning it on.

21 MEMBER MARCH-LEUBA: Good, perfect.

22 CHAIRWOMAN REMPE: So, despite the fact  
23 we're a little bit behind, there's a slide 22 that you  
24 prepared and I just would like you to -- it's a backup  
25 slide and I was looking through your backup slides

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 before the meeting -- that one. Could you talk a  
2 little bit about that one, please?

3 MR. YODERSMITH: Yes, so this is our -- my  
4 name is Stephen Yodersmith with Duke Energy.

5 So, this is our test conditions that we'll  
6 be walking through during our test window. So, we'll  
7 start at test condition A and that'll be where we  
8 start our testing window.

9 And then, we'll come down to each of these  
10 test points, B, C, D, E and the various testing at  
11 those points to collect data for MELLLA+ transition.

12 And then, after --

13 MEMBER MARCH-LEUBA: Stephen, those test  
14 points, is that when you're testing your control  
15 systems, I think?

16 MR. YODERSMITH: That's correct.

17 So, yes, let me get to --

18 MEMBER MARCH-LEUBA: You'll be performing  
19 perturbations on your systems, CD control work fine?

20 MR. YODERSMITH: So, we'll be performing  
21 perturbations on the control systems, pressure  
22 testing. We'll also be gathering TIP data so that  
23 test condition A, we'll be gathering TIP data.

24 And also, at test condition E, we'll be  
25 gathering TIP data.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER MARCH-LEUBA: That'll be transient  
2 TIP, you know, are you going to wait there for 12  
3 hours?

4                   MR. YODERSMITH: So, it'll be steady  
5 state, not steady state xenon, it'll be steady state  
6 power level, so we won't wait there for 12 hours, but  
7 we will come to that test condition.

8                   MEMBER MARCH-LEUBA: Only for one hour?

9                   MR. YODERSMITH: That's -- yes, it usually  
10 takes about four hours to get the TIP data, so we'll  
11 sit there for that time period. We'll ask operations  
12 to maintain power at that power level. And so, it'll  
13 be a good TIP set which is consistent with the way we  
14 gather TIP --

15                  MEMBER MARCH-LEUBA: Actually, with  
16 MELLLA+ we suggest comparison or you know harder to do  
17 for the computer guys.

18                  MR. YODERSMITH: Yes, that's right. And  
19 so, this supports our, you know, we're taking TIP set  
20 down at this test condition E in support of what was  
21 discussed earlier that we don't need a safety penalty.

22                  And so, this will be -- this will provide  
23 additional confirmation that, yes, our uncertainties  
24 at this lower point, this higher power flow point  
25 don't show any inconsistencies with our uncertainties

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 at the more normal operating conditions.

2 MEMBER MARCH-LEUBA: Maybe I should ask  
3 the staff about this, but is this a licensing  
4 condition? It's not on the SER.

5 MR. YODERSMITH: We --

6 MEMBER MARCH-LEUBA: This second  
7 amendment?

8 MR. YODERSMITH: Yes, that's correct, yes.

9 MEMBER MARCH-LEUBA: I think we're in  
10 that, which I like better than a condition on the SER  
11 because once you've done it, you don't have to do it  
12 again.

13 MR. YODERSMITH: Yes, so our plan is to  
14 take this data during MELLLA+ startup. The plan is  
15 not to collect data here regularly, and so, our plan  
16 is, hey, we're going to -- on each unit, we're going  
17 to go collect that TIP data at that test condition and  
18 analyze it and make sure it's within our existing  
19 license uncertainties.

20 And then, if there's no plans to  
21 consistently get data there, but we will get it before  
22 we allow operation in the MELLLA+ region.

23 MR. MARCH-LEUBA: Thank you.

24 CHAIRWOMAN REMPE: Yes, thank you.

25 MR. YODERSMITH: You're welcome.

1 CHAIRWOMAN REMPE: That helps with our  
2 review.

3 MEMBER SKILLMAN: Let me ask this, please.  
4 As I look at your slide 17 which is your conclusion,  
5 what jumps out at me is the DSS-CD firmware.

6 And, the question I'd like to ask is this,  
7 what confidence does the station have that the EPROM  
8 and the other changes that are essential for this  
9 amendment are what those EPROM and other hardware  
10 changes need to be to stay within your -- the envelop  
11 for which you seek approval?

12 MR. YODERSMITH: We're very confident in  
13 the DSS-CD firmware so --

14 MEMBER SKILLMAN: Why are you confident?

15 MR. YODERSMITH: So, as part of the  
16 engineering change package that we did in 2016 when  
17 this firmware was installed, we did extensive factory  
18 acceptance testing and we also did extensive site  
19 acceptance testing of the firmware itself.

20 So, knowing that we've got the latest and  
21 greatest firmware from GE with the latest and greatest  
22 DSS-CD solution loaded on there, so extensive SAT  
23 testing.

24 We are currently operating with Option 3,  
25 so we've got the settings set such that Option 3 is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 our primary solution and DSS-CD is not active.

2 As part of our engineering change package  
3 that will be implementing upon MELLLA+ approval, we'll  
4 do extensive site acceptance test -- additional site  
5 post-mod testing would be the right term for it.

6 After we put in the new setpoints, we'll  
7 run through our MST, our maintenance surveillance test  
8 procedures for those EPROMs which will have been  
9 checked out at GE beforehand and run through and make  
10 sure that, yes, we are getting the trips where we're  
11 supposed to get the trips.

12 We are getting the annunciators where  
13 we're supposed to get the annunciators and we'll run  
14 through all that testing as part of post-mod testing.

15 MEMBER SKILLMAN: For the documentation  
16 for that change package --

17 MR. YODERSMITH: Yes, sir?

18 MEMBER SKILLMAN: -- to what extent was  
19 that covered by GE's and/or your Appendix B program?

20 MR. YODERSMITH: Yes, so the -- all the  
21 documents -- the sworn documents that we got from GE  
22 in support of that mod were developed in accordance  
23 with their Appendix B program. And, our engineering  
24 change process is to our engineering change to our  
25 Appendix B program.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SKILLMAN: Yes, sir, thank you.

2 MR. YODERSMITH: Yes, sir.

3 MEMBER MARCH-LEUBA: And, just follow up  
4 on a tiny detail, do you do a hash of the firmware to  
5 make sure -- in many times of digital controls, people  
6 put the wrong EPROM. The manufacturer will send you  
7 the wrong EPROM to use in the plant.

8 MR. YODERSMITH: Yes.

9 MEMBER MARCH-LEUBA: I mean, the Unit 1  
10 and Unit 2 are there to any one?

11 MR. NOLIN: There's a significant process  
12 relative to digital changes of the nuclear plant  
13 today. So, the firmware and software revision levels  
14 are required to be verified by the change and any  
15 subsequent PM replacements are corrective maintenance.

16 MEMBER MARCH-LEUBA: When you download a  
17 program from the internet, the good size, that's what  
18 gives you hash that you can check that it hasn't  
19 changed.

20 MR. NOLIN: That's right.

21 MEMBER MARCH-LEUBA: It would be  
22 worthwhile to think about it.

23 MR. YODERSMITH: Yes, so the --

24 MEMBER MARCH-LEUBA: Maybe GE needs to  
25 think about it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. YODERSMITH: The EPROMs were hashed at  
2 GE's facility --

3 MEMBER MARCH-LEUBA: They were?

4 MR. YODERSMITH: -- before they were  
5 packaged to verify that, yes, this is exactly what we  
6 need and what was tested during the FAC.

7 MEMBER MARCH-LEUBA: Okay.

8 MR. YODERSMITH: And then, they were sent  
9 to site using our cybersecurity process which allow --  
10 which requires certain tamper tape to be installed on  
11 the boxes and other provisions before they can be  
12 accepted at site to be installed.

13 So, we've followed our cybersecurity rules  
14 as far as purchasing firmware.

15 MEMBER MARCH-LEUBA: Joy's going to say we  
16 leave it, I love what you said. I'm wasting time.  
17 But, I love you said you think of cybersecurity over  
18 receiving the wrong EPROM. Typically, you don't think  
19 of a cybersecurity on USB drives, on CDs, on the  
20 internet.

21 MR. YODERSMITH: Oh, yes.

22 MEMBER MARCH-LEUBA: But, even an EPROM,  
23 your cybersecurity has a plan for it.

24 MR. YODERSMITH: Yes, that's right. Anything  
25 digitally related, our cybersecurity program gets into

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the purchasing requirements of that.

2 MEMBER MARCH-LEUBA: That's really good,  
3 thank you.

4 CHAIRWOMAN REMPE: Because you want to  
5 catch your plane, I'm going ahead at this point.

6 We're going to -- I think we're done with  
7 this session. And, I'm going to ask for public  
8 comments because this is going to be the end of the  
9 open portion of the meeting.

10 So, can you get the line open? And, is  
11 there anyone in the room who wishes to make a comment?

12 (NO RESPONSE)

13 MR. BROWN: The line's open.

14 CHAIRWOMAN REMPE: Okay. Is anyone on the  
15 line who wishes to make a comment or if there's anyone  
16 out there, if you just would confirm that you're  
17 there, it would help us to know that there's someone  
18 out there.

19 (NO RESPONSE)

20 CHAIRWOMAN REMPE: I'm not hearing  
21 anybody.

22 PARTICIPANT: We're here.

23 CHAIRWOMAN REMPE: Oh, okay, that's good.

24 PARTICIPANT: We're here, yes.

25 CHAIRWOMAN REMPE: Any comments?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 PARTICIPANT: None.

2 CHAIRWOMAN REMPE: Okay, not hearing any  
3 comments, I'm going to --

4 (OFF MICROPHONE COMMENTS)

5 CHAIRWOMAN REMPE: So, not hearing any,  
6 I'm going to close the open session.

7 We're going to take a ten minute break.  
8 And so, will the first folks, I think it's GEH and the  
9 licensee, if they'll be at the front at 10:30 or 9:35,  
10 we'll start up with that.

11 And, during this ten minutes, whoever  
12 needs to check, make sure that the other folks aren't  
13 in the room. Okay?

14 Thank you.

15 (Whereupon, the above-entitled matter went  
16 off the record at 9:25 a.m.)

17

18

19

20

21

22

23

24

25



# **ACRS Power Uprate Subcommittee**

## **Brunswick Steam Electric Plant Units 1 & 2**

### **Maximum Extended Load Line Limit Analysis Plus (MELLLA+)**

**May 16, 2018**



# Introduction

**Andy Hon, *PE***

**Project Manager**

**Division of Operation Reactor Licensing  
Office of Nuclear Reactor Regulation**

# Brunswick MELLLA+ Background

- 20% EPU was approved in 2002 but reduced the licensed flow window at the new licensed full power level from ~24% to 6% total core flow.
- Transitioned to full core AREVA (Framatome) fuel in in 2008/2009 and ATRIUM 10XM full core in 2012/2013.
- MELLLA+ amendment request was submitted 11/9/2016 to increase operational efficiencies and reduce control rod manipulations - expanding the licensed flow window at full power by ~20% to 85-104.5% total core flow.
- First LAR adopting approved licensing topical reports (LTR) for both GEH (TRACG) and AREVA ATRIUM™ 10XM fuel.

# LAR Contents

- LAR Body
  - Introduction, No Significant Hazards Consideration, etc.
- BSEP Safety Analysis Report (M+ SAR)
  - Follows the Approved GEH MELLA+ LTR NEDC-33006
  - Integrates analyses from GEH, AREVA (Framatone) and others
- Disposition of Limitation and Conditions from the LTR SEs.
- Proposed Mark-ups of license changes
- Supporting documents

# LAR Major Topics - similar to other MELLLA+

- T.S. Instrumentation consistent with the LTR and other plants to implement the Detection Suppression Solution – Confirmation Density (DSS-CD) for Rx core T-H stability.
- Standby Liquid Control (SLC) Boron Enrichment increased from 47% to 92%.
- Operational Restrictions – prohibit FW Temperature Reduction and Single Loop Operations in MELLLA+ domain.
- T.S. Administrative Requirements changes

- Similar to other plants' MELLLA+ SE
- Addressed each section of the BSEP SAR and applicable LTRs' L&Cs
- Included a summary of RES sensitivity study using TRACE computer modelling of Brunswick MELLLA+ conditions.
- Conducted two audits
  - Safety analyses – July 2017 in Rockville
  - Simulator – February 2018 on site



# NRC Staff Review Team

<b>Office of Nuclear Reaction Regulation</b>		
<b>J. Borromeo (Lead)</b>	<b>M. Biro</b>	<b>M. Breach</b>
<b>M. Chernoff</b>	<b>J. Dozier</b>	<b>A. Hon</b>
<b>J. Hughey</b>	<b>D. Ki</b>	<b>M. Panicker</b>
<b>A. Sallman</b>	<b>R. Stattel</b>	<b>A. Smith</b>
<b>M. Smith</b>	<b>A. Wysocki (ORNL)</b>	
<b>Office of Nuclear Regulatory Research</b>		
<b>A. Bielen</b>	<b>K. Gibson</b>	<b>C. Gingrich</b>
<b>N. Hudson</b>	<b>J. Staudenmeier</b>	<b>P. Yarsky</b>



# Agenda

<b>Time</b>	<b>Presenter(s)</b>	<b>Topic</b>
08:30	ACRS	Opening introduction
08:35	NRC staff	Review introduction
08:45	Licensee	LAR overview
09:15	ACRS	Public comments
09:20		Break
<b>Closed Sessions Below</b>		
09:30	Licensee/FR	LAR details (Framatome proprietary)
10:05	Licensee/GEH	LAR details (GEH proprietary)
10:40	NRC staff/ORNL	Review details (GEH proprietary)
11:15	NRC staff/ORNL	Review details (Framatome proprietary)
11:45	ACRS	Discussions and closing remarks
12:00		Meeting adjourn



# **Technical Staff Management Representative Opening Remark**

**Jen Whitman**

**Acting Branch Chief  
Reactor System Branch  
Division of Safety Systems  
Office of Nuclear Reactor Regulation**



**Brunswick Steam Electric Plant Units 1 and 2 MELLLA+  
(Maximum Extended Load Line Limit Analysis Plus)**

**Advisory Committee on Reactor Safeguards Subcommittee Meeting**



# BSEP Station Overview and MELLLA+ Project Overview

Jeff Nolin – BSEP GM Nuclear Engineering

## Objectives

Show Need for MELLLA+

Describe Key Aspects and Answer Questions

Demonstrate Readiness

Requested Approval supporting 3Q 2018 Implementation

## BSEP Station Overview

- General Electric BWR-4, Mark I Containment
- Began commercial operation in 1975 (Unit 2) and 1976 (Unit 1), OLTP 2436 MWt
- EPU (120% OLTP) 2923 MWt fully implemented in 2004 (Unit 1) and 2005 (Unit 2)
- 24 month operating cycle
- Transitioned to Framatome Fuel in 2008 (U1) and 2009 (U2)
- Full Core Framatome ATRIUM 10XM Fuel
- Licensed for Increased Core Flow (ICF) (110% at reduced power, 104.5% at CLTP 2923 MWt)


# MELLLA+ Project Overview – Background and Benefits

## Background

- EPU reduced the licensed flow window at rated power from approximately 24% to 6% Total Core Flow. MELLLA+ will expand the licensed flow window at 100% power from 99-104.5% to 85-104.5% Total Core Flow.

## Benefits

- Fewer reactivity manipulations
- Reduction in down-powers
- Increase station capacity factor
- Lower Reactor Recirculation Pump (RRP) speeds:
  - increase RRP seal lifetime
  - increase net electric generation due to lower pump power usage



## MELLLA+ Project Overview – Implementation Progress and Plans

- Phase 1 (Pre-MELLLA+ Approval) – Plant Modifications and Training
  - Standby Liquid Control (SLC) Boron-10 (B10) enrichment upgrade (Completed in 2016 & 2017)
  - APRM EPROM modifications (Completed Mid 2016 on both Units)
  - Plant Operators Introduced to MELLLA+ (2017 Cycle 3 Training)
  - Operators provided with overview of hardware and procedure changes including revised Power/Flow maps along with simulator exercises on new time critical operator action. (2017 Cycle 6 Training)
  
- Phase 2 (Post MELLLA+ Approval) – Online Updates and Testing
  - Implement new Technical Specifications, Engineering Changes (ECs), Procedures
  - Special Testing in MELLLA+ Domain including Level Control, Pressure Control, APRM / LPRM / TIP / OPRM data evaluations, Fuel Thermal Margins, Recirc System Performance, and Moisture Carryover
  - Transition to Detect & Suppress Solution – Confirmation Density (DSS-CD) Stability Option from Option III



# MELLLA+ Design and Analyses

John Siphers – GM Nuclear Fuel Design

## MELLLA+ Design and Analyses

- The M+ SAR follows the guidelines contained in the generic MELLLA+ Licensing Topical Report (M+LTR), NEDC-33006P-A.
  - Although the M+LTR is a product of GEH, BSEP utilizes Framatome A10XM fuel. As such, the safety evaluations provided in the M+SAR are the results from both GEH and Framatome.
    - GEH evaluated the overall plant response with M+, ATWS, ATWSI and long term stability solution DSS-CD. GEH has a long experience of modeling BSEP from startup through EPU operation.
    - Framatome performed the remaining typical reload specific fuels analyses. Framatome has been modeling BSEP at EPU conditions since the original ATRIUM 10 transition in 2008 and ATRIUM 10XM since 2011.
- Consistent with the M+LTR, the evaluation of BSEP Emergency Core Cooling System Net Positive Suction Head demonstrated there is no adverse impact and therefore no change to Containment Accident Pressure credit is warranted with MELLLA+.

## MELLLA+ Design and Analysis – Vendor Methodology Applicability

- ANP-3108P, Applicability of Framatome BWR Methods to Brunswick Extended Power Flow Operating Domain (EPFOD)
  - No SER restrictions on Framatome methodology that are impacted by EPFOD
  - BSEP core and assembly conditions in MELLLA+ are equivalent to core and assembly conditions of other plants for which the methodology was benchmarked
- GEH methods are applicable to MELLLA+ and are capable of modeling Framatome fuel
  - Transfer of information from Framatome to GEH allowed explicit modeling of the fuel
  - Duke developed and provided a GEH thermal hydraulic model (ISCOR) for ATRIUM 10XM
  - NRC RAI SRXB-RAI-11 response provided steady-state core simulator comparisons for BSEP MELLLA+ cycle using GEH and Framatome methods
    - Shows GEH methods modeled the A10XM fuel and core characteristics in a satisfactory manner

## MELLLA+ Design and Analysis – Key GEH Analyses

- GEH analyzed Anticipated Transient Without Scram (ATWS) and ATWS with Instability (ATWSI) scenarios.
- To address the effect of any uncertainty in GEH modeling A10XM, fuel parameter sensitivities were performed.
- For ATWSI, additional sensitivities were executed utilizing the homogenous nucleation plus contact temperature model for  $T_{\min}$  and plant data was utilized to determine an appropriate feedwater temperature reduction rate.

## MELLLA+ Design and Analysis – Key MELLLA+ Mitigating Actions

- BSEP will transition from Option III to Detect and Suppress Solution – Confirmation Density (DSS-CD) for thermal hydraulic stability (THI) protection. To set the DSS-CD amplitude discriminator, GEH analyzed BSEP limiting events to demonstrate adequate margins.
- BSEP increased the Standby Liquid Control System (SLCS) B-10 enrichment (47 to 92% B-10) such that the ATWS heat load to the suppression pool was reduced at 2923 MW<sub>th</sub>/85% flow when compared to original power 2436 MW<sub>th</sub>/75% flow conditions (19.8% B-10).
  - 2436 MW<sub>th</sub>/75% Flow peak pool temperature was 189.4 F while EPU/MELLLA+ is 174.0 F.

## MELLLA+ Design and Analysis – SLMCPR

- BSEP does not have any SLMCPR penalties for operation in EPU. No additional SLMCPR penalty is warranted for MELLLA+.
- The primary concern prompting a penalty is increased void fractions due to operation at higher power/flow ratios and lack of operating data to justify current licensing uncertainties.
- Framatome operating experience includes data that validates use of existing uncertainties with Framatome methods at the BSEP MELLLA+ high power/flow ratios.
- Therefore, operation in the MELLLA+ region is within the analysis capabilities of Framatome methods and uncertainties and no SLMCPR penalty is warranted.

# Operator Actions and Training

Mark DeWire – BSEP Assistant OPS Manager - Shift

## Operator Actions and Training – Overview

Operator Training was Conducted During Two Cycles of 2017

- Cycle 3 (May/June 2017)
  - MELLLA+ Introduction (Classroom Only)
- Cycle 6 ( Oct/Nov 2017)
  - MELLLA+ Procedure and Equipment Changes (Classroom)
  - MELLLA+ Tech Spec Workbook (Classroom)
  - Equipment Demonstrations (Simulator)
  - ATWS Proficiency Training (Simulator)
- Operator training included training on:
  - MELLLA+ Operating Restrictions, Technical Specification changes, and procedure updates
  - Time Critical Operator Action (TCOA) to initiate reactor water level reduction during ATWS within 120 seconds



## Operator Actions and Training – ATWS Time Critical Operator Actions

### ATWS TCOA Training

- Operating crews were trained on MELLLA+ ATWS time critical actions
- Three high power ATWS simulator scenarios performed per crew
- February 2018 NRC Audit observed performance of high power ATWS time critical actions

## Operator Actions and Training – ATWS Time Critical Operator Actions

ATWS TCOA timing results:

- 12 operating crews were timed initiating ATWS reactor water level reduction (36 scenarios)
- Average time to initiate reactor water level reduction was 85 seconds
- Standard deviation was 16 seconds
- Operating crews have demonstrated ability to perform TCOA within required times with margin

## Conclusions

Implementation of MELLLA+ will provide significant benefits:

- Operators will have greater flexibility in using core flow to control reactivity
- Reduces the number of plant downpowers and reactivity manipulations
- Increases the station's capacity factor during the operating cycle

Brunswick will be ready to implement the MELLLA+ License Amendment

- Installation of the DSS-CD firmware and SLC enrichment change complete
- Training on MELLLA+ equipment, procedures and required operator actions is complete
- Final PRNM setpoint Engineering Change is being finalized
- Implementation test plan established

Requested Approval supporting 3Q 2018 Implementation

# Questions