



UNITED STATES
NUCLEAR REGULATORY COMMISSION
WASHINGTON, D.C. 20555

OFFICE OF THE
SECRETARY

CERTIFICATION

I hereby certify that I am employed by the United States Nuclear Regulatory Commission (NRC), that I am the Acting Chief of the Docketing and Service Branch of the Office of the Secretary and as such I am the official custodian of the adjudicatory docket maintained by the Secretary of the Commission in the discharge of his responsibilities under 10 CFR Sec. 2.702. The official NRC adjudicatory docket includes the document described below, a copy of which is attached. I further certify that the attached document is a true and correct copy and is kept by the Docketing and Service Branch of the Office of the Secretary in the regular course of business.

Transcript of hearing before the Atomic Safety and Licensing Board, including attachments, dated November 12, 1975, docketed November 14, 1975 and containing pages 462-575. The transcript covers a portion of the hearing held by the Licensing Board in the South Texas proceeding (Docket No. STN 50-498/499-OL) in Bay City, Texas on Wednesday, November 12, 1975.

Emile L. Julian

Emile L. Julian

7/18/89

Date

I hereby certify that the person whose signature appears above is the official custodian of this information on file in the Office of the Secretary to which certification is made and was official custodian at the time of executing the above certificate.



John C. Hoyle

John C. Hoyle, Assistant Secretary
Office of the Secretary of the
Commission

July 18, 1989

Date

Attachment: As stated

NUCLEAR REGULATORY COMMISSION

IN THE MATTER OF:

**HOUSTON LIGHTING AND POWER CO.,
et al.**

**(South Texas Project,
Units 1 and 2)**



**Docket Nos. STN 50-498
STN 50-499**

Place -

Date - Bay City, Texas

Pages

Wednesday, 12 November 1975

462 - 575

**Telephone:
(Code 202) 547-6222**

ACE - FEDERAL REPORTERS, INC.

Official Reporters

**415 Second Street, N.E.
Washington, D. C. 20002**

NATIONWIDE COVERAGE

CR 6191
ANK:
ro NR

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

----- X
 :
 In the Matter of: :
 :
 HOUSTON LIGHTING AND POWER CO., : Docket Nos. STN 50-498
 et al. : STN 50-499
 :
 (South Texas Project, Units 1 and :
 2) :
 :
 ----- X

Oasis Motor Hotel
Highway 35 West
Bay City, Texas

Wednesday, 12 November 1975

Hearing in the above-entitled matter was convened,
pursuant to notice, at 10:00 a.m.

BEFORE:

MRS. ELIZABETH S. BOWERS, Chairperson
Atomic Safety and Licensing Board

FREDERICK J. SHON, Member

DR. CADET H. HAND, Member

APPEARANCES:

MELBERT SCHWARZ and GREGORY COPELAND, Esqs., Baker and
Botts, 3000 One Shell Plaza, Houston, Texas 77002; and
JACK R. NEWMAN, MAURICE AXELRAD and J. A. BOUKNIGHT, JR.,
Esqs., Lowenstein, Newman, Reis and Axelrad, 1025
Connecticut Avenue, N. W., Washington, D. C. 20036;
on behalf of the Applicant, Houston Lighting & Power.

ROBERT L. PENDERGRAFT and PAUL G. GOSSELINK, Esqs.,
Office of the Attorney General, Supreme Court Building,
Austin, Texas 78711; on behalf of the State of Texas.

ro 1 APPEARANCES: (continued)

2 IVER STRIDIRON and ALBERT V. CARR, Esqs., Office of the
3 Executive Legal Director, Nuclear Regulatory
4 Commission, Washington, D. C.; on behalf of the
5 Nuclear Regulatory Staff.
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ro

C O N T E N T S

<u>WITNESS</u>	<u>DIRECT</u>
George W. Oprea, Jr.	485
James R. Sumpter	494 and 506
Douglas W. Peacock	497
Howard Freeman	492
David G. Barker	509
R. D. Gauny	519
Richard J. Klapper	523
D. R. Betterton	527
Dr. Walton A. Rodger	512
John T. Mooney	530
Gordon L. Chipman, Jr. and Marvin Dunenfeld, and Ronald Gamble and Dr. Jai Raj Rajan	539
Alex W. Dromerick	544
J. S. Boegli	549
Robert L. Waterfield	551

E X H I B I T S

<u>NUMBER</u>	<u>FOR IDENTIFICATION</u>	<u>RECEIVED</u>
Applicant's No. 7 - Application as amended by amendments 1 thru 3	485	491
Applicant's No. 8 - Preliminary Safety Analysis Report as amended by amend- ment 1 thru 33	485	496
Applicant's No. 9 - RESAR-14 reference safety analysis report as amended by amendments 1 thru 19	485	501
Staff's No. 5 - Safety Evaluation Report related to construction of the South Texas Project.	540	548
Staff's No. 6 - Safety Evaluation Report related to construction of the South Texas Project, Supplement No. 1	540	548

P R O C E E D I N G S

1
2 MRS. BOWERS: On July 19, 1974, the Commission
3 published in the Federal Register 39 FR 26472, a Notice
4 of Hearing on an application for a construction permit.
5 A prehearing conference was held on February 6, 1975,
6 and an evidentiary hearing on environmental issues and safety
7 issues related to site suitability was held on April 22 and
8 1975.

9 After the hearing the Regulatory Staff requested
10 that the Board defer its decision until the Staff could
11 issue its position on the applicability to the South Texas
12 Project, a new Commission regulation on "as low as practicable"
13 radiological releases.

14 The record was later reopened to receive the new
15 information and the decision was issued on August 7, 1975.
16 That partial initial decision authorized the issuance of a
17 limited work authorization to the applicant. This meant that
18 the Applicant could proceed at its own risk to perform certain
19 preliminary work at the site.

20 On October 24, 1975, the Board issued the notice for the
21 evidentiary hearing on health and safety issues. I read
22 those issues at the prehearing conference on February 6,
23 1975, but since some time has passed, I will repeat them
24 quickly now:

25 We must determine, one, whether, in accordance with

CR6191

FP:bwl

S1

bw2

1 the provisions of 10 CFR 50.35 a, small a, the Applicants
 2 have described the proposed design of the facilities, including
 3 but not limited to the principal architectural and
 4 engineering criteria for the design, and have identified
 5 the major features or components incorporated therein for
 6 the protection of the health and safety of the public;
 7 b, such further technical or design information as may be
 8 required to complete the safety analysis and which can
 9 reasonable be left for later consideration, will be supplied
 10 in the Final Safety Analysis Report; c, safety features
 11 or components, if any, which require research and development
 12 have been described by the Applicants and the Applicants
 13 have identified and there will be conducted a research
 14 and development program recently designed to solve any
 15 safety questions associated with such features or components;
 16 and, d, on the basis of the foregoing there is reasonable
 17 assurance that, (1) such safety questions will be
 18 satisfactorily resolved at or before the latest date stated
 19 in the application for completion of construction of the
 20 proposed facilities; and (2), taking into consideration the
 21 criteria contained in 10 CFR Part 100, the proposed facility
 22 can be constructed and operated at the proposed location
 23 without undue risk to the health and safety of the public.

24 Number 2, whether the Applicants are technically
 25 qualified to design and construct the proposed facility.

1 Number 3, whether the Applicants are financially
2 qualified to design and construct the proposed facility; and

3 Last, number 4, whether the issuance of permits
4 for construction of the facility will be inimical to the
5 common advantage and security or to the health and safety
6 of the public.

7 The notice stated that the public is invited and
8 the limited appearance statements will be accepted.
9 And oral presentations will be limited to five minutes, but
10 written statements without limitation on length, may be
11 inserted in the docket.

12 We will call for limited appearances shortly.

13 I have introduced the Board on two prior occasions,
14 but some of you may be attending for the first time today.

15 I am Elizabeth Bowers. I am a lawyer. I am
16 a member of the Kansas Bar and for the last 24 years I
17 have been involved in federal administrative hearings. The
18 first 15 years as a trial attorney, and since then as a
19 presiding officer under various titles.

20 On my left is Mr. Frederick J. Shon. His
21 education and experience has been in the field of nuclear
22 reactors. Prior to joining this panel on a full-time basis,
23 he was the Assistant Director for Nuclear Facilities, Division
24 of Operation Savety, U.S. Atomic Energy Commission. I
25 think I failed to mention that his background, his

bw4

1 educational background, is both in physics and in
2 engineering.

3 On my right is Dr. Cadet H. Hand, who is the
4 Director of the Bodega Bay Marine Laboratory for the
5 University of California at Berkeley. I am going to tell
6 a little secret that I was able to find out from Dr. Hand
7 that I think you might be interested in. One of the
8 reasons that Emperor Hirohito wanted to visit America was to
9 meet Dr. Hand, who he has been corresponding with for many
10 years in the area of marine biology. So the Emperor invited
11 Dr. Hand to San Francisco and they exchanged gifts and had
12 an hour's discussion through an interpreter on marine biology,
13 which I think is a very interesting thing.

14 DR. HAND: We didn't say a word about nuclear
15 reactors or bombs.

16 MRS. BOWERS: I would like to now call for
17 appearances of the parties.

18 Is the Applicant present?

19 MR. SCHWARZ: Yes, Mrs. Bowers. With the Board's
20 permission, I would suggest I remain seated with reference
21 to the use of the microphone.

22 MRS. BOWERS: Fine.

23 MR. SCHWARZ: Mrs. Bowers and Members of the Board,
24 my name is Melbert D. Schwarz. I am appearing on behalf of
25 the Applicant, Houston Lighting and Power Company, Project

bw5

1 Manager for the South Texas Project. The participants in
2 the project are the Public Service Board of San Antonio,
3 Central Texas Power and Light Company, City of Austin, Texas,
4 and the Applicant.

5 I am with the Houston firm of Baker & Botts,
6 located at 3000 One Shell Plaza, Houston, Texas. Telephone
7 713 229-1234. Appearing with me today are Gregory Copeland.
8 His telephone number is 713 229-1301. Same address.

9 Also appearing on behalf of the Applicant are
10 Mr. Jack R. Newman, Mr. Maurice Axelrad and Mr. J.A. Bouknight,
11 Jr., of the Washington firm of Lowenstein, Newman, Reis
12 and Axelrad. Messrs. Newman, Axelrad and Bouknight have
13 as their address, 1025 Connecticut Avenue, Northwest,
14 Washington, D. C. 20036 and their telephone number is
15 202 833-8371.

16 Each of us have filed a formal appearance in this
17 proceeding.

18 MRS. BOWERS: Thank you, Mr. Schwarz.

19 Is the State of Texas represented today?

20 MR. PENDERGRAFT: May it please the Board,
21 Mrs. Bowers, my name is Robert L. Pendergraft. To my left
22 is my co-counsel, Mr. Paul G. Gosselink. We are from the
23 Office of the Attorney General, State of Texas, Supreme
24 Court Building, Austin, Texas 78711. Area Code 512 475-4143.

25 MRS. BOWERS: Thank you, Mr. Pendergraft.

bw6

1 Is the Nuclear Regulatory Commission Staff
2 present?

3 MR. STRIDIRON: Yes. I am Iver Stridiron.
4 On my left is Albert Carr. Together we represent the Staff
5 of the Nuclear Regulatory Commission.

6 MRS. BOWERS: The Applicant distributed a proposed
7 agenda just prior to the commencement of this proceeding.
8 The Board has reviewed it and finds it satisfactory.

9 Mr. Pendergraft, have you had a chance to look over
10 it?

11 MR. PENDERGRAFT: Yes, we have. It is satisfactory
12 with the State.

13 MRS. BOWERS: Mr. Stridiron?

14 MR. STRIDIRON: It is also satisfactory with the
15 Staff.

16 MRS. BOWERS: Number 3 on the agenda: opening
17 statements.

18 Mr. Schwarz, do you have an opening statement?

19 MR. SCHWARZ: Yes. We do, Mrs. Bowers.

20 On behalf of the participants in the South Texas
21 Project, we would like to welcome the Board to South Texas
22 again.

23 My opening statement is directed at some suggested
24 procedures for conduct of the hearing, and a general overview
25 of the direct case which will be presented by the Applicant.

1 Our direct case will essentially be in written
2 form, as required by the Commission's rules, the testimony
3 comprising the Applicant's direct case has been furnished
4 previously in writing to the Board and to the parties.
5 On November 4th, the Board issued nine quesitons to the
6 Applicant and to the Staff, advising that the Board would
7 expect the parties to present witnesses who would be
8 responsive to these questions.

9 Applicant transmitted under cover of a letter dated
10 November 5, 1975, to the Board and parties, a book of prepared
11 testimony. The book included the qualifications of each of
12 Applicant's primary witnesses, including those witnesses
13 who will sit on the panel of technical experts presented by
14 the Applicant for responses to the questions previously
15 submitted by the Board and other questions that the Board
16 may have. It shall rely on these materials and these
17 witnesses in the presentation of our direct case.

18 As a matter of procedure, subject to the Board's
19 approval, of course, we propose the identification, swearing
20 and qualification of each of Applicant's primary witnesses.
21 At that time, we propose to identify Applicant's exhibits.

22 As I have already indicated, the primary testimony
23 in support of the Applicant's direct case has been submitted
24 to the Board and the parties in writing.

25 In the interest of providing a better overall

bw7

1 understanding for those of our audience who have not had
2 an opportunity to read these materials, we shall ask each
3 of our witnesses to provide a brief oral summary of his
4 prepared, substantive testimony.

5 In conjunction with this summary, the appropriate
6 witness will provide the Applicant's response to the questions
7 submitted by the Board on November 4.

8 Our direct case will begin with the testimony of
9 Mr. George W. Oprea, Jr., Executive Vice-President of Houston
10 Lighting and power Company, Project Manager. Mr. Oprea
11 will testify generally concerning the background of the
12 South Texas Project, financial qualifications of the
13 participants, national security considerations, the
14 organization of the Applicant itself, and the undertaking
15 of the four participants in the project and of the Applicant,
16 as project manager.

17 Mr. Oprea will also sponsor the Application.
18 Mr. Oprea will not be a part of our technical panel, and
19 we suggest that the Board may care to ask questions of
20 Mr. Oprea concerning his testimony and perhaps the parties
21 cross-examine Mr. Oprea, if they have any cross-examination,
22 at the conclusion of his testimony. That is the discretion
23 of the Board and the parties.

24 It is our intention to present a panel of witnesses,
25 then, comprised of Dr. J. R. Sumpter, Mr. D. G. Barker,

bw9

1 Mr. R. D. Gauney, Mr. R. J. Klapper and Mr. D.R. Bollerton,
2 all of Houston Lighting and Power Company, and Dr. Douglas
3 W. Peacock of Westinghouse Electric Corporation,
4 Dr. Walter A. Rodger of Applicant's consultants, Nuclear
5 Safety Associates, Mr. John T. Mooney of the architect-
6 engineers and constructors, Brown and Root, Inc., and
7 Mr. E. Douglas Schwantes, Jr., of Applicant's consultants,
8 Woodward-Clyde.

9 Dr. Sumpter, who is manager for Houston Lighting
10 and Power Company will address the safety analysis for the
11 South Texas project and the technical qualifications of the
12 Applicant and architect-engineer and constructor.

13 Dr. Sumpter will also sponsor the Preliminary
14 Safety Analysis Report.

15 Dr. Peacock, who is Manager, Reactor Protection
16 in the Pressurized Water Reactor Systems Division in the
17 Westinghouse Electric Corporation, will discuss the RESAR-41
18 design and will sponsor the RESAR-41 Safety Analysis Report.

19 Dr. Peacock will also provide the Applicant's
20 response to the first five written questions submitted by
21 the Board. That is, through 5-A.

22 Mr. Barker, Manager of Quality Assurance Department
23 or Houston Lighting and power Company, will present testimony
24 on the quality assurance programs of the Applicant and the
25 architect-engineering and constructor.

1 Dr. Rodger of Nuclear Safety Associates,
2 Applicant's consultant, will address the issue of compliance
3 with Appendix I.

4 While we perceive that the last of the written
5 questions submitted by the Board is essentially directed
6 to the Staff, Dr. Rodger also will provide Applicant's
7 response to this written question.

8 Mr. Gauny, Physicist for Housting Lighting and
9 Power Company, will present testimony on occupational
10 exposure at the South Texas Project plant.

11 Mr. Klapper, supervising engineer of Nuclear
12 Safeguards and Licensing for Houston Lighting and Power
13 Company, will address the matters concerning interface
14 between the South Texas Project and the RESAR-41 reference
15 design.

16 Mr. Betterton, Manager of the Environmental Pro-
17 tection Department for Houston Lighting and Power Company,
18 will provide testimony concerning the monitoring program
19 established to measure the settlement of facility structures
20 and to measure regional ground surface subsidence.

21 Finally, Mr. Mooney, Engineering Project Manager
22 assigned to the South Texas Project by the architect-engineer,
23 Brown and Root, will verbally submit the Applicant's response
24 to Question 5-B, 6 and 7, submitted by the Board.

25 Each of these witnesses, along with Mr. Schwantes,

bw10

1 of our consultant, Woodward-Clyde Consultants, will serve on
2 a panel of experts which we shall present to respond to
3 such questions as the Board or parties may have during the
4 course of the hearing.

5 Mr. Mooney will also be available to answer
6 questions on plant design and engineering, while Mr. Schwantes
7 will be available to cover matters covering geotectonic
8 evaluation of the site.

9 Mr. Klapper will act as moderator of this panel.

10 We believe that collectively our panel will be
11 able to respond to all of the Board's questions on health and
12 safety issues.

13 And at that time provide a reasonably balanced
14 representation of the discipline and organizations
15 whose work is reflected in the Preliminary Safety Analysis
16 Report and in RESAR-41. As such, we believe that they will
17 be in a position to respond to the Board's questions.

18 Nevertheless, these panel members are backed by
19 additional witnesses in our audiences, should the questions
20 require supplemental information not readily available from
21 the primary panel.

22 We would suggest, however, that prior to the
23 presentation of this panel of technical experts for the
24 purpose of responding to questions or cross-examination, the
25 Staff's direct case be placed in evidence, reserving the

bwl2

1 questions in cross-examination under both direct cases on
2 health and safety matters, which have been received in
3 evidence. It is our thought by following this procedure,
4 the Board will be in the position to address questions to
5 those members of either the Applicant or Staff's panel
6 best able to supply the information sought by the Board.

7 Finally, I note that we recognize the importance
8 of limited appearances.

9 We shall be prepared to respond to such
10 appearances with sworn testimony on a schedule established
11 by the Board, with due regard for the convenience of those
12 people who have taken the time and effort to appear.

13 On behalf of the South Texas Project participants,
14 I wish to state that we welcome this opportunity to provide
15 information to this Board and to assist this Board in
16 developing the sound record necessary to execution of the
17 responsibilities which have been assigned to it by the
18 Nuclear Regulatory Commission.

19 Thank you.

ES1

20

21

22

23

24

25

CR6191

#2
frank
bmwl1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MRS. BOWERS: Thank you, Mr. Schwarz.

Mr. Pendergraft, an opening statement?

MR. PENDERGRAFT: Only to say that on behalf of the Attorney General I welcome all of you all back to Texas again. It's good to see you again. Other than that, we will waive our opening statement.

MRS. BOWERS: Mr. Pendergraft, you look different. You lost your beard. Didn't you have a beard?

MR. PENDERGRAFT: It's still there. It's just a lot shorter.

MRS. BOWERS: Mr. Stridiron?

MR. STRIDIRON: Yes, Mrs. Bowers, we do have an opening statement. The NRC Staff proposes to present our evidence through a panel of witnesses as we did earlier during the earlier evidentiary hearing. The panel we propose to offer is seated at my left and I would ask each member to rise as I introduce him.

Alexander Dromerick. Joe Boegli. Robert Waterfield. These gentlemen already participated during the environmental part of the statement and their statement of qualifications are part of the record.

The following members have not been sworn and at the appropriate time I will move they be sworn. Gordon Chipman, Marvin Dunenfeld, Ronald Gamble, and Jai Rajan.

Thank you, gentlemen. We will also introduce two

cmw:2

1 pieces of evidence during the hearing. These are the Staff
 2 safety evaluation report and supplement to the SER. These
 3 documents will be sponsored by Mr. Dromerick, the licensing
 4 manager for this Commission.

5 Testimony in response to 10 CFR Part 50 will be
 6 sponsored in part by Mr. Boegli and Mr. Waterfield.

7 Mr. Fairobent, who sponsors this document, cannot
 8 be here today because of a previous appointment in another
 9 proceeding. Therefore, with leave of the Board, Mr. Dromerick
 10 again in his capacity as project manager, will sponsor Mr.
 11 Fairobent's testimony as well as his statement of professional
 12 qualifications.

13 In addition, the Staff prepared responses to
 14 written questions from this Board and Mr. Dromerick will
 15 sponsor these responses as one document.

16 We also have available today witnesses who can
 17 respond to any further questions by the Board or questions
 18 from the other parties.

19 Each of the documents I mentioned earlier have been
 20 served on the Board and the other parties, and the reporter
 21 has been supplied with the appropriate number of these docu-
 22 ments.

23 That concludes my opening statement.

24 MRS. BOWERS: Thank you, Mr. Stridiron.

25 The next item on the agenda is to call for limited

crw3

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

appearance statements.

Now, I brought the folder with me I had here last April, because there were several people who had written the Board requesting permission to make limited appearance statements, who did not appear at that environmental and safety-related and site suitability hearing.

So let me first start by calling those names.

Susie Novosad. Is she here, please?

Arthur L. Guess.

Roy H. Roussel.

H. W. Stickland.

John H. Wilson.

Bert C. Steves.

Well, then, are there people here today who would be interested in making a limited appearance statement? If so, please raise your hand.

The record will show no hands raised.

I think I saw the Mayor of Bay City come in a few minutes ago. Isn't he the one that told us he had a temporary job for 28 years?

MAYOR GUSMAN: Got two more to add to that now.

MRS. BOWERS: Mr. Schwarz, would you like to proceed or would you like a brief recess?

MR. SCHWARZ: We are ready to proceed, Mrs. Bowers.

Mrs. Bowers, I ask that the following persons be

1 sworn as Applicant's witnesses in this proceeding. It might
 2 be well if each stand as his name is called. This might help
 3 in identifying each witness.

4 Mr. George W. Oprea, Jr. Dr. James R. Sumpter.
 5 Mr. D. G. Barker. Mr. R. D. Gauny. Mr. R. J. Clapper.
 6 Mr. D. R. Betterton.

7 All of these gentlemen are of Houston Lighting
 8 and Power Company.

9 Dr. Douglas W. Peacock of Westinghouse Corporation.
 10 Dr. Walton A. Rodger of Nuclear Safety Associates.
 11 Mr. J. T. Mooney of Brown & Root, and Mr. E.
 12 Schwantes of Woodward Line.

13 Mrs. Bowers, some of these witnesses were sworn
 14 before and their qualifications were placed in evidence.

15 However, with the thought of having a complete
 16 record, both of the prior hearing and at this hearing, we have
 17 submitted their qualifications again, in the booklet that
 18 was furnished.

19 MRS. BOWERS: You are asking now that they be
 20 sworn? Is that right?

21 MR. SCHWARZ: Yes.

cmw5

1 Whereupon,

2 GEORGE W. OPREA, JR.

3 JAMES R. SUMPSTER,

4 D. G. BARKER,

5 R. D. GAUNY,

6 R. J. KLAPPER

7 D. R. BETTERTON,

8 DOUGLAS W. PEACOCK,

9 WALTON A. RODGER,

10 J. T. MOONEY

11 and

12 E. DOUGLAS SCHWANTES, JR.

XXXXXX

13 were called as witnesses and, having been first duly sworn,
14 were examined and testified as follows:

15 BY MR. SCHWARZ:

16 Q. Have each of you prepared a statement of your
17 education and professional qualifications for introduction
18 in this evidence?

19 (Chorus of yeses.)

20 MR. SCHWARZ: Statements of education and profes-
21 sional qualifications for each of these witnesses were
22 included in the book of prepared testimony submitted to the
23 Board on September 5. Mr. Oprea's qualifications are set
24 forth on tab 4. Dr. Peacock's under tab 6, Mr. Barker's
25 under tab y, Dr. Rodger under tab 8, Mr. Gauny's under tab 9,

1 Mr. Clapper under tab 10, Mr. Betterton's under tab 11,
2 Mr. Mooney's under tab 12, and Mr. Schwantes' under tab 13.

3 BY MR. SCHWARZ:

4 Q I ask each of you, were each respective statement
5 of educational and professional qualifications prepared by
6 you or under your supervision?

7 (Chorus of yeses.)

8 Q Do any of you have any corrections or modifications
9 or additions to those statements?

10 (No response.)

11 Q Are each of these statements correct and true to
12 the knowledge of your belief?

13 (Chorus of yeses.)

14 Q Do each of you adopt your statement and qualifi-
15 cations --

16 (Chorus of yeses.)

17 MR. SCHWARZ: I ask that George W. Oprea, Jr.,
18 James R. Sumpter, D. G. Barker, R. D. Gauny, R. J. Clapper,
19 D. R. Betterton, Douglas W. Peacock, Walton A. Rodger, J. T.
20 Mooney, and E. Douglas Schwantes, Jr., appearing under tabs
21 4 through 13 of the prepared testimony submitted to the Board
22 be incorporated into the record as though read. I have
23 furnished sufficient copies to the reporter.

24 MRS. BOWERS: Thank you. Mr. Pendergraft, any
25 objection?

cmr7

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

MR. PENDERGRAFT: The State has no objection.

MRS. BOWERS: Mr. Stridiron?

MR. STRIDIRON: No objection.

MRS. BOWERS: The qualifications identified will be physically inserted in the transcript as if read.

EDUCATIONAL AND PROFESSIONAL QUALIFICATIONS

George W. Oprea, Jr.
Executive Vice President
Houston Lighting & Power Company

1 My name is George W. Oprea, Jr. I am Execu-
2 tive Vice President of Houston Lighting & Power Company.
3 In this capacity I am responsible for overall administra-
4 tion of the Engineering Department, Transmission &
5 Distribution Department, Energy Production Department,
6 Power Plant Engineering & Construction Department,
7 Energy Control and Dispatching Department, Quality
8 Assurance Department, and Environmental and Inter-
9 Utility Affairs Department.

10 I am a 1952 graduate of Rice University and
11 hold a Bachelor of Arts and Bachelor of Science degree
12 in Electrical Engineering. I joined Houston Lighting &
13 Power Company that year in the Distribution Planning
14 Section of the Engineering Department. I later worked
15 in Computer Applications Engineering for System Planning,
16 and in March, 1965, was named Superintendent of the
17 Engineering Planning Division. I became the Energy
18 Control Center Project Manager in March, 1967, Manager,
19 Energy Control & Dispatching Department in June, 1970,
20 and Manager, Energy Control and Nuclear Program in
21 April, 1971. In November, 1971, I was elected Vice
22 President-Operations, and in January, 1973, I was
23 elected a Group Vice President. In December, 1974, I
24 was elected Executive Vice President and assumed my

1 present duties.

2 I am a registered professional engineer in
3 Texas, a senior member of the Institute of Electrical
4 and Electronic Engineers and former member of the
5 Computer Applications Subcommittee, a past Director and
6 Past President of the Engineers Council of Houston, a
7 member of the Association of Computing Machinery and of
8 the Society of Information Display, a past member and
9 Vice Chairman of Edison Electric Institute Computer
10 Task Force, a member of the Houston Chamber of Commerce,
11 the Atomic Industrial Forum, the American Nuclear
12 Society, the Edison Electric Institute Executive Advisory
13 Committee on Nuclear Power and the Texas A&M Research
14 Foundation. I am a retired Captain in the Naval Reserve.

15 My responsibilities in connection with the
16 South Texas Project include general supervision of the
17 project management team which reports to me through the
18 General Manager, Power Plant Engineering & Construction
19 Department, thus assuring planned coordination of
20 related support activities including environmental
21 planning. The corporate quality assurance department
22 reports directly to me. I have also been a member or
23 alternate member of the South Texas Project Management
24 Committee and the forerunners of that committee since

1 the commencement of studies on the feasibility of this
2 Project in 1971. In these capacities I have been
3 involved in the overall planning for the Project.

4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

EDUCATIONAL AND PROFESSIONAL QUALIFICATIONS

James R. Sumpter
Manager-Nuclear Division, Power Plant
Engineering and Construction Department
Houston Lighting & Power Company

1 My name is James R. Sumpter. My business
2 address is 611 Walker, Houston, Texas 77001. I am
3 Manager - Nuclear Division of the Power Plant Engineer-
4 ing and Construction Department for Houston Lighting &
5 Power Company. I joined the Company in August, 1972,
6 and am responsible for the nuclear system design,
7 engineering, safety analysis, licensing, and fuel
8 management for all Houston Lighting & Power Company's
9 nuclear power plants including the South Texas Project
10 Nuclear Generating Station, for which that Company acts
11 as Project Manager. I was also involved in the decisions
12 concerning fuel supply for that Project.

13 I received a Bachelor of Science degree in
14 Engineering Science from the Pennsylvania State Univer-
15 sity in 1965, a Master of Science degree in Nuclear
16 Engineering from the University of Michigan in 1967 and
17 a Ph.D. in Nuclear Engineering from Texas A & M Univer-
18 sity in 1970. My dissertation was concerned with the
19 study of xenon oscillations during power reactor tran-
20 sient operation.

21 In the summers of 1964 and 1965 I was employed
22 at the Bettis Atomic Power Laboratory in the mechanical
23 and nuclear design of naval reactors. In the summer of
24 1967, I was employed at the Los Alamos Scientific

1 Laboratory as a research physicist concerned with the
2 theoretical and experimental study of critical assembly
3 designs. Intermittently from 1968-1972, I was employed
4 part-time teaching radioisotope laboratory and mathe-
5 matics courses at local high schools and colleges.

6 From 1970-1972 I was employed as a Nuclear
7 Analyst with Sargent & Lundy Engineers. I had respon-
8 sibilities involving radwaste systems design, health
9 physics, shielding, radiation monitoring system design,
10 equipment procurement, overall plant engineering design
11 and the associated licensing for several nuclear power
12 stations.

13 I am a member of the American Nuclear Society,
14 Sigma Pi Sigma, the Sierra Club and am Secretary of
15 ANSI/N45-8.1, a subcommittee of ANSI/N45-8, Nuclear
16 Power Plant Air Cleaning Components and Units.

17
18
19
20
21
22
23
24

EDUCATIONAL AND PROFESSIONAL QUALIFICATIONS

D. G. Barker
Manager, Quality Assurance Department
Houston Lighting & Power Company

1 My name is D. G. Barker. My business address
2 is 611 Walker, Houston, Texas 77001. I am the Manager,
3 Quality Assurance Department, responsible for the
4 development, implementation, management, and surveillance
5 of the Corporate Quality Assurance Program and the
6 South Texas Project Quality Assurance Plan. I report
7 directly to Mr. G. W. Oprea, Jr., Executive Vice
8 President.

9 I graduated from Texas A & M University in
10 1967 with a Bachelor of Science degree in Mechanical
11 Engineering and in 1968 received a Masters of Engineering
12 degree in Nuclear Engineering. While working on a BS
13 degree, I was employed by Union Carbide Corporation,
14 from 1965 to 1966, as a Mechanical Engineer in the
15 Engineering Machinery Group. My responsibilities were
16 in the areas of maintenance design, vibration analysis,
17 and economic analysis on process equipment.

18 From 1966 to 1968, I was employed as a Research
19 Assistant and later as a Coordinating Engineer at the
20 Nuclear Science Center under the Texas Engineering
21 Experiment Station of the Texas A & M University System.
22 There I performed work in the analysis, design, fabrica-
23 tion and testing of equipment used in the Triga Reactor
24 Conversion. I also performed work in licensing, flux

1 measurements, activation analysis, health physics,
2 programming, gamma ray spectroscopy, and high energy
3 gamma ray attenuation.

4 In 1968, I joined the Nuclear Division of
5 Todd Shipyards Corporation as a Nuclear Engineer. In
6 this position, I performed analysis and calculations in
7 reactor physics, shielding, thermal hydraulics, mechan-
8 ical design and vibrations in support of the N. S.
9 SAVANNAH Program. Other duties performed included
10 material evaluation, design review, physics testing,
11 refueling and operations technical support. Later I
12 was assigned as Project Engineer for the N. S. SAVANNAH
13 Core II where I was responsible for the supervision and
14 coordination of the efforts of engineers, technicians,
15 subcontractors and vendors involved in the evaluation
16 of the nuclear and mechanical adequacy of the N. S.
17 SAVANNAH Core II which included the redesign of the
18 fuel assembly, material procurement, the design of
19 modification fixtures, writing of procedures and test
20 specifications, establishing quality assurance require-
21 ments, design and operation of fuel assembly testing
22 facilities and administrative and management functions.

23 From 1971 to 1972, I worked at the H. B.
24 Zachry Company as a Quality Assurance Supervisor assisting

1 in the establishment of the company's Quality Assurance
2 Program. In this capacity, I wrote sections of the H.
3 B. Zachry Company Quality Assurance Manual, performed
4 vendor audits and construction planning. Other duties
5 in the office and in the field on power plant projects
6 included estimating, job planning, engineering, cost
7 accounting, welding engineering and preparation of job
8 progress reports.

9 In 1972, I joined Houston Lighting & Power
10 Company as a Nuclear Engineer and in 1973, I was ap-
11 pointed Manager of the Quality Assurance Department.

12 I am a registered Professional Engineer in
13 Texas. I am a member of the American Nuclear Society
14 and the American Society of Mechanical Engineers.

15
16
17
18
19
20
21
22
23
24

Educational and Professional Qualifications

R. D. Gauny
Health Physicist - Nuclear Division,
Houston Lighting & Power Company

1 My name is R. D. Gauny. My business address
2 is 611 Walker, Houston, Texas 77001. I am the Health
3 Physicist in the Nuclear Division of the Power Plant
4 Engineering and Construction Department of Houston
5 Lighting & Power Company. I joined the Company in
6 June, 1974, and am responsible for health physics and
7 security for the South Texas Project Nuclear Generating
8 Station, for which Houston Lighting & Power Company
9 acts as Project Manager.

10 I graduated in 1967 from San Antonio College,
11 San Antonio, Texas, with an Associate of Science Degree
12 in Physics and Mathematics. From 1967 to 1969, I
13 worked for the National Science Foundation in an effort
14 to find and identify new sub-atomic particles. During
15 this same period, I conducted a Physics Laboratory for
16 Our Lady of the Lake College in San Antonio, Texas. In
17 1969, I obtained my Bachelor of Science in Physics and
18 Mathematics from Trinity University, San Antonio,
19 Texas. In 1971, I graduated with my Master of Science
20 Degree in Bio-physics (Health Physics specialization)
21 at Texas A & M University under a United States Public
22 Health Service Traineeship. Under this traineeship
23 extensive experience was obtained in the use of the
24 Texas A & M Nuclear Reactors, Cyclotron and Cobalt-60

1 irradiation facilities. In-depth studies were conducted
2 in radiation theory, instrumentation, shielding, isotope
3 technology, radiation biology, radiation chemistry, and
4 federal and state regulations.

5 During 1971 and 1972, I managed the Instrumen-
6 tation and Material Accountability Branch at Charleston
7 Naval Shipyard. As Branch Head, I assumed the responsi-
8 bility for the proper accountability and disposition of
9 radioactive material related to the Navy Nuclear Propul-
10 sion Program. In this capacity, I developed standard
11 operating procedures to control the functions of the
12 group and assure compliance with naval rules and
13 regulations.

14 I joined Stone & Webster Engineering Corpo-
15 ration in July 1972 as an Engineer in the Materials
16 Engineering Division. In October 1972, I was made the
17 Assistant Radiological Safety Officer for the
18 corporation. In May 1973 I was appointed Corporate
19 Radiological Safety Officer for U.S. operations. I
20 organized the record keeping, training and auditing
21 practices of the Radiological Safety Office and developed
22 field work practices and procedures to protect the
23 personnel and to assure compliance with state and
24 federal regulations. I developed a three-volume Radio-

1 logical Safety Manual detailing corporate policy, work
2 practices, record keeping procedures, and equipment
3 specifications. I also organized the Radiological
4 Safety Office system to utilize the computer for record
5 management.

6 In June of 1974, I joined Houston Lighting &
7 Power Company in the capacity of Health Physicist. I
8 have visited the sites and/or worked with twenty-seven
9 planned or operating commercial nuclear reactors at
10 fifteen sites, four navy nuclear plants, two test
11 reactors, and the navy training facility at Knolls
12 Atomic Power Laboratory. I am a member of the Health
13 Physics Society, the American Nuclear Society and the
14 National Physics Honor Society.

15
16
17
18
19
20
21
22
23
24

EDUCATIONAL AND PROFESSIONAL QUALIFICATIONS

R. J. Klapper
Supervising Engineer, Nuclear Safeguards & Licensing
Houston Lighting & Power Company

1 My name is R. J. Klapper. My business address
2 is 611 Walker, Houston, Texas 77001. I am the Super-
3 vising Engineer of Nuclear Safeguards and Licensing in
4 Houston Lighting & Power Company.

5 I graduated from Texas A&M University in 1971
6 with a Bachelor of Science degree in Nuclear Engineering
7 and in 1972 received a Master of Engineering in Nuclear
8 Engineering.

9 During the summer of 1970, I worked for the
10 Tennessee Valley Authority in their Nuclear Engineering
11 Branch. There I worked on nuclear steam supply system
12 evaluations and off-gas systems.

13 In August of 1972, I joined Houston Lighting
14 & Power Company and worked in the engineering design
15 section of the Nuclear Program. During this period, I
16 worked on bid evaluations and engineering design review.

17 In February of 1973, I was transferred to the
18 Nuclear Safeguards and Licensing Section of the Nuclear
19 Department. In this position, I was responsible for
20 the licensing of the Allens Creek Nuclear Generating
21 Station. During this time I attended the General
22 Electric BWR Design Orientation course.

23 In August of 1974, I was promoted to Project
24 Engineer working on the South Texas Project. In this

1 position I was primarily responsible for the coordina-
2 tion of the Engineering review in the areas of civil
3 engineering, mechanical/nuclear engineering and licensing.
4 I was also a member of the South Texas Project group
5 responsible for the coordination of site activities.

6 In March 1975, I was promoted to Supervising
7 Engineer - Nuclear Safeguards and Licensing.

8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

EDUCATIONAL & PROFESSIONAL QUALIFICATIONS

Donald R. Betterton
Manager, Environmental Protection Department
Houston Lighting & Power Company

1 My name is Donald R. Betterton. I am Manager
2 of the Environmental Protection Department of Houston
3 Lighting & Power Company. In this capacity I am re-
4 sponsible for collection and evaluation of the various
5 technical considerations associated with the environment.
6 These considerations involve the areas of site selection
7 criteria, radioactive dispersion, thermal effects, air
8 and water quality considerations and environmental
9 surveillance, including meteorological monitoring,
10 geophysical testing, hydrological evaluations, and all
11 offsite operational effects of the nuclear power plant.
12 In connection with the South Texas Project, I had
13 managerial responsibility on the Project Manager's
14 Staff for the preparation of the Environmental Report
15 and environmental considerations required in support of
16 its Safety Analysis Report. My responsibility also
17 includes acquisition of all local, state and federal
18 permits and approvals exclusive of NRC licensing. I
19 report to the Vice President, Environmental and Inter-
20 Utility Affairs of Houston Lighting & Power Company.

21 I graduated from the University of Houston in
22 1970 with a BS in Civil Engineering. In 1958 I joined
23 Houston Lighting & Power Company as an Engineering
24 Assistant in the Surveying Section of the Engineering

1 Department. In this capacity I performed various
2 calculations required for horizontal and vertical
3 control in connection with design and construction of
4 roads, railroads, canals, substations, power plants,
5 etc. I utilized computers to solve multiple three-
6 point problems for control of the Houston Lighting &
7 Power planimetric mapping system and least squares
8 adjustment of Houston Lighting & Power Company supple-
9 mental traverses in the Houston area.

10 In February of 1963, I was transferred to the
11 Civil Engineering Division where I became involved in
12 the design of transmission towers and foundations.
13 During this period I assisted in the analysis and
14 design of several 138 kv transmission line structures.
15 I also worked on foundation analysis and design in-
16 cluding straight shaft, underream, multiplier, and pile
17 foundations required for transmission structures.

18 In 1966 I was assigned to the Design Engineer-
19 ing Division and became responsible for design of
20 paving and drainage facilities for all Houston Lighting
21 & Power Company substations. I was also responsible
22 for the Standards Section where I designed substation
23 structures and components to be utilized as standard
24 structures.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

In 1968 I was given special assignment in the environmental area which included hydraulic, biological, and thermal effects of power plant cooling water discharges. I was appointed Supervisor of Environmental Protection in 1970 and Manager of Environmental Protection in 1972.

I am a member of the Texas Society of Professional Engineers, Houston Engineering and Scientific Society, and Texas Water Pollution Control Association.

PROFESSIONAL QUALIFICATIONS

Douglas W. Peacock
Pressurized Water Reactor Systems Division
Westinghouse Electric Corporation

1 My name is Douglas W. Peacock. My business
2 address is P. O. Box 355, Pittsburgh, Pennsylvania
3 15230. I am employed by Westinghouse as Manager, Reactor
4 Protection in the Pressurized Water Reactor Systems
5 Division and I have served in this capacity since 1972.
6 I am responsible for the functional adequacy of reactor
7 protection systems. In this capacity I have been
8 active in the regulatory review process for the RESAR-
9 41 Preliminary Design Approval, the South Texas Project
10 Nuclear Generating Station, and other RESAR-41 projects.

11 I graduated from Washington State University
12 with a B.S. degree in Chemical Engineering in 1962, and
13 graduated from the University of Illinois with a Ph.D.
14 degree in Physical Chemistry in 1966.

15 Following my academic training, I joined
16 Douglas United Nuclear Company, a prime contractor to
17 the Atomic Energy Commission responsible for the opera-
18 tion of the Hanford reactors and fuel fabrication
19 facilities. Between 1966 and 1969, I held various
20 engineering assignments involving analysis of reactor
21 operation and special materials production programs.
22 During 1969 and 1970, I assumed technical management
23 positions with responsibility for fuel development
24 programs, safety analysis and licensing studies, and

1 safety research and development activities related to
2 the Hanford N Reactor. In 1971, as Manager, Process
3 Technology, I had an overall responsibility for process
4 technical support functions and operational safety
5 aspects of the Hanford N Reactor and Fuel Fabrication
6 facilities. Since 1972, I have been employed by
7 Westinghouse in various safety and licensing management
8 positions. In this capacity I have been responsible
9 for establishing safety criteria, conducting safety
10 evaluations of system and component design, preparing
11 documentation for safety analysis reports, providing
12 safety system performance requirements, developing
13 analytical methods for safety analysis, and repre-
14 senting Westinghouse before regulatory organizations in
15 the licensing process of numerous power reactors and
16 regulatory review of generic technical matters.

17 I have made contributions to public and in-
18 dustry discussions on nuclear power technology and I
19 have lectured in the Nuclear Power Reactor Safety Pro-
20 gram at Massachusetts Institute of Technology. I am a
21 member of the American Nuclear Society.

22
23
24

EDUCATIONAL AND PROFESSIONAL QUALIFICATIONS

Walton A. Rodger
Nuclear Safety Associates

1 My name is Walton A. Rodger. I am a partner
2 in the nuclear consulting firm Nuclear Safety Associates,
3 Bethesda, Maryland, and have held this position for the
4 past ten years. The four years prior to that I was
5 Vice President of Nuclear Fuel Services, Inc., serving
6 as its Technical Director and later as General Manager
7 of its West Valley plant. In the latter position I was
8 responsible for the construction, startup, and licensing
9 of the world's first privately owned nuclear fuel
10 reprocessing plant.

11 From 1960 to 1962, I was a partner in the
12 nuclear consulting firm of McLain Rodger Associates.
13 Before entering the consulting field, I spent 13 years
14 at Argonne National Laboratory, four at Oak Ridge
15 National Laboratory, and one at the Metallurgical
16 Laboratory of the University of Chicago. At all three
17 I was active in the development of all of the various
18 processes which have been considered for use in repro-
19 cessing of nuclear fuel. I also did a great deal of
20 work in the field of radioactive waste management. At
21 Argonne I was Associate Director of the Chemical Engi-
22 neering Division. My total experience in the nuclear
23 field has covered 33 years.

24 I was graduated in both Chemical and Metallurgi-

1 cal Engineering from the University of Michigan in
2 1939. I obtained my Master's Degree in Chemical Engi-
3 neering from the same institution in 1940. My Doctorate
4 in Chemical Engineering was awarded by the Illinois
5 Institute of Technology in 1956.

6 I am the author of sections of several nuclear
7 handbooks and have published more than two dozen papers
8 in the nuclear field, largely on reprocessing and waste
9 disposal. I am a member of AICHE, and in 1960 was
10 Chairman of the Nuclear Engineering Division of the
11 Institute. I am also a member of American Nuclear
12 Society and Atomic Industrial Forum. I am past chair-
13 man of the ANSI Committee N-48 which is developing
14 standards for the disposal of solid nuclear waste. In
15 1959, I served as Technical Consultant to the Joint
16 Committee on Atomic Energy of the 86th Congress at the
17 Hearings on Industrial Radioactive Waste Disposal. For
18 the past two years I have served as a principal witness
19 for the Consolidated Utility Group in the As Low As
20 Practicable Rule Making Hearing (RM-50-2). In this
21 capacity I have done extensive cost-benefit studies on
22 LWR radwaste systems.

23

24

EDUCATIONAL & PROFESSIONAL QUALIFICATIONS

John T. Mooney
Engineering Project Manager
Brown & Root, Inc.

1 My name is John T. Mooney. My business
2 address is 5100 Clinton Drive, Houston, Texas. I am
3 employed by Brown & Root, Inc. and serve as the Engi-
4 neering Project Manager assigned to the South Texas
5 Project. In this position I am responsible at Brown &
6 Root for the overall engineering and design of the
7 South Texas Project Nuclear Generating Station, including
8 plant structures, systems, site development and cooling
9 facilities.

10 In 1953 I received my Bachelor's degree in
11 chemical engineering from Villanova University. After
12 graduation, I was employed by Goodyear Atomic Corporation
13 in connection with the start-up and operation of the
14 gaseous diffusion enrichment facility at Portsmouth,
15 Ohio.

16 Previously, I have had responsible engineering
17 assignments for another architect-engineer firm in the
18 design of the Indian Point Units 2 and 3 of Consolidated
19 Edison Company and Brunswick Units 1 and 2 of Carolina
20 Power and Light Company. My previous experience also
21 includes seven years at Bettis Atomic Power Laboratory
22 in the design of power plant mechanical apparatus and
23 plant start-up activities for the Naval Nuclear Propul-
24 sion Program.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

I am a registered Professional Engineer in
Pennsylvania, North Carolina and Tennessee.

EDUCATIONAL AND PROFESSIONAL QUALIFICATIONS

E. Douglas Schwantes, Jr.
Senior Project Engineer
Woodward-Clyde Consultants

1 My name is E. Douglas Schwantes, Jr. I am
2 employed by Woodward-Clyde Consultants of Oakland,
3 California, as Senior Project Engineer. I joined
4 Woodward-Clyde Consultants in 1972, and I am their
5 project manager for the South Texas Project, responsible
6 for coordinating all aspects of the geotechnic investi-
7 gation in connection with the licensing and design of
8 that nuclear generating facility. In this capacity I
9 have assisted in the preparation of the geotechnical
10 sections of the Preliminary Safety Analysis Report and
11 other documents.

12 In 1960 I received a Bachelor of Science
13 degree in Civil Engineering from the University of
14 Illinois, and, following a period of employment, I
15 received the Master of Science degree in Civil Engineer-
16 ing from the same university in 1965.

17 From 1960 to 1962 I served as a Lieutenant,
18 junior grade, with the U.S. Coast and Geodetic Survey
19 in Washington, D.C. In 1963 I was employed as a Civil
20 Engineer by Slope Indicator Company, Division of Shannon
21 & Wilson, Inc., Seattle, Washington. In 1965 I worked
22 as a Soils Engineer for Harza Engineering Company,
23 Chicago, Illinois, and from 1965 through 1972 I was
24 employed as Project Engineer by Shannon & Wilson, Inc.

1 in Seattle, Washington.

2 I am a Registered Professional Engineer in
3 the states of California, Illinois and Washington and
4 hold membership in the American Society of Civil Engi-
5 neers and the Association of Engineering Geologists.
6 My publications include the following:

7 "Features of construction in landslide areas,"
8 Proceedings, Northwest Road and Street Conference,
9 University of Washington, 1967.

10 "Landslide stabilization with slit-trench
11 buttresses" with R. A. Adolfson, paper presented at the
12 17th Annual Conference on Soil Mechanics and Foundation
13 Engineering, University of Minnesota, Minneapolis,
14 1970.

15 "The Baldwin Hills Reservoir failure in
16 retrospect," with A. Casagrande and S. D. Wilson, Pro-
17 ceedings of the ASCE Specialty Conference on the Perfor-
18 mance of Earth and Earth-Supported Structures, Purdue
19 University, June, 1972.

20 In my professional experience I have been
21 associated with many foundation engineering projects
22 for industrial, commercial and residential sites,
23 retaining structures, waterfront development, highway
24 construction, dams, and landslide stabilization.

1 Some of the more significant of these include:
2 the soil and foundation investigations for the Hanford
3 No. 2 Nuclear Power Station near Richland, Washington;
4 the foundation investigation and initial shoring studies
5 for the 50-story Seattle First National Bank Building;
6 the 24-story Pacific Northwest Bell Telephone Building
7 in Seattle; a post-failure study of the soil conditions
8 and design of the Baldwin Hills Reservoir in Los
9 Angeles; design of remedial work to stabilize landslides
10 in the Tukwila Interchange in Seattle; and stabilization
11 of a major landslide in a confined area of Minneapolis,
12 Minnesota, by use of an unusual system of slit-trench
13 buttresses.

14
15
16
17
18
19
20
21
22
23
24

1 MR. SCHWARZ: Thank you. We will move to identify
2 exhibits now, so with leave of the Board I would ask that the
3 witnesses be seated.

4 MRS. BOWERS: Fine.

5 MR. SCHWARZ: Mrs. Bowers, we have been in contact
6 with the reporter and our exhibits have been delivered to him.
7 I would ask that the Board approve the marking of the
8 exhibits at this time. For ease of reference, tentative
9 identification numbers consistent with those proposed in our
10 submittal to the Board on November 4 have been placed on each
11 exhibit. That is, the application as amended by amendments
12 1 through 3, as Applicant's Exhibit No. 7.

13 The preliminary safety analysis report, as amended
14 by amendment 1 through 33, Applicant's Exhibit No. 8, and
15 the RESAR-14 reference safety analysis report as amended by
16 amendment 1 through 9 -- one through 19. I beg your pardon,
17 Applicant's Exhibit No. 9.

18 If it is agreeable we would like to have those
19 exhibits marked -- excuse me one second. I would like to
20 correct that. The preliminary safety analysis report which
21 we have for introduction as Applicant's Exhibit No. 8
22 includes amendments 1 through 34.

23 MRS. BOWERS: The proposed exhibits will be marked
24 for identification as you indicated, 7, 8, and 9.

25 MR. SCHWARZ: Thank you.

XXXXXXX 1

(The documents referred to
were marked Applicant's
Exhibits 7, 8, and 9 for
identification.)

2
3
4
5 MR. SCHWARZ: We would now call Mr. George W.
6 Oprea, Jr., executive vice president of Houston Lighting
7 and Power Company. He has been previously sworn.

8 BY MR. SCHWARZ:

9 Q Do you have before you a document entitled Testimony
10 of George W. Oprea, Jr., reopening statement on behalf of the
11 South Texas Project Participants?

12 A (Witness Oprea.) Yes.

13 Q This document will be found under tab 14.

14 Was this document prepared by you or under your
15 supervision?

16 A Yes, it was.

17 Q Is this document true and correct to the best of
18 your knowledge and belief?

19 A It is.

20 Q Do you adopt the document entitled Testimony of
21 George W. Oprea, Jr., reopening statement on behalf of the
22 South Texas Project Participants and the Project Manager as
23 your testimony in this proceeding?

24 A I do.

25 MR. SCHWARZ: Mrs. Bowers, I ask that the 10page

cmw10

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

document identified by Mr. Oprea be incorporated in the record as though read. Copies have been furnished to the reporter.

MRS. BOWERS: Any comment, Mr. Pendergraft?

MR. PENDERGRAFT: The State has no objection.

MRS. BOWERS: Mr. Stridiron?

MR. STRIDIRON: The Staff has no objection.

MRS. BOWERS: The prepared testimony will be physically incorporated into the transcript as if read.

(The testimony follows.)

e 2

TESTIMONY OF GEORGE W. OPREA, JR.

Re: Opening Statement on Behalf of the
South Texas Project Participants
and the Project Manager

1 I. Introduction.

2 My name is George W. Oprea, Jr. I am Execu-
3 tive Vice President of Houston Lighting & Power Company,
4 and I am responsible for that Company's nuclear program.
5 A resume of my educational and professional qualifica-
6 tions has previously been received in evidence.

7 I wish to take this opportunity to welcome
8 you again to South Texas.

9 The purpose of my testimony is to describe
10 briefly the background for the South Texas Project and,
11 in a general way, the undertakings of the Participants
12 in support of the Project. These Participants are the
13 City Public Service Board of the City of San Antonio,
14 Central Power and Light Company, the City of Austin and
15 Houston Lighting & Power Company. I shall also address
16 the undertakings of Houston Lighting & Power Company,
17 as Project Manager, in establishing its own capability
18 to support the design, construction and safe operation
19 of the South Texas Project Nuclear Generating Station.
20 In addition, I shall sponsor the formal Application.

21 II. Application.

22 The Application for Construction Permits and
23 Operating Licenses, as amended by Amendments 1 through
24 3, Applicant's Exhibit No. 7, was prepared under my

1 supervision by representatives of all Participants.
2 The statements contained in the Application, as so
3 amended, are true and correct to the best of my knowledge
4 and belief.

5 Amendments 2 and 3 to the Application, which
6 were filed on October 20, 1975, and October 30, 1975,
7 respectively, brought up to date the information
8 previously contained in the Application. They provided
9 the current cost estimates for the South Texas Project
10 Units 1 and 2, more current information as to the
11 financial qualifications of the Participants, the
12 currently planned net generating capability of the
13 Participants, and miscellaneous information, such as
14 memberships of Boards of Directors and principal officers.
15 The Application, as amended, fully documents the financial
16 qualification of the Participants to design and construct
17 South Texas Projects Units 1 and 2.

18 III. Background for the South Texas Project.

19 The areas served by the four Participants in
20 the Project encompass about the southern one-third of
21 the State. According to the last census, these areas
22 include four of the eight largest metropolitan areas in
23 the State. It is each Participant's responsibility to
24 provide the electricity which is needed to support the

1 growth and the living standards of the citizens of the
2 area it serves. Moreover, the Participants are respon-
3 sible for providing this electricity at a reasonable
4 cost and in a manner that protects the environment as
5 well as the health and safety of those persons in the
6 vicinity of the proposed facility. I believe that each
7 of the Participants has been successful in meeting its
8 customers' needs and in being a good neighbor to those
9 who live in the vicinity of its generating facilities.
10 We are proud of this record and intend to perpetuate
11 it.

12 The currently planned net generating capability
13 of the four Participants in the Project through the
14 year 1984, is shown in graphic form in amended Exhibit
15 III to the Application. By comparing this projected
16 capability with that included in the Application as
17 originally filed in 1974, one notes certain reduction
18 in the facilities planned by each of the Participants.

19 Since the hearing on environmental and site
20 suitability matters the only significant reduction
21 results from Houston Lighting & Power Company's recent
22 decision to postpone indefinitely the construction of
23 its Allens Creek Nuclear Generating Station, planned
24 for a site in Austin County, Texas. None of the

1 Participants in the South Texas Project, other than
2 Houston Lighting & Power Company is involved in the
3 Allens Creek project. Therefore, the deferral of that
4 project does not affect the plans of the other Partic-
5 ipants in the South Texas Project.

6 From Houston Lighting & Power Company's
7 standpoint, deferral of the Allens Creek project has
8 made timely construction of the South Texas Project all
9 the more important. This action further assures our
10 ability to finance the remainder of our construction
11 program, including Houston Lighting & Power Company's
12 30.8% share of the South Texas Project. As of December
13 31, 1974, Houston Lighting & Power Company's assets had
14 a book value of \$1,692,088,000. The Company's 1974
15 revenues were \$486,837,000, all attributable to electric
16 operations. The bonds of Houston Lighting & Power
17 Company are rated AA by both Standard & Poor's Corpora-
18 tion and Moody's Investor Service, Inc.

19 The other Participants in the South Texas
20 Project are likewise financially qualified to undertake
21 their responsibilities with respect to the South Texas
22 Project. Central Power and Light Company's assets were
23 valued at \$603,972,000 as of December 31, 1974, and
24 Central's 1974 operating revenues were \$223,595,000.

1 Central's bonds are also rated AA by both Standard &
2 Poor's Corporation and Moody's Investor Service, Inc.
3 Central is a wholly owned subsidiary of Central and
4 South West Corporation. As of December 31, 1974 the
5 consolidated balance sheet of Central and South West
6 and its subsidiaries reflected assets of \$1,788,708,000.

7 The City Public Service Board of San Antonio
8 and the City of Austin are both municipally owned
9 electric systems, serving metropolitan populations of
10 about 1,300,000 and 335,000, respectively. In the
11 fiscal year ended January 31, 1975 the City Public
12 Service Board of San Antonio had electric system revenues
13 of over \$137,000,000. Its electric and gas system
14 bonds are rated AA by both Moody's Investor Service,
15 Inc. and Standard & Poor's Corporation. During the
16 fiscal year ending September 30, 1974, the City of
17 Austin had revenues from sales of electricity of over
18 \$57,000,000. Austin's revenue bonds enjoy a AA rating
19 by both of those investment services.

20 Each of the Participants is mindful of its
21 responsibility to provide adequate financial support to
22 the Project. Each will finance its proportionate share
23 of the Project, and, while the sources of funds will
24 vary among the Participants, they will include funds on

1 hand, retained revenues, short term loans and commercial
2 paper, and the sale of securities as required.

3 Less than one half of one percent of the
4 common stock of Houston Lighting & Power Company and of
5 Central and South West Corporation is owned by non-
6 residents of the United States.

7 IV. Undertakings of the Participants.

8 As I indicated to this Board last April
9 during the portion of this proceeding involving environ-
10 mental and site suitability matters, the Participants
11 in the Project approached this joint undertaking in a
12 deliberate manner. In the latter part of 1971 a feasi-
13 bility study was undertaken to determine the desirability
14 of constructing and operating a jointly owned generating
15 facility.

16 By the end of 1973 these Participants had
17 entered into a formal agreement providing for a jointly
18 owned and operated nuclear generating facility. Houston
19 Lighting & Power Company was selected as Project Manager
20 and charged with designing, licensing, constructing,
21 maintaining and operating the Project facilities for
22 the benefit of itself and the other Participants.

23 V. Undertaking of Project Manager.

24 Houston Lighting & Power Company fully

1 recognizes that as Project Manager it has the ultimate
2 responsibility for the safe design, construction and
3 operation of the South Texas Project Nuclear Generating
4 Station. In order to discharge this responsibility, we
5 commenced developing our in house nuclear capability in
6 1971. This involved additional training for some of
7 our existing personnel and the hiring of a number of
8 new employees who already had experience in the nuclear
9 phase of the electric industry. I participated directly
10 in assembling and organizing this in house capability
11 which continues to report to me.

12 The Project Manager's Staff is complemented
13 by a strong support team comprised of Brown & Root,
14 Inc., the Architect-Engineer and Constructor for the
15 Project, and Westinghouse Electric Corporation, the
16 supplier of the nuclear steam supply systems and the
17 fabricator of the fuel for each of Units 1 and 2.
18 Brown & Root is known favorably to the Project Partic-
19 ipants as a result of its experience as a designer and
20 constructor of fossil fuel facilities and through its
21 reputation in the engineering and construction of other
22 large and complex facilities. Brown & Root brings to
23 this Project substantial nuclear experience, both from
24 the addition of personnel within its organization and

1 the use of experienced subcontractors such as NUS
2 Corporation, Woodward-Clyde, Consultants and others.

3 Westinghouse Electric Corporation needs no
4 introduction to the nuclear power industry. It is a
5 recognized leader in this field. Dr. Sumpter will
6 present a more detailed discussion of the technical
7 qualifications of Houston Lighting & Power Company,
8 Brown & Root and Westinghouse.

9 For many years, Houston Lighting & Power
10 Company has recognized the need for, and has maintained,
11 an extensive quality assurance program. In conjunction
12 with the establishment of its nuclear program, the
13 Company reorganized its quality assurance procedures.
14 Mr. D. G. Barker, who joined the Company in 1972, now
15 heads the Company's quality assurance program. He is
16 also responsible for, and in charge of, the South Texas
17 Project quality assurance plan. Mr. Barker will testify
18 in more detail as to the quality assurance plan for the
19 South Texas Project. Mr. Barker reports directly to
20 me.

21 I am a member of the Board of Directors of
22 Houston Lighting & Power Company and have direct access
23 at all times to the Chief Executive Officer of the
24 Company, Mr. J. G. Reese, who is also the Chairman of

1 our Board, and to the Chief Administrative Officer of
2 the Company, Mr. D. D. Jordan, who is also our President.

3 I am a member of the Management Committee for
4 the South Texas Project. The Management Committee was
5 established under the provisions of the Participation
6 Agreement which is set forth in Exhibit I to the Appli-
7 cation. Houston Lighting & Power Company, as Project
8 Manager, advises the Management Committee of activities
9 and developments concerning the Project and consults
10 with that Committee on a regular basis. On the other
11 hand, the Participation Agreement charges Houston
12 Lighting & Power Company with the safe design, construc-
13 tion and operation of the South Texas Project Nuclear
14 Generating Station, and Houston Lighting & Power Company
15 has accepted and is carrying out this responsibility.

16 VI. Conclusion.

17 In summary, we have established a team of the
18 necessary talents to design, build and operate this
19 plant in a manner that is environmentally acceptable
20 and safe. I am proud of this team. Further, I assure
21 you that not only I, but the entire management of
22 Houston Lighting & Power Company, clearly recognize and
23 accept the responsibility of designing, constructing
24 and operating the South Texas Project Nuclear Generating

1 Station in a manner consistent with the health and
2 safety of both the workers in the plant and those
3 persons living or working in the vicinity of the plant.
4 In carrying out these goals, we have received, and
5 continue to receive, the full cooperation and support
6 of all of the Participants in the Project.

7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

TESTIMONY OF J. R. SUMPTER

Re: South Texas Project
Preliminary Safety Analysis Report

1 My name is J. R. Sumpter. I am Manager-
2 Nuclear Division of the Power Plant Engineering and
3 Construction Department of Houston Lighting & Power
4 Company.

5 A resume of my educational and professional
6 qualifications has previously been received in evidence.
7 My responsibilities in connection with the South Texas
8 Project include the design, engineering and fuel manage-
9 ment of the nuclear system, radiation protection,
10 licensing and safety analysis.

11 The Preliminary Safety Analysis Report, as
12 amended by Amendments 1 through 34, and including
13 Appendices A through F, Applicant's Exhibit No. 8 (PSAR),
14 was compiled under my supervision and direction. Some
15 of this material was prepared by Houston Lighting &
16 Power Company employees; however, the major portion of
17 the basic data was initiated and supplied by our
18 Architect-Engineer and Constructor, Brown & Root, Inc.,
19 or by one or more of a number of consultants, including
20 NUS Corporation, and Woodward-Clyde, Consultants, and
21 EDS Nuclear, Incorporated. In all instances either I
22 or one of the Houston Lighting & Power Company personnel
23 in the Nuclear Division reviewed and approved this
24 material prior to its incorporation into the PSAR.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

I am familiar with the contents of the PSAR,
as amended, and the statements contained therein are
true and correct to the best of my knowledge and belief.

#3
FP/Em 1
C 91

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. SCHWARTZ:

Q Mr. Oprea, would you please summarize your prepared testimony now?

A (Witness Oprea) Thank you. My name is George W. Oprea, Jr.

Do I need the microphone?

MRS. BOWERS: We can hear you, but I don't know whether people in the back can hear you or not.

WITNESS OPREA. My name is George W. Oprea, Jr, executive vice president of Houston Lighting & Power Company. I am responsible for the nuclear program.

A resume of my education and professional qualifications have been received in evidence previously. I, too on behalf of the South Texas participants, take this opportunity to welcome you to sunny south Texas.

My prepared testimony, which has been introduced in writtenform, describes the background and planning for the South Texas Project, by each of the four participants, The City Public Service Board of San Antonio, Central Power & Light Company, the City of Austin, and Houston Lighting & Power Company. All of the participants participated in the preparation of the formal application for construction permits and operating license for the two units at the project site. This application and three amendments were compiled under my supervision. It reflects the currently

f m2

1 planned generating capabilities of the four participants
2 through the year 1984, the fact that each participant is
3 qualified to finance the design and construction of its
4 interest in the South Texas Project facility, the fact that
5 the bonds of each participant currently enjoy a double "A"
6 rating by both Standard & Poor's and Moody's Investors'
7 Service and the fact that the governing bodies or boards,
8 and the officers of all of the participants, are citizens
9 of the United States, with less than one-half of 1 percent
10 of the common stock of Houston Light & Power, and Central
11 & Southwest Corporation, the parent company of Central Power
12 and Light Company, being owned by non-residents of the United
13 States.

14 As project manager, Houston Lighting and Power
15 Company recognize that it had the ultimate responsibility
16 for the safe design, construction and operation of the
17 South Texas Project, nuclear generating station. Houston
18 Lighting and Power Company commenced developing its in-
19 house nuclear capability in 1971. I personally partici-
20 pated directly in assembling and organizing this capability,
21 which continues to report to me.

22 Our own capability is complemented by a strong
23 support team comprised of Brown and Root, our architect
24 engineer and constructor. Westinghouse Electric Corpora-
25 tion, our nuclear steam supply system vendor and several

fm3

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

consultants.

Dr. Sumpter, the manager of Houston Lighting and Power Company's nuclear division, will provide more detailed testimony as to the technical qualifications of the project manager, that is Houston Lighting & Power Company, Brown and Root and Westinghouse.

Houston Lighting and Power Company has recognized the need for quality assurance program, not only in conjunction with the establishment of our nuclear program, but also in conjunction with its fossil fuel facilities. Mr. Parker, who heads our quality assurance department, will provide more detailed testimony as to the project quality assurance program. I might add, Mr. Parker reports directly to me. I am a member of the board of directors of Houston Lighting & Power Company, and have direct access at all times to Mr. J. G. Reese, the Chairman of our board and chief executive officer and Mr. Don D. Jerson, president and chief administrative officer.

I am also manager of the management committee for the Texas Project, which committee is established under the project participation agreement.

In conclusion, let me assure you that we have established a team of the necessary talents to design, construct and operate this facility, in a manner that is safe, and environmentally acceptable. Not only I, but

1 the managements with which I work, accept the responsibility
2 of designing, constructing and operating the South Texas
3 Project in a manner consistent with the health and safety of
4 both the workers in the plant and those persons living and
5 working in the vicinity of the plant.

6 In carrying out these goals, we have received and
7 continue to receive the full cooperation and support of all
8 of the participants in the project.

9 Thank you.

10 BY MR. SCHWARTZ:

11 Q Mr. Oprea, your prepared testimony indicates
12 that the application for construction permits and operating
13 licenses, as amended by amendments 1, 2 and 3, was prepared
14 under your supervision. Is that correct?

15 A (Witness Oprea.) That is correct.

16 Q Is it, as so amended, true and correct to the
17 best of your knowledge?

18 A Yes, it is.

19 MR. SCHWARTZ: Mrs. Bowers, I ask the application,
20 so amended, Applicant's Exhibit Number 7, be received into
21 evidence at this point.

22 MRS. BOWERS. Mr. Pendergraft?

23 MR. PENDERGRAFT: No objection.

24 MRS. BOWERS: Mr. Stridiron?

25 MR. STRIDIRON: No objection, Mrs. Bowers.

f m5

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MRS. BOWERS: Applicant's Exhibit Number 7 is received in evidence at this time.

(The document, heretofore marked Applicant's Exhibit Number 7 for identification, was received in evidence.)

MR. SCHWARTZ: Thank you.

Mr. Oprea will not be a member of our technical panel, accordingly the board or parties may have questions, which they would care to present to Mr. Oprea at this time with respect to his testimony. Is that the wish of the board or the parties?

MRS. BOWERS: Mr. Pendergraft, do you have questions?

MR. PENDERGRAFT: No questions.

MRS. BOWERS: Mr. Stridiron?

MR. STRIDIRON: The staff has no questions of Mr. Oprea.

MRS. BOWERS: Mr. Shon is modest. He says he has one minor thing.

MR. SHON: It is modest. Minor. Perhaps the question really should be addressed to the staff. I notice in one very small detail your testimony does not agree with a thing given to us by the staff. That is, the one detail is, the credit rating of the City Public Service Board of

xxxx

1 San Antonio bonds, which, you say, is double "A" and
2 say is triple "A." Is there some confusion there? Are you
3 not taking credit for everything you need?

4 WITNESS QPREA: Why don't you ask Howard Free-
5 man.

6 MR. SCHWARTZ: I think Mr. Howard Freeman of
7 the Public Service Board could best answer that question if
8 that is acceptable to the board.

9 MRS. BOWERS: I think he should be sworn.

10 Whereupon,

11 HOWARD FREEMAN

12 was called as a witness and, having been first duly sworn,
13 was examined and testified as follows:

14 MRS. BOWERS: Please fully identify yourself.

15 MR. SCHWARTZ: He has a statement of qualifications
16 along with the statement to present to the board.

17 MR. FREEMAN: My name is Howard Freeman, secretary-
18 treasurer of the City Public Service Board of San Antonio,
19 Texas. I hold a bachelor of business administration degree,
20 from St. Mary's, San Antonio, as well as a master of business
21 administration from St. Mary's. I have worked with the City
22 Public Service Board since 1959 and have held various posi-
23 tions including superintendent of customer accounting, chief
24 accountant and my current position of controller and secre-
25 tary-treasurer.

1 In answer to the question that was posed, the
2 credit rating on San Antonio's bonds has been changed from
3 triple "A" to double "A", when we recently issued subordi-
4 nate loan bonds. Our most recent issue is a subordinate
5 loan bond and was changed at this time. All the prior issues
6 did work with first loan bonds and were graded as triple
7 "A."

8 MR. SCHWARTZ: Mr. Freeman, the bonds that were
9 originally issued as triple "A" bonds are still triple "A"?
10 Is that correct?

11 MR. FREEMAN: Correct.

12 MR. SCHWARTZ: However, the last issue which was
13 not a first loan bond, is rated double "A."

14 MR. FREEMAN. Correct.

15 MRS. BOWERS: The board has no further questions
16 of this witness.

17 MR. SCHWARTZ: Thank you.

18 MR. STRIDIRON: I did have one question.

19 Do you have a date when this change in rating
20 came about, and was it subsequent to the submittal to the
21 staff?

22 MR. SCHWARTZ: It was shown in amendment 2 of the
23 application, I believe, which was -- Mr. Freeman can answer
24 it.

25 MR. FREEMAN: It was included in amendment 2.

fn.8

1 the 1st... on October 9, but will be delivered next
2 week.

3 MR. STRIDIRON: We have no further questions.

4 MRS. BOWERS: Do you have anything further, Mr.
5 Stridiron?

6 MR. STRIDIRON: No further questions.

7 MRS. BOWERS: The board has no further questions
8 of this witness.

9 MR. SCHWARTZ: I now call Dr. J. R. Sumpter,
10 manager, nuclear division for Houston Lighting & Power
11 Company.

12 Dr. Sumpter, do you have before you a two-page
13 document entitled "Testimony of J. R. Sumpter, Re: South
14 Texas Project Preliminary Safety Analysis Report"?

15 DR. SUMPTER: I do.

16 DIRECT EXAMINATION

17 BY MR. SCHWARTZ:

18 Q This document will be found under tab 15. Was
19 this document prepared by you or under your supervision?

20 A. (Witness Sumpter.) Yes. It was.

21 A Is the document true and correct to the best
22 of your knowledge and belief?

23 A Yes. It is.

24 Q Do you adopt the document entitled "Testimony
25 of J. R. Sumpter, Re: Wouth Texas Project, Preliminary

1 Safety Report" in this proceeding?

2 A Yes.

3 MR. SCHWARTZ: I ask the two-page document iden-
4 tified by Dr. Sumpter be incorporated in the record as
5 though read.

6 MRS. BOWERS: Mr. Pendergraft?

7 MR. PENDERGRAFT: State has no objection.

8 MRS. BOWERS: Mr. Stridiron?

9 MR. STRIDIRON: No objection, Mrs. Bowers.

10 MRS. BOWERS: While I am checking the gentleman
11 on this point, I am not sure I checked with each of you when
12 it was proposed that the qualifications statements of the
13 applicant's witnesses be physically inserted in the record.
14 Any objection, Mr. Pendergraft?

15 MR. PENDERGRAFT: None.

16 MR. STRIDIRON: No objection.

17 MRS. BOWERS: The written testimony that you have
18 fully identified will be physically inserted in the
19 transcript as if read.

20

21

22

23

24

25

TESTIMONY OF J. R. SUMPTER

Re: South Texas Project
Preliminary Safety Analysis Report

1 My name is J. R. Sumpter. I am Manager-
2 Nuclear Division of the Power Plant Engineering and
3 Construction Department of Houston Lighting & Power
4 Company.

5 A resume of my educational and professional
6 qualifications has previously been received in evidence.
7 My responsibilities in connection with the South Texas
8 Project include the design, engineering and fuel manage-
9 ment of the nuclear system, radiation protection,
10 licensing and safety analysis.

11 The Preliminary Safety Analysis Report, as
12 amended by Amendments 1 through 34, and including
13 Appendices A through F, Applicant's Exhibit No. 8 (PSAR),
14 was compiled under my supervision and direction. Some
15 of this material was prepared by Houston Lighting &
16 Power Company employees; however, the major portion of
17 the basic data was initiated and supplied by our
18 Architect-Engineer and Constructor, Brown & Root, Inc.,
19 or by one or more of a number of consultants, including
20 NUS Corporation, and Woodward-Clyde, Consultants, and
21 EDS Nuclear, Incorporated. In all instances either I
22 or one of the Houston Lighting & Power Company personnel
23 in the Nuclear Division reviewed and approved this
24 material prior to its incorporation into the PSAR.

BY MR. SCHWARZ:

Q Dr. Swaster, the testimony you have just identified indicates the preliminary safety analysis report for the South Texas Project, Units 1 and 2 as amended by amendments 1 through 34 was prepared under your supervision by employees of Houston Lighting & Power Company, architect engineer, Brown and Root and by a number of consultants including NUS Corporation, Woodward-Clyde and EDS Nuclear; is that correct?

A. Yes.

Q Is the preliminary safety analysis report as so amended true and correct to the best of your knowledge and belief?

A. Yes, it is.

MR. SCHWARZ: Mrs. Bowers, I ask that the preliminary safety analysis report for the South Texas Project, as so amended, Applicant's Exhibit No. 8, be received into evidence at this point.

MRS. BOWERS: Mr. Pendergraft?

MR. PENDERGRAFT: No objection.

MRS. BOWERS: Mr. Stridiron?

MR. STRIDIRON: No objection, Mrs. Bowers.

MRS. BOWERS: Applicant's Exhibit No. 8 is received in evidence.

(The document heretofore marked as Applicant's

XXXXXX

A Federal Reporters, Inc.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Exhibit No. 8 for identification, is received in evidence.)

MR. SCHWARZ: Thank you.

Next I call Dr. Douglas W. Peacock, Manager of Reactor Protection, Nuclear Safety Department, Westinghouse Electric Corporation.

Whereupon,

DR. DOUGLAS W. PEACOCK

was called as a witness and, having been previously duly sworn, was examined and testified as follows:

XXXX

DIRECT EXAMINATION

BY MR. SCHWARZ:

Q. Dr. Peacock, do you have before you a six-page document entitled, "Testimony of Douglas W. Peacock, re: RESAR-41", to which is attached a two-page attachment?

A. Yes, I do.

MR. SCHWARZ: Mrs. Bowers, this document will be found under tab 16.

BY MR. SCHWARZ:

Q. Dr. Peacock, was this document prepared by you or under your supervision?

A. It was.

Q. Is the document true and correct to the best of your knowledge and belief?

1 A. It is

2 Q. Do you adopt the document entitled, "Testimony
3 of Douglas W. Peacock, re: RESAR-41" as your testimony in
4 this proceeding?

5 A. I do.

6 MR. SCHWARZ: Mrs. Bowers, I ask that the six-page
7 document with an attachment, identified by Dr. Peacock, be
8 incorporated into the record as if read.

9 MRS. BOWERS: Mr. Pendergraft?

10 MR. PENDERGRAFT: No objection.

11 MRS. BOWERS: Mr. Stridiron?

12 MR. STRIDIRON: No objection.

13 MRS. BOWERS: The testimony which you have identi-
14 fied will be physically incorporated into the transcript
15 as if read.

16 MR. SCHWARZ: Thank you. We have furnished such
17 copies to the Reporter.

XXXX

18 (Document follows.)

19

20

21

22

23

24

25

TESTIMONY OF DOUGLAS W. PEACOCK
Re: RESAR-41

1 My name is Douglas W. Peacock. I am Manager of
2 Reactor Protection, Nuclear Safety Department, Westing-
3 house Electric Corporation. A summary of my professional
4 qualifications has been received previously in evidence.

5 The purpose of my testimony is to provide an
6 explanation of what the RESAR-41 reference design
7 involves and an explanation of how it evolved from
8 earlier Westinghouse designs. I shall also sponsor the
9 RESAR-41 Reference Safety Analysis Report, as amended
10 by Amendments 1 through 19 (RESAR-41), Applicant's
11 Exhibit No. 9.

12 I have participated in the over-all safety review
13 of the Westinghouse design described in RESAR-41.
14 Portions of RESAR-41 were prepared under my direction.
15 I participated in the review and approval of those
16 portions of RESAR-41 which were not prepared under my
17 supervision, and for these reasons, I am familiar with
18 RESAR-41 in its entirety. The statements contained in
19 RESAR-41 are true and correct to the best of my knowledge
20 and belief.

21 RESAR-41 is a standard safety analysis report for
22 a Westinghouse nuclear steam supply system (NSSS)
23 design which was filed on December 3, 1973, and docketed
24 on March 11, 1974, by the Atomic Energy Commission,

1 predecessor to the Nuclear Regulatory Commission (NRC).
2 This submittal was in the form of an application for a
3 Preliminary Design Approval (PDA) to the NRC pursuant
4 to Appendix O of 10 CFR Part 50.

5 The issuance of a PDA is contingent upon successful
6 completion of a safety review by the NRC Regulatory
7 Staff and the Advisory Committee on Reactor Safeguards,
8 and is similar to the review given to conventional
9 custom plant construction permit applications. A
10 standard design receiving a PDA may then be referenced
11 by utility applicants for construction permits without
12 re-review by the NRC Staff with the exception of items
13 not resolved during the PDA review phase, site related
14 areas and interfaces, significant safety issues arising
15 subsequent to the PDA, any proposed modifications of
16 the standard design, or requirements arising from NRC
17 rules or directives promulgated after the PDA.

18 RESAR-41, as supplemented through Amendment 19,
19 describes the Westinghouse standard four-loop NSSS for
20 a 3817 MW (thermal) pressurized water reactor. Its
21 scope, as incorporated by the South Texas Project
22 Preliminary Safety Analysis Report (PSAR), includes the
23 Reactor, Reactor Coolant System, Emergency Core Cooling
24 System, Emergency Boration System, and various other

1 safety and associated systems including instrumentation
2 and controls for the various systems. The balance of
3 plant structures, systems, components and power distri-
4 bution systems are described in the Applicant's PSAR.

5 While the South Texas Project license application
6 is the first application for a construction permit to
7 reference RESAR-41, the standard plant described in
8 RESAR-41 is similar in many respects to the RESAR-3
9 design [3425 MW (thermal)] which has been reviewed by
10 the Commission on license applications for the Catawba
11 plant (Docket Nos. 50-413 and 414), the Vogtle plant
12 (Docket No. 50-424 through 427), the Millstone 3 plant
13 (Docket No. 50-423), the Comanche Peak plant (Docket
14 Nos. 50-445 and 446), the Seabrook plant (Docket Nos.
15 50-443 and 444), and the SNUPPS projects (Docket Nos.
16 50-482 through 487). The RESAR-41 design is an evo-
17 lutionary step from the RESAR-3 plant design and repre-
18 sents design evolution of the Westinghouse nuclear
19 technology. The principal design differences and
20 similarities are summarized below.

21 The RESAR-41 reactor is similar to the RESAR-3
22 design except for an increase in active fuel length
23 from 12 to 14 feet providing approximately a 15% increase
24 in fuel loading and heat transfer area. In addition,

1 correspondingly longer control rods have been provided
2 and the lower internals, of a design similar to the
3 basic RESAR-3 design, have been modified to accommodate
4 the longer fuel assemblies. The fuel design is also
5 similar except that it incorporates nine grids per
6 assembly rather than the eight grids in the RESAR-3
7 design. Similarly with the exceptions necessary to
8 accommodate the differences relating to the increased
9 system capacity and to accommodate the rapid refueling
10 concept, the RESAR-41 Reactor Coolant System is basically
11 similar to the RESAR-3 system. The reactor vessel is
12 of the design used on RESAR-3 applications with the
13 sole exception that the reactor vessel closure system
14 has been changed to facilitate rapid refueling. The
15 reactor coolant pump design is similar to the RESAR-3
16 pump but will have an increased capacity. To transfer
17 the additional heat generated in the RESAR-41 reactor,
18 the steam generators will have longer and a greater
19 number of tubes thereby increasing the total heat
20 transfer area. The RESAR-41 Residual Heat Removal
21 System (RHRS), in providing greater flexibility and
22 operability, utilizes three cooling trains with inde-
23 pendent pumps not shared with the Emergency Core Cooling
24 System (ECCS). The RHR pumps employed will be of the

1 vertical type rather than the horizontal pumps used in
2 previous designs; however the components of the modified
3 RHRS are of a proven technology.

4 The new Emergency Boration System (EBS), and the
5 redesigned Safety Injection System (SIS) are the only
6 fundamental modifications of the Engineered Safety
7 Features. The SIS design utilizes three independent
8 trains with complete separation from any function other
9 than emergency core cooling. The system components are
10 similar to previous designs with the exception that
11 vertical pumps are employed rather than horizontal. The
12 EBS, replacing the Boron Injection tank in the SIS used
13 on RESAR-3 design, is provided to mitigate the conse-
14 quences of steamline break accidents. Although a number
15 of the EBS components differ from those utilized in the
16 RESAR-3 design, all are of proven technology. The in-
17 strumentation and Control Systems for the Engineered
18 Safety Features and other systems are substantially the
19 same as previous designs with differences principally
20 to accommodate various system modifications.

21 A Spent Fuel Pool Cooling and Cleanup System is
22 provided in the scope of RESAR-41. The remainder of
23 the Auxiliary Systems, with the exception of the Fuel
24 Handling System and the Chemical and Volume Control

1 System (CVCS) are substantially the same as the RESAR-3
2 designs. The Fuel Handling System has been modified to
3 accommodate the rapid refueling provisions, and the
4 CVCS, basically the RESAR-3 design, incorporates a
5 number of modifications to achieve independence from
6 the ECCS and the EBS.

7 An in-depth comparison of the relationship
8 between RESAR-41 and RESAR-3 is presented in Tables
9 1.3-1 and 4.1-1 of RESAR-41. Additional insight to the
10 similarities of the principal parameters and design
11 features of RESAR-41 and RESAR-3 is presented in Attach-
12 ment 1.

13
14
15
16
17
18
19
20
21
22
23
24

ATTACHMENT 1

Comparison of Principal Parameters
and Design Features of RESAR-41
and RESAR-3

<u>Parameter/Feature</u>	<u>RESAR-41</u>	<u>RESAR-3</u>
Reactor Core Power Level (MWt)	3800	3411
Number of Loops	4	4
System Pressure, Nominal, psia	2250	2250
Total Thermal Flow Rate, lb/hr	144.7x10 ⁶	142.2x10 ⁶
Effective Coolant Flow Rate for Heat Transfer, lb/hr	138.2x10 ⁶	135.8x10 ⁶
Effective Coolant Flow Area for Heat Transfer, ft ²	51.1	51.1
Nominal Inlet Coolant Temperature °F	559.8	557.3
Coolant Temperature Average Rise in Core	66.8	62.3
Average Thermal Output, kw/ft	5.33	5.45
Heat Flux Hot Channel Factor, F _q	2.50	2.50
Maximum Thermal Output for Normal Operation, kw/ft	13.3	13.6
Number of Fuel Assemblies	193	193
UO ₂ Rods per Assembly	264	264
Number of Grids per Assembly	9	8
Fuel Weight (as UO ₂), lbs.	253,675	222,739
Fuel Rod Array	17x17	17x17
Clad Thickness, inches	0.0225	0.0225
Clad Material	Zircaloy-4	Zircaloy-4

<u>Parameter/Feature</u>	<u>RESAR-41</u>	<u>RESAR-3</u>
Rod Cluster Control Assembly Neutron Absorber, Full/Part Length	Ag-In-Cd	Ag-In-Cd
Number of Clusters, Full/Part Length	61/8	53/8
Number of Absorber Rods per Cluster	24	24
Core Diameter, in. (Equivalent)	132.7	132.7
Number of Safety Injection Trains	3	2
High Head Injection Pumps	3	2* + 2**
Design Flow Rate (each) gpm	800	150 425
Design Head, ft.	2850	5800 2500
Low Head Safety Injection Pumps	3	2
Design Flow Rate (each) gpm	1400	3000
Design Head, ft.	620	375
Emergency Boration System Injection Pumps	2	--
Design Flow Rates (each) gpm	450	--
Design Head, ft.	500	--

* Centrifugal Charging Pumps

** Safety Injection Pumps

1 BY MR. SCHWARTZ:

2 Q Dr. Peacock, would you please summarize your
3 prepared testimony?

4 A My name is Douglas W. Peacock, Manager of Reactor
5 Protection for the Nuclear Safety Department of Westinghouse
6 Electric Corporation.

7 The purpose of my testimony is to provide an
8 explanation of what the RESAR-41 reference design involves,
9 and an explanation of how it evolved from earlier Westinghouse
10 designs.

11 I shall also sponsor the RESAR-41 reference safety
12 analysis report as amended by amendments one through 19,
13 to RESAR-41, which is the Applicant's Exhibit No. 9.

14 I have participated in the overall safety review
15 of the Westinghouse design described in RESAR-41; portions
16 of which were prepared under my direction. RESAR-41 is
17 supplemented through amendment 19 describing the Westinghouse
18 standard 4-loop nuclear steam supply system for a 3817
19 megawatt thermal pressurized water reactor. Its scope, as
20 incorporated by the South Texas Project PSAR, includes the
21 reactor, the reactor coolant system, the emergency core cool-
22 ing system, the emergency boration system, and various other
23 safety and associated systems.

24 The South Texas Project license application is a
25 first application to reference RESAR-41. The standard plant

1 described in RESAR-41 is similar in many respects to the
2 RESAR-3 design at 3425 megawatts thermal rating, which has
3 been reviewed and licensed by the Commission on several other
4 license applications. The RESAR-41 design is an evolutionary
5 step from the RESAR-3 plant design and represents design evo-
6 lution of Westinghouse nuclear technology.

7 The principal design differences and similarities
8 are summarized in my prepared testimony in Tables 1.3-1 and
9 4.1-1 of RESAR-41.

10 Q. Dr. Peacock, your testimony indicates that you
11 participated in the preparation and overall review and
12 approval of RESAR-41 reference safety analysis report, as
13 amended by amendments one through 19; is that correct?

14 A. That is correct.

15 Q. Is the RESAR-41 reference safety analysis report
16 as so amended true and correct to the best of your knowledge
17 and belief?

18 A. It is.

19 MR. SCHWARZ: Mrs. Bowers, I ask that the RESAR-41
20 reference safety analysis report as so amended, Applicant's
21 Exhibit No. 9, be received into evidence at this point.

22 MRS. BOWERS: Mr. Pendergraft?

23 MR. PENDERGRAFT: We have no objection.

24 MRS. BOWERS: Mr. Stridiron?

25 MR. STRIDIRON: No objection.

1 MRS. POWERS: Applicant's Exhibit No. 9 is
2 received in evidence.

XXXX

3 (The document heretofore
4 marked as Applicant's
5 Exhibit No. 9 for identi-
6 fication, is received in
7 evidence.)

8 BY MR. SCHWARZ:

9 Q. Dr. Peacock, are you familiar with the list of
10 questions furnished by the Board on November 4, 1975?

11 A. Yes, I am.

12 Q. The first of these questions reads: "The increased
13 length of the 14-foot core renders itself slightly less stable
14 to axial --" I'm sorry, I'm a lawyer not an engineer --
15 x-e-n-o-n, "xenon oscillation, especially late in the fuel
16 cycle; RESAR-41 suggests that the part-length rods may be
17 relied on to assure stability but the SER notes a departure
18 from nuclear boiling problem associated with the use of PLRs
19 and says that use of such rods in Westinghouse reactors is
20 forbidden. Please discuss the alternate control strategy
21 Westinghouse Mode A and its implications from the standpoints
22 of operational flexibility and safety."

23 Would you please respond to that question?

24 A. The control banks, the part-length rods and the
25 ex-core detectors are provided in our design for control

1 and monitoring of the axial power distribution. Although
2 the core does become less stable to axial-xenon oscillation
3 as fuel groundup progresses, free xenon oscillations are
4 not allowed to occur except for special tests. Either the
5 full-length or part-length rods are sufficient and can be
6 used to dampen and control any axial-xenon oscillations.

7 As discussed in RESAR-41, the stability index at
8 the end of cycle life is essentially the same in the
9 14-foot core as it is in the 12-foot cores that are now in
10 operation. The long axial oscillation periods, approxi-
11 mately 24 hours, allows easy control of axial-xenon transients
12 with part-length rods alone, and we see no adverse implica-
13 tions from the standpoint of operational flexibility and
14 safety under Mode A operation.

15 To date, Westinghouse field reactors have not
16 experienced any difficulty in meeting power distribution
17 limits and in controlling xenon transients in the Mode A
18 type of operation.

19 MRS. BOWERS: Mr. Schwarz, the understanding was
20 we would wait until later for Borad questions. And that
21 is true also in this area.

22 MR. SCHWARZ: That was simply a suggestion, Mrs.
23 Bowers, but Dr. Peacock will be back as part of the panel
24 and that was our suggestion, but whatever the Board prefers,
25 of course.

1 MRS. BOWERS: We will hold them until later t.

2 BY MR. SCHWARZ:

3 Q. Dr. Peacock, the next question reads: "The SER
4 at page 4-12 states that the design limit peaking factor
5 for the 14-foot core is 2.5; the SER supplement, at page 6-1,
6 states that the analyses of ECCS performance assumed a peaking
7 factor of only 2.45. Is the ECCS analyses conservative from
8 this standpoint?"

9 Would you please respond to that question?

10 A. The design limit peaking factor used for ECCS
11 analyses is 2.45. All analyses of ECCS performance were
12 performed using the peaking factor of 2.45. The 2.50 value
13 was a preliminary number developed early in the review of
14 the RESAR-41 application, and has been superseded in sub-
15 sequent amendments.

16 Q. Dr. Peacock, the next question noted that the
17 SERS asserted that the higher value of peaking factor for
18 the longer core is associated with the effect of the PLRs.
19 The Board then asked two questions: "(a) If the PLRs are not
20 used, will the limit still be 250?" And, "(b) If a lower
21 limit is established, will control of peaking by simple axial
22 offset observations still be possible at 100 percent power?"

23 Would you please respond to that?

24 A. For operation without the part-length rods the
25 nuclear peaking factors in the 14-foot core would be in the

1 region of 2.1 to 2.2 of maximum values. This is illustrated
2 in figure 4.3-2 of RESAR-41. The LOCA limit for operation
3 with or without the part-length rods, however, would remain
4 at 2.45, as discussed under the response to the previous
5 question.

6 The control of peaking without the part-length
7 rods has the additional margin noted above. If the limit --
8 if the LOCA limit were lowered to a value typical of Mode A
9 operation, no problems in control are anticipated using the
10 axial offset method of control.

11 Q Dr. Peacock, the Board's fourth question reads:
12 "The Board notes that one of the consequences of the new
13 RESAR-41 refueling system is that fuel will be handled at a
14 shutdown margin of only five percent. How does this margin
15 compare with that generally allowed for fuel handling in
16 reactors and critical facilities at present?"

17 A The National Standards Institute standard in 18.2
18 specifies a value of the K effectiveness should not exceed
19 a value of .95 in fuel storage systems, although no specific
20 criterion is given for the reactor fueling operation.

21 A five percent margin is adequate and is consistent
22 with what is generally allowed today for fuel handling opera-
23 tions at reactor facilities.

24 Q Dr. Peacock, question 5A included a reference to
25 the statement on page 15-8 of the SER, that a revision of

1 the dilution path flow alarms would be required in order to
 2 assure adequate warning of potential boron dilution."

3 It further observes that, "Supplement 1, at
 4 page A-8, suggests this will not be required, but locking out
 5 of valves and reliance on nuclear instrumentation will be
 6 substituted."

7 The Board asked two questions: "(a) Is this actually
 8 the plan?" And, "(b) How many minutes warning will the
 9 operator have of impending criticality if reliance is placed
 10 entirely on nuclear instrumentation for warning of such
 11 criticality when it occurs by the most rapid postulated
 12 reactivity addition mechanism during refueling?"

13 A. The present plan for the South Texas Project is
 14 to lock out certain valves in the chemical volume control
 15 system to preclude a potential for boron dilution during
 16 refueling. The only makeup water to the reactor coolant
 17 system is via the refueling water storage tank. This water
 18 is borated and sampled to insure adequate boration prior to
 19 the release of the reactor coolant system, thus, reliance is
 20 not placed entirely on nuclear instrumentation, although it
 21 will be available to warn against an approach criticality.

22 MR. SCHWARZ: I would like to recall, at this time,
 23 Dr. Sumpter of Houston Lighting and Power Company.

e-#4

tb

PT 15 cont

1 BY MR. SCHWARZ:

2 Q Dr. Sumpter, do you have before you a 9-page
3 document with attachments entitled "Testimony of
4 James R. Sumpter, Re: Technical Qualifications."

5 A (Witness Sumpter) Yes.

6 MR. SCHWARZ: This document may be found under
7 Tab 17.

8 BY MR. SCHWARZ:

9 Q Dr. Sumpter, was this document prepared by you,
10 or under your supervision?

11 A (Witness Sumpter) Yes, it was.

12 Q Is the document true and correct to the best of
13 your knowledge and belief?

14 A Yes, it is.

15 Q Do you adopt the document entitled "Testimony of
16 James R. Sumpter, Re: Technical Qualifications" as your
17 testimony in this proceeding?

18 A I do.

19 MR. SCHWARZ: Mrs. Bowers, I ask the 9-page docu-
20 ment with attachments just identified by Dr. Sumpter be in-
21 corporated into the record as though read. Copies have been
22 furnished to the reporter.

23 MRS. BOWERS: Mr. Pendergraft?

24 MR. PENDERGRAFT: No objection.

25 MRS. BOWERS: Mr. Stridiron?

cam2

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. STRIDLER: No objection.

MRS. BOWERS: The document you just identified
.will be physically incorporated in the transcript as if read.

(The complete testimony follows.)

TESTIMONY OF JAMES R. SUMPTER

Re: Technical Qualifications

1 My name is James R. Sumpter. I am Manager -
2 Nuclear Division of the Power Plant Engineering and Con-
3 struction Department of Houston Lighting & Power Company.

4 A resume of my educational and professional
5 qualifications has been previously received in evidence.
6 My responsibilities in connection with the South Texas
7 Project include the design, engineering, and fuel manage-
8 ment of the nuclear system, and the radiation protection,
9 licensing and safety analysis of the total plant.

10 The purpose of this testimony is to summarize
11 the information regarding the technical qualifications
12 of Houston Lighting & Power Company as Project Manager
13 for the South Texas Project, as well as the information
14 regarding the technical qualifications of our principal
15 contractors.

16 More detailed information will be found in
17 the Preliminary Safety Analysis Report for the South
18 Texas Project, Section 13.1. You will also find addi-
19 tional specific information in the attachments to this
20 testimony which I hereby incorporate.

21 Houston Lighting & Power Company is keenly
22 aware of its special responsibilities assumed in under-
23 taking the design, construction and operation of this
24 nuclear power station.

1 The matter of nuclear staffing has been the
2 subject of intensive consideration by our management.
3 We have, in place, a staff fully competent to execute
4 our design and construction responsibilities. Our
5 plans include the addition of further engineering and
6 operating personnel as required to assure the effective
7 design, construction and operation of the South Texas
8 Project.

9 Houston Lighting & Power Company is respon-
10 sible for coordinating the overall design and construc-
11 tion effort required to achieve a complete facility
12 which will provide safe, reliable and economic power.
13 The principal tasks involved in this effort include the
14 design control of the balance of plant and auxiliary
15 systems; the design control of the nuclear system; cost
16 control and scheduling functions; and finally, con-
17 struction supervision.

18 These functions are performed in Houston
19 Lighting & Power Company by our Power Plant Engineering
20 and Construction Department (PPE&C) which is under the
21 direct control of our Executive Vice President, George
22 W. Oprea, Jr. PPE&C is, in turn, divided into four
23 basic groups as follows:

24 (1) The Engineering group is responsible for

1 thereof with the NSSS design. We also review bidders
2 lists, specifications, equipment selection and drawings
3 which are subject to our approval.

4 Other departments with important functions
5 connected with the South Texas Project include the
6 Engineering Department, the Energy Production Depart-
7 ment, the Environmental and Inter-Utility Affairs
8 Department, and the Quality Assurance Department.

9 The Power Plant Engineering and Construction
10 Department utilizes forty-three people with engineering
11 degrees in support of the Project. Of these, two have
12 doctoral degrees, thirteen have Masters degrees, and
13 twenty-eight have Bachelors degrees.

14 The Energy Production Department has three
15 people involved in the Project of which two have
16 Bachelors degrees and one is a registered Professional
17 Engineer.

18 The Engineering Department employs twelve
19 people in support of the South Texas Project. Of
20 these, two have Masters degrees, nine have Bachelors
21 degrees, and one is a registered Professional
22 Engineer.

23 The Environmental & Inter-Utility Affairs
24 Department employs nine people in connection with the

1 South Texas Project, and of these nine one has a doctoral
2 degree, five have Masters degrees, and three have
3 Bachelors degrees.

4 The Quality Assurance Department, which is
5 entirely separated from PPE&C includes 16 professional
6 personnel working in support of the South Texas Project.
7 Of these, three have Masters degrees and eight have
8 Bachelors degrees, and six are registered Professional
9 Engineers. A more detailed presentation regarding this
10 function is presented in the testimony of Mr. Barker.

11 Attachment A to this testimony provides per-
12 tinent information regarding the technical qualifications
13 of key South Texas Project personnel including their
14 educational qualifications, experience and any special-
15 ized courses taken in the nuclear field.

16 Attachment B is an organizational chart show-
17 ing the relationship of the organizational components
18 having responsibilities for the Project.

19 Our architect-engineer-constructor is Brown &
20 Root, one of the largest construction engineering com-
21 panies in the world with over 48,000 employees on its
22 permanent payroll. Brown & Root has been intensively
23 involved in the design and construction of central
24 station thermal power plants since 1954. In the past

1 21 years it has been responsible for the design and
2 construction of 79 fossil fuel generating stations,
3 with a combined capacity of over 27,000 megawatts, in
4 sizes ranging from small industrial installations up to
5 units of 870 megawatts each.

6 In the nuclear field, Brown & Root has been
7 responsible for the construction of two 820 megawatt
8 boiling water reactor plants for Carolina Power and
9 Light Company's Brunswick Station.

10 It is presently engaged in similar work on
11 behalf of Texas Utilities in the Comanche Peak Nuclear
12 Power Plant project which consists of two 1150 megawatt
13 Westinghouse pressurized water reactor systems.

14 Brown & Root's South Texas Project engineering
15 team is headed by an engineering project management
16 group including the engineering project manager, the
17 assistant engineering project manager and the design
18 coordinator. The 3 engineers in the group have a
19 combined experience of 42 man-years in power plant
20 engineering and construction and specifically 40 man-
21 years of experience in nuclear projects.

22 Under the project management group are various
23 support groups including licensing, documents and
24 controls, and various specific engineering discipline

1 groups. For the South Texas Project, Brown & Root has
2 drawn from its existing pool of fossil power plant
3 experience and from its nuclear power talent and has
4 supplemented these with experts from consulting engineer-
5 ing organizations.

6 The 19 key project personnel for the South
7 Texas Project have a total of 163 man-years of nuclear
8 experience. The 16 key supporting personnel assisting
9 in the project have a total of another 224 man-years of
10 nuclear experience derived from work in 33 nuclear
11 projects. Attachment C to this testimony is an organi-
12 zational chart showing Brown & Root's project organiza-
13 tion for South Texas Project. Attachment D to this
14 testimony is a table showing the names of 19 key project
15 personnel for the South Texas Project together with a
16 brief indication of their educational background and
17 prior relevant experience.

18 In addition, several nationally known con-
19 sulting organizations are making major contributions to
20 the South Texas Project in their areas of special
21 expertise. NUS is responsible for preparing the En-
22 vironmental Report and for a number of design activities,
23 including certain auxiliary systems; primary shielding
24 analysis; containment analysis; accident analysis;

1 radiological effects analysis and licensing support.
2 NUS engineering personnel now working on the South
3 Texas Project have a total of 800 man-years of previous
4 nuclear experience compiled in more than 80 nuclear
5 projects. Woodward-Clyde Consultants (WCC) are re-
6 sponsible for the geology, seismology, soils engineering,
7 groundwater hydrology and soil/structure interaction
8 analysis for South Texas Project. WCC has gained
9 experience from working on twenty previous nuclear
10 projects. EDS Nuclear has responsibility for pipe
11 stress analysis inside the containment and pipe break
12 analysis. They also provide support to the project in
13 the structural analysis area. EDS Nuclear has gained
14 experience from eleven previous nuclear projects.

15 The NSSS supplier is Westinghouse Electric
16 Corporation, one of the leading suppliers of nuclear
17 systems in the entire world. As of October, 1975, 33
18 reactors of Westinghouse design are in operation in the
19 United States and abroad and 114 are in planning and
20 construction phases. Westinghouse's experience in the
21 nuclear field dates back over 30 years. This history
22 of experience is detailed in Section 1.4.3 of RESAR-41.

23 I should also mention, before closing, that
24 training programs have been planned and instituted by

1 Houston Lighting & Power Company for a large number of
2 personnel, including some not presently assigned to the
3 South Texas Project. This approach to the training of
4 engineering personnel in the fundamentals of nuclear
5 engineering will provide us with a pool of trained
6 personnel in the Company who can be assigned to the
7 project on a timely basis. It also provides a balance
8 between utility experience and nuclear training which
9 we feel is desirable. Attachment A provides an indica-
10 tion of the key personnel participating in the training
11 programs.

12 In summary, I believe we have assembled an
13 unusually strong team within Houston Lighting & Power
14 Company and our principal contractors to assure that
15 the South Texas Project is well built and safely operated.

16
17
18
19
20
21
22
23
24

ATTACHMENT A

Tables

Of

HOUSTON LIGHTING & POWER COMPANY

PERSONNEL

Table 1 - Power Plant Engineering & Construction Department

Table 2 - Energy Production Department

Table 3 - Engineering Department

Table 4 - Environmental Protection Department

Table 5 - Quality Assurance Department

TABLE 1

POWER PLANT ENGINEERING & CONSTRUCTION

NAME	TITLE	EDUCATION	ADDITIONAL TRAINING*	ENGINEERING EXPERIENCE
<u>DEPARTMENT MANAGEMENT</u>				
E. A. Turner	General Manager	BSCE	A,B	24 Years
W. M. Menger	Assistant General Manager	BSEE	A	25 Years
J. R. Ridgway, Jr.	Consulting Engineer	BSEE	B,C,D,E	35 Years
<u>NUCLEAR DIVISION</u>				
J. R. Sumpter	Manager	BS Engineering Science, MSNE, Ph.D.NE	C,E	11 Years (11 yrs. nuclear)
J. W. Hanson	Principal Engineer, Nuclear Engineering	BSME	B,C,E,F,G	10 Years (4 yrs. nuclear)
R. P. Murphy	Supervising Engineer, Nuclear Fuel Management	BS Math, MSNE	C,E,I	6 Years (6 yrs. nuclear)
R. J. Klapper	Supervising Engineer, Nuclear Safeguards & Licensing	BSNE, MSNE	C	4.5 Years (4.5 yrs. nuclear)
R. D. Gauny	Health Physicist	BS Physics Math, MS Biophysics		6 Years (6 yrs. nuclear)
A. J. Granger	Senior Engineer, Nuclear Engineering	BSEE, MSNE	C,E	5 Years (4.5 yrs. nuclear)
<u>PROJECTS</u>				
R. E. Fulghum	Manager	BSEE, MSEE		9 Years
M. T. Luke	Project Manager, STP	BSME		15 Years
J. R. Yeats	Supervising Engineer, Costs	BSME		27.5 Years
S. Veselka	Senior Engineer	BSEE		19 Years

TABLE 1 (CONT'D)

POWER PLANT ENGINEERING & CONSTRUCTION

NAME	TITLE	EDUCATION	ADDITIONAL TRAINING*	ENGINEERING EXPERIENCE
<u>CONSTRUCTION</u>				
E. M. Riddle	Manager	BSME		27 Years
F. D. Asbeck	Construction Supervisor	BSCE		8 Years
E. A. Pearson	Construction Supervisor	B Arch. Design & Construction		22 Years
<u>ENGINEERING</u>				
B. Sample	Manager	BSEE	D	33 Years
W. H. Morgan	Principal Engineer, Electrical	BSEE	E	28 Years
R. T. Beaubouef	Principal Engineer, Mechanical	BSME, Ph.D.ME	E,H	17 Years
R. D. Ellerman	Supervising Engineer, Electrical	BSME	B,E,H	8 Years
G. H. Griffin	Supervising Engineer, Electrical	BSEE	E,H	10.5 Years
K. L. Moore	Supervising Engineer, Mechanical	BSEE	H	13 Years
W. S. Weathers	Senior Engineer, Mechanical	BSEE		3.5 Years

TABLE 2

ENERGY PRODUCTION

NAME	TITLE	EDUCATION	ADDITIONAL TRAINING*	ENGINEERING EXPERIENCE
<u>DEPARTMENT MANAGEMENT</u>				
R. L. Evans	Vice President, Operations	BA, Math		23 Years
E. F. Hudgins	General Manager			39 Years
<u>EQUIPMENT MAINTENANCE</u>				
H. G. Latham	Maintenance Manager		L,M	39 Years
<u>PLANT OPERATION</u>				
W. B. Little	Manager	BSME	B,C,E	19 Years

TABLE 3

ENGINEERING

NAME	TITLE	EDUCATION	ADDITIONAL TRAINING*	ENGINEERING EXPERIENCE
<u>DEPARTMENT MANAGEMENT</u>				
R. M. McCuistion	Vice President	BSEE		30 Years
<u>ENGINEERING DESIGN & DEVELOPMENT</u>				
K. L. Williams	Manager	BSEE, Math		15 Years
C. S. Kayser	Principal Engineer, Systems Division	Registered Professional Engineer		30 Years
E. L. Klawitter	Supervising Engineer, System Operations	BSEE, MSEE		10 Years
S. C. Schaeffer	Senior Engineer, System Operations	BSEE	B,E	6 Years
<u>CIVIL ENGINEERING</u>				
J. D. Greenwade	Manager	BSEE, MSEE		10 Years
T. L. Duoto	Principal Engineer, Civil Division	BSCE, Civil Tech	B	5 Years
H. P. Horelica	Supervising Engineer, Civil Design	MSCE	C	3 Years

TABLE 4

ENVIRONMENTAL PROTECTION

NAME	TITLE	EDUCATION	ADDITIONAL TRAINING*	ENGINEERING EXPERIENCE
<u>DEPARTMENT MANAGEMENT</u>				
D. E. Simmons	Vice President	BSEE		28 Years
D. R. Betterton	Manager	BSCE		12 Years
<u>NUCLEAR QUALITY</u>				
B. B. Aufill	Principal Engineer	BA Chemistry, MSME, J. D.	C,E,K	11 Years

TABLE 5
QUALITY ASSURANCE

NAME	TITLE	EDUCATION	ADDITIONAL TRAINING*	ENGINEERING EXPERIENCE
<u>DEPARTMENT MANAGER</u>				
D. G. Barker	Manager	BSME, MENE	A,E	10 Years
<u>SOUTH TEXAS PROJECT</u>				
R. A. Frazer	Supervising Engineer	BSCHE	B,C,E,J	7 Years
<u>PROJECT SERVICES</u>				
W. N. Phillips	Supervisor	U. S. Navy Nuclear Power School		10 Years

* NOTE 1 Listed below are the titles of the training courses.

- A. Nuclear Operators Short Course for Utility Management conducted by Babcock & Wilcox
- B. Introduction to Nuclear Power produced by NUS
- C. General Electric BWR Design Orientation
- D. Nuclear Fundamentals conducted by GE
- E. Nuclear Power Plant Design Criteria conducted by EDS Nuclear Inc.
- F. Nuclear Fundamentals Course at Zion, Illinois
- G. BWR simulator training course at Morris, Illinois
- H. Westinghouse PWR Information Course
- I. MIT Fuel Management Course
- J. Training Seminar on Radiographic Testing
- K. Berkeley Short Course on Nuclear Power Plant Siting & Surveillance
- L. Westinghouse Nuclear Maintenance Seminar
- M. GE Nuclear Maintenance Seminar

ATTACHMENT B

HOUSTON LIGHTING & POWER COMPANY


ORGANIZATION CHARTS

1. Company
2. Power Plant Engineering & Construction Department
3. Energy Production Department
4. Engineering Department
5. Environmental and Inter-Utility Affairs Department
6. Quality Assurance Department

HOUSTON LIGHTING & POWER CO.


Company Organization Chart

Board of Directors



HOUSTON LIGHTING & POWER CO.


Power Plant Engineering & Construction Department



March 1975

HOUSTON LIGHTING & POWER CO.


Energy Production Department



March 1975


HOUSTON LIGHTING & POWER CO.

Engineering Department




HOUSTON LIGHTING & POWER CO.

Environmental And Inter-Utility Affairs



HOUSTON LIGHTING & POWER CO.

Quality Assurance Department




ATTACHMENT C

BROWN & ROOT, INC. ORGANIZATION CHARTS


1. South Texas Project Organization
2. Engineering Organization
3. Construction Organization

OVERALL STP ORGANIZATION



— LINE OF STP AUTHORITY

STP ENGINEERING ORGANIZATION



LEGEND

- LINE OF STP AUTHORITY
- LINE OF
- INTRADISCIPLINE AUTHORITY
- - - LINE OF COORDINATION

ATTACHMENT D

BROWN & ROOT, INC. ORGANIZATION CHARTS

Personnel Table

ATTACHMENT D

STP KEY PROJECT PERSONNEL
BROWN & ROOT, INC.

<u>NAME</u>	<u>TITLE</u>	<u>EDUCATION</u>	<u>TOTAL EXPERIENCE</u>	<u>NUCLEAR EXPERIENCE</u>
AVERA, J. K.	Project Engineer-Heavy Civil & Water Supply	B.S. Civil Engineering P.E. Texas	10 Yrs.	2 Yrs.
BAKER, H. H.	Project Materials Engineering Coordinator	B.S. Chemistry	13 Yrs.	1 Yr.
BIERMAN, G. F.	Project General Manager	B.S. Mechanical Engineering	26 Yrs.	10 Yrs.
CHAN, M. B.	Project Engineer- Structural	B.S. Civil Engineering M.S. Structural Engineering P.E. California, Oregon, Pennsylvania	15 Yrs.	4 Yrs.
CRANE, C. L.	Construction Project Manager	B.S. Mechanical Engineering P.E. Texas	24 Yrs.	11 Yrs.
GIMAIL, O.	Project Engineer-HVAC	B.S. Mechanical Engineering P.E. Illinois, Texas	13 Yrs.	8 Yrs.
HANKS, R. C.	Project Engineer- Electrical	B.S. Electrical Engineering P.E. Texas	16 Yrs.	3 Yrs.
HANLEN, D. F.	Project Quality Engineer	B.S. Psychology M.S. Chemistry	25 Yrs.	25 Yrs.
HAWKS, J. L.	Project Engineer- Instrumentation	B.S. Marine Engineering	9 Yrs.	8 Yrs.
HAYDEN, L. E.	Project Engineer- Mechanical	B.S. Mechanical Engineering	5 Yrs.	2 Yrs.
LITTLE, M. M., JR.	Project Engineer- Nuclear Licensing	A.A. Mechanical Engineering B.S. Metallurgical Engineering	13 Yrs.	13 Yrs.
MILLAS, G.	Project Design Coordinator	B.S. Mechanical Engineering	7 Yrs.	7 Yrs.

<u>NAME</u>	<u>TITLE</u>	<u>EDUCATION</u>	<u>TOTAL EXPERIENCE</u>	<u>NUCLEAR EXPERIENCE</u>
MISKIMIN, P. A.	Assistant Engineering Project Manager	B.S. Marine Engineering M.S. Nuclear Engineering	13 Yrs.	13 Yrs.
MONROE, J. R.	Assistant Construction Project Manager	B.S. Civil Engineering	9 Yrs.	6 Yrs.
MOONEY, J. T.	Engineering Project Manager	B.S. Chemical Engineering P.E. Pennsylvania, N. Carolina, Tennessee	22 Yrs.	20 Yrs.
MYERS, M. J.	Project Engineer- Quality Assurance	B.S. Civil Engineering P.E. Texas	7 Yrs.	7 Yrs.
POMES, F. H.	Project Engineer- Mechanical Nuclear	B.S. Mechanical Engineering M.B.A. Business Administration P.E. Louisiana	18 Yrs.	8 Yrs.
SETHI, J. S.	Project Engineer- Stress Analysis	B.S. Civil Engineering Bachelor of Laws M.S. Operations Research P.E. New Jersey, Texas	17 Yrs.	7 Yrs.
WOLANTEJUS, R. T.	Project Engineer- Piping & Valves	B.S. Nuclear Science	13 Yrs.	8 Yrs.

cam3

1 BY MR. SCHWARZ:

2 Q Dr. Sumpter, will you please summarize your pre-
3 pared testimony?

4 A (Witness Sumpter) My name is James R. Sumpter,
5 Manager of the Nuclear Division of the Houston Lighting and
6 Power Company. A resume of my educational and professional
7 qualifications has been previously received in evidence.

8 The purpose of this testimony is to summarize the
9 information regarding the technical qualifications of Houston
10 Lighting and Power Company as Project Manager for the South
11 Texas project, as well as the information regarding technical
12 qualifications of our principal contractors.

13 Houston Lighting and Power Company is aware of
14 its special responsibilities assumed in undertaking the
15 design, construction and operation of this nuclear station.
16 We have in place a staff fully competent to execute our
17 design and construction responsibilities.

18 Our plans include the addition of further engineer-
19 ing and operating personnel as required to assure the effective
20 design and construction and operation of the South Texas
21 project.

22 Our architect-engineer and constructor is Brown and
23 Root Incorporated, one of the largest construction engineering
24 companies in the world. Brown and Root's experience in the
25 design and construction of power plant extends back to 1954,

cam4

1 and includes 79 fossil generating stations and 2 nuclear
2 generating units. Brown and Root has developed a staff of
3 engineering personnel who work under the direction of experi-
4 enced project management, and key project personnel, which is
5 capable of fulfilling the responsibilities of the architect-
6 engineer for the South Texas project.

7 In addition, several nationally known consulting
8 organizations are making major contributions to the South
9 Texas project in their areas of special expertise, including
10 NUS Corporation, Woodward-Clyde Consultants, and NEDS Nuclear.
11 Westinghouse, the Nuclear Steam Supply System Inventory
12 certainly has been recognized as an experienced, capable
13 engineering organization in the design of nuclear steam
14 supply systems.

15 In summary, I believe we have assembled an unusual
16 strong team within Houston Lighting and Power Company and our
17 principal contractors to insure the South Texas project is
18 well built and safely operated.

19 Thank you.

20 MR. SCHWARZ: Applicant now calls
21 Mr. David G. Barker, Manager, Quality Assurance Department
22 for Houston Lighting and Power Company. Mr. Barker has been
23 previously sworn.

24 BY MR. SCHWARZ:

25 Q Mr. Barker, do you have before you a 5-page

1 document entitled "Testimony of D. G. Barker, Re: Quality
2 Assurance?"

3 A (Witness Barker) Yes.

4 MR. SCHWARZ: This document may be found under
5 Tab 18.

6 BY MR. SCHWARZ:

7 Q Was this material prepared by you or under your
8 supervision?

9 A (Witness Barker) Yes.

10 Q Is the document true and correct to the best of
11 your knowledge and belief?

12 A Yes.

13 Q Mr. Barker, do you adopt the document entitled
14 "Testimony of D. G. Barker, Re: Quality Assurance" as your
15 testimony in this proceeding?

16 A Yes, I do.

17 MR. SCHWARZ: Mrs. Bowers, I ask the 5-page docu-
18 ment identified by Mr. Barker be incorporated in the record as
19 though read. Copies have been furnished to the reporter.

20 MRS. BOWERS: Mr. Pendergraft?

21 MR. PENDERGRAFT: No objection.

22 MRS. BOWERS: Mr. Stridiron?

23 MR. STRIDIRON: No objection.

24 MRS. BOWERS: The document you have just identified
25 will be physically inserted in the transcript as if read.

(The complete testimony follows.)

TESTIMONY OF D. G. BARKER

Re: Quality Assurance

1 My name is David G. Barker. My position is
2 Manager, Quality Assurance Department with the Houston
3 Lighting & Power Company (HL&P).

4 A resume of my educational and professional
5 qualifications has previously been received in evidence.

6 My functions in connection with the South
7 Texas Project are the development, implementation and
8 management of the HL&P Corporate Quality Assurance
9 Program. This responsibility extends into all project
10 activities including design, procurement, construction,
11 and operation.

12 The purpose of this testimony is to present
13 information on the matter of quality assurance for the
14 South Texas Project, Units 1 & 2 including the portions
15 of the program implemented by Brown & Root and
16 Westinghouse.

17 Detailed information on this subject can be
18 found in Chapter 17 of the Preliminary Safety Analysis
19 Report for South Texas Project Units 1 & 2 and Chapter
20 17 of the RESAR-41 (Reference Safety Analysis Report).
21 This information may be summarized as follows:

22 HL&P, as Project Manager for the Project
23 Participants, has the responsibility for quality assur-
24 ance during the design, procurement, fabrication,

1 construction and operation phases of the South Texas
2 Project.

3 HL&P is fully aware of the attention that
4 should be applied to quality assurance during all of
5 these phases of the South Texas Project. In order to
6 establish and maintain the high quality level required
7 for project activities, HL&P has developed and has
8 fully implemented a comprehensive Quality Assurance
9 Program. This program is documented in the Quality
10 Assurance Program Manual and the South Texas Project
11 Quality Assurance Plan. This Program was implemented
12 prior to the selection of the NSSS vendor and is
13 presently being utilized in all facets of the project.
14 This program requires, at a minimum, that the quality
15 assurance activities performed by HL&P and its prime
16 contractors, subcontractors, and vendors comply with
17 the NRC criteria established in 10 CFR 50, Appendix B,
18 "Quality Assurance Criteria for Nuclear Power Plants",
19 appropriate Regulatory Guides and industry standards.

20 The HL&P Quality Assurance Department was
21 established to provide for the effective control of all
22 quality activities related to the nuclear power plants,
23 including those performed by all contractors and sup-
24 pliers. We have developed and implemented a detailed

1 indoctrination, training and continuing education
2 program to assure that all quality assurance personnel
3 are fully qualified to discharge the responsibilities
4 assigned to them.

5 As the Manager, Quality Assurance, I report
6 on all technical and administrative matters to the
7 Executive Vice President of HL&P. This reporting
8 arrangement provides independence for the quality
9 assurance function.

10 Our HL&P Quality Assurance personnel have the
11 duty and authority to identify quality problems; to
12 initiate, recommend or provide solutions; and to verify
13 the implementation and effectiveness of solutions. To
14 enforce this, they have authority to "Stop Work" in all
15 design, procurement, construction and operation phases
16 of HL&P nuclear power plant projects.

17 A Project Quality Assurance Manager is
18 assigned to the South Texas Project. He has the respon-
19 sibility of implementing the South Texas Project Quality
20 Assurance Plan and deals directly with the HL&P Project
21 Manager, other line organizations, contractors and
22 subcontractors. In addition, HL&P will have on the site
23 qualified resident quality assurance personnel who will
24 perform continuous surveillance on all site activities;

1 these individuals report to the Project Quality Assurance
2 Manager.

3 While HL&P retains overall responsibility for
4 the Quality Assurance Program, portions of the Program
5 are implemented by Brown & Root and Westinghouse.

6 Brown & Root and Westinghouse have developed
7 and implemented quality assurance programs that satisfy
8 the NRC regulatory requirements and those required by
9 HL&P.

10 Within the Brown & Root organization, a
11 Project QA Manager has been appointed to supervise the
12 site QA activities. He reports to the Brown & Root
13 Manager of Quality Assurance at Brown & Root headquarters
14 in Houston, who in turn, reports to the Senior Group
15 Vice President of the Power Division. At the Houston
16 office, a Project QA Engineer is responsible for quality
17 assurance during design and procurement and reports to
18 the Manager of Quality Assurance. Also, a Vendor
19 Surveillance Coordinator reporting to the Manager of
20 Quality Assurance is responsible for the vendor surveil-
21 lance activities.

22 At Westinghouse, the Nuclear Energy System
23 (NES) Divisions are responsible for supplying the
24 Pressurized Water Reactor (PWR) nuclear steam supply

1 systems and components for the South Texas Project.
2 Within NES, the PWR Systems Division, headed by a
3 General Manager, is responsible for design, procurement,
4 and quality assurance for all of the nuclear systems
5 and components.

6 The PWR Systems Division Product Assurance
7 Department is responsible for integrating and auditing
8 the quality-related work and the quality assurance
9 programs of the NES Divisions and the external suppliers
10 to Westinghouse. This Department is headed by the
11 Manager, Product Assurance, who reports directly to the
12 General Manager of the PWR Systems Division.

13 HL&P has conducted a comprehensive audit
14 program to verify that this overall QA Program as
15 described is indeed being implemented in a satisfactory
16 manner.

17 In summary, a comprehensive quality assurance
18 program has been established and implemented for all
19 quality-related activities as described in Chapter 17
20 of the South Texas Project PSAR. Implementation will
21 continue for the life of the Project, with reviews and
22 modifications to the program being made, as necessary,
23 to conform to new requirements as they may arise.

24

cam7

1 BY MR. SCHWARZ:

2 Q Mr. Barker, could you summarize your testimony?

3 A (Witness Barker) My name is David G. Barker. My
4 position is Manager, Quality Assurance Department, with Houston
5 Lighting and Power Company. A resume of my educational and
6 professional qualifications has previously been received in
7 evidence.

8 My testimony presents a brief description of the
9 Houston Lighting and Power Quality Assurance Program and how
10 it is placed into effect through the South Texas project
11 quality assurance plan. It provides information on the
12 organization structure of the Houston Lighting and Power
13 Quality Assurance Department, including its reporting posi-
14 tion and the staff that will be responsible for the imple-
15 mentation of the quality assurance plan for the South Texas
16 project.

17 My testimony further provides information about
18 our architect-engineer, and constructor, Brown and Root.
19 And the responsibilities they have in implementing an effec-
20 tive quality assurance program for the South Texas project.
21 The organization structure in a brief description of the
22 Westinghouse quality assurance program is also presented in
23 my testimony.

24 This completes my summary.

25 MR. SCHWARZ: Applicant now calls

1 Dr. Walton A. Rodger of Nuclear Safety Associates. Dr. Rodger
2 has been sworn previously.

3 BY MR. SCHWARZ:

4 Q Dr. Rodger, do you have before you a 16-page
5 document together with a list of references and 6 tables
6 attached entitled "Testimony of Walton A. Rodger, Re: Compli-
7 ance With Appendix I?"

8 A (Witness Rodger) Yes, I do.

9 MR. SCHWARZ: Mrs. Bowers, this document is under
10 Table L-8.

11 I am sorry. Tab 19. I beg your pardon.

12 MRS. BOWERS: We have it. Thank you.

13 BY MR. SCHWARZ:

14 Q Dr. Rodger, was this document prepared by you or
15 under your supervision?

16 A (Witness Rodger) It was.

17 Q Do you have any corrections, additions or modifica-
18 tions to the document?

19 A Yes, sir. There is one typographical error on
20 page 13 at line 6. There are 2 figures. Under gamma, for a
21 single unit.

22 It reads 0.013 millirad per year and it should
23 read 0.13 millirad per year.

24 In addition, I would like to make one addition to
25 Table 6. The first entries on Table 6 are for liquid

cam9

1 effluents, and the second of those 2 entries, organ dose per
2 unit, the word "thyroid" should be added, and then below that
3 I would like to add the word "liver," and in the final column,
4 add 0.027 millirems per year.

5 MRS. BOWERS: Would you mind repeating that?
6 That last correction.

7 WITNESS RODGER: Yes. On table 6, in the second
8 column, reads "liquid effluent, total body dose per unit"
9 and then "organ dose per unit." That is the thyroid dose.
10 Below that I would like to add "liver."

11 In the final column, immediately below the number
12 00.033 -- I would like to add 0.027, millirem per year.

13 MRS. BOWERS: Fine, thank you.

14 BY MR. SCHWARZ:

15 Q Is the document as so modified true and correct to
16 the best of your knowledge and belief?

17 A (Witness Rodger) Yes.

18 Q Do you adopt the document entitled "Testimony of
19 Walton A. Rodger, Re: Compliance With Appendix I" as modified
20 by your testimony, as your testimony including the attachment
21 thereto?

22 A Yes.

23 MR. SCHWARZ: Mrs. Bowers, I ask that the 16-page
24 document and attachments identified by Dr. Rodger, as modified
25 by Dr. Rodger at this hearing, be incorporated into the record

cam10

1 as though read.

2 MRS. BOWERS: Mr. Pendergraft?

3 MR. PENDERGRAFT: No objection.

4 MRS. BOWERS: Mr. Stridiron?

5 MR. STRIDIRON: No objection.

6 MRS. BOWERS: The document will be physically

7 inserted in the transcript as if read.

8 (The complete testimony follows.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

TESTIMONY OF WALTON A. RODGER

Re: Compliance with Appendix I.

1 My name is Walton A. Rodger. I am a partner in
2 the consulting firm of Nuclear Safety Associates. My
3 technical and professional qualifications have been
4 previously received in evidence. I have been continu-
5 ously involved in the nuclear energy field since 1942.
6 Much of my professional career has been devoted to study
7 and consulting in the area of control of effluents from
8 nuclear facilities.

9 This statement addresses itself to the ques-
10 tion whether the proposed nuclear facility, South Texas
11 Project Units 1 & 2, will discharge radioactive effluents
12 to air and water which will be "as low as practicable,"
13 and whether the proposed facility meets the requirements
14 of Appendix I to 10 CFR 50, as adopted by the Nuclear
15 Regulatory Commission ("Commission") effective June 4,
16 1975⁽¹⁾ and amended effective September 4, 1975.⁽²⁾

17 Under Section I of Appendix I, design objec-
18 tives conforming to the guidelines of Appendix I are
19 deemed to be a conclusive showing of compliance with the
20 "as low as practicable" requirements of 10 CFR 50.34a.
21 These guidelines are set forth in paragraphs A, B, C,
22 and D of Section II of Appendix I. This testimony will
23 show that each unit of STP meets the design objectives
24 of paragraphs IIA, IIB, and IIC.

1 Paragraph IID of Appendix I sets forth a
2 cost-benefit analysis that must be performed to ascer-
3 tain whether additional items should be added to the
4 radwaste system. As amended by the Commission effec-
5 tive September 4, 1975, however, paragraph IID provides
6 that such analysis need not be performed in the case
7 of an application docketed prior to June 4, 1976--such
8 as that for the South Texas Project--if the radwaste
9 systems satisfy the Guides on Design Objectives for
10 Light-Water-Cooled Nuclear Power Reactors proposed in
11 the Concluding Statement of Position of the Regulatory
12 Staff in Docket-RM-50-2 (hereinafter called the "Staff's
13 Concluding Statement") reproduced in the Annex to
14 Appendix I. (3) Applicant has presently chosen to comply
15 with paragraph IID by demonstrating that it satisfies
16 the Staff's Concluding Statement. Thus, this testi-
17 mony will also show that the radwaste systems satisfy
18 paragraphs A, B, and C of the Annex to Appendix I.

19 I have made a completely independent analysis
20 of the South Texas Project radwaste systems using the
21 most recent versions of the Draft Regulatory Guides per-
22 taining to Appendix I as follows:

23 I.AA Calculation of Annual Average Doses
24 to Man from Routine Releases of Reactor Effluents

1 for the Purposes of Implementing Appendix I,
2 September 23, 1975.

3 I.BB Calculation of Releases of Radioactive
4 Materials in Liquid and Gaseous Effluents from
5 PWR, September 9, 1975.

6 I.DD Methods for Estimating Atmospheric
7 Transport and Dispersion of Gaseous Effluents in
8 Routine Releases from Light Water Reactors,
9 September 22, 1975.

10 The results of my analyses are summarized in this
11 statement.

12 I. Description of Waste Systems

13 The waste systems to be used at the South
14 Texas Project have been described in some detail in
15 Chapter 11 of the Preliminary Safety Analysis
16 Report (PSAR). For an orderly presentation of this
17 testimony, a brief and simplified description of the
18 waste treatment systems proposed for handling the
19 gaseous and liquid wastes from STP follows.

20 A. Gaseous Systems

21 The South Texas Project reactors, in company
22 with any Pressurized Water Reactor ("PWR"), can be ex-
23 pected to have small but discernible releases of gaseous
24 wastes from the following sources:

- 1 (1) Primary Gas System
- 2 (2) Secondary Off-gas
- 3 (3) Steam Generator Blowdown Vent
- 4 (4) Containment Purging
- 5 (5) Ventilation of the Auxiliary Building
- 6 (6) Ventilation of the Turbine Building.

7 A brief discussion of each of the six
8 sources follows.

9 The primary coolant in a PWR, if the core
10 contains any significant fraction of failed fuel,
11 will contain some radioactive fission products some
12 of which are gases. At one or more points in the
13 system (in the case of South Texas Project at the
14 Volume Control Tank) some of these gaseous fission
15 products are drawn off and sent to the Primary Gas
16 System. This system in the South Texas Project con-
17 sists of a compressor, cooler, moisture separator,
18 dryer (2 in parallel) and four charcoal-filled delay
19 tanks. The effective holdup time in the delay tanks
20 before discharge is about four days for kryptons and
21 more than 60 days for xenons. The purpose of the
22 holdup is to allow time for the shorter-lived com-
23 ponents of the waste gas to decay prior to release.
24 This significantly reduces the dose impact of the

1 discharge.

2 In PWR the primary coolant is used in a
3 steam generator to transfer heat to a secondary water
4 circuit in which steam is produced for use in the
5 turbine generator to produce electricity. So long as
6 there are no leaks in the tubes in the steam genera-
7 tor, there will be no radioactivity associated with
8 the secondary system even if there is radioactivity
9 in the primary system. Thus the loss of radioactivity
10 from the secondary system of a PWR is a "second order"
11 probability, that is, there must be simultaneously
12 present significant failed fuel and significant steam
13 generator tube leakage to produce any significant loss
14 of radioactivity from the secondary system. In this
15 analysis allowance has been made for an assumed release
16 from the secondary system.

17 In most PWR the blowdown taken from the steam
18 generator to maintain proper water chemistry in the sys-
19 tem is discharged into a blowdown tank where it is cooled
20 by allowing a portion of the liquid to flash (boil). The
21 off-gas from this tank has been shown to be a possibly
22 significant source of radioactivity, particularly
23 iodine, if discharged directly. At the South Texas
24 Project, however, the vapor from the blowdown tank is

1 condensed in feed water heaters and all of the liquid
2 is returned to the condenser hotwell. This approach
3 eliminates this source of gaseous waste completely.

4 PWR are provided with containment shells.
5 There is a great deal of equipment inside these con-
6 tainment shells and it contains the primary coolant
7 at elevated temperature and pressure. It is not pos-
8 sible to maintain all of this equipment in a com-
9 pletely leak-free condition. Therefore, it is to be
10 expected that some of the primary coolant will escape
11 into the containment shell, and that some of the es-
12 caped material will become and remain airborne. When
13 it is necessary to enter the containment shell for any
14 length of time, it is generally desirable to purge the
15 containment atmosphere in order to reduce the radio-
16 activity in the air which will be breathed by the
17 personnel entering. When this is done the remaining
18 air-borne activity in the containment atmosphere will
19 be released to the environment. To reduce the amount
20 so released, the South Texas Project containment in-
21 cludes two 10,000-cfm "kidneys", internal devices which
22 circulate the containment atmosphere through charcoal
23 and HEPA filters to reduce the iodine content. In the
24 calculation of emissions from containment, it has been

1 assumed that there will be a continuous purge of con-
2 tainment at a rate of 1000-cfm, even though the plans for
3 operation do not include the use of continuous purge.

4 The Auxiliary Building of a PWR houses a good
5 deal of ancillary equipment used for the control of
6 radioactivity of the system and for many other sub-
7 systems needed for the operation of the reactor. Many of
8 these can be expected to leak small quantities of radio-
9 active liquids into the building and some of these will
10 become airborne. Thus there is the possibility that some
11 radioactivity will escape with the ventilation air from
12 this building. At the South Texas Project the Auxiliary
13 Building ventilation air is released without treatment
14 prior to discharge.

15 Similarly, there is a possibility, albeit less
16 than in the case of the Auxiliary Building, that there
17 can be radioactive material in the air in the Turbine
18 Building. At the South Texas Project this ventilation
19 air is released without treatment.

20 B. Liquid Systems

21 Liquid wastes from PWR come from a variety
22 of sources which have a considerable disparity in chem-
23 ical and radiochemical composition and concentration.
24 Normally these wastes are collected and treated

1 separately. The liquid wastes from South Texas
2 Project fall into the following five categories:

- 3 (1) CVCS Waste - (Waste Portion of LWPS)
- 4 (2) Clean Waste - (Recycle Portion of LWPS)
- 5 (3) Floor Drains - (Waste Portion of LWPS)
- 6 (4) Chemical Waste - (Waste Portion of LWPS)
- 7 (5) Detergent Waste - (Waste Portion of LWPS)

8 A brief discussion of each of the five
9 categories follows: The CVCS System is set up to
10 control the concentration of boric acid in the primary
11 coolant. In a real sense it is not a waste system at
12 all but rather an integral part of the control system for
13 the reactor. However, a portion of the product needs
14 to be discarded to control the concentration of tritium
15 in the primary system; thus the system contributes
16 to the discharges of radioactivity in liquids and needs
17 to be considered as a waste system.

18 The CVCS System for the South Texas Project
19 consists of two ion exchangers (in parallel), two holdup
20 tanks, an evaporator, and a distillate ion ex-
21 changer. A portion of the overhead distillate is sent
22 to the waste portion of the Liquid Waste Processing
23 System ("LWPS"), where it could, if necessary, be given,
24 further processing. Since further processing will

1 normally not be needed, in this analysis I have
2 assumed that this distillate is released after
3 analysis without further processing.

4 The Clean Waste (Recycle) System is set
5 up to handle reactor-grade water from equipment
6 and sample drains. These wastes are collected
7 separately in a Waste Holdup Tank and may be evaporated,
8 deionized, or both, or released without treatment as
9 circumstances dictate.

10 The Floor Drain System is set up to handle
11 the wastes which have been collected from the floor
12 sumps of all of the buildings save the Turbine
13 Building. These wastes tend to be more variable
14 in composition and lower in radioactivity than the
15 clean waste. Their treatment at the South Texas
16 Project consists of collection, evaporation, and/or
17 ion exchange, or they may be released without treat-
18 ment if circumstances warrant.

19 The Chemical Waste System collects the
20 regenerant from the condensate cleanup system. This
21 waste, if contaminated due to steam generator tube
22 leakage in conjunction with significant failed fuel,
23 will require evaporation.

24

1 The overhead from evaporation can be further treated
2 with ion exchange if desired. The evaporator overhead,
3 with or without further treatment, is released. The
4 evaporator bottoms are solidified and sent to a com-
5 mercial burial ground.

6 Steam generator blowdown from a PWR will not
7 contain any radioactivity unless there is simltaneous
8 steam generator tube leakage and a significant fraction
9 of failed fuel. At the South Texas Project steam
10 generator blowdown is returned to the condenser hotwell
11 and thence to the condensate demineralizers. Thus in
12 a sense this waste stream does not exist at the South
13 Texas Project.

14 Detergent wastes come from the laundry, showers,
15 and decontamination operations. The activity level is
16 very low. The detergent content, on the other hand, very
17 much complicates the treatment of other wastes, were
18 these to be combined with them. Consequently it is
19 desirable to segregate this waste category and this is
20 done at the South Texas Project. The treatment provided
21 for this stream at the South Texas Project is normally
22 filtration, although additional treatment is available if
23 needed. In this analysis only filtration is assumed.

24 Turbine Building drains usually contain only

1 very low levels of radioactivity even if there is some
2 steam generator tube leakage. It is not generally the
3 practice to provide any treatment for this stream. In
4 our analysis, allowance has been made for the contribu-
5 tion of this stream to total liquid discharges.

6 II. Emissions of Radioactivity from the South Texas
7 Project

8 The emissions of radioisotopes from the
9 operation of the South Texas Project have been estimated
10 using techniques similar to those used by the Commission
11 Staff in making their analyses. My source terms were
12 developed using the same PWR-GALE code used by the Staff.
13 All such calculations are dependent, however, on a series
14 of assumptions and judgments. I believe that my assump-
15 tions are essentially identical to those of the Staff
16 for the gaseous systems--so the resulting source terms
17 (shown in attached Table 1) should be almost identical.
18 The Project's liquid system is so flexible, however, that
19 no two analysts are likely to make precisely the same
20 assumptions. Thus there may be some small differences
21 between the liquid source terms I have calculated (shown
22 in attached Table 2) and those used by the Staff.

23 III. Calculation of Individual and Site Boundary Doses

24 The source terms from Tables 1 and 2 were con-
verted into site boundary and "maximum individual" doses

1 using the equations given in Draft Regulatory Guide
2 1.AA (September 23, 1975). Some of the calculations
3 were done by hand calculator, others by the use of
4 computer codes developed by Nuclear Safety Associates.

5 Site boundary calculations were done for the
6 north sector at a distance of 1430 meters. A number of
7 critical residences were checked--the controlling point
8 was taken as a residence located 4300 meters NNW of
9 the reactors.

10 In making these calculations it is necessary
11 to use values of atmospheric dispersion, X/Q , and
12 deposition, D/Q , at the points of interest. The ap-
13 plicant's meteorological consultants, NUS Corporation,
14 reviewed the site meteorology as reported in the PSAR
15 and the Environmental Report in light of the new Draft
16 Reg. Guide 1.DD (September 22, 1975). They provided the
17 meteorological parameters listed in attached Table 3
18 which I used in this analysis.

19 The calculated maximum doses to an individual
20 from liquid effluents are shown in attached Table 4. It
21 is obvious from Table 4 that the South Texas Project meets
22 with ease either the design objectives of paragraph IIA
23 of Appendix I or those of paragraph A.1 of the Staff's
24 Concluding Statement. Further, Table 2 shows that South

1 Texas Project meets paragraph A.2 of the Staff's Con-
2 cluding Statement.

3 The resulting site boundary air doses were
4 determined to be:

	<u>Single Unit</u>	<u>Two Units</u>
5 Gamma	0.013 mrad/yr	0.26 mrad/yr
6 Beta	0.26 mrad/yr	0.52 mrad/yr

7
8 Thus it is apparent that the Project also meets with ease
9 the design objectives for noble gas emissions contained
10 in paragraph II.B.1 of Appendix I as well as paragraphs
11 B.1 and B.2 of the Staff's Concluding Statement.

12 The calculated external doses from gaseous
13 effluents to real individuals, located at the above
14 defined residence, were determined to be:

	<u>One Unit</u>	<u>Two Units</u>
15 Total Body Dose	7.7E-03 mrem/yr	1.5E-02 mrem/yr
16 Skin Dose	2.0E-02 mrem/yr	4.0E-02 mrem/yr

17
18 Here again these doses are much below the design objec-
19 tives of paragraph II.B.2 of Appendix I or of paragraph
20 B.3 of the Staff's Concluding Statement.

21 The calculated doses from the emission of
22 iodines and particulates in effluents to the atmosphere
23 are shown in Table 5. The values shown in Table 5 are for
24 dose pathways which could reasonably exist, as required by

1 Appendix I. These values are for a single unit. Even
2 doubled to allow for two-unit operation at the site, the
3 maximum individual total body dose is less than 1 mrem/yr
4 and the maximum individual organ dose is less than 2
5 mrem/yr. Thus STP satisfies paragraph II.C of Appendix I
6 and paragraph C.1 of the Staff's Concluding Statement.
7 Table 1 shows that STP also satisfies paragraph C.2 of
8 the Staff's Concluding Statement.

9 The above calculated doses are summarized in
10 Table 6 and compared to the requirements of Appendix I
11 and the Staff's Concluding Statement. Again it is clear
12 that STP meets all pertinent requirements with ease.

13 IV. Conservativeness of the Nuclear Regulatory Commission
14 Staff's "Upper Bound" Calculations

15 In an affidavit filed by Dr. Jacob Kastner for
16 the Commission Staff earlier in this proceeding, ⁽⁴⁾ an
17 "upper bound" calculation of the total annual population
18 dose resulting from the South Texas Project was presented
19 for purposes of demonstrating the unlikelihood that a
20 cost-benefit analysis pursuant to paragraph II.D of
21 Appendix I would require any addition to the radwaste
22 systems. In view of the Commission's subsequent revision
23 of paragraph II.D, as I have previously indicated, no
24 such cost-benefit analysis is presently required in this
case. However, it is clear that Dr. Kastner's analysis

1 was indeed a conservative "upper bound" calculation.

2 We are now in a position to make a more nearly
3 precise "upper bound" calculation. Attached Tables 4
4 and 5 show that the real individual subject to maximum
5 exposure may be expected to receive from the operation
6 of a single unit less than 1 mrem/year thyroid dose and
7 less than 0.5 mrem/year total body dose from liquids and
8 gases.

9 In general the average dose over fifty miles
10 is found to be about 1% of the maximum individual dose.
11 Therefore we can expect that the average doses over the
12 50-mile radius will be about:

13	total body	5E-03 mrem/yr
14	thyroid	1E-02 mrem/yr

15 The projected year 2020 population for the 50-
16 mile radius surrounding the Project site is about
17 800,000 persons. Therefore the total annual population
18 dose in 2020 from one South Texas Project unit can con-
19 servatively be expected not to exceed:

20	total body	4 person-rem
21	thyroid	8 person-thyroid-rem.

22 Dr. Kastner's "upper bound" estimate, which was
23 based upon a total U.S. population, was about 24 total
24 body person-rem and 35 thyroid-person-rem. This clearly

1 conservatively overestimated the annual population dose
2 within 50 miles which would be considered if a cost-
3 benefit analysis were being performed under paragraph
4 II.D of Appendix I.

5 V. Conclusion

6 My independent analysis of the South Texas
7 Project shows that the radwaste systems proposed by
8 the Applicant meet the design objectives of paragraphs
9 II.A, II.B, and II.C of Appendix I and that, since they
10 satisfy paragraphs A, B, and C of the Staff's Concluding
11 Statement, they also meet the objectives of paragraph
12 II.D of Appendix I.

13
14
15
16
17
18
19
20
21
22
23
24

References

1. Title 10, CFR Part 50, Appendix I. Federal Register, V. 40, p. 19442, May 5, 1975.
2. Title 10, CFR Part 50, Amendment to Paragraph II.D. of Appendix I. Federal Register, V. 40, p. 40818, September 4, 1975.
3. U. S. Atomic Energy Commission Concluding Statement of Position of the Regulatory Staff (and its Attachment) - Public Rulemaking Hearing on: Numerical Guides for Design Objectives and Limiting Conditions for Operation to Meet the Criteria "As Low As Practicable" for Radioactive Material in Light-Water-Cooled Nuclear Power Reactors, Docket No. RM-50-2, Washington, D.C., February 20, 1974.
4. Affidavit of Dr. Jacob Kastner (Relative to an upper bound estimate of radiological impact on the general public), Docket Nos. 50-498 and 50-499, July 6, 1975.

TABLE 1

Gaseous Source Terms

<u>Noble Gases</u>	<u>Total Ci/yr</u>
Kr-83m	0.0
Kr-85m	9.0E 00
Kr-85	2.7E+02
Kr-87	2.0E 00
Kr-88	1.4E+01
Kr-89	0.0
Xe-131m	1.7E+01
Xe-133m	1.5E+01
Xe-133	8.7E+02
Xe-135m	0.0
Xe-135	3.3E+01
Xe-137	0.0
Xe-138	0.0
<u>Total Noble Gases</u>	1.2E+03
I-131	1.8E-01
I-133	1.5E-01
Tritium	1.0E+03
<u>Others</u>	
Mn-54	3.9E-02
Fe-59	1.3E-02
Co-58	1.3E-01
Co-60	6.0E-02
Sr-89	2.9E-03
Sr-90	5.3E-04
Cs-134	3.9E-02
Cs-137	6.7E-02
C-14	8.0E 00
A-41	2.5E+01

TABLE 2

Liquid Source Terms

<u>Corrosion & Activation Products</u>	<u>Total Ci/yr</u>
Cr-51	0.00009
Mn-54	0.00100
Fe-55	0.00009
Fe-59	0.00005
Co-58	0.00490
Co-60	0.00880
Np-239	0.00004
Fission Products	
Br-83	0.00003
Sr-89	0.00002
Y-91	0.00010
Mo-99	0.00910
Tc-99m	0.00870
Te-127m	0.00001
Te-127	0.00002
Te-129m	0.00007
Te-129	0.00004
I-130	0.00015
Te-131m	0.00005
I-131	0.07700
Tc-132	0.00077
I-132	0.00200
I-133	0.04100
Cs-134	0.01600
I-135	0.00720
Cs-136	0.00110
Cs-137	0.02600
Ba-137m	0.00210
All others	0.00007
Total except Tritium	0.22000
Tritium	480

TABLE 3
Meteorological Parameters Used In Calculations

	<u>Direction from Site</u>	<u>Distance meters</u>	<u>X/Q, Sec/m³</u>	
1.	<u>Noble Gas Values</u>			
	Maximum Site Boundary	N	1430	4.7E-06
	Residences:	ESE	2000	4.3E-07
		WSW	3900	3.8E-07
		W	3900	4.9E-07
		NNW	4300	4.8E-07
2.	<u>Radioiodines and Particulates*</u>			
	Gardens	ESE	2000	3.4E-07
		WSW	3900	2.7E-07
		W	3900	2.5E-07
		NNW	4300	2.9E-07
	Cow	E	11,300	1.8E-08
3.	<u>Deposition Values*</u>			
	Gardens	ESE	2000	2.3E-09
		WSW	3900	1.3E-09
		W	3900	1.4E-09
		NNW	4300	3.3E-09
	Cow	E	11,300	4.5E-11

* Includes cloud depletion.

TABLE 4

Liquid Doses to "Maximum Individual"*

<u>Pathway</u>	<u>Child</u>	<u>Teen</u>	<u>Adult</u>
Total Body Doses:			
1. Ingestion of Fish (Salt Water)	3.5E-03	9.5E-03	1.3E-02
2. Ingestion of Seafood	1.3E-03	2.1E-03	2.9E-03
3. Deposition on Shoreline	<u>6.1E-04</u>	<u>4.3E-03</u>	<u>6.1E-04</u>
Total Liquid Total Body Dose	5.4E-03	1.6E-02	1.7E-02
Thyroid Doses:			
1. Ingestion of Fish (Salt Water)	1.4E-03	1.9E-03	2.0E-03
2. Ingestion of Seafood	1.4E-03	1.2E-03	1.3E-03
3. Deposition on Shoreline	<u>--</u>	<u>--</u>	<u>--</u>
Total Liquid Thyroid Dose	2.8E-03	3.1E-03	3.3E-03

* Assumed to live at "Nearest" Residence shown in Table 5.

TABLE 5

Summary of Particulate & Iodine Doses at Nearest Residence*
(from a single unit)

<u>Pathway</u>	<u>Infant</u>	<u>Child</u>	<u>Teen</u>	<u>Adult</u>
Total Body Doses:				
1. Noble Gas Immersion	7.7E-03	7.7E-03	7.7E-03	7.7E-03
2. Deposition on Ground	2.5E-01	2.5E-01	2.5E-01	2.5E-01
3. Inhalation	8.4E-03	8.8E-03	7.6E-03	1.6E-02
4. Leafy Vegetables	--	6.7E-03	7.1E-03	1.3E-02
5. Stored Vegetables	--	9.8E-02	9.5E-02	9.7E-02
6. Water	<u>0</u>	<u>0</u>	<u>0</u>	<u>0</u>
Total	2.7E-01	3.7E-01	3.7E-01	3.8E-01
Thyroid Doses:				
1. Noble Gas Immersion	7.7E-03	7.7E-03	7.7E-03	7.7E-03
2. Deposition on Ground	2.5E-01	2.5E-01	2.5E-01	2.5E-01
3. Inhalation	5.1E-02	3.4E-02	2.5E-02	3.6E-02
4. Leafy Vegetables	--	4.4E-01	2.6E-01	3.3E-01
5. Stored Vegetables	--	4.4E-02	2.3E-02	5.0E-02
6. Water	<u>0</u>	<u>0</u>	<u>0</u>	<u>0</u>
Total	3.1E-01	7.8E-01	5.7E-01	6.7E-01

* Located 4300 meters NNW of the site. This is not the "nearest" residence, but it has the poorest value of X/Q.

TABLEComparison of Calculated Doses with Design Objectives

<u>Design Objective Stated In</u>	<u>Applied to</u>	<u>Design Objective</u>	<u>Calculated Value</u>
<u>Appendix I:</u>			
¶IIA	Liquid Effluents		
	Total Body Dose per Unit	3 mrem/year	0.017 mrem/year
	Organ Dose per Unit	10 mrem/year	0.0033 mrem/year
¶IIB	Gaseous Effluents		
	Gamma Air Dose per Unit	10 mrad/year	0.13 mrad/year
	Beta Air Dose per Unit	20 mrad/year	0.26 mrad/year
	Total Body Dose to Real Individual per Unit	5 mrem/year	0.0077 mrem/year
	Skin Dose to Real Individual per Unit	15 mrem/year	0.02 mrem/year
¶IIC	Particulates & Iodine per Unit	15 mrem/year any organ	0.77 mrem/year (thyroid)
<u>Staff's Concluding Statement:</u>			
¶A	Liquid Effluents		
	Total Body or Any Organ per Site	5 mrem/year	0.034 mrem/year
	Liquid Effluents curies/unit	5 curies/year	0.22 curie/year
¶B	Gaseous Effluents		
	Gamma Air Dose/site	10 mrad/year	0.26 mrad/year
	Gaseous Effluents		
	Beta Air Dose/site	20 mrad/year	0.52 mrad/year
	Total Body Dose to Real Individual per Site	5 mrem/year	0.015 mrem/year
	Skin Dose to Real Individual per Site	15 mrem/year	0.04 mrem/year
¶C	Gaseous Effluents		
	Particulate & Iodine/site	15 mrem/year	1.5 mrem/year
	Gaseous Effluents I-131 per unit	1 curie/year	0.18 curie/year

conll

1 MRS. BOWERS: Dr. Rodger will be here later for
2 questions?

3 MR. SCHWARZ: Yes, he will.

4 BY MR. SCHWARZ:

5 Q Dr. Rodger, would you please summarize your pre-
6 pared testimony?

7 A (Witness Rodger) Yes, sir.

8 My name is Walton A. Rodger. I am a partner in
9 the nuclear consulting firm of Nuclear Safety Associates,
10 Bethesda, Maryland. My technical and professional qualifica-
11 tions have been previously received into evidence.

12 My testimony addresses itself to the question of
13 whether the proposed nuclear facility South Texas project
14 Units 1 and 2, will discharge radioactive effluents to air
15 and water which will be as low as practicable.

16 I have made a completely independent analysis of
17 the South Texas project radwaste systems, using methods
18 similar to those used by the staff in preparation of their
19 testimony and using the most recent versions of the draft
20 Regulatory Guides pertaining to Appendix I, specifically
21 Regulatory Guide 1.AA, which has to do with the calculation
22 of doses, Regulatory Guide 1.BB which has to do with the
23 calculation of the source term and Regulatory Guide 1.DD,
24 which has to do with the estimating of atmospheric diffusion.

25 The results of my analysis are described in my

cam12

1 prepared testimony and summarized in a series of tables
2 attached thereto, but specifically summarized in table 6,
3 which we just added.

4 Table 6, which we just added. Table 6 shows that
5 the South Texas project meets with ease in all respects the
6 requirements of paragraphs 2A, 2B and 2C of Appendix I, and
7 that it also meets with ease in all respects paragraphs A,
8 B and C of the Staff's concluding statement, and thus under
9 the operation afforded, meets paragraph 2D of Appendix I.

10 Therefore, it does indeed meet all of the require-
11 ments of Appendix I and its releases are indeed as low as
12 practicable.

5
13
14
15
16
17
18
19
20
21
22
23
24
25

10146

1 BY MR. SCHWARZ:

2 Q Dr. Rodgers, are you familiar with the list of
3 the questions furnished by the Board on November 4, 1975?

4 A Yes, I am.

5 Q Dr. Rodgers, the last of these questions
6 reads: It is not clear to the Board whether the statement
7 at page 11-2 or Supplement 1 to the effect that air doses
8 will not exceed 10 M rad per year gamma and 20 M rad per
9 year beta include contributions from gas stream releases
10 of Carbon 14, tritium and particulates.

11 Are we to rely on the implication in the
12 July 18, 1975 affidavit of Dr. Boegli that such doses
13 due to Carbon 14 in particular are negligible?

14 I beg your pardon. I believe it continues.

15 If so, is the dose from tritium also negligible?

16 And then, B: are the releases on which the
17 Staff's present air dose assessment is based, those of
18 Boegli or those of the FES Table 3.7, as implied in the
19 SER at page 11-7?

20 I recognize that this question appears to
21 be addressed principally to the Staff. However, do you
22 have any comments on either of these questions?

23 A Well, yes, in regard to Question AA, based on
24 my knowledge of the development of Appendix I, and a
25 review of Reg Guide 1AA, particularly Appendix B thereof,

fon2

1 it is my understanding that the intent of the air dose limits
2 of 10 millirad per year gamma and 20 millirad per year beta
3 was and is that the calculated dose specifically refers
4 only to the noble gases, that is krypton, xenon and argon 41
5 and the effects of carbon 14, tritium and particulate
6 are taken into account by other means and specifically
7 those described in Appendix C to Regulatory Guide 1AA.

8 It may be noted that Table B1 of Regulatory
9 Guide 1AA includes immersion dose factors only for the
10 noble gases.

11 Since there are no immersion dose factors --
12 and I didn't have any available to me -- for carbon 14,
13 tritium or particulates, I roughly estimated what the
14 dose from these immersions might be by the use of a
15 technique that we formerly used.

16 That is, concentrate the concentration
17 of the release in question at the point of interest,
18 compare that to the maximum permissible concentration as
19 given in 10 CFR Part 20, and assume that the 10 CFR Part 20
20 MPC is equivalent to 500 millirem per year, thus the
21 concentration of the MPC to 500 gives a rough estimate
22 and I repeat, rough estimate of the dose.

23 On this basis the estimated releases of
24 carbon 14, tritium and the total of all particulate
25 releases would increase the calculated noble gas immersion

1 dose to individuals by less than .15 percent, .5 percent,
2 and 3 percent respectively.

3 As to BB, I don't believe it is appropriate
4 for us to answer that question.

5 MR. SCHWARZ: Fine.

6 Applicant now calls Mr. R. D. Gauny, health
7 physicist for the Houston Lighting and Power Company.

8 Mr. Gauny has been previously sworn.

9 DIRECT EXAMINATION

10 BY MR. SCHWARZ:

11 Q Mr. Gauny, do you have before you an eight-page
12 document entitled Testimony of R. D. Gauny Re Occupational
13 Exposures?

14 A Yes, I do.

15 MR. SCHWARZ: The document will be found
16 under Tab 20.

17 BY MR. SCHWARZ:

18 Q Mr. Gauny, was this document prepared by you
19 or under your supervision?

20 A Yes, it was.

21 Q Do you have any corrections, additions, or
22 modifications?

23 A No.

24 Q Is the document true and correct to the best of
25 your knowledge and belief?

jon4

1 A Yes, it is.

2 Q Do you adopt the document entitled Testimony
3 of R. D. Gauny Re Occupational Exposures as your testimony
4 in this proceeding?

5 A Yes, I do.

6 MR. SCHWARZ: Mrs. Bowers, I ask that the
7 8-page document just identified by Mr. Gauny be
8 incorporated into the record as though read.

9 MRS. BOWERS: Mr. Pendergraft?

10 MR. PENDERGRAFT: No objection.

11 MRS. BOWERS: Mr. Stridiron?

12 MR. STRIDIRON: No objection.

13 MRS. BOWERS: The document just identified will
14 be physically incorporated in the transcript as if read.

15 (Testimony follows.)

16

17

18

19

20

21

22

23

24

25

TESTIMONY OF R. D. GAUNY

Re: Occupational Exposures

1 My name is R. D. Gauny. I am a Health Physi-
2 cist in the Nuclear Division of the Power Plant Engi-
3 neering and Construction Department of Houston Lighting
4 & Power Company.

5 A resume of my educational and professional
6 qualifications has previously been received in evidence.
7 It is my function in the South Texas Project to assure
8 that the facility is designed and operated in a manner
9 that assures that exposures are within regulatory
10 requirements.

11 At the earlier hearings in this proceeding,
12 the Board expressed interest in the occupational dose
13 estimate included by the NRC staff in the Final Environ-
14 mental Statement for the South Texas Project. The FES
15 assumed that the occupational dose associated with the
16 South Texas Project plant would be 450 man-rem per year
17 per unit. This, of course, is only an estimate based
18 upon experience at other nuclear power plants. Speci-
19 fically, it is derived from WASH-1311, "A Compilation
20 of Occupational Radiation Exposure from Light Water
21 Cooled Nuclear Power Plants, 1969-1973."

22 The matter of occupational exposures is dealt
23 with in detail in the Preliminary Safety Analysis
24 Report for the South Texas Project, specifically in

1 Section 12.1.6 and Tables 12.1-24 through 12.1-30.

2 At the outset, I would like to state that the
3 450 man-rem per unit figure (which includes exposures
4 to both permanent operating personnel and support
5 maintenance people) is neither a goal nor a design
6 objective for the Project. It will be our objective to
7 reduce occupational exposures to a level as low as
8 reasonably achievable and, in fact, we would expect to
9 maintain in-plant exposures significantly lower than
10 those estimated by the Staff. Our management is com-
11 mitted to this goal in the manner required by paragraph
12 C.1. of Regulatory Guide 8.8 on "Occupational Radiation
13 Exposures at Nuclear Reactors."

14 In implementation of our management commitment,
15 we are taking steps in the design of the facility and
16 will adopt work practices to help us achieve our goal
17 of minimizing radiation exposures to onsite personnel,
18 whether permanent or transient.

19 Turning first to the matter of design, the
20 South Texas Project facility will incorporate features
21 which should be extremely helpful in reducing occupa-
22 tional exposures. Among the specific features designed
23 to reduce exposures are permanently installed scaffolding
24 around the steam generator, and a design that allows

1 for removal of the steam generator in one piece. The
2 use of volatile chemistry in the treatment of the
3 secondary side of the steam generator has also been
4 selected in an effort to reduce exposures. The use of
5 remote welding techniques and explosive plugs are being
6 considered to further reduce exposures during steam
7 generator maintenance. As the Board is aware, the
8 surveillance and maintenance of steam generator tubes
9 has proven to be a major contributor to occupational
10 exposures. It is our expectation that the South Texas
11 Project design features will reduce substantially the
12 dose associated with such operations.

13 The overriding design criterion for the
14 facility shielding, equipment, and layout has been to
15 keep radiation exposure to operating personnel as low
16 as reasonably achievable (ALARA) and well within the
17 limits of 10 CFR 20. The facility is being designed in
18 conformance with the recommendations of Regulatory
19 Guide 8.8, which suggest ways in which ALARA exposures
20 can be achieved (such as careful selection and placement
21 of equipment, isolation of that equipment from personnel
22 as much as possible, and reducing frequency and duration
23 of equipment maintenance periods). A few examples of
24 how this has been achieved in the design of the South

1 Texas Project, Units No. 1 and 2 follow.

2 The Mechanical and Electrical Auxiliary
3 Building where facility radioactive waste is collected,
4 processed, and prepared for disposal, has been arranged
5 with a large part of the middle level exclusively
6 devoted to the routing of pipes containing radioactive
7 fluids. This radioactive pipe chase is connected with
8 all of the shielded enclosures that are provided for
9 equipment containing radioactivity. In this way the
10 facility has been designed so that personnel will
11 always be shielded from radioactive piping and equipment
12 during routine operations.

13 Valve manipulation is accomplished in radio-
14 active systems via remote reach rods or with powered
15 valve operators. Furthermore, the valves are isolated
16 from the system components that they serve. By careful
17 design, personnel will not normally be exposed to un-
18 shielded radioactive valves or pipes. When maintenance
19 is required on these valves, the worker will be shielded
20 from the pump, tank or other radioactive system component.
21 Each radioactive system component is similarly isolated
22 from neighboring equipment so that maintenance can be
23 accomplished with minimal radiation exposure to personnel
24 and without shutdown of that system.

1 Each radioactive filter in the facility is
2 individually shielded and these filters are clustered
3 in one part of the Mechanical and Electrical Auxiliary
4 Building. Filter cartridge replacement has been care-
5 fully planned so that rapid and safe accomplishment is
6 assured. Shielded cartridge transfer casks will provide
7 efficient delivery to the drumming area with minimum
8 personnel exposure.

9 Shielding and isolation are provided for
10 systems containing low levels of radioactivity. Some
11 examples of this are the Laundry and Hot Shower Tank
12 and associated components and the Spent Fuel Pool
13 Cooling and Purification System.

14 The residual heat removal (RHR) system com-
15 ponents and piping are all either located behind the
16 Reactor Containment Building (RCB) secondary shield or
17 are individually located in shielded cubicles. This
18 allows safe access for personnel into the RCB shortly
19 after shutdown of the reactor and while the RHR system
20 is cooling the reactor down.

21 Another important source of occupational ex-
22 posures is that received during refueling operations.
23 It is our expectation that the Westinghouse rapid
24 refueling features incorporated in the South Texas

1 Project design will result in decreased radiation
2 exposures. Westinghouse has informed us that this
3 feature may reduce total exposures during such operations
4 by as much as a factor of 4.

5 These are but a few of the many features that
6 will keep occupational exposures as low as reasonably
7 achievable. The design of the facility has been and is
8 being monitored by competent radiation protection
9 specialists to ensure that this goal will be achieved.

10 We are taking other important design measures
11 to minimize occupational exposures. We require our
12 architect-engineer radiation protection specialists to
13 review the plant design to assure that it is consistent
14 with our occupational dose objectives. The architect-
15 engineer must demonstrate to us that criteria intended
16 to reduce radiation exposures are incorporated in the
17 design. In general, we are using the design guidance
18 set forth in Regulatory Guide 8.8. In addition, we
19 have established a systematic method to review abnormal
20 occurrences at other reactors so that this experience
21 can be factored into our design thereby minimizing the
22 possibility of unscheduled maintenance.

23 Turning now to work practices and procedures,
24 the South Texas Project is committed to the development

1 of practices in plant operation to minimize occupational
2 radiation exposures. These practices will be incorpo-
3 rated in the plant radiation manual and will be revised
4 to reflect operating experience. Among the practices
5 to be followed are such important measures as draining
6 and flushing components before maintenance, pre-job
7 training and planning, proper supervision of maintenance
8 personnel, and the transfer of components under repair
9 to areas with lower radiation fields. In the area of
10 administrative devices to reduce exposures, we expect
11 to make extensive use of personnel training measures,
12 including the use of mock-ups as required to familiarize
13 maintenance employees with the environment in which
14 they will work. We believe that by so doing exposures
15 during maintenance can be significantly reduced. Again
16 our plans and procedures for plant operation will be
17 developed in accordance with the recommendations of
18 Regulatory Guide 8.8.

19 At our earlier hearings, the Board questioned
20 whether the assumption of 450 man-rems per year per
21 unit, as stated in the FES, was compatible with the
22 individual limits on radiation exposures in 10 CFR 20.
23 As noted above, the 450 man-rem figure employed by the
24 staff includes exposures to regular plant personnel as

1 well as to support maintenance personnel (i.e. those
2 maintenance personnel not permanently assigned to the
3 plant). Thus, there is no necessary inconsistency
4 between the 450 man-rem figure and the requirements of
5 10 CFR Part 20 with respect to individual exposures.
6 In any event, as noted above, 450 man-rem is neither a
7 goal nor design objective for the South Texas Project.
8 Present estimates of occupational exposures, excluding
9 support maintenance personnel, are in the range of
10 104.4 man-rem per unit per year to plant personnel
11 during routine operation and maintenance. We believe
12 that the steps outlined above provide a basis for the
13 expectation that occupational doses for the South Texas
14 Project will be substantially lower than 450 man-rem
15 per year per unit, even including non-routine maintenance.
16 In any event, steps will be taken to assure that occu-
17 pational exposures of individuals are within the regu-
18 latory requirements of 10 CFR 20.

19 In summary, the Applicant's commitment to
20 minimizing occupational exposures is evidenced through-
21 out the plant design and will also be reflected in our
22 operational practices and procedures.

23
24

1 BY MR. SCHWARZ:

2 Q Mr. Gauny, would you please summarize your
3 prepared testimony?

4 A My name is P. D. Gauny. I am a health
5 physicist in the Nuclear Division of Houston Lighting &
6 Power Company.

7 A resume of my educational and professional
8 qualifications has been previously received in evidence.

9 At earlier hearings in this proceeding the
10 Board expressed interest in the 450 man-rem per year
11 per unit occupational dose estimate included by the
12 NRC Staff in the Final Environmental Statement for the
13 South Texas Project.

14 450 man-rem per unit per year is neither a
15 goal nor a design objective for the Project.

16 It will be our objective to reduce
17 occupational exposures to a level as low as reasonably
18 achievable and, in fact, we would expect to maintain in-
19 plant exposures much lower than those estimated by the
20 Staff.

21 In the matter of design, we have incorporated
22 numerous features which should reduce occupational
23 exposure. These include improvements in steam generator
24 access, considerations of remote welding techniques and
25 explosive plugs, careful selection and placement of

1006

1 equipment, shielding, rapid refueling and remote
2 operation.

3 In general, the design guidance of
4 Regulatory Guide 8.8 Rev. 1 (Sept. 1975) is being
5 utilized.

6 This regulatory guide has been closely followed
7 in the development of work practices and administrative
8 procedures.

9 Among the practices to be followed are the
10 flushing of lines before maintenance, prejob training and
11 planning, proper supervision of maintenance personnel,
12 and the transfer of components under repair to areas
13 with lower radiation fields. Administrative procedures
14 will make extensive use of personnel training.

15 In summary, the Applicant's commitment to
16 minimizing occupational exposures is evidenced throughout
17 the plant design and will also be reflected in the
18 operational practices and procedures.

19 We believe that the steps outlined above
20 provide a basis for our expectation that occupational
21 doses for the South Texas Project will be substantially
22 lower than 450 man-rem per year per unit.

23 In any event, steps will be taken to assure
24 that occupational exposures of individuals are within
25 the regulatory requirements of 10 CFR 20.

jon7

1 MR. SCHWARZ: I now call Mr. Richard J.
2 Klapper, Supervisor, Engineering, with Houston Lighting &
3 Power Company.

4 He has been sworn.

5 DIRECT EXAMINATION

6 BY MR. SCHWARZ:

7 Q Do you have before you a 4-page document entitled
8 Testimony of Richard J. Klapper Re Interface Between
9 South Texas Project and RESSAR-41?

10 A Yes, sir.

11 MR. SCHWARZ: Mrs. Bowers, this document will
12 be found under Tab 21.

13 BY MR. SCHWARZ:

14 Q Mr. Klapper, was this document prepared by you
15 or under your supervision?

16 A Yes.

17 Q Is the document true and correct to the best
18 of your knowledge and belief?

19 A Yes, it is.

20 Q Do you adopt the document entitled Testimony of
21 Richard J. Klapper Re Interface Between South Texas Project
22 and RESSAR-41 as your testimony in this proceeding?

23 A Yes, I do.

24 MR. SCHWARZ: Mrs. Bowers, I ask the 4-page
25 document identified by Mr. Klapper be incorporated in the

1 record as though read.

2 MRS. BOWERS: Mr. Pendercraft?

3 MP. PENDERCRAFT: State has no objection.

4 MR. STRIDIRON: No objection.

5 MRS. BOWERS: The document you have just
6 identified will be physically incorporated in the
7 transcript as if read.

8 (Testimony follows.)

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

TESTIMONY OF RICHARD J. KLAPPER

Re: Interface Between South Texas Project and
RESAR-41

1 My name is Richard J. Klapper. My position
2 is Supervising Engineer, Nuclear Safeguards and Licensing
3 with Houston Lighting & Power Company.

4 A resume of my educational and professional
5 qualifications has previously been received in evidence.

6 My functions in connection with the South
7 Texas Project are to assure that the design, construc-
8 tion and operation of the Project are in conformity
9 with all applicable NRC regulations and criteria.

10 The purpose of this testimony is to present
11 information on the matter of the safety-related inter-
12 faces between the nuclear steam supply system and the
13 balance of the nuclear power plant.

14 Detailed information on this subject can be
15 found in Section 1.1.2 of the Preliminary Safety Anal-
16 ysis Report for the South Texas Project Units 1 and 2
17 and on the blue pages in RESAR-41.

18 A design interface is a broad term generally
19 used to refer to a requirement established to assure
20 that two related systems will be constructed and ope-
21 ated in an appropriate and compatible fashion. The
22 NSSS supplier provides a great deal of information to
23 the utility, including a large number of specified
24 interfaces, in order to assure that the architect-

1 engineer, the constructor and the utility will properly
2 design the balance of the plant (BOP) taking into ac-
3 count the characteristics of the NSSS which affect the
4 BOP. In the case of the South Texas Project, this
5 extensive information was provided by Westinghouse as
6 part of a standard design information package.

7 For regulatory purposes, it is necessary that
8 an Applicant for a standard design identify and designate
9 in its submittals to the NRC those safety-related
10 design interfaces that will assure compatibility between
11 the standard design and the BOP.

12 In the case of the South Texas Project, the
13 process of identifying and designating such safety-
14 related interfaces commenced in the RESAR-41 submitted
15 by Westinghouse pursuant to the provisions of Appendix
16 O of 10 CFR Part 50. Section 3 of Appendix O requires
17 that a standard design submitted for NRC approval
18 include a description, analysis and evaluation of the
19 interfaces between the submitted design and the balance
20 of the nuclear power plant.

21 When the South Texas Project application was
22 docketed, the NRC Staff had not completed its detailed
23 review of RESAR-41, including its review of the portion
24 thereof that identifies safety-related interfaces. It

1 thus became important to assure that completion of NRC
2 Staff review of the interfaces applicable to the South
3 Texas Project units would not be delayed by the more
4 comprehensive review required for issuance of a Pre-
5 liminary Design Approval (under Appendix O) that would
6 be applicable to all future plants that might wish to
7 incorporate RESAR-41 by reference.

8 Accordingly a program was undertaken by
9 Westinghouse and HL&P to identify and designate on a
10 timely basis all of the safety-related RESAR-41 inter-
11 faces necessary for purposes of the STP units. This
12 specific effort included a systematic evaluation by
13 Westinghouse of all information provided as part of the
14 standard/information package and to define additional
15 interface information to be included in RESAR-41. Such
16 information was incorporated into Amendment 17 of
17 RESAR-41 submitted in June, 1975. The NRC Staff iden-
18 tified those aspects of the South Texas Project units
19 involving RESAR-41 interfaces that had to be resolved
20 for the specific purposes of the South Texas Project
21 docket prior to the issuance of the construction permit.
22 The NRC Staff issued three sets of questions to Houston
23 Lighting & Power Company on RESAR-41 interfaces and
24 these matters were satisfactorily resolved through

1 amendments to the STP PSAR submitted on August 15,
2 October 1, October 9, and October 27, 1975. Thus, the
3 combination of amendments to RESAR-41 and amendments to
4 the South Texas Project PSAR incorporating information
5 specifically applicable to the Project have provided
6 the necessary identification of the safety-related
7 interfaces.

8 The NRC Staff is continuing its review of
9 RESAR-41 for the purpose of issuing a PDA that will
10 enable future utility applicants to reference RESAR-41
11 without further review. This process, which is aimed
12 at a final, generic approval of RESAR-41 as a reference
13 design will continue. In the interim, those aspects of
14 the design requiring resolution prior to the issuance
15 of the construction permit for the South Texas Project
16 have been resolved to the satisfaction of the NRC
17 Staff.

18
19
20
21
22
23
24

inn2

1 BY MR. SCHWARTZ:

2 Q Mr. Klapper, would you please summarize your
3 testimony?

4 A My name is Richard J. Klapper. My position
5 is Supervising Engineering, Nuclear Safeguards and Licensing,
6 Houston Lighting & Power Company.

7 A resume of my educational and professional
8 qualifications have previously been received in evidence.

9 In summary, the purpose of this testimony is
10 to present information on the matter of the safety-related
11 interfaces between the nuclear steam supply system and
12 the balance of the nuclear plant.

13 For regulatory purposes it is necessary that
14 an Applicant for a standard design, RESSAR-41, identify and
15 designate in its submittals to the NRC those safety related
16 design interfaces that will ensure compatibility between
17 the standard design and balance of plant.

18 For the South Texas Project, the RESSAR-41
19 document identifies the appropriate regulatory interfaces.
20 However, when the South Texas Project application was
21 docketed, the NRC Staff had not completed its detailed
22 review of the RESSAR-41 interfaces.

23 The program was undertaken by Westinghouse and
24 Houston Lighting & Power Company to identify and designate
25 on a timely basis all of the safety-related RESSAR-41

b10

1 interfaces.

2 This information was incorporated into
3 Amendment 17 of RESSAR-41, which was submitted in
4 June of 1975.

5 Subsequently, the NRC Staff identified
6 those aspects of the South Texas Project units involving
7 RESSAR-41 interfaces that had to be identified for the
8 specific purposes of the South Texas Project docket
9 prior to issuance of the construction permit.

10 Combination of amendments to RESSAR-41 and
11 amendment to the South Texas Project PSAR incorporating
12 information specifically applicable to the project has
13 provided the necessary identification of the safety-
14 related interfaces.

15 In conclusion, those interfaces requiring
16 identification prior to the issuance of construction
17 permit for the South Texas Project have been resolved.

18

19

20

21

22

23

24

25

enb

CPC 101
FD-302
#7

1 MR. SCHWARZ: We now call Mr. D. R. Betterton,
2 Manager, Environmental Protection Department for Houston
3 Lighting and Power Company. Mr. Betterton has been sworn
4 previously.

5 Whereupon,

6 D. R. BETTERTON

7 was called as a witness and, having been previously duly
8 sworn, was examined and testified as follows:

9 DIRECT EXAMINATION

XXXX

10 BY MR. SCHWARZ:

11 Q. Do you have before you an eight-page document
12 entitled, "Testimony of D. R. Betterton, re: Site Monitoring
13 Systems"?

14 A. I do.

15 MR. SCHWARZ: This document may be found under
16 tab 22.

17 BY MR. SCHWARZ:

18 Q. Mr. Betterton, was this document prepared by you
19 or under your supervision?

20 A. It was.

21 Q. Is the document true and correct to the best of
22 your knowledge and belief?

23 A. It is.

24 Q. Have you adopted this document as your testimony
25 in this proceeding?

1 A. I do.

2 MR. SCHWARZ: Mrs. Bowers, I ask that the eight-
3 page document just identified by Mr. Betterton be incorporated
4 in the record as though read.

5 MRS. BOWERS: Mr. Pendergraft?

6 MR. PENDERGRAFT: Assuming Mr. Betterton is still
7 alive and with us, we have no objection.

8 MRS. BOWERS: Dr. Hand thought his ID sounded
9 as though he was getting married.

10 DR. HAND: With regret.

11 MRS. BOWERS: Mr. Stridiron?

12 MR. STRIDIRON: The Staff has no objection.

13 MRS. BOWERS: The document that has been identified
14 will be physically incorporated into the transcript as if read.

XXXX

15 (Testimony follows.)

16

17

18

19

20

21

22

23

24

25

TESTIMONY OF D. R. BETTERTON
Re: Site Monitoring Systems

1 My name is D. R. Betterton. My position is
2 Manager, Environmental Protection Department with
3 Houston Lighting & Power Company.

4 A resume of my educational and professional
5 qualifications has previously been received in evidence.

6 My functions in connection with the South
7 Texas Project include managerial responsibility for the
8 conduct of a wide variety of studies relating to the
9 suitability of the South Texas Project Site including,
10 but not limited to geological and seismological investi-
11 gations. I participated in the development of the
12 monitoring programs at the site which are discussed in
13 this testimony.

14 The purpose of this testimony is to present
15 information on the monitoring program established to
16 measure the settlement of facility structures and to
17 measure regional ground surface subsidence.

18 Detailed information on this subject will be
19 found in the Preliminary Safety Analysis Report for
20 South Texas Project Units 1 and 2, specifically in
21 Section 2.5.4.13 at pages 2.5-157 through 2.5-157f.
22 This information may be summarized as follows:

23 A comprehensive site performance monitoring
24 program will be established to measure the settlement

1 of facility structures and to measure regional ground
2 surface subsidence. The monitoring programs are designed
3 to enhance the safety of the project by giving advance
4 warning of any unforeseen occurrences and to provide
5 basic data for verification of predicted plant founda-
6 tion performance. The settlement portion of the monitor-
7 ing program will consist of an array of borehole heave
8 points, extensometers, open standpipe piezometers, pore
9 pressure cells, and structural benchmarks. The regional
10 ground surface subsidence monitoring program will
11 consist of an array of shallow and deep aquifer open
12 standpipe piezometers, a network of vertical and hori-
13 zontal ground control benchmarks, and a deep-reference
14 benchmark with continuous subsidence monitoring
15 instrumentation.

16 The settlement monitoring program will be
17 capable of monitoring heave and settlement of individual
18 soil layers during construction as well as the actual
19 settlement of facility structures. This will be accom-
20 plished by the installation of twenty conventional
21 downhole monuments that are capable of measuring heave
22 of individual soil layers. Fourteen Sonde extenso-
23 meters will also be installed to depths of 230 feet and
24 300 feet below the ground surface. The Sonde extenso-

1 meters consist of corrugated plastic tubing with gauging
2 points fixed at selected increments. The flexible
3 nature of the Sonde tubing allows the gauging points to
4 move vertically as the subsoil heaves and settles
5 during construction activities and allows an accurate
6 determination of the deformation of individual soil
7 layers throughout the extent of the installation. In
8 excess of one hundred structural benchmarks will be in-
9 stalled on plant structures as plant foundation and
10 substructure construction proceeds. These benchmarks
11 will be measured on a periodic basis to determine the
12 vertical movement of individual structures and Category
13 I piping systems.

14 In addition to the conventional downhole
15 monument, extensometer, and structural benchmark installa-
16 tions, a piezometer field will be installed to monitor
17 shallow aquifer ground water in the construction area.
18 The piezometer field will utilize an initial installa-
19 tion of open standpipe piezometers that are capable of
20 measuring the piezometric head in individual soil
21 layers. Certain piezometers within the excavation will
22 be located adjacent to extensometer and conventional
23 downhole monument installations in areas beneath plant
24 structures. In order to permit continued monitoring of

1 these piezometers during plant construction, pore
2 pressure cells will be installed in selected piezometers
3 and subsequently monitored remotely at a terminal box
4 at finished site grade. In addition, a number of pore
5 pressure cells will be installed directly in the struc-
6 tural backfill to monitor the ground water in this
7 material. The piezometer and pore pressure cell instal-
8 lations will be used to monitor the effectiveness of
9 the dewatering system and the ground water measurements
10 will be used to evaluate the effects of dewatering on
11 subsoil deformations during construction.

12 The regional subsidence monitoring program
13 will be capable of monitoring both vertical and hori-
14 zontal ground surface movements at the South Texas
15 Project site. This will be accomplished in part by the
16 installation of a deep-reference benchmark that is
17 designed to continuously measure total subsidence at
18 the South Texas Project site throughout the life of the
19 plant. The deep-reference benchmark will be positively
20 anchored to the strata, below the potential subsidence
21 zone (approximately 1155 feet below ground surface) and
22 separated from the possible consolidation effects of
23 the overlying compressible zones by a 4-inch casing.
24 To provide continuous ground surface subsidence measure-

1 ments a modified Stevens Type F Recorder will be installed
2 and operated within an Instrument Shelter. The deep-
3 reference benchmark design is similar to the United
4 States Geological Survey deep benchmarks currently in
5 operation in the Houston area.

6 The deep-reference benchmark will be installed
7 prior to the commencement of dewatering and will be
8 used to establish baseline vertical datum control for
9 both the settlement and regional monitoring programs.
10 The deep reference benchmark will be referenced to the
11 National Geodetic Survey (NGS) benchmarks in Bay City,
12 Texas, in order to correlate site specific data with
13 other subsidence readings in the area. This will be
14 done whenever the NGS makes its own level loops.

15 Twelve near-surface monuments capable of
16 measuring vertical ground surface movement will be in-
17 stalled in the plant vicinity at a depth (approximately
18 15 feet) sufficient to minimize seasonal shrink-swell
19 ground surface movements due to variations in water
20 content in the surface clays. The near-surface monuments
21 will be referenced on a periodic basis to the deep-
22 reference benchmark.

23 Eight near-surface monuments will be installed
24 in the plant vicinity to measure horizontal movement at

1 the ground surface. These monuments will also be
2 designed to minimize seasonal shrink-swell ground sur-
3 face movements. The horizontal positions of these
4 monuments will be referenced to the NGS Texas Plane Co-
5 ordinate System.

6 To supplement the vertical and horizontal
7 near-surface monuments an array of open standpipe
8 piezometers will be utilized to monitor the two distinct
9 groundwater aquifer zones. Ten deep-aquifer piezometers
10 have been installed and are currently being monitored
11 on a weekly basis. One additional deep aquifer piezometer
12 will be installed adjacent to the deep reference bench-
13 mark so that variations in ground water level can be
14 directly related to the regional subsidence monitoring
15 data. In addition to the field of piezometers and pore
16 pressure cells installed in the plant area to monitor
17 dewatering in the shallow aquifer zone, twenty open
18 standpipe piezometers will monitor the shallow aquifer
19 zone at various locations throughout the South Texas
20 Project site area. Data from deep and shallow piezo-
21 meters will be used to evaluate the Project's regional
22 subsidence model. As regional subsidence results from
23 piezometric decline and is time dependent, the data
24 from the piezometer monitoring system will serve as an

1 advance warning of any unforeseen occurrence and will
2 provide a data base to verify the regional subsidence
3 model.

4 All the subsidence and settlement measurements
5 on deep and near-surface monuments and structural
6 benchmarks will be taken by Houston Lighting & Power
7 Company personnel or their appointed representatives.
8 This program will permit observations within the plant
9 site area to record elevation differences of 0.010 ft.
10 and horizontal movements at an accuracy of 1:10,000.

11 In summary, a site performance monitoring
12 system will be implemented to detect changes in ground
13 water levels across the Project site and to measure
14 changes in vertical elevation in and around the Category
15 I Structures. The vertical monitoring system will be
16 referenced to both a deep-reference benchmark on the
17 site and by periodic level to the NGS's first-order
18 loop in Bay City, Texas. Horizontal measurements
19 between selected monuments will also be accomplished on
20 a periodic basis and referenced to the NGS Texas Plane
21 Co-ordinate System. The level of accuracy of the
22 measurements will be such that changes significantly
23 smaller than the design limits can be observed and
24 evaluated prior to the time that the limits would be

1 exceeded.

2 Results of the monitoring and related studies
3 will give advance warning of any unforeseen occurrences
4 and will provide data in support of predicted plant
5 foundation performance. The Applicant has committed to
6 advise the Nuclear Regulatory Commission should measured
7 performance approach the design criteria limits during
8 the life of the plant.

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

1 BY MR. SCHWARZ:

2 Q Mr. Betterton, would you please summarize this
3 testimony?

4 A My name is Donald R. Betterton. My position is
5 Manager of the Environmental Protection Department with
6 Houston Lighting and Power Company. My functions in con-
7 nection with the South Texas Project include managerial
8 responsibility for the conduct of a wide variety of studies
9 relating to the suitability of the South Texas Project site,
10 including the geological and seismological investigations.

11 In addition, I participated in the development of
12 the monitoring program at the site, which are discussed in
13 this testimony.

14 The purpose of this testimony is to present
15 information on the monitoring program established to measure
16 the settlement of facility structures and to measure regional
17 ground surface subsidence. These monitoring programs will
18 enhance the safety of the project by giving advance warning
19 of any unforeseen occurrences, and will provide basic data
20 for varification of predicted plant foundation performance.

21 That concludes my summary.

22 MR. SCHWARZ: Thank you.

23 I would now call Mr. John T. Mooney of Brown and
24 Root, who has been previously sworn.

25 Whereupon,

1

2

was called as a witness and, having been previously duly

3

sworn, was examined and testified as follows:

XXXX

4

DIRECT EXAMINATION

5

BY MR. SCHWARZ:

6

7

8

Q Mr. Mooney, are you familiar with the list of questions furnished by the Board on November 4, 1975? Particularly, questions 5B, 6 and 7.

9

A Yes, I am.

10

11

12

13

Q Mr. Mooney, question 5B reads: "What precautions, such as secondary water treatment and tube inspection, are now envisaged to assure steam generator tube integrity under all conditions at South Texas Project?"

14

Would you please respond to that question?

15

A Yes, sir.

16

17

18

19

20

21

22

23

24

25

South Texas Project is well aware of the importance of insuring that adequate steam generator tube integrity is maintained under all conditions of operation. In light of current nuclear operating experience, the steam generators for the South Texas Project, Unites 1 and 2, will be operated with all volatile treatment. That is AVT, secondary water chemistry, and will follow the Westinghouse AVT chemistry control specifications. All volatile treatment uses volatile means for control of water chemistry rather than a combined phosphate and sodium treatment.

td5

1 The ACT control of the steam generator secondary
2 site includes a surveillance and maintenance program to
3 minimize the introduction of contaminants to the system and
4 a controlled chemistry program to minimize the corrosion of
5 the material and construction in the condensate and free
6 water systems. The results of proper implementation of all
7 volatile chemistries control are to, (a), minimize metal
8 corrosion, (b), limit accumulation of sludge in the steam
9 generator, (c), to minimize hardness scale formation on heat
10 transfer surfaces, (d), minimize the potential for formation
11 of precaustic or acid, and (e), to maintain low oxygen con-
12 centration in secondary fluids.

13 Plant design efforts, start-up operations and
14 operating procedures will be prepared and executed in line
15 with these objectives.

16 Fuel licensed PWRs, which have been in operation
17 since August of 1974, including Perry Island Unit 2 and
18 Donald C. Cook Unit 1, have employed AVT water secondary
19 treatment.

20 Other plants have operated successfully for longer
21 time periods using AVT chemistry control. In service inspec-
22 tion of the steam generator tubes in plants which have con-
23 verted to AVT without prior long-term phosphate chemistry
24 investigation has showed no corrosion has occurred. Negligible
25 sludge accumulation in these plants further confirms that

1 that general corrosion has been minimized.

2 These favorable results can be attributed to
3 close control and monitoring of the steam generator
4 chemistry; the use of premium quality materials in the
5 construction of the condenser to minimize condenser leakage
6 in order to avoid entry of corrosive and scale forming
7 chemicals and continuous blowdown of steam generator, as
8 effective means of maintaining the proper environment to the
9 steam generator; the design of the Westinghouse Model E
10 steam generator, factors in the mechanical modifications
11 previously evaluated in similar steam generators, which
12 minimize low flow velocity areas which tend to accumulate
13 sludge.

14 South Texas Project will utilize a condensate
15 polishing system consisting of mixed bed demineralizer in the
16 condensate stream, between the condensate pump discharge
17 and the planned steel condenser. The function of the
18 condensate polishing system is to remove impurities from
19 the stream and to produce a high quality effluent capable of
20 meeting feed water and steam generator specifications.

21 The steam generator blowdown system will provide
22 blowdown of the secondary side of the steam generators to
23 maintain the steam generator secondary side water chemistry
24 within specification, and to prevent buildup of corrosion
25 products and to reduce steam generator activity level.

1 All volatile treatment; chemical specifications
2 will be insured by plant in-stream instrumentation after a
3 backup laboratory analysis. In-stream monitoring of the
4 steam generator blowdown includes conductivity, sodium and pH
5 analyses. In-stream monitoring of condensate and feed water
6 includes conductivity, sodium, pH and oxygen analyses. In-
7 stream monitoring of main steam includes conductivity and
8 pH analyses. A laboratory program will be established
9 employing approved sampling and analyses procedures schedules
10 and records to insure that all volatile treatment chemistry
11 conditions are properly maintained.

12 This program in the condenser evacuation systems
13 radioactivity monitoring will also insure early detection of
14 the reactor coolant leakage into the secondary system. To
15 reduce the probability and consequences of steam generator
16 tube failures, the South Texas Project will include a program
17 of periodic in-service inspection to monitor the integrity of
18 the tubing.

19 Accordingly, a baseline eddy current examination
20 of the South Texas Project Units 1 and 2 steam generator tubes
21 will be performed. Eddy current inspections have been con-
22 ducted on thousands of steam generator tubes in operating
23 plants. The same techniques, with improvements which have
24 been developed over the years of use, will be employed during
25 the South Texas Project baseline examination.

1 Eddy current accuracy have been confirmed in lab-
2 oratory test programs and through comparison of defective tubes
3 removed from operating plants with baseline data. The South
4 Texas Project is convinced that these actions will assure safe
5 operation of the steam generators throughout the full range
6 of operating conditions. This assurance is based on imple-
7 menting the AVT chemistry control, utilizing a condensate
8 polishing system and steam generator blowdown system, monitor-
9 ing the secondary side water chemistry and performing periodic
10 in-service inspection of steam generator tubing.

11 Q. The sixth question reads: "The SER at page 10-4
12 states that information will be forthcoming regarding the
13 means by which the Applicant proposes to preclude water hammer
14 in the steam generator feed water system. Is such information
15 available? What steps are presently proposed to deal with the
16 problems?"

17 Mr. Mooney, would you provide the Applicant's
18 response to question 6 furnished by the Board?

19 A. Yes, sir.

20 The design of the South Texas Project steam generator
21 is different from that of any employed in Unit 2. The difference
22 in design will prevent an incident similar to that experienced
23 in June of '73 in which a proper wave propagation, water ampere,
24 induced cracking of the feed water containment penetration pipe
25 well. Evaluation of the Indian Point 2 incident showed due to

1 the peculiar arrangement of the steam generator an inlet
2 line steam could fill portions of the inlet line in the
3 event of loss of feed water or low feed water level in the
4 steam generator. Collapse of the volume upon concentration
5 of feed water flow resulted in water ampere which eventually
6 caused the Indian Point 2 incident.

7 The South Texas Project design incorporates the
8 Westinghouse Model E steam generator. Refer to RESAR figure
9 5.5-3. For the steam generator the inlet water flows into
10 a preheat section where the feed water is heated to near
11 saturation temperature before entering the boiling section.
12 During normal operation the water level in the steam generator
13 is as indicated in figure 5.5-3 in RESAR-41. With the steam
14 generator configuration to expose the feed water line to
15 filling with steam, the water level would have to be lowered
16 far below the low steam generator water level set points which
17 initiates the auxiliary feed water system. Redundant capacity
18 implementation is provided to monitor the water level.

19 We understand the Staff has this mater under
20 continuing review on a generic basis. If further requirements
21 applicable to STP are established as a result of the review
22 they will be considered in the final design at STP.

23 Q Mr. Mooney, the seventh question reads: "What is
24 the status and general plan of the program mentioned in
25 Supplement 1, page 18-2, to review design features intended

1 to prevent fires or limit the safety consequences of fires?"

2 I recognize that this question appears to be
3 addressed primarily to the Staff. However, would you please
4 furnish the Board a review of the steps which have been
5 taken in connection with the matter?

6 A. Yes, sir.

7 After reports of the Brown's Ferry incident on
8 page 22D, 1975, Federal evaluation of the South Texas Project
9 design was initiated to establish the likelihood and possible
10 consequences of a similar incident at South Texas. From the
11 evaluation two conclusions are reached.

12 First, there is little likelihood of a similar
13 incident at South Texas because of the adherence to updated
14 regulatory guides, and IEEE standards adopted since Brown's
15 Ferry 1 and 2 received their construction permit in 1966.
16 As an example of that, the South Texas Project cable qualified
17 to IEEE 383 of 1974, but passed stringent flame tests and non-
18 combustible or self-extinguishing flame retardant sealing
19 material will be used.

20 Secondly, if a cable fire were to occur in a
21 cable spreading room at the South Texas Project, the con-
22 sequences would not be as serious as at Brown's Ferry because
23 of the following: (a), the physical separation between Units
24 1 and 2; (b), the independence of safety-related systems;
25 (c), the adherence to regularory guides on cable materials

1 and separation; (d), automatic initiation of carbon dioxide
2 fire protection systems; and (e), detailed administrative
3 procedures that will provide for prompt action by trained
4 on-site personnel with portable firefighting equipment.

5 The design features mentioned above were being
6 implemented in the South Texas Project prior to the Brown's
7 Ferry incident. Detailed information on the fire protection
8 design for South Texas Project can be found in the PSAR,
9 particularly in Section 9.5.1 on pages 9.5-1 through 9.5-1A,
10 9.5-33, 9.5-34 and 9.5-36 through 9.5-39. Also Appendix
11 9.5A and figures 9.5-1 through 9.5-28.

12 No defects have been identified by the evaluation
13 we have conducted, and no need for any design requirements
14 have been identified. Any additional information developed
15 by the FRC Staff and applicable to the South Texas Project
16 will be taken into account in the development of a final
17 South Texas Project design.

18 MR. SCHWARZ: Mrs. Bowers, this completes our
19 direct case. In accordance with the proposed agenda submitted
20 to the Board, we suggest that the Staff now be permitted to
21 place the direct case into evidence. Each of our witnesses,
22 along with Mr. Schwantes, who are sworn and identified, will
23 be available to serve on a panel to respond to questions.

24 MRS. BOWERS: Mr. Schwarz, I just wanted to thank
25 you and your associates on behalf of the Board. Normally,

1 in test cases the Applicant simply submits to the Board a
2 stack of papers and there is no way for us to know what order
3 the witnesses are going to come up, and so a good part of the
4 time at the proceeding the Board is shuffling through all
5 of these papers to get the direct testimony of that particular
6 witness. So we are very grateful for your organization here
7 and the form in which you have submitted your direct case.
8 It saved everybody a lot of time and frustration. Thank you.

9 MR. SCHWARZ: We are very pleased that it has been
10 helpful.

11 MRS BOWERS: Mr. Stridiron?

12 MR. STRIDIRON: Yes, Mrs. Bowers.

13 As I stated earlier --

14 MRS. BOWERS: Just a minute. We will have a five-
15 minute break.

16 (Recess.)

e-#7
tb

17

18

19

20

21

22

23

24

25

#8
FP/FML
CR6191

1 MRS. BOWERS: We would like to resume.

2 Mr. Stridiron, are you ready to proceed?

3 Pardon me. Mr. Pendergraft, is the State of
4 Texas putting on a direct case?

5 MR. PENDERGRAFT: We have no direct case.

6 MRS. BOWERS: Mr. Stridiron, do you want to pro-
7 ceed?

8 MR. STRIDIRON: Yes. As I stated in my opening
9 statement, there are a number of gentlemen on the panel
10 who have not been previously sworn. At this time I would
11 ask that the following gentlemen stand and be sworn:
12 Gordon Chipman, Marvin Denenfeld, Ronald Gamble, and
13 Jai Raj Rajan.

14 Whereupon

15 GORDON CHIPMAN, MARVIN DUNENFELD, RONALD

16 GAMBLE AND JAI RAJ RAJAN

17 were called as witnesses and, having been first duly sworn,
18 were examined and testified as follows:

19 MR. STRIDIRON: Mrs. Bowers, I have two documents.
20 One is the safety evaluation report related to the South
21 Texas Project.

22 MRS. BOWERS: Is the page phone on?

23 MR. STRIDIRON: I have two documents which I
24 would ask be marked for identification Staff Exhibit 5, which
25 will be the safety evaluation report related to construction

fm2

1 of the South Texas Project, Units 1 and 2, Houston Lighting
2 and Power Company, et al. The Second document, Staff Exhibit
3 Number 6, that is the safety evaluation report related to
4 construction of South Texas Project Units 1 and 2, Houston
5 Lighting and Power Company, et al., Supplement Number 1.

6 MRS. BOWERS: Would you mind repeating those num-
7 bers?

8 MR. STRIDIRON: Number 5 will be the safety eval-
9 uation report and Number 6 would be the supplement to the
10 safety evaluation report.

11 MRS. BOWERS: Any objection, Mr. Pendergraft to
12 marking them for identification?

13 MR. PENDERGRAFT: We have no objection.

14 MRS. BOWERS: Mr. Schwartz?

15 MR. SCHWARTZ: Applicant has no objection.

16 MRS. BOWERS. They will be so identified.

17 (The documents referred to were marke
18 Staff Exhibit Numbers 5 and 6 for
19 identification.)

xxxx

20 MR. STRIDIRON: I would like to qualify the
21 following witnesses. Mr. Chipman, do you have before you
22 a document entitled "Gordon L. Chipman, Jr., Professional
23 Qualifications, Light Water Reactors, Project Branch 1-1,
24 Division of Reactor Licensing"?

25 WITNESS CHIPMAN: Yes, I do.

DIRECT EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. STRIDIRON:

Q Was the document prepared by you or under your direction?

A (Witness Chipman) Yes. It was.

Q Are the statements contained in that document true and correct to the best of your information and belief?

A Yes. They are.

Q Thank you.

Mr. Dunenfeld, do you have before you a document entitled "Marvin S. Dunenfeld, Professional qualifications"?

A (Witness Dunenfeld) Yes, I do.

Q Was that document prepared by you or under your direction?

A Yes.

Q Are the statements contained therein true and correct to the best of your information and belief?

A Yes.

Q Mr. Gamble, do you have before you a document entitled "Professional qualifications of Ronald M. Gamble, M. S., B.S."?

A (Witness Gamble.) Yes, I do.

Q Was that document prepared by you or under your direction?

A. Yes, it was.

fn4

1 Q Are the statements in the document true and
2 correct to the best of your information and belief?

3 A Yes. They are.

4 Q Mr. Rajan, do you have before you a document
5 entitled "Professional Qualifications of Jai Raj Rajan,
6 U.S. Nuclear Regulator Commission, Mechanical Engineering
7 Branch, Division of Technical Review"?

8 A (Witness Rajan) Yes.

9 Q Was this document prepared by you or under your
10 direction?

11 A Yes.

12 Q Are the statements contained therein true and cor-
13 rect to the best of your information and belief?

14 A Yes.

15 Q Mr. Dromerick, do you have before you a one-page
16 document entitled "James E. Fairbent, Professional
17 Qualifications, Site Analysis Branch, Nuclear Regulatory
18 Commission"?

19 A (Witness Dromerick) Yes.

20 Q Was the document prepared by you or under your
21 direction?

22 A. Under my direction.

23 Q To the best of your information and belief are
24 the statements contained in the document true and correct?

25 A Yes. They are.

fm5

1 MR. STRIDIRON: Mrs. Bowers, at this time I would
2 move the statements of professional qualifications of these
3 gentlemen be incorporated in the record as read.

4 MR. PENDERGRAFT: No objection.

5 MRS. BOWERS: Mr. Schwartz?

6 MR. SCHWARTZ: Applicant has no objection.

7 MRS. BOWERS: The documents you just identified
8 will be physically inserted in the transcript as if read.

9 (The documents stating the professional qualifi-
10 cations of Gordon Chipman, Jr., Marvin S. Dunenfeld, Ronald
11 M. Gamble, Dr. Jai Raj N. Rajan, and James E. Fairobent
12 follow.)

13

14

15

16

17

18

19

20

21

22

23

24

25

GORDON L. CHIPMAN, JR.

PROFESSIONAL QUALIFICATIONS

LIGHT WATER REACTORS PROJECT BRANCH 1-1

DIVISION OF REACTOR LICENSING

I am a Project Manager in Light Water Reactors Branch 1-1 of the Division of Reactor Licensing, U. S. Nuclear Regulatory Commission. I am responsible for the evaluation of nuclear safety aspects of nuclear reactor facilities and serve as the project manager for technical evaluation of nuclear power reactor license applications.

I attended the University of Nebraska where I majored in Electrical Engineering and participated in the Navy Regular ROTC program. I graduated with a Bachelor of Science degree and was commissioned as a regular officer in the United States Navy in June, 1965. Additional graduate level studies in nuclear reactor theory, health physics and related engineering fields were completed in 1966 at the Officer Naval Nuclear Power School, Mare Island, California. I subsequently studied and qualified as an operator and supervisor at the Naval Reactors nuclear power facility in West Milton, New York.

My association with the Naval Nuclear Propulsion program provided me with five years of professional experience in the nuclear field, primarily with pressurized water reactors. I have been qualified as a Senior Reactor Operator on three Navy nuclear propulsion plants. For two years I was assigned to an operating nuclear submarine, during which time my duties included directing, training and supervising technicians in the operation, maintenance and repair of various equipment and systems, including the

nuclear propulsion plant. Starting in 1969, I was assigned to the crew of a nuclear submarine under construction. My duties included supervising the Electrical Division and the Reactor Control Division, testing of the nuclear propulsion plant, directing and supervising technicians in the inspection, testing and operation of various equipment and systems, and training of technicians for examination and qualification as reactor operators and various other operating positions. In 1970 I was assigned as an instructor in advanced tactics at the Officers Submarine School where I instructed and trained crews of nuclear submarines.

I joined the Regulatory staff of the Atomic Energy Commission September, 1972 as a reactor engineer. Since then I have participated as an Environmental Project Manager in the analysis and evaluation of the environmental features of design of the Dresden Units 2 and 3 facilities. As a Project Manager in operating reactors, I participated in the review and evaluation of safety considerations associated with the design and operation of several licensed power reactors. Subsequently, I have participated in the analysis and evaluation of engineering safety features of design of power reactors under license application review. I have been particularly closely associated with the reviews of the Westinghouse Electric Corporation's Reference Safety Analysis Report, RESAR-41, and Boston Edison Company's Pilgrim Nuclear Generating Station, Unit 2, and the preapplication review of South Carolina Electric and Gas Company's Virgil C. Summer Nuclear Station Unit 2.

MARVIN S. DUNENFELD

PROFESSIONAL QUALIFICATIONS

My name is Marvin S. Dunenfeld. I am a Reactor Physicist in the Core Performance Branch within the Directorate of Licensing. As a Reactor Physicist, I share with other members of the Branch the responsibility for technical review of reactor physics safety aspects of light water cooled power reactors for Construction Permits and Operating Licenses.

I was born in Newark, New Jersey, on December 31, 1926. I attended public schools in Flushing, New York, and entered Queens College in Flushing, New York, in 1944. I transferred to the University of Michigan in 1945, graduating with a Bachelor of Science degree (physics major) in 1951 and a Master of Arts in mathematics in 1953.

I was employed by the Ford Motor Company in Ypsilanti, Michigan, from 1953 to 1957 as an Electrical Product Project Engineer. I joined the nuclear industry in 1957 in a position at the Atomics International division of North American Rockwell Corp. in Los Angeles, California. I was employed there for about two years in reactor shielding and then four years as a physicist in reactor kinetics. In the latter capacity, I participated in research and analysis of reactor transients on the kinetics experiment on water boilers.

In 1963 I accepted employment as a nuclear physicist with the Allison Division of General Motors in Indianapolis, Indiana. I was responsible for safety analysis on the Military Compact Reactor Project, and later performed reactor physics and safety analyses on other reactor concepts.

In 1967 I joined the Division of Reactor Licensing, U. S. Atomic Energy Commission. My responsibilities with the Commission have been in the technical evaluation of physics related safety aspects of light water reactors. I have participated in the evaluation of all the PWR Operating Licenses Regulatory has reviewed since 1967, about half of the PWR Construction Permits, and a few of the BWR applications. I have also directed the efforts of the four physics consultants to Regulatory at Brookhaven National Laboratory since the inception of this activity in 1967.

PROFESSIONAL QUALIFICATIONS
OF
RONALD M. GAMBLE, M.S., B.S.

I am a materials Engineer in the Materials Application Section, Materials Engineering Branch, Division of Technical Review, Office of Nuclear Reactor Regulation. My duties and responsibilities involve the review and evaluation of technical reports, metallurgical investigative studies, failure analyses and fracture mechanics analyses as related to the construction of nuclear power plant components including the formulation of regulations and safety criteria and guides related to materials performance.

I have a M.S. in engineering mechanics from the University of Florida (1972) and a B.S. in engineering mechanics from Pennsylvania State University (1965).

Prior to my present appointment, I was associated with Turbodyne Corporation as Group Leader, Materials. My duties and responsibilities included conducting and supervising analytical, experimental and field investigations in areas related to fatigue and corrosion cracking and fracture mechanics for gas and steam turbines and related components. I was also responsible for formulating manufacturing and quality assurance criteria related to materials and structural application.

From 1965 to 1968 I was an analytical engineer with Hamilton Standard Division of United Aircraft Corporation. My duties and responsibilities included analytical and experimental work in fatigue and fracture and the development of material design limits for aerospace components.

PROFESSIONAL QUALIFICATIONS

JAI RAJ N. RAJAN

U. S. NUCLEAR REGULATORY COMMISSION

MECHANICAL ENGINEERING BRANCH

DIVISION OF TECHNICAL REVIEW

I am a mechanical engineer responsible for reviewing and evaluating safety analysis reports with regard to mechanical engineering aspects of components, the dynamic analyses and testing of safety related systems and components and the criteria for protection against the dynamic effects associated with postulated failures of fluid systems for nuclear facilities. I am the Mechanical Engineering Branch's principal reviewer on the issue of the structural integrity and plugging criteria of degraded steam generator tubes. I am also responsible for the review and evaluation of water hammer problems of a generic nature in the piping systems and components of nuclear facilities.

I received a B.S. degree in 1953 from Lucknow University India majoring in Physics, Mathematics and Chemistry. In 1956 I received a B.S. in Civil Engineering from Roorkee University, India majoring in Structural and Hydraulic Engineering. In 1962 I received a M.S. degree from Duke University majoring in Applied Mechanics and Ph.D. degree in 1966 from the same university with majors in Fluid Mechanics. From 1960 to 1962 I was an instructor in structural engineering at Duke University. From 1962 to 1966 I was employed by the U.S. Army Research Office in Durham, N.C. as a research engineer conducting theoretical and experimental research in

high pressure pneumatic and hydraulic shock tubes and investigating wave propagation phenomenon in pipes. From 1966 to 1973 I worked as a project mechanical engineer and subsequently as a senior project mechanical engineer at the Naval Research and Development Center at Annapolis, Md. Major projects involved design analysis, test and evaluations of fluid piping systems and power fluid systems of advanced nuclear submarines. Investigations were multidisciplinary in scope utilizing advanced techniques. Mathematical models of power plant machinery and piping systems of nuclear submarines were developed and analyzed to determine system response to flow induced vibrations and hydraulic shock. Thermodynamic and hydrodynamic analyses of naval boilers and steam plants were conducted, including full scale tests.

In April of 1974 I joined the U. S. Atomic Energy Commission prior to the formation of the U. S. Nuclear Regulatory Commission and have remained with the Mechanical Engineering Branch of the Division of Technical Review as a mechanical engineer performing the type of work as previously described.

I have taught at the University of Maryland on a part-time basis since 1967 both at the graduate and undergraduate levels in courses of mechanics of materials, fluid mechanics and applied mechanics.

Publications include Journals of AIAA and ASME and I am an associate member of Sigma Xi honor society.

JAMES E. FAIROBENT
PROFESSIONAL QUALIFICATIONS
SITE ANALYSIS BRANCH
NUCLEAR REGULATORY COMMISSION

I have been a Meteorologist with the Site Analysis Branch, Division of Technical Review, since February 1973.

I received a B.S. degree with a major in meteorology from the University of Michigan in 1970. While an undergraduate, I participated in a study of precipitation scavenging by convective storms which included field research programs in Oklahoma and Illinois. My responsibilities included maintenance of a precipitation collection network, analyses of mesoscale weather systems conducive of the formation of convective storms, and neutron activation and radiochemistry analyses of rain-water samples.

I entered the graduate program at the University of Michigan in 1971, and was awarded an M.S. degree with a major in meteorology in 1972. I continued my association with the precipitation scavenging project as a graduate student as well as becoming weather observer at the University of Michigan climatological station and a teaching fellow.

I accepted my present position in February 1973. I am responsible with the supervision of the Meteorology Section Leader, for the evaluation of the meteorological characteristics of reactor sites and their implications with respect to safety requirements of nuclear facility design and the impact of these facilities on the environment.

I am a member of the American Meteorological Society.

fm6

1 Q Mr. Dromerick, do you have before you a document
2 marked Staff Exhibit Number 5?

3 A (Witness Dromerick) Yes.

4 Q This is entitled "Safety Evaluation Report, Relate
5 to Constructing of South Texas Projects, Unites 1 and 2,
6 Houston Lighting and Power Company, et al."?

7 A Yes, I do.

8 Q Was this document prepared by you or under your
9 direction and control?

10 A Yes. It was.

11 Q Are there any corrections or additions you wish
12 to make to the document?

13 A There is one addition I would like to make. That
14 is Supplement Number 1 to the Safety Evaluation Report.

15 Q With the addition of this supplement, is the
16 document true and correct to the best of your information
17 and belief?

18 A Yes. It is.

19 Q You -- do you have before you a document marked
20 for identification as Staff Exhibit Number 6?

21 A Yes.

22 Q Entitled "Safety Evaluation Report, Related to
23 Construction of South Texas Project Units 1 and 2, Houston
24 Lighting and Power Company, et al., Supplement 1"?

25 A Yes. I do

fm7

1 Q Was this document also prepared by you and under
2 your control?

3 A Yes.

4 Q Are the statements contained in this document
5 true and correct?

6 A Yes. They are.

7 Q Mr. Dromerick, would you briefly describe the
8 scope of the staff's review and the conclusions reached
9 with respect to the application to construct the South Texas
10 Project?

11 A Yes. I would. A preliminary safety analysis
12 report was submitted with the South Texas Project application.
13 This report describes the design of the balance of plant
14 structures, systems and components, and incorporates by
15 reference the Westinghouse Electric Corporation report refer-
16 ence safety analysis report, RESAR-41, RESAR-41 describes
17 the design of the standard nuclear standard steam supply
18 system. RESAR-41 was submitted by the Westinghouse Electric
19 Corporation in the form of an application for preliminary
20 design approval from the Commission and was in response
21 to option 1 of the Nuclear Regulatory Commission's standard
22 decision policy. Option 1 allows for the review of a refer-
23 ence system that involves an entire facility design or
24 major fraction of a design outside the context of a license
25 application. On March 11, 1974, the Application for RESAR-41

fm3

1 were docketed. Our evaluation for RBSAR-49 is presented in
 2 our report to the Advisory Committee on Reactor Safeguards,
 3 a copy of which is attached as Appendix A, to the South Texas
 4 Project Safety Evaluation Report.

5 In our evaluation of the the South Texas Pro-
 6 ject, PSAR, we reviewed the population density and use
 7 characteristics of the site, including seismology, meteor-
 8 ology, geology and hydrology, to determine that the site
 9 met the Commission's siting criteria, defined in 10-CFR,
 10 Part 100. We reviewed the design fabrication, construc-
 11 tion, and testing criteria, and expected performance char-
 12 acteristics of the structure, systems and components impor-
 13 tant to safety, to determine that they are in accord with
 14 the Commission's general design criteria, quality assurance
 15 criteria, Regulatory Guides, and other appropriate goals
 16 and standards and that any departure from these criteria,
 17 goals and standards, be identified and justified.

18 We considered the response of the facility to
 19 certain anticipated transients and postulated accidents.
 20 We considered the potential consequences of a few highly
 21 unlikely postulated accidents and performed conservative
 22 analyses of these accidents and determined that the calculated
 23 potential off-site doses , that might result in a very
 24 unlikely event of their occurrence, would not exceed the
 25 Commission's guidelines.

En9

1 We evaluated the Applicant's plans for conduct
2 of plant operation, including the organizational
3 structure and general qualifications of operating and techni-
4 cal support personnel, and measures taken for industrial secur-
5 ity and the planning for emergency actions to be taken in
6 the unlikely event of an accident that might affect the
7 general public, to determine that the Applicants will be
8 technically qualified to operate the plant and will have
9 established effective organization and plans for continuing
10 safe operations of the facility.

11 We evaluated the design of the systems provided
12 for control of radioactive effluents from the facility to
13 determine that these systems can control the release of
14 radioactive effluents within the limits of the Commission's
15 regulations.

16 We also evaluated the financial data and information
17 provided by the Applicants, as required by the Commission's
18 regulations, Section 50.33 F, of 10-CFR, Part 50 and 10-CFR,
19 Part 50 And Appendix C to 10CFR, Part 50, to determine that
20 the Applicants are financially qualified to design and
21 construct the proposed facility.

22 Our evaluation of the South Texas PSAR is now
23 complete and this evaluation, along with our evaluation of
24 RESAR-41, are presented in the South Texas Project Safety
25 Evaluation Report as updated in our supplement Number 1 to

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

the SER. On the basis of our evaluation of the South Texas Project PSAR, and RESAR-41, we are able to conclude that the South Texas Project Units 1 and 2, can be constructed and operated as proposed, without endangering the health and safety of the public.

Q Thank you, Mr. Dromerick.

Mrs. Bowers, at this time I would move the documents marked for identification Staff Exhibit Number 5 and Exhibit Number 6 be accepted into evidence as Staff Exhibits 5 and 6.

MRS. BOWERS: Mr. Pendergraft?

MR. PENDERGRAFT: No objection.

MRS. BOWERS: Mr. Schwartz?

MR. SCHWARTZ: Applicant has no objection.

MRS. BOWERS: Staff's Exhibit Number 5 and 6 are accepted in evidence.

(The documents, heretofore marked Staff Exhibits Numbers 5 and 6 for identification, are received in evidence.)

xxxx
e 8

CR6121

#9

frank
cmwl

BY MR. STRIDERON:

1 Q Mr. Boegli, do you have before you a document
2 entitled Supplementary Testimony of NRC Staff on evaluation of
3 liquid and gaseous effluents with respect to Appendix I of
4 10 CFR Part 50, South Texas Project, Units 1 and 2, Docket
5 Numbers 50-498 and 50-499, by J. S. Boegli, effluent systems
6 branch, Division of Technical Review, Office of Nuclear Reactor
7 Regulations?
8

9 A Yes, I do.

10 Q Was the document prepared by you or under your
11 supervision?

12 A Yes, it was.

13 Q Are the statements contained in this document true
14 and correct to the best of your information and belief?

15 A Yes.

16 Q Would you briefly summarize the document?

17 A Supplemental testimony presented November 5th, 1975,
18 by the NRC Staff, on evaluation of liquid and gaseous effluents
19 with respect to Appendix I of 10 CFR Part 50, for the South
20 Texas Project provides a detailed assessment, using the para-
21 meters and practical model given in draft Regulatory Guide 1BD,
22 entitled Calculation of Releases of Radioactive Materials in
23 Liquid and Gaseous Effluents from Pressurized Water Reactors.
24 PWRs. Dated September 9th, 1975.

25 This guide was used to calculate few source terms in

c-2

1 order to calculate the doses as described in testimony to be
2 presented by Mr. Waterfield.

3 Based on the Staff evaluation and testimony presented,
4 we conclude that the South Texas Project Unit 1 and 2 meet the
5 design objectives of Section roman numeral II-A, II-B, and II-C,
6 to Appendix I of 10 CFR Part 50. And meet the requirements of
7 Section II-D by satisfying the September 4th, 1975, option to
8 Appendix i, to meet the design objectives set forth in 50-2.

9 Thank you.

10 Q Thank you, Mr. Boegli

11 MR. STRIDIRON: Mrs. Bowers, at this time I would
12 move the supplemental testimony of Mr. Boegli relating to the
13 evaluation of liquid and gaseous effluents with respect to
14 10 CFR Appendix I, Part 50, be incorporated as if read.

15 MR. PENDERGRAFT: We have no objection. Mrs. Bowers,
16 for the record I would like to point out we have no objection
17 to testimony items coming in the record. We are not stipulating as
18 to their authenticity or correctness but only as to their
19 admissibility. I assumed that was understood all along.

20 MRS. BOWERS: That's right. The Board accepts that.

21 Mr. Schwarz?

22 MR. SCHWARZ: The Applicant has no objection.

23 MRS. BOWERS: The testimony that you just referred
24 to, Mr. Stridiron, will be physically incorporated into the
25 record as if read.

SUPPLEMENTAL TESTIMONY
OF
NRC STAFF
ON
EVALUATION OF LIQUID AND GASEOUS EFFLUENTS
WITH RESPECT TO
APPENDIX I OF 10 CFR PART 50

SOUTH TEXAS PROJECT, UNITS 1 AND 2
Docket Nos. 50-498 and 50-499

BY

J. S. BOEGLI
EFFLUENT TREATMENT SYSTEMS BRANCH
DIVISION OF TECHNICAL REVIEW
OFFICE OF NUCLEAR REACTOR REGULATION

Introduction

On July 18, 1975, the NRC Staff (Staff) submitted to the Atomic Safety and Licensing Board affidavits of Messrs. J. Long and J. Boegli and Dr. J. Kastner. Those affidavits were filed in response to the Board's conference call of July 9, 1975 concerning the implementation of Appendix I of 10 CFR Part 50 adopted by the Commission on May 5, 1975, with regard to South Texas Project, Units 1 and 2. The affidavits indicated that the Staff was in the process of reassessing the parameters and mathematical models and that a detailed assessment to determine conformance with Appendix I would be completed in connection with the hearing on radiological safety aspects of the facility. The purpose of this testimony is to present the results of that detailed assessment. The assessment was performed to determine if the proposed South Texas Project, Units 1 and 2 met the numerical design objectives specified in Sections IIA, B, C and D of Appendix I of 10 CFR Part 50.

On September 4, 1975 (F.R. 172), the Commission amended Appendix I of 10 CFR Part 50 to provide persons who have filed applications for construction permits for light-water-cooled nuclear power reactors which were docketed on or after January 2, 1971, and prior to June 4, 1976, the option of dispensing with the cost-benefit analysis required by Paragraph II.D of Appendix I. This option permits an applicant to design his radwaste management systems to satisfy the Guides on Design Objectives for Light-Water-Cooled Nuclear Power Reactors proposed in the Concluding Statement of Position of the Regulatory Staff in Docket RM-50-2, dated

February 20, 1974. As indicated in the Statement of Considerations included with the amendment, the Commission noted it is unlikely that further reductions to radioactive material releases would be warranted on a cost-benefit basis for light-water-cooled nuclear power reactors having radwaste systems and equipment determined to be acceptable under the proposed Staff design objectives set forth in RM-50-2.

In a letter to the Commission dated October 1, 1975, Houston Lighting and Power Company chose to comply with the Commission's September 4, 1975 amendment to Appendix I, eliminating the necessity to perform a cost-benefit analysis as required by Paragraph II.D of Appendix I.

Evaluation

The Staff has evaluated the radioactive waste management systems proposed for South Texas Project, Units 1 and 2, to reduce the quantities of radioactive materials released to the environment in liquid and gaseous effluents. These systems have been previously described in Sections 11.2 and 11.3 of the Safety Evaluation Report, dated August 1975, and in Section 3.5 of the Final Environmental Statement (FES), dated March 1975. Based on information provided by the applicant in the referenced letter, on more recent operating data applicable to the South Texas Project, and on changes in our calculational model, we have generated new liquid and gaseous source terms to determine conformance with Appendix I. These values

are different from those given in Tables 3.6 and 3.7 of the FES for Units 1 and 2 and in Table 1 of Mr. Boegli's affidavit (July 18, 1975).

The new source terms, shown in Attachments 1 and 2, were calculated using the models and methodology described in Draft Regulatory Guide 1.BB, "Calculation of Releases of Radioactive Materials in Liquid and Gaseous Effluents from Pressurized Water Reactors (PWRs)," September 9, 1975. These source terms were used to calculate the doses as described in testimony submitted by Mr. Waterfield.

Attachment 3 provides a comparison of the calculated doses, with the design objectives of Sections IIA, B and C of Appendix I and the proposed Staff design objectives set forth in RM-50-2.

Based on the Staff's evaluation of the liquid radwaste management systems, the expected quantity of radioactive materials released in liquid effluents from Units 1 and 2 will be less than 5 Ci/yr/reactor, excluding tritium and dissolved gases, as shown in Attachment 2. The liquid effluents released from Units 1 and 2 will not result in an annual dose or dose commitment to the total body or to any organ of an individual, in an unrestricted area from all pathways of exposure, in excess of 5 mrem.

Based on the Staff's evaluation of the gaseous radwaste management systems, the total quantity of radioactive materials released in gaseous

effluents from Units 1 and 2 will not result in an annual gamma air dose in excess of 10 mrad and a beta air dose in excess of 20 mrad at every location near ground level, at or beyond the site boundary, which could be occupied by individuals (Attachment 3). The annual total quantity of iodine-131 released in gaseous effluents will be less than 1 Ci/reactor (Attachment 1) and the annual total quantity of radioiodine and radioactive particulates released in gaseous effluents from Units 1 and 2 will not result in an annual dose or dose commitment to any organ of an individual in an unrestricted area from all pathways of exposure in excess of 15 mrem (Attachment 3).

Conclusion

Staff testimony demonstrates that the doses associated with the normal operation of South Texas Project, Units 1 and 2 meet the design objectives of Sections II.A, II.B and II.C of Appendix I of 10 CFR Part 50, and that the expected quantity of radioactive materials released in liquid and gaseous effluents and the aggregate doses meet the design objectives set forth in RM-50-2.

Staff's evaluation shows that the applicant's proposed design of Units 1 and 2 satisfies the criteria specified in the option provided by the Commission's September 4, 1975 amendment to Appendix I and, therefore, meets the requirements of Section II.D of Appendix I of 10 CFR Part 50.

Based on the Staff's evaluation the proposed liquid and gaseous radwaste management systems for South Texas, Units 1 and 2 meet the criteria given in Appendix I and are therefore acceptable.

ATTACHMENT 1
CALCULATED RELEASES OF RADIOACTIVE MATERIAL IN GASEOUS EFFLUENTS FROM
SOUTH TEXAS, UNITS 1 AND 2

(Ci/yr/reactor)

Nuclides	Waste Gas Processing System	Building Ventilation			Condenser Air Ejector	Total
		Reactor	Auxiliary	Turbine		
Kr-83m	a	a	a	a	a	a
Kr-85m	a	6	2	a	1	9
Kr-85	270	1	a	a	a	270
Kr-87	a	1	1	a	a	2
Kr-88	a	9	3	a	2	14
Kr-89	a	a	a	a	a	a
Xe-131m	13	3	a	a	a	16
Xe-133m	a	15	a	a	a	15
Xe-133	30	790	28	a	18	870
Xe-135m	a	a	a	a	a	a
Xe-135	a	27	4	a	2	33
Xe-137	a	a	a	a	a	a
Xe-138	a	a	a	a	a	a
I-131	a	0.14	0.036	0.00028	0.022	0.2
I-133	a	0.092	0.054	0.00043	0.034	0.15
Co-60	7.0(-5)	3.3(-2)	2.7(-2)	c	c	6.0(-2)
Co-58	1.5(-4)	7.2(-2)	6.0(-2)	c	c	1.3(-1)
Fe-59	1.5(-5)	7.2(-3)	6.0(-3)	c	c	1.3(-2)
Mn-54	4.5(-5)	2.1(-2)	1.8(-2)	c	c	3.9(-2)
Cs-137	7.5(-5)	3.7(-2)	3.0(-2)	c	c	6.7(-2)
Cs-134	4.5(-5)	2.1(-2)	1.8(-2)	c	c	3.9(-2)
Sr-90	6.0(-7)	2.9(-4)	2.4(-4)	c	c	5.3(-4)
Sr-89	3.3(-6)	1.6(-3)	1.3(-3)	c	c	2.9(-3)
C-14						8
H-3						760
Ar-41						25

a = less than 1.0 Ci/yr noble gases, less than 10^{-4} Ci/yr for iodine.

b = exponential notation: $7.0(-5) = 7.0 \times 10^{-5}$

c = less than 1% of total for nuclide

ATTACHMENT 2

CALCULATED RELEASES OF RADIOACTIVE MATERIALS IN LIQUID EFFLUENTS FROM
SOUTH TEXAS, UNITS 1 AND 2

(Ci/yr/reactor)

<u>Nuclide</u>	<u>Ci/yr/reactor</u>	<u>Nuclide</u>	<u>Ci/yr/reactor</u>
Corrosion & Activation Products			
Cr-51	0.0001	Cs-134	0.015
Mn-54	0.001	I-135	0.0031
Fe-55	0.00009	Cs-136	0.00063
Fe-59	0.00006	Cs-137	0.025
Co-58	0.0049	Ba-137m	0.001
Co-60	0.0088	Ba-140	0.00001
Np-239	0.00003	La-140	0.00001
Fission Products			
Br-83	0.00001	All others	0.00004
Sr-89	0.00002	Total Except Tritium	0.22
Y-91	0.00011	Tritium	750
Mo-99	0.01		
Tc-99m	0.0098		
Te-127m	0.00001		
Te-127	0.00002		
Te-129m	0.00007		
Te-129	0.00005		
I-130	0.00008		
Te-131m	0.00004		
I-131	0.1		
Te-132	0.00079		
I-132	0.0012		
I-133	0.028		

ATTACHMENT 3

COMPARISON OF SOUTH TEXAS PROJECT, UNITS 1 AND 2 WITH
APPENDIX I TO 10 CFR PART 50, SECTIONS II.A, II.B AND II.C (MAY 5, 1975)^a AND
GUIDES ON DESIGN OBJECTIVES PROPOSED BY THE STAFF RM-50-2 (FEBRUARY 20, 1975)^b

<u>Criterion</u>	<u>Appendix I^a Design Objectives</u>	<u>RM-50-2^b Design Objectives^c</u>	<u>Calculated Doses</u>
Liquid Effluents			
Dose to total body from all pathways	3 mrem/yr/unit	5 mrem/yr/site	0.06 mrem/yr/unit
Dose to any organ from all pathways	10 mrem/yr/unit	5 mrem/yr/site	0.08 mrem/yr/unit
Noble Gas Effluents			
Gamma dose in air	10 mrad/yr/unit	10 mrad/yr/site	0.10 mrad/yr/unit
Beta dose in air	20 mrad/yr/unit	20 mrad/yr/site	0.20 mrad/yr/unit
Dose to total body of an individual	5 mrem/yr/unit	5 mrem/yr/site	0.0085 mrem/yr/unit
Dose to skin of an individual	15 mrem/yr/unit	15 mrem/yr/site	0.024 mrem/yr/unit
Radioiodines and Other Radionuclides Released to the Atmosphere			
Dose to any organ from all pathways	15 mrem/yr/unit	15 mrem/yr/site	0.75 mrem/yr/unit

^aFederal Register V. 40, p. 19442, May 5, 1975.

^bConcluding Statement of Position of the Regulatory Staff, Docket No. RM-50-2, Feb. 20, 1974, pp. 25-30, U.S. Atomic Energy Commission, Washington D.C.

^cDesign Objectives given on a site basis. Therefore, these design objectives apply to 2 units at the site.

1 MR. STRIDIRON: Thank you.

2 BY MR. STRIDIRON:

3 Q Mr. Waterfield, do you have a document before you,
4 a document entitled Nuclear Regulatory Commission Staff testi-
5 mony of Robert L. Waterfield pertaining to Appendix I?

6 A (Witness Waterfield) I do.

7 Q Was this document prepared by you or under your
8 supervision?

9 A It was.

10 Q Are the statements contained in this document true
11 and correct to the best of your information and belief?

12 A They are.

13 Q Would you briefly summarize the document?

14 A And evaluation was made of the effluent releases
15 derived by Mr. Boegli, to see if we would meet the low as
16 practicable guidelines of Docket RM 50-2 and Appendix I to
17 Part 50.

18 The meteorological and atmospheric parameters and
19 deposition, as presented in Mr. Fairbent's testimony, and
20 the assumptions and models were taken from Regulatory Guide
21 1.AA and the results we obtained indicated that all the expected
22 doses would be far below the guideline values.

23 MR. STRIDIRON: Mrs. Bowers, I would move at this
24 time that the document entitled Nuclear Regulatory Commission's
25 Staff testimony of Robert L. Waterfield pertaining to Appendix I

1 be incorporated in the record as if read.

2 MRS. BOWERS: Mr. Pendergratt?

3 MR. PENDERGRAFT: No objection.

4 MRS. BOWERS: Mr. Schwarz?

5 MR. SCHWARZ: Applicant has no objection.

6 MRS. BOWERS: The document you just identified will
7 be physically incorporated in the transcript as if read.

8 (The document follows.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

In the Matter of

Houston Lighting and)
Power Company)
(South Texas Project)
Units 1 and 2)

Docket Nos. 50-498
50-499

NUCLEAR REGULATORY COMMISSION STAFF'S
TESTIMONY OF ROBERT L. WATERFIELD
PERTAINING TO APPENDIX I

AFFIDAVIT OF ROBERT L. WATERFIELD
RELATIVE TO AN APPENDIX I DOSE EVALUATION
OF SOUTH TEXAS PROJECT UNITS 1 AND 2

Introduction

In an affidavit⁽¹⁾ filed in the site-suitability phase of this proceeding Dr. Jacob Kastner indicated that a detailed assessment of maximum individual doses would be completed in connection with the radiological health and safety hearing after completion of our reassessment of assumptions and models. The purpose of this testimony is to present the results of that detailed assessment. The assessment was performed to determine if the proposed South Texas Project facilities met the design objective contained in the Concluding Statement of Position of the Regulatory Staff, Docket No. RM-50-2 (February 20, 1974),⁽²⁾ and in 10 CFR 50, Appendix I (May 5, 1975).⁽³⁾

In a letter dated October 1, 1975,⁽⁴⁾ the Houston Lighting and Power Company indicated that it wished to exercise the option provided by the Commission's September 4, 1975 amendment⁽⁵⁾ to Section II.D of Appendix I. The amendment provides that an applicant need not comply with the radwaste system cost-benefit analysis required by Section II.D of Appendix I if the proposed radwaste system satisfies the Guides on Design Objectives contained in the Concluding Statement of Position of the Regulatory Staff (Docket No. RM-50-2), dated February 20, 1974.⁽²⁾

Since the Guides on Design Objectives apply to all light-water-cooled reactors at a site, it was necessary to compare the total dose from South Texas Units 1 and 2 with the Design Objectives contained in the Concluding Statement of Position of the Regulatory Staff.⁽²⁾

Discussion

The dose models used to perform this analysis are contained in Draft Regulatory Guide 1.AA.⁽⁶⁾ These models were revised (with respect to the models contained in reference 1) to be responsive to the mandate contained in the Opinion of the Commission⁽⁷⁾ relative to Appendix I which called for realism wherever possible in the definition of input parameters for the dose models.

Included in this analysis are dose evaluations of three effluent categories:

- 1) pathways associated with liquid effluent releases to the Colorado River
- 2) noble gases released to the atmosphere, and
- 3) pathways associated with radioiodines, particulates, carbon-14 and tritium released to the atmosphere.

The dose evaluation of pathways associated with liquid effluents was based on the maximum exposed individual. The dietary and living habits for an adult individual included 1) the consumption of 20 kg/yr of fish and 5 kg/yr of invertebrates harvested in the immediate vicinity of the discharge, and 2) recreational use of the shoreline in the immediate vicinity of the discharge for 10 hr/yr.

The dose evaluation of noble gases released to the atmosphere included a calculation of beta and gamma air doses at the site boundary and total body and skin doses at the residence having the highest dose. The maximum air doses at the site boundary were found at 1.0 mile north (distance and direction) relative to the South Texas facility. The location of maximum total body and skin doses were determined to be at a residence at 2.7 miles NNW.

The dose evaluation of pathways associated with radioiodine, particulates, carbon-14 and tritium released to the atmosphere was also based on the maximum exposed individual. One such individual is a child whose diet included the consumption of 530 kg/yr of crops, 300 l/yr of milk, and 40 kg/yr of beef and poultry produced at the location of the dairy having the highest calculated dose from these and two other pathways noted below. This location is 7 miles east. Another such individual is a child whose diet includes the consumption of 530 kg/yr of crops grown at the location of the residence having the highest calculated dose from this and two other pathways noted below. These maximum exposed individuals were also exposed to inhaled radionuclides in this category, as well as those deposited on the ground at each of the locations described above.

In addition to the dose estimates for the adult individual, estimates were also made for the teen (12-18 years), the child (1-11 years) and the infant (1 year), with appropriate values of consumption as given in Regulatory Guide 1.AA. (6) For the pathways associated with liquid effluents, the adult individual received the highest dose. The doses

from noble gases released to the atmosphere constituted external exposure, and were therefore not age-dependent. For the pathways associated with radioiodine and the other radionuclides released to the atmosphere, the child located at the residence received the highest dose at this site.

All of the doses in this analysis were based on the radionuclide releases presented in Mr. Boegli's testimony. The dispersion of radionuclides in and the deposition of radionuclides from the atmosphere were based on the analysis presented in Mr. Fairbent's testimony.

Comparison of Doses with RM-50-2 Design Objectives

As indicated earlier, a comparison with RM-50-2 Design Objectives involves all LWR's at a site. Accordingly, using the procedure described above, a calculation was made to determine the doses associated with combined 2-unit operation. The results are shown in Table 1 and are compared with the RM-50-2 design objectives. This table replaces Table 5.8 of the FES. (8)

Comparison of Doses with Appendix I Design Objectives

In order to make a comparison with Appendix I design objectives, a calculation similar to the one mentioned in the previous paragraph was performed. This computation, however, was performed on a per-unit basis. The results of the calculation are presented in Table 2.

Conclusion

It is concluded, based on the values presented in Table 1, that the aggregate doses associated with South Texas Project Units 1 and 2 operation meet the RM-50-2 design objectives. The maximum dose is slightly less than one tenth of the design objective.

It is also concluded, based on the values presented in Table 2, that the per unit doses associated with South Texas Project Units 1 and 2 operation meet the 10 CFR 50, Appendix I design objectives. The dose closest to the design objective is the dose to the thyroid from gaseous effluents.

Table 1

Comparison of Calculated Doses from
Operation
with Guides on Design Objectives
Proposed by the Staff on February 20, 1974^a
(Doses to Maximum Individual from all Units on Site)

<u>Criterion</u>	<u>RM-50-2 Design Objective</u>	<u>Calculated Doses</u>
Liquid Effluents		
Dose to total body or any organ from all pathways	5 mrem/yr	0.17 mrem/yr
Noble Gas Effluents		
Gamma dose in air	10 mrad/yr	0.20 mrad/yr
Beta dose in air	20 mrad/yr	0.40 mrad/yr
Dose to total body of an individual	5 mrem/yr	0.017 mrem/yr
Dose to skin of an individual	15 mrem/yr	0.047 mrem/yr
Radioiodine and Particulates ^b		
Dose to any organ from all pathways	15 mrem/yr	1.5 mrem/yr

^aFrom "Concluding Statement of Position of the Regulatory Staff,"
Docket No. RM-50-2, Feb. 20, 1974, pp. 25-30, U. S. Atomic Energy
Commission, Washington, D. C.

^bCarbon-14 and tritium have been added to this category.

Table 2

Comparison of Calculated Doses from
 Operation
 with Sections II.A, II.B and II.C
 of Appendix I, 10 CFR 50^a
 (Doses to Maximum Individual per Reactor Unit)

<u>Criterion</u>	<u>Appendix I Design Objective</u>	<u>Calculated Doses</u>
Liquid Effluents		
Dose to total body from all pathways	3 mrem/yr	0.06 mrem/yr
Dose to any organ from all pathways	10 mrem/yr	0.08 mrem/yr
Noble Gas Effluents		
Gamma dose in air	10 mrad/yr	0.10 mrad/yr
Beta dose in air	20 mrad/yr	0.20 mrad/yr
Dose to total body of an individual	5 mrem/yr	0.0085mrem/yr
Dose to skin of an individual	15 mrem/yr	0.024 mrem/yr
Radioiodines and Particulates ^b		
Dose to any organ from all pathways	15 mrem/yr	0.75 mrem/yr

^aAs presented in the Federal Register V. 40, p. 19442, May 5, 1975.

^bCarbon-14 and tritium have been added to this category.

References

1. Affidavit of Jacob Kastner (Relative to an Upper Bound Estimate of Radiological Impact on the General Public), Docket Nos. 50-498 and 50-499, July 18, 1975.
2. U. S. Atomic Energy Commission Concluding Statement of Position of the Regulatory Staff (and its Attachment) - Public Rulemaking Hearing on: Numerical Guides for Design Objectives and Limiting Conditions for Operation to Meet the Criteria "As Low As Practicable" for Radioactive Material in Light-Water-Cooled Nuclear Power Reactors, Docket No. RM-50-2, Washington, D. C., February 20, 1974.
3. Title 10, CFR Part 50, Appendix I. Federal Register, V. 40, p. 19442, May 5, 1975.
4. Letter, G.W. Oprea, Houston Lighting and Power Company to Benard C. Rusche, U.S. Nuclear Regulatory Commission, "South Texas Project Units 1 and 2, Paragraph II.D. of Appendix I," October 1, 1975.
5. Title 10, CFR Part 50, Amendment to Paragraph II.D of Appendix I. Federal Register V. 40, p. 40918, September 4, 1975.
6. Staff of the U.S. Nuclear Regulatory Commission. Draft Regulatory Guide 1.AA, "Calculation of Annual Average Doses to Man from Routine Releases of Reactor Effluents for the Purpose of Impelementing Appendix I," September 23, 1975.
7. Opinion of the Commission in the Matter of: Rulemaking Hearing - Numerical Guides for Design Objectives and Limiting Conditions for Operation to Meet the Criterion "As Low As Practicable" for Radioactive Material in Light-Water-Cooled Nuclear Power Reactor Effluents, Docket No. RM-50-2, April 30, 1975, Nuclear Regulatory Commission Issuances, NRCI-75/4R.
8. Staff of the U. S. Nuclear Regulatory Commission. "Final Environmental Statement Related to the Construction of South Texas Project Units 1 and 2," Docket Nos. 50-498 and 50-499, NUREG-75/019. Washington, D.C., March 1975.

CRW5

1 MR. STRIDIRON: Thank you. As I stated, Mr. Fair-
2 bent who also participated or coauthored the document on Appendix I
3 is not available and therefore by your leave Mr. Dromerick will
4 respond to his testimony if nobody has any objection.

5 MRS. BOWERS: Let me check. Mr. Pendergraft?

6 MR. PENDERGRAFT: No objection.

7 MRS. BOWERS: Mr. Schwarz?

8 MR. SCHWARZ: No objection.

9 MRS. BOWERS: The Board will accept this presenta-
10 tion, then.

11 BY MR. STRIDIRON:

12 Q Mr. Dromerick, do you have a document before you
13 entitled Testimony of J. E. Fairbent concerning the Appendix I
14 evaluation of atmospheric transport and dispersion at the
15 South Texas Project site?

16 A (Witness Dromerick) Yes.

17 Q Was this project prepared by you or under your
18 supervision?

19 A Under my direction.

20 Q To the best of your estimation, is the document
21 true and correct?

22 A Yes.

23 MR. STRIDIRON: I move the one-page document entitled
24 Testimony of J. E. Fairbent concerning independent evaluation
25 of dispersion and transport at the South Texas site be incor-

CRW6

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

porated in the record as if read.

MRS. BOWERS: Mr. Pendergraft?

MR. PENDERGRAFT: I have no objection.

MRS. BOWERS: Mr. Schwarz?

MR. SCHWARZ: Applicant has no objection.

MRS. BOWERS: The document you just identified will be physically incorporated in the transcript as if read.

(The document follows.)

TESTIMONY OF J. E. FAUROBENT
CONCERNING THE APPENDIX I EVALUATION OF
ATMOSPHERIC TRANSPORT AND DISPERSION AT
THE SOUTH TEXAS PROJECT SITE

An evaluation of the atmospheric transport and dispersion conditions at the South Texas Project site has been made using the models and methodology described in Draft Regulatory Guide 1.DD, "Methods For Estimating Atmospheric Transport and Dispersion of Gaseous Effluents in Routine Releases From Light Water Reactors", September 22, 1975.

The meteorological data used in this evaluation, consisting of joint frequency distributions of wind speed and direction measured at the 33-ft level by atmospheric stability defined by the vertical temperature gradient measured between the 33-ft and 195-ft levels, were collected onsite by the applicant during the period July 20, 1973 through July 20, 1974. The applicant also provided information concerning topography out to a distance of ten miles from the plant which was considered in the evaluation.

Information on gaseous effluent sources considered in the evaluation, such as source height above plant grade, efflux velocity, and release point configuration, was provided by the Effluent Treatment Systems Branch of the Office of Nuclear Reactor Regulation.

A "Straight-Line Trajectory Model", as described in Draft Regulatory Guide 1.DD was used in evaluating atmospheric transport and dispersion characteristics. Due to the configuration of the release points with respect to adjacent solid structures, a ground level release was assumed. An estimate of maximum increase in calculated relative concentration (X/Q) values due to recirculation of airflow, not considered by the straight-line trajectory model, was also considered using the guidance of Draft Regulatory Guide 1.DD.

Based on the available onsite meteorological data and on the atmospheric transport and dispersion model and guidance provided in Draft Regulatory Guide 1.DD, relative concentration values for noble gases and radioiodines and relative deposition values (D/Q) for radioiodines were calculated for the locations presented in Mr. Waterfield's testimony.

CMT/

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. STRIDIRON: The Staff has just one other piece of testimony which we will have Mr. Damerick sponsor. It is the Staff's responses to the Board's questions.

BY MR. STRIDIRON:

Q Do you have before you a document entitled NRC Responses to Questions of the Safety and Licensing Board Concerning Health and Safety Matters, South Texas Project Units 1 and 2, Docket STN 50-498 and STN 50-499?

A Yes, I do.

Q Was the document prepared by you or under your direction?

A Yes, it was.

Q Are the statements contained in this document true and correct to the best of your information and belief?

A Yes, they are.

MR. STRIDIRON: Mrs. Bowers, I will move at this time that the document entitled NRC Staff Responses to Questions of the Atomic Safety and Licensing Board Concerning Health and Safety Matters, South Texas Project Units 1 and 2, Docket Numbers SNT 50-498 and SNT 50-499 be incorporated into the record as if read.

MRS. BOWERS: Mr. Pendergast?

MR. PENDERGAST: No objection.

MRS. BOWERS: Mr. Schwarz?

MR. SCHWARZ: Applicant has no objection.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MRS. BOWERS: The document you have just identified will be physically inserted in the transcript as if read.

(The document follows.)

NRC STAFF RESPONSES TO QUESTIONS OF
ATOMIC SAFETY AND LICENSING BOARD
CONCERNING HEALTH AND SAFETY MATTERS
SOUTH TEXAS PROJECT UNITS 1 AND 2
DOCKET NOS. STN 50-498 AND STN 50-499

QUESTION 1

The increased length of the 14 ft. core renders it slightly less stable to axial-xenon oscillations, especially late in the fuel cycle: RESAR-41 suggests (Section 4.3.1.6) that the part length rods may be relied on to assure stability but the SER, (Sec. 4.3.1) notes a DNB problem associated with the use of PLR's and says that use of such rods in Westinghouse reactors is forbidden. Please discuss the alternate control strategy (Westinghouse Mode A) and its implications from the standpoints of operational flexibility and safety.

RESPONSE

The restriction on use of part-length control rods in Westinghouse reactors is expected to be removed in early 1976 following completion of and review by the staff of analytical DNB studies being conducted by Westinghouse.

In practice, control of the power distribution in Westinghouse reactors with constant axial offset control (CAOC) procedures (with or without the part-length control rods) effectively prevents xenon oscillations from occurring, even in a potentially unstable reactor. This is because constant axial offset control maintains a relatively constant axial power shape during load following maneuvers, so that xenon oscillations are not induced. Being restricted to mode A operation (i.e., without use of part-length rods), therefore, will not make the reactor more susceptible to xenon oscillations. It does limit operational flexibility, however, because the requirements to maintain the axial flux shape constant dictates that load changes be made primarily with boron. This is a slower means of maneuvering, especially near the end of core life.

It is important to note that it is not necessary to use part-length control rods to suppress xenon oscillations. Full-length control rods can be used for this purpose (see letter to J. F. O'Leary, AEC, from E. E. Utley, Carolina Power & Light Company, "H. B. Robinson Unit 2 axial Xenon Oscillations", October 16, 1972, a copy of which is attached).

To assess the impact on safety we have evaluated the consequences of xenon oscillation. For example, we may postulate that a xenon oscillation does occur regardless of the constant axial offset control procedures designed to prevent it. During the oscillation the axial flux difference (top minus bottom split excore detector readings) will undergo large swings. The constant axial offset control Technical Specifications prescribe a power reduction to 90% if the flux difference cannot be maintained in a $\pm 5\%$ band around the target value, and reduction to 50% power if the flux difference is out of the $\pm 5\%$ band for more than one hour. The reactor will be safe at half power because the power densities will be reduced by 50 percent. In an extreme case, even if the Technical Specifications and alarms were ignored, the overpower temperature difference trip would trip the reactor on excessive flux difference before fuel damage occurs.

QUESTION 2

The SER at p. 4-12 states that the design limit peaking factor for the 14 ft. core is 2.50; the SER supplement, at p. 6-1, states that the analyses of ECCS performance assumed a peaking factor of only 2.45. Is the ECCS analysis conservative from this standpoint?

RESPONSE

It is indeed not conservative if the design peaking factor is greater than that assumed for the ECCS analysis. The correct design peaking factor for RESAR-41, however, is 2.45 as stated on page 4.3-242 of Amendment 15 to the RESAR-41 Preliminary Safety Analysis Report. The figure 2,50 in the Safety Evaluation Report was in error. All the relevant analysis and the staff's conclusions set forth in the Safety Evaluation Report and Supplement 1 were based on a peaking factor of 2.45.

QUESTION 3

The SER (loc. cit.) also asserts that the higher value of the peaking factor for the longer core is associated with the effect of the PLR's:

- (a) If the PLR's are not used, will the limit still be 2.50?
- (b) If a lower limit is established, will control of peaking by simple axial offset observations still be possible at 100% power?

RESPONSE

As discussed in our response to Question 2 the design peaking factor for RESAR-41 is 2.45.

- (a) Yes, the limiting peaking factor will still be 2.45. The limiting peaking factor is established by the loss-of-coolant accident analysis not the use of part-length rods.
- (b) A lower limit has not been established because as stated **above** the use of part-length rods will not affect the design peaking factor limit.

QUESTION 4

The Board notes that one of the consequences of the new (RESAR-41) refueling system is that fuel will be handled at a shutdown margin of only 5%. How does this margin compare with that generally allowed for fuel handling in reactors and critical facilities at present?

RESPONSE

Historically, the designs of refueling systems (including refueling procedures) and fuel storage facilities have provided that the k_{eff} would be 0.90 or less. This has not been a regulatory requirement, but industry practice. More recently industry has been departing from this practice and we have indicated that fuel may be stored such that k_{eff} does not exceed 0.95 in pure water when all physical and calculational uncertainties are included.

With regard to 5% shutdown margin for refueling we find this is acceptable on the basis that with all the control rods removed from the core, there is no longer any credible physical change that can be made rapidly on the core that will substantially increase its reactivity. Continuous flux and frequent boron concentration monitoring is required during refueling. In practice, boiling water reactors employ a shutdown margin of 5% during refueling.

QUESTION 5A

The SER, at p. 15-8, stated that a revision of the dilution path flow alarms would be required in order to assure adequate warning of potential boron dilution. Supplement 1, at p. A-8, suggests that this will not be required, but that locking out of valves and reliance on nuclear instrumentation will be substituted.

- (a) Is this actually the plan?

- (b) How many minutes warning will the operator have of impending criticality if reliance is placed entirely on nuclear instrumentation for warning of such criticality when it occurs by the most rapid postulated reactivity addition mechanism during refueling?

RESPONSE 5A

The plan adopted by Westinghouse for RESAR-41, and committed to by South Texas Project, is to lock closed valves FCV-110B, FCV-111B, 8338, 8355, and 8361 in the chemical and volume control system, as identified on drawing 9.3-1, Sheet 3, of RESAR-41. This procedure will eliminate all possible direct paths for addition of fresh water to the reactor coolant system. The only remaining path is via the reactor water storage tank. The Technical Specifications will require sampling of the boron concentration following makeup to the tank before addition of this water to the reactor coolant system. As an additional precaution, the high count rate will be alarmed in both the containment and the control room, and a high source range flux level will be alarmed in the control room to indicate an approach to criticality due to any unforeseen dilution occurring. Typically, the source range high flux alarm will be activated one decade above the count rate setting being used. Thus, not only is addition of fresh water prevented, but an increase in the subcritical multiplication factor is alarmed. Since all credible dilution accident flow paths have been eliminated, the need for postulating operator action following a warning alarm has been eliminated.

QUESTION 5B

What precautions (such as secondary water treatment and tube inspection) are now envisaged to assure steam generator tube integrity under all conditions at STP?

RESPONSE 5B

The NRC staff has evaluated the measures that will be taken to assure that the steam generator tubes in the South Texas Project facility will not be subjected to conditions that will cause degradation of integrity. We have also evaluated the provisions made by the applicants to detect such degradation, should it occur, before it has progressed far enough to affect the safety of the plant.

The facilities, steam generators, and operating procedures described in this construction permit application for the South Texas Project are of more recent design than those facilities that have experienced steam generator tube degradation. This response is directed to the South Texas Project construction permit application.

Regarding the newer plants, including South Texas Project, nuclear steam supply vendors of pressurized water reactors that have experienced significant steam generator tube corrosion have redesigned steam generators and made significant changes in the secondary system water chemistry. The affected nuclear steam supply system vendors are obtaining experimental data on tube material compatibility in simulated secondary coolant conditions so that the new pressurized water reactor plants should not have extensive localized corrosion.

For the South Texas Project steam generators, current regulatory requirements are considered sufficient to insure plant safety at the construction permit stage of review. If future NRC staff action on this issue or future inspections of operating Westinghouse steam generators develop significant

safety issues concerning design features of systems or components for which preliminary designs are proposed in this application, post construction permit design changes may be required of the applicants.

We have concluded that these measures are adequate. There is no reason to believe that plant safety will be compromised by steam generator tube degradation. Our conclusions are based on the following considerations:

1. The steam generators will be of advanced design with improved secondary water flow characteristics, providing more tolerance for occasional lack of water chemistry control.
2. The applicants will use an all volatile type of water chemistry that has been shown by service experience to minimize the probability of tube degradation.
3. Provisions for monitoring the secondary water chemistry will be included. These will be used to detect the presence of deleterious impurities before significant tube degradation can occur.
4. Provisions for monitoring reactor coolant leakage to the secondary side are included in the design, and the limits on such leakage that will be imposed will ensure that tube degradation, should it occur, will be detected before it develops into serious deterioration of integrity.
5. The design of the steam generators permits inservice inspection of the tubes by methods that will detect incipient tube degradation. Tubes that could further degrade to marginal conditions can be taken out of service by plugging.

QUESTION 6

The SER at p. 10-4 states that information will be forthcoming regarding the means by which the Applicant proposes to preclude water hammer in the steam generator feedwater system. Is such information available? What steps are presently proposed to deal with the problems?

RESPONSE

The steam generator feedwater piping water hammer problem is being investigated by the staff on a generic basis. Work is planned which includes investigation of water hammer phenomena to date in operating pressurized water reactor plants, analytical means to study mechanisms that may cause water hammer, recommendations for corrective action, including modifications to design and operating procedures to preclude recurrence of such phenomena. The staff plans to use a consultant to assist in this work. Tests at certain plants on this subject are being closely followed by the staff.

We have discussed this problem with the applicants and have prepared a request for additional information which will be forwarded to the applicants in the very near future. We will evaluate the applicants' response and, in conjunction with the generic investigation described above, determine the necessary steps to preclude this problem for the South Texas Project. We have determined that appropriate modifications of the feedwater system can be made if necessary prior to finalizing the design.

QUESTION 7

What is the status and general plan of the program mentioned in Supplement 1 (at p. 18-2) to review design features intended to prevent fires or limit the safety consequences of fires?

RESPONSE

The staff is formulating a program to conduct a comprehensive review and evaluation of the fire potential in all nuclear power plants. The review will consider experience gained from the Browns Ferry fire, recommendations from the Nuclear Energy Liability-Property Insurance Association (NELPIA) and from other qualified fire protection consulting agencies. The fire protection systems will be upgraded if the results of our evaluation so dictates.

The staff is preparing a technical position which eventually will be used as a Regulatory Guide, giving the guidelines for fire protection system design for nuclear power plants. When completed, we will send this technical position to all licensees and applicants of nuclear power plants requesting that they review their systems with respect to our guidelines, and propose modifications if required. We plan to review each plant individually, and to issue an evaluation with conclusions and/or recommendations for each plant.

QUESTION 8

It is not clear to the Board whether the statement at page 11-2 of Supplement 1 to the effect that air doses will not exceed 10 mrad/yr and 20 mrad/yr include contributions from gas stream releases of ^{14}C , ^3H , and particulates.

- (a) Are we to rely on the implication in the July 18, 1975 affidavit of J. S. Poegli that such doses due to ^{14}C and particulates are negligible? If so, is the dose from ^3H also negligible?
- (b) Are the releases on which the staff's present air dose assessment is based those of Poegli or those of the FES Table 3.7 (as implied in the SER at page 11-7)?

RESPONSE

- (a) The air dose assessment provided in the affidavit of Dr. Kastner (July 18, 1975) was based only on the noble gas emissions. In supplemental testimony presented on November 5, 1975 by the NRC staff on Evaluation of Liquid and Caseous Effluents with Respect to Appendix I of 10 CFR Part 50, for the South Texas Project, the dose contributions from carbon 14, tritium and particulates were presented in the category "Radioiodines and Other Radionuclides Released to the Atmosphere".
- (b) The air dose assessment provided in the affidavit of Dr. Kastner was based on the noble gas releases provided in Table 1 attached to the July 18, 1975 affidavit of Mr. Poegli.

Carolina Power & Light Company

Raleigh, North Carolina 27602

October 16, 1972

Mr. John F. O'Leary
Directorate of Licensing
U. S. Atomic Energy Commission
Washington, D. C. 20545

H. B. ROBINSON UNIT NO. 2
LICENSE DPR-23
AXIAL XENON OSCILLATIONS

Dear Mr. O'Leary:

In the interest of keeping the Commission informed of any unusual events connected with the normal operation of a nuclear power station, Carolina Power & Light Company is reporting, by this letter, the presence of divergent axial xenon oscillations in the H. B. Robinson Plant. Continued operation with this condition existing in the plant is not in violation of any Technical Specifications or safety requirements (FSAR, page 3.1.2-3), and the magnitude of the power oscillation produced by the xenon oscillation is easily controlled by existing plant equipment. This letter is merely to inform the Commission of such a condition, and Carolina Power & Light's method of successfully controlling it.

The normal operation of the Robinson Plant over the last several months has been base load at full power, with only minor deviations due to forced outages, small load changes as required by the system dispatcher, and a weekly test of the turbine stop and governor valves. This valve test is normally the most significant variation from full power operation, and is instrumental in producing significant xenon-iodine imbalances in the axial direction of the core. The power level of the plant is reduced to 70% of full load and the valves are exercised in turn to determine any sticking of the valves. This exercise is performed to fulfill the warranty requirements of the turbine manufacturer. The power reduction is accomplished by inserting Control Bank D to approximately 100 steps and then compensating for the increase in negative xenon reactivity by the removal of control rods and boron dilution. The time required to return to full power is determined by the successful functioning of the valves, and has been as short as one hour and as long as twelve hours or more.

Upon return to full power, the axial offset of the core, as measured by the excore long ion chambers, is normally positive, and continued operation leads to a substantial variation in offset (as much as 30% between positive and negative limits) during the first cycle of the oscillation. The axial stability index of the core has been measured as +0.008, indicating an unstable condition. With this value of stability index, the offset difference mentioned above will increase by approximately 23% from cycle to cycle, eventually leading to a turbine runback as overpower and overtemperature setpoints are exceeded.

5713

In order to avoid this occurrence, a straightforward method of control of the oscillation involving only movement of Control Bank D has been employed. Although part length rods have been provided in the plant for such a purpose, they have not been employed for any plant operations since initial startup, and are not required for the control of the power oscillations discussed here.

This control procedure is known as First Overtone Control^{1/}, and has been tested successfully on the Robinson Plant and is currently being used in operation. The procedure employs a carefully timed Bank D insertion to attack simultaneously the first harmonics of the xenon and iodine axial distributions. First Overtone Control is terminated and Control Bank D is withdrawn when the first axial overtones in xenon and iodine have been very significantly reduced and the xenon-iodine oscillation is almost entirely eliminated. The attached figure shows the result of the test performed at Robinson in terms of axial offset and Bank D movement, and the success of the procedure in reducing large variations in axial offset in a simple, reliable manner. Continued use of the procedure is required due to the continued and increasing instability of the core as end of cycle lifetime approaches, and there is every reason to expect that this type of procedure will be required during every subsequent cycle of operation as well. However, it is emphasized again that there is no violation of safety requirements, and that a simple, straightforward procedure involving current plant equipment is entirely adequate to maintain control of the power oscillations.

Yours very truly,




E. E. Utley
Vice President
Bulk Power Supply

DBW/za

cc: Mr. C. D. Barham
Mr. N. B. Bessac
Mr. B. J. Furr

^{1/} Bauer, D.C., "Practical Control Procedure for Xenon Spatial Oscillations", Vols. I and II, PhD Thesis, Carnegie-Mellon University, 1972.

CPL XENON OSCILLATION CONTROL TEST AT FULL POWER
FIGURE 3



1 MR. STRIDIRON: Thank you.

2 I might add the Staff has its witnesses available
3 who can respond to any further questions the parties or the
4 Board might have on these questions or answers.

5 MRS. BOWERS: Does that conclude your direct case?

6 MR. STRIDIRON: It does conclude our direct presen-
7 tation.

8 MRS. BOWERS: As previously agreed, the parties were
9 going to withhold any cross-examination and the Board was going
10 to withhold questions as well if all the direct presentation
11 was in.

12 Unless the parties have objections, I think we
13 should have a luncheon recess and we will resume at 1:30 and
14 start out then with cross-examination.

15 (Whereupon at 12:10 p.m., the hearing was recessed,
e 9 16 to reconvene at 1:30 p.m. this same day.)

17

18

19

20

21

22

23

24

25

AFTERNOON SESSION

CR6191

(1:30 p.m.)

E. .bwl

S10

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MRS. BOWERS: According to the agenda, we are now at Item 8, which is cross-examination by the parties and questions by the Board.

At the luncheon break the Board was asked if we could start immediately with matters concerned with Appendix I, because of witnesses that would like to leave as soon as possible, and the parties agreed to that, who were here at the time.

Mr. Pendergraft, I don't believe you were here. Is that all right with you?

MR. PENDERGRAFT: We will agree.

MRS. BOWERS: Fine. Well, first I will invite the parties to proceed with any cross-examination of, first, the -- well, Applicant's and Staff's witnesses are here. They have been sworn and, so, Mr. Pendergraft, do you have questions of either Applicant or Staff witnesses in the Appendix I area?

MR. PENDERGRAFT: No. We don't We don't have any cross-examination on that.

MRS BOWERS: Mr. Stridiron, do you have cross-examination questions of the Applicant's witnesses, in the Appendix I area?

MR. STRIDIRON: No, Mrs. Bower, we have no questions

1 on that.

w2 2 MRS. BOWERS: Mr. Schwarz, do you have questions of
3 the Staff witnesses?

4 MR. SCHWARZ: We have none, Mrs. Bowers.

5 MR. SHON: I have a couple of questions.

6 MRS. BOWERS: The Board has questions.

7 (Whereupon, the Witnesses resumed the stand.)

8 MR. SHON: I would like to direct one question
9 to Mr. Waterfield, on page 1 of his testimony, regarding
10 the revised models that were used, revised presumably by
11 Regulatory Guide 1.8(a), in a manner that should result in
12 a poor realistic rather than a pessimistic answer.

13 I note you said the models were revised to be
14 responsive to the mandate of the Commission. It that
15 revision a change with respect to the version of these
16 these models that the Commission had before it when it issued
17 the September 4 notice? Do you know?

18 WITNESS WATERFIELD: Yes. I believe that would
19 believe that would be correct.

20 MR. SHON: Then, as I understand the situation,
21 the Commission issued the September 4th notice saying
22 that an Applicant could opt to conform to Guide 1 AA,
23 that is a concluding statement. And thereafter you changed
24 something, when you made this calculation and changed it
25 in a way that would make the answers less conservative or

bw3

1 or less pessimistic. Is that right?

2 WITNESS WATERFIELD: No. I don't think the
3 changes were that substantive.

4 MR. SHON: Could you give us a little bit
5 about what the nature of the change was?

6 WITNESS WATERFIELD: Only one I have a definite
7 recollection of in that area is that there is one heading
8 for effluent release classifications, which had been just the
9 term "gaseous effluents." We felt this was not specific
10 enough and it was changed to "noble gas effluents."

11 MR. SHON: I see. Then that would specifically
12 have borne upon the substance of one of the Board's questions
13 also?

14 WITNESS WATERFIELD: That is right.

15 MR. SHON: And I think you wrote the answer to
16 that, too; is that correct?

17 WITNESS WATERFIELD: Yes, sir.

18 MR. SHON: In particular, then, if there is a
19 substantive change there, it is with respect to counting
20 only noble gases, rather than particulates and carbon 14
21 and tritium; is that correct?

22 WITNESS WATERFIELD: The particulates were never
23 included in that class, I don't believe, because there was
24 another class called "radioiodine and particulates."

25 MR. SHON: Yes. I recall that is true.

bw4

1 The other question I had, on your tables 1 and
2 2. I know table 2 was calculated on the basis of a single
3 reactor unit and table 1 on the basis of two units; is
4 that right?

5 WITNESS WATERFIELD: That is right.

6 MR. SHON: I also know that eventually all the
7 numbers in the calculated doses are, as one might expect,
8 in a simpleminded fashion, double for two units what they
9 would be for one, except for one and that is the liquid
10 effluent dose for the body from all pathways. It seems
11 to more than double. Why is that?

12 WITNESS WATERFIELD: I think there must be
13 a typo in this.

14 MR. SHON: Table 1 under "Liquid Dose to Total
15 Body from All Pathways," calculated doses lists 0.27.
16 Table 2 lists 0.16. That is a factor of very nearly three
17 rather than two.

18 MR. STRIDIRON: May we have a moment?

19 WITNESS WATERFIELD: Yes. Now I see what the
20 difference is. In table 1 the dose is quoted as being
21 to total body or any organ. In table 2 the total body is
22 in one category and all the other organs are in another
23 category. It turned out that the total body dose for two
24 units was .12 millirems per year and a half of that is
25 .06.

bw5

1 MR. SHON: I see. It is because you have
2 included total body for any organ, and the half of the
3 other is the .08? Is that correct?

4 WITNESS WATERFIELD: That is correct. The
5 reason for changing the categories is, we were attempting
6 to follow the categories that had been originally laid out
7 in the two Commission documents. The RM 50-2 had the
8 once classification, whereas Appendix I has a different
9 classification of the way to apportion the doses.

10 MR. SHON: I see That clears it up.

11 I just got your response to our questions this
12 morning, but I think if I understand it correctly, what
13 you are saying is that the ten millirad gamma and twenty
14 millirad beta per year do not include things other than the
15 noble gases; is that right?

16 WITNESS WATERFIELD: Yes. That is right.

17 MR. SHON: Why can we assume that that is what
18 the Commission meant when it said "air dose"? Don't
19 these things contribute to an air dose? Don't they, indeed,
20 cause ionization?

21 WITNESS WATERFIELD: Yes. They do. But I think
22 the original intent was the air dose should bear some
23 fairly close relationship to tissue dose and in the case
24 of these nuclides, why that just doesn't happen. And we felt
25 it was more appropriate to include them in the other

mi' /li
r.

bw6

1 category with radioiodines and particulates and account for
2 their effect there.

3 MR. SHON: I see.

4 I heard the Applicant's response to this question,
5 in which you said that he felt the other sources, I think
6 the ones that we specifically mentioned were carbon 14
7 and tritium particulates, would contribute only a tiny
8 fraction, up to three percent, fractions of a percent;
9 that is also in line with your experience?

10 WITNESS WATERFIELD: I am sure that would be,
11 yes.

12 MR. SHON: Thank you.

13 That's the only questions I have there.

14 MRS. BOWERS: Mr. Stridiron, you may want to
15 proceed with redirect following this, if you have witnesses
16 that are anxious to be excused.

17 MR. STRIDIRON: Mrs. Bowers, we have no
18 redirect.

19 MRS. BOWERS: Have these questions generated
20 any questions on the part of the Applicant, Mr. Schwarz?

21 MR. SCHWARZ: No, Mrs. Bowers.

22 MRS. BOWERS: And the State of Texas?

23 MR. PENDERGRAFT: None for the State.

24 MRS. BOWERS: As far as the Board is concerned,
25 those witnesses who are here solely on Appendix I matters

1 may be excused.

2 MR. STRIDIRON: Thank you, Mrs. Bowers.

3 MRS. BOWERS: Well, my questions originally on
4 cross-examination were limited to Appendix I matters, so let
5 me check.

6 Mr. Pendergraft, do you have questions in other
7 areas of either Applicant's or Staff's witnesses?

8 MR. PENDERFRAFT: No. We don't.

9 MRS. BOWERS: Mr. Stridiron, do you have
10 questions in other areas of the Applicant's witnesses?

11 MR. STRIDIRON: No, Mrs. Bowers, we have no
12 questions.

13 MRS. BOWERS: Mr. Schwarz?

14 MR. SCHWARZ: No, Mrs. Bowers, we have no
15 questions.

16 MR. SHON: I had a couple of small questions of
17 Dr. Rodger on his testimony at table 19 in the very nicely
18 prepared little booklet here.

19 The statement starting on page 5 of the testimony
20 and running through page 6, says that the vapor from the
21 blowdown tank is condensed in feed water heaters and all of
22 the liquid is returned to condenser hot well. It may be
23 you are not exactly the person to answer this, I am not sure,
24 but are there no noncondensables? Nothing results in the
25 form of a gas at all from that?

bw8

1 WITNESS RODGER: I believe these things will
2 also vent back to the condenser hot well and the non-
3 condensables will be vented along with the noncondensables
4 from the secondary system and, therefore the contribution
5 is accounted for.

6 MR. SHON: I see.

7 It all goes out the air ejector of the system.

8 On page 9, in several places it is noted that
9 distillants and other materials are released, released
10 with further processing after analysis. Previous paragraphs
11 mention a similar sort of practice. What kind of control
12 does one have to assure that a thing is not released without
13 being analyzed first, that it is held onto? Is it purely an
14 administrative control?

15 WITNESS RODGER: I am not sure that that aspect of
16 this plant has been fully addressed as yet, but normally,
17 and in this case, too, the liquids for release are collected
18 in tanks and these tanks are always in at least pairs, so
19 that you can stop putting into tank after you take the
20 samples for analysis.

21 There is always a lot of paperwork associated with
22 it, and one has to get the results back from the analytical
23 laboratory, and it is the normal practice, and I presume
24 will turn out to be the operating practice of this plant,
25 too, that the lines or valves through which liquids are

hw9

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

are discharged into the discharge channel and locked and under administrative control. It has not turned out to be a problem in operating plants in the past, when one is able to stay on top of this, and things do get recorded before they are turned loose.

In the case of this plant, there is going to be an effort made to review as much of the water as possible, so I guess a specific answer to your question has to be, there, indeed, has to be some aspect of administrative control to assure that that happens.

MR. SHON: Lastly, on page 15 of your testimony --

MRS. BOWERS: Mr. Schwarz, if you want any other witness to also respond, be sure and so indicate.

MR. SCHWARZ: Thank you. I will, Mrs. Bowers.

Es10

PL II call

1 MR. SHON: You make a statement that, well,
2 certainly interests me. In the middle of the page it says,
3 "In general, the average dose over 50 miles is found to be
4 1 percent of the maximum individual dose."

5 It would seem to me that there wouldn't be any
6 general figure for that, that it would vary very much from
7 situation to situation. Where did this 1 percent come from?

8 WITNESS RODGER: Indeed it does vary. It can vary
9 from less than 1 percent or 2 or 3 or several percent. It is
10 indeed a function of what is the particular meteorology in
11 the site and what is the population distribution around a
12 site.

13 The number comes from some work that we did in
14 the course of developing Appendix I in the first paragraph,
15 and it came out of the initial presentation of the Staff in
16 the initial Appendix I hearings in which we took the initial
17 population distributions which they had averaged for a number
18 of sites and the meteorology for the same number of sites and
19 worked out, if you would like a histogram of dose versus
20 population, and in those particular cases the number was
21 slightly less than 1 percent.

22 I think it was a factor of 150 in the case of
23 PWRs and 250 in the case of BWRs. In the case of South
24 Texas, the population in close is quite sparse and you have
25 to get out pretty much to the outer part of the 50 mile

cam2

1 radius to start picking up large numbers of people, so I
2 think it is reasonably conservative in this case. I don't
3 suggest that number is hard and fast. I was merely trying
4 to cut back a little further on the upper bound calculation
5 of Dr. Kastner and show there is good expectation that the
6 numbers will be significantly less than those presented by
7 Dr. Kastner.

8 I am in no way criticizing his upper bound calcula-
9 tion. I am just trying to say as far as the site is concerned,
10 it will be bounded more so.

11 MR. SHON: It is just something you got from ex-
12 perience.

13 WITNESS RODGER: That's correct.

14 MR. SHON: That is all I have on that one. I
15 take it we are discussing all of the material we heard this
16 morning.

17 Is that right?

18 On the Staff's response to Question 5B, which
19 concerned steps taken to insure steam generator tube integrity,
20 we noted that you mentioned that the South Texas project will
21 be using all volatile treatment.

22 Have there been any other PWRs that have used
23 exclusively all volatile treatment for a very long period of
24 time, say, years?

25 WITNESS GAMBLE: Maine Yankee.

cam3

1 MR. SHON: Maine Yankee has used it for how long?

2 WITNESS GAMBLE: I am not sure of the number of
3 years. I can check.

4 MR. SHON: Has used it exclusively since start-up?

5 WITNESS GAMBLE: Yes, it has. I don't have the
6 exact date. My best guess would be somewhere around 1967.

7 MR. SHON: I see. That is the only one?

8 WITNESS GAMBLE: No. There are others that have
9 used all volatile exclusively.

10 MR. SHON: But not for a long period of time?

11 WITNESS GAMBLE: Not longer than Maine Yankee.

12 MR. SHON: For years, or a couple of months?

13 WITNESS GAMBLE: I would say 2 years.

14 MR. SHON: 2 years. I understand the Staff is
15 looking more closely at this matter right now, and has some
16 sort of special task force looking at that. Is that correct?

17 WITNESS GAMBLE: Yes. The Staff is evaluating
18 this consideration.

19 MR. SHON: I trust anything they find out will be
20 applied, will it not?

21 WITNESS GAMBLE: Yes.

22 MR. STRIDIRON: May we have just one moment,
23 Mrs. Bowers, so the Staff can discuss a matter?

24 MRS. BOWERS: Yes.

25 MR. STRIDIRON: Mrs. Bowers, we are now ready.

can:4

1 MRS. BOKERS: Why don't you proceed?

2 WITNESS GAMBLE: A correction has been pointed out
3 to me. I was in error when I said Maine Yankee used this in
4 '67, although treatments have been used in some plants and I
5 don't know the names since '67. Maine Yankee partially started
6 up since '73 and has used all volatile.

7 MR. SHON: That sounds like a more correct answer.

8 WITNESS GAMBLE: There are a number of dates. I
9 just don't have them.

10 MR. SHON: I see. Thank you.

11 I guess my next question could be directed to you,
12 or to one of the Applicant's witnesses who have had something
13 to do with the preparation of testimony on the matter of steam
14 generator tubes.

15 I know there will be a condensate polishing
16 system, but I am not sure if that is a full demineralization
17 system, or is it just part?

18 MR. MOONEY: My name is John Mooney.

19 The answer to that, Mr. Shon, it is a full blown
20 demineralizer.

21 MR. SHON: Thank you.

22 I am not quite sure who to address this to, but it
23 has to do with Appendix E-3 on the matter of financial re-
24 sponsibility, Appendix E-3 to SER Supplement 1.

25 On the 3 tables that are presented here, 4 tables,

can5

1 pardon me, one for each of the Applicant's organizations,
2 each of the organizations that are participating, we added up
3 the numbers listed for each year under subject nuclear plant,
4 and they seem not to add to the participants total share.

5 Is this right? Is this because they will be
6 putting money in for years that are not contested there, or
7 why is that?

8 MR. DROMERICK: Can I point out an example,
9 Mr. Shon?

10 MR. SHON: Take city public service.

11 MR. STRIDIRON: What page?

12 MR. SHON: Page 3-9.

13 If one adds the bottom line here, subject nuclear
14 plant for each year, one comes up with something like \$375
15 million, and their share is listed as \$450 million on page
16 20-2.

17 MR. DROMERICK: What was that first number?

18 MR. SHON: \$375 million, or \$3,739,000, I think
19 was the number I actually got.

20 MR. DROMERICK: I think the reason why that doesn't
21 come out is because, if you know, we have an asterisk on con-
22 struction expenditures and that is exclusive of AFDC cost,
23 which is an allowance for funds used during construction.

24 MR. SHON: In other words, the difference would be
25 the AFDC.

cam6

1 MR. NEWMAN: Mrs. Bowers, could we have just a
2 minute, please.

3 MRS. BOWERS: Why don't we take a 5-minute recess?

4 (Recess.)

5 MRS. BOWERS: May I have your attention, please?

6 Mr. Stridiron, do you want to proceed?

7 MR. DROMERICK: Mr. Shon, on page E-9, those costs
8 that you were referring to, the reason, the difference the
9 costs mentioned on E-9 do not include the transmission cost,
10 fuel cost or the AFDC cost.

11 MR. SHON: I see. All 3 of them.

12 MR. DROMERICK: That's right.

13 MR. SHON: Thank you.

14 MRS. BOWERS: Mr. Schwarz, did you have any
15 further information on this?

16 MR. SCHWARZ: Simply confirming what Mr. Dromerick
17 said, if the Board would like for us to present a statement
18 on it, we can. But our information is identical to what
19 Mr. Dromerick just said.

20 MRS. BOWERS: The Board has no further questions.

21 Let me check with the parties and see if the ques-
22 tions have generated any redirect?

23 Mr. Schwarz?

24 MR. SCHWARZ: We have no further questions?

25 MRS. BOWERS: Mr. Stridiron?

1 MR. STRIDIRON: We have no further questions.

2 MRS. BOWERS: Mr. Pendergraft?

3 MR. PENDERGRAFT: We have no further questions.

4 MRS. BOWERS: The next item on the agenda is to
5 talk about post-hearing procedures and schedules. And we will
6 want to talk about the time for the proposed findings of fact
7 and conclusions of law.

8 Mr. Schwarz, do you have a statement in this area?

9 MR. SCHWARZ: Mrs. Bowers, we have been in communi-
10 cation with counsel for the Staff, and anticipate the filing
11 of a joint proposed findings just as promptly as the Board
12 may -- well, promptly. We would appreciate any comment the
13 Board might have on what their wishes are.

14 MRS. BOWERS: Well, we would like to have them as
15 promptly as possible.

16 MR. SCHWARZ: Thank you, Mrs. Bowers.

17 MRS. BOWERS: The Board does have other commitments
18 until the first part of December. Like the 2nd of December.
19 So anything that would come in prior to that date would not
20 be acted on.

21 Do you think you can meet that date or soon there-
22 after?

23 MR. SCHWARZ: The Applicants, I feel, can meet
24 that date. Mr. Stridiron would like to speak for the Staff.

25 MR. STRIDIRON: Yes, I believe the Staff can be

can?

1 ready with joint proposed findings by December 2nd.

2 MRS. BOWERS: Mr. Pendergraft, are you going to
3 be participating in this?

4 MR. PENDERGRAFT: We will review the findings when
5 they are filed, but we don't want to delay unnecessarily.
6 We are agreeable to what counsel has already proposed. We
7 have talked to them about it.

8 MRS. BOWERS: You would perhaps be in on an early
9 draft so that when the Board receives the joint proposed
10 findings, we will feel free to act on them, both Applicant
11 and Staff and the State of Texas have done their final posi-
12 tion.

13 Are you shaking your head yes, Mr. Pendergraft?

14 MR. PENDERGRAFT: I am saying yes, that is agree-
15 able to us. I am sure we can work that out among counsel.

16 MRS. BOWERS: Are you saying in our hands by
17 December 2nd, or it will be in the mail by December 2nd?

18 MR. SCHWARZ: We would anticipate it being in your
19 hands, Mrs. Bowers.

20 MRS. BOWERS: The Board has nothing further.

21 Let me check with each party and see if there is
22 any other unfinished business that needs to be taken care of.
23 Mr. Schwarz?

24 MR. SCHWARZ: We have nothing, Mrs. Bowers.

25

can?

1 MRS. BOWERS: Mr. Pendergraft?

2 MR. PENDERGRAFT: We have nothing.

3 MRS. BOWERS: Mr. Stridiron?

4 MR. STRIDIRON: The Staff has no further matter to
5 put before the Board.

6 MRS. BOWERS: And there are no matters that the
7 record needs to be kept open for. All testimony and all
8 evidence is in. Is that correct, Mr. Schwarz?

9 MR. SCHWARZ: I believe that is correct,
10 Mrs. Bowers.

11 MRS. BOWERS: Mr. Pendergraft?

12 MR. PENDERGRAFT: That's correct.

13 MRS. BOWERS: Mr. Stridiron.

14 MR. STRIDIRON: On the Staff's side, that is
15 correct.

16 MRS. BOWERS: Then the record will be closed and
17 this proceeding will adjourn.

18 We would like to thank you and the audience for
19 your very cooperative participation in this proceeding and we
20 will look forward to receiving the proposed findings and con-
21 clusions of law December 2nd.

22 (Whereupon, at 2:15 p.m., the hearing was
23 adjourned.)

24

25