Official Transcript of Proceedings NUCLEAR REGULATORY COMMISSION

Title: ACRS Regulatory Policies and Practices Subcommittee

Docket Number: N/A

Location: Rockville, Maryland

Date: August 22, 2018

Work Order No.: NRC-3860

Pages 1-184

NEAL R. GROSS AND CO., INC. Court Reporters and Transcribers 1323 Rhode Island Avenue, N.W. Washington, D.C. 20005 (202) 234-4433

	1
1	
2	
З	
4	DISCLAIMER
5	
6	
7	UNITED STATES NUCLEAR REGULATORY COMMISSION'S
8	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
9	
10	
11	The contents of this transcript of the
12	proceeding of the United States Nuclear Regulatory
13	Commission Advisory Committee on Reactor Safeguards,
14	as reported herein, is a record of the discussions
15	recorded at the meeting.
16	
17	This transcript has not been reviewed,
18	corrected, and edited, and it may contain
19	inaccuracies.
20	
21	
22	
23	
	1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	1
1	UNITED STATES OF AMERICA
2	NUCLEAR REGULATORY COMMISSION
3	+ + + + +
4	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
5	(ACRS)
6	+ + + + +
7	REGULATORY POLICIES AND PRACTICES SUBCOMMITTEE
8	+ + + + +
9	WEDNESDAY
10	AUGUST 22, 2018
11	+ + + + +
12	ROCKVILLE, MARYLAND
13	+ + + + +
14	The Subcommittee met at the Nuclear
15	Regulatory Commission, Two White Flint North, Room
16	T2B1, 11545 Rockville Pike, at 1:00 p.m., Walter L.
17	Kirchner, Chairman, presiding.
18	COMMITTEE MEMBERS:
19	WALTER L. KIRCHNER, Chairman
20	RONALD G. BALLINGER, Member
21	DENNIS C. BLEY, Member
22	MICHAEL L. CORRADINI, Member
23	JOSE A. MARCH-LEUBA, Member
24	JOY L. REMPE, Member
25	MATTHEW W. SUNSERI, Member
	1

1	DESIGNATED FEDERAL OFFICIAL:
2	QUYNH NGUYEN
3	ALSO PRESENT:
4	ANNA BRADFORD, NRO
5	MICHELLE HART, NRO
6	ARCHIE MANOHARAN, TVA
7	BRUCE MUSICO, NSIR
8	RAYMOND SCHIELE, TVA
9	DANIEL STOUT, TVA
10	MALLECIA SUTTON, NRO
11	KENNETH THOMAS, NSIR
12	SCOTT WEBBER, NuScale
13	ALEX YOUNG, TVA
14	*Present via telephone
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	

2

	3
1	TABLE OF CONTENTS
2	Page
3	Opening Remarks
4	Walter Kirchner 4
5	Introductions and Overview
6	Anna Bradford
7	Chapter 13, Section 13.3:
8	Emergency Planning
9	Daniel Stout, Raymond Schiele,
10	Archie Manoharan, and Alex Young 9
11	Safety Evaluation Chapter 13,
12	Section 13.3: Emergency Planning
13	Mallecia Sutton, Bruce Musico,
14	and Michelle Hart 67
15	Public Comment
16	Walter Kirchner
17	Committee Discussion
18	Walter Kirchner
19	Adjourn
20	Walter Kirchner
21	
22	
23	
24	
25	

	4
1	PROCEEDINGS
2	(12:59 p.m.)
3	CHAIRMAN KIRCHNER: The meeting will now
4	come to order.
5	This is a meeting of the Regulatory
6	Policies and Practices Subcommittee of the Advisory
7	Committee on Reactor Safeguards.
8	I am Walt Kirchner, the Chairman of this
9	subcommittee meeting. ACRS members in the room are
10	Ron Ballinger, Dennis Bley, Matt Sunseri, Joy Rempe,
11	and Jose March-Leuba. Quynh Nguyen, who is of the
12	ACRS staff, is the designated federal official for
13	this hearing.
14	The subcommittee will hear from
15	representatives of TVA and the staff regarding a
16	Section 13.3, Emergency Planning, of TVA's Clinch
17	River early site permit application and the
18	corresponding safety evaluation.
19	The subcommittee will gather information,
20	analyze relevant issues and facts, and formulate
21	proposed positions and actions, as appropriate for
22	full deliberation by the full committee.
23	The ACRS was established by statute and is
24	governed by the Federal Advisory Committee Act. This
25	means that the committee can only speak through its

(202) 234-4433

	5
1	published letter reports. We hold meetings to gather
2	information to support our deliberations.
3	Interested parties who wish to provide
4	comments can contact our offices requesting time after
5	the meeting announcement is published in the Federal
6	Register. That said, we also set aside some time for
7	spur of the moment comments from members of the public
8	attending or listening to our meetings. Written
9	comments are also welcome.
10	In regard to early site permits, 10 CFR
11	52.23 provides that the Commission shall refer a copy
12	of the application to the ACRS and the committee shall
13	report on those portions which concern safety.
14	The ACRS section of the U.S. NRC public
15	website provides our charter, bylaws, letter reports,
16	and full transcripts of all full and subcommittee
17	meetings, including slides presented at the meetings.
18	The rules for participation in today's
19	meeting were previously announced in the Federal
20	Register. We have received no written comments or
21	requests for time to make oral statements from members
22	of the public regarding today's meeting. Is that
23	still true? Yes, okay.
24	We have a bridge line established you
25	can hear the static for interested members of the

(202) 234-4433

	6
1	public to listen in. To preclude interruption of the
2	meeting, the phone bridge will be placed in a listen-
3	in mode during the presentations and maybe
4	discussions. We will unmute the bridge line at a
5	designated time to afford the public an opportunity to
6	make a statement or provide comments.
7	At this time, I request that meeting
8	attendees and participants silence their cell phones
9	and any other electronic devices that are audible.
10	A transcript of the meeting is being kept
11	and will be made available as stated in the Federal
12	Register notice. Therefore, we request that
13	participants in this meeting use the microphones
14	located throughout the meeting room when addressing
15	the subcommittee. The participants should first
16	identify themselves and speak with sufficient clarity
17	and volume so that they may be readily heard. Make
18	sure the little green light of the microphone is on
19	before speaking and off when not in use.
20	Before we proceed with the meeting, we
21	have been joined by our chairman, Mike Corradini.
22	Do we have Pete on the line?
23	MEMBER CORRADINI: He was. I do not think
24	he is.
25	CHAIRMAN KIRCHNER: Okay. So at this
	1

(202) 234-4433

	7
1	point, I think I can turn to Anna Bradford, who is the
2	Deputy Director over in NRO.
3	MS. BRADFORD: Thank you. Again, my name
4	is Anna Bradford. I am the Deputy Director of the
5	Division of Licensing, Siting, and Environmental
6	Analysis in the Office of New Reactors.
7	This morning, you heard from the staff on
8	a proposed rule for emergency planning for small
9	modular reactors and other new technologies. In the
10	SRM for SECY-15-0077, the Commission directed the
11	staff to use its existing exemption processes with
12	changes to emergency planning zone sizes, where
13	requested by an applicant prior to the rule being
14	completed.
15	This afternoon, we will discuss an
16	exemption request from the TVA Clinch River Nuclear
17	Site that was reviewed against the current regulations
18	and guidance.
19	The TVA early site permit application
20	includes a proposed methodology that, if approved,
21	could be used by a future combined license applicant
22	to establish a plume exposure pathway emergency
23	planning zone at the site boundary or a plume exposure
24	pathway emergency planning zone with a two-mile radius
25	if certain conditions are met. If these exemptions
	1

(202) 234-4433

1	are approved as part of the ESP, they will	be
2	accompanied by permit conditions specifying	the
3	circumstances under which they can be used by	the
4	combined license applicant.	

As you will hear, the NRC staff evaluated TVA's proposed methodology for determining a plume 6 exposure pathway emergency planning zone, the proposed major feature's emergency plans, and the associated 8 exemption request to determine whether they would be 9 protective of public health and safety. 10

It is important to note that the plume 11 exposure pathway emergency planning zone size itself 12 for the site will not be finalized in the early site 13 14 permit, if approved. The appropriate plume exposure pathway emergency planning zone size for the site will 15 not be determined until a combined license application 16 that references a specific small modular reactor 17 design is submitted and reviewed for the Clinch River 18 Nuclear Site. 19

Separately, other subcommittee meetings on 20 the other chapters of the safety evaluation report for 21 early site permit application are currently 22 the planned for October 2018 and our goal is to have the 23 ACRS full committee in November or December of 2018. 24 I will now turn the presentation over to 25

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

5

7

(202) 234-4433

8

	9
1	TVA. Thank you.
2	MR. STOUT: Thank you, Anna.
3	So on behalf of TVA, I want to thank you
4	for the opportunity to come and present. I'm Dan
5	Stout, Senior Manager, Small Modular Reactors for TVA.
6	I've been working in the nuclear business for about 33
7	years at TVA, managing SMRs for about six years.
8	I also have Archie Manoharan and Alex
9	Young, who are going to cover part of the
10	presentation. Ray Schiele, to my left here, is our
11	Licensing Manager. And we have a number of TVA
12	employees and contractors able to support.
13	I do want to make the point that
14	protecting public health and safety is our highest
15	priority and we take our responsibility with respect
16	to emergency preparedness very seriously.
17	Here on slide 2 I want to acknowledge the
18	Department of Energy is a partner in the work that we
19	do. They not only support us in terms of programs and
20	resources, but they have been reimbursing roughly 50
21	percent of our costs in the work that we're doing.
22	Nevertheless, the views that are expressed are TVA's
23	alone.
24	Slide 3: The work that TVA is doing on
25	small modular reactors and on emergency preparedness

(202) 234-4433

1 is consistent with TVA's mission to make life better for the people in the Tennessee Valley by providing 2 3 safe, clean, affordable, and reliable electricity. 4 Nuclear energy, in general, is important to our 5 environmental stewardship and economic development missions. 6 7 TVA provides electricity to 154 local 8 power companies who serve the 900 -- I'm sorry -- nine 9 million customers of the Tennessee Valley throughout 10 about seven states. We also directly serve 54 industrial customers and that includes the Department 11 of Energy. 12

Slide 4: TVA's nuclear fleet generates roughly 40 percent of our electricity. We have seven nuclear units at three sites: Browns Ferry, a threeunit plant in Alabama; Sequoyah and Watts Bar, both two-unit plants in Tennessee.

The blue star in this figure is located on the Watts Bar Reservoir and the nearest large city is Knoxville. It is actually within the city limits of Oak Ridge in Roan County, Tennessee.

22 On slide 5 I have a high-level overview of 23 the NRC review schedule. I wanted to provide this to 24 give you the frame of reference of where we are. We 25 submitted the application in May of 2016. It was

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	11
1	accepted at the end of 2016 and in March 2017, the NRC
2	issued its review schedule. One of those milestones
3	is the ACRS review March 26, 2019.
4	We have completed one subcommittee
5	meeting. This is the second. We anticipate one or
6	two more and then hoping that the full committee
7	meeting is in advance of that milestone date.
8	The second line down shows environmental
9	review. The NRC's published schedule calls for the
10	final EIS in June of 2019. The NRC did issue the
11	draft environmental impact statement about five weeks
12	early. We're hoping that that trend continues there
13	as well.
14	Moving down to the last row is the
15	hearings. And a point of note on July 31st, the
16	Atomic Safety and Licensing Board dismissed the last
17	contention, denied two others that were proposed, and
18	terminated the contested hearing.
19	Slide 6.
20	MEMBER CORRADINI: So the hearings are
21	concluded?
22	MR. STOUT: The ASLB has terminated the
23	contested hearing. There will be a mandatory hearing
24	after the NRC concludes the final safety evaluation
25	report.
	I

(202) 234-4433

	12
1	MEMBER CORRADINI: Okay, thank you.
2	MR. STOUT: So now I turn to the
3	development of the early sit permit application and
4	emergency preparedness content, in particular.
5	TVA used a plant parameter envelope in
6	formulating the early site permit application,
7	consistent with 10 CFR Part 52 and it's based on the
8	design information that was supplied to us from the
9	four light water small modular reactor designs under
10	development at that time. Those include NuScale,
11	Holtec, mPower, and Westinghouse.
12	Now TVA has not selected a design for the
13	Clinch River Site yet. That is something that is
14	necessary for future licensing action in the COLA.
15	These new designs do include significant advances in
16	safety, such as smaller source terms from postulated
17	accidents, slower accident progression, and more
18	reliance on passive safety features. With this in
19	mind, TVA developed a dose-based consequence-oriented
20	approach to determine the EPZ size, which considers
21	the unique design and safety features of the SMRs.
22	NUREG-0396, which introduced the concept
23	of emergency planning zones is about 40 years old.
24	TVA's approach to determining the EPZ size uses the
25	same dose criteria as the NUREG. The approach that we
I	1

(202) 234-4433

5 TVA's approach is also consistent with 6 SECY-15-0077, where the staff proposed a consequence-7 based approach. TVA analyzes a spectrum of accidents, 8 both design basis and beyond design basis, and 9 considers defense-in-depth to ensure public health and 10 safety protection at the EPZ boundary.

We're applying more precise analysis to ensure that public dose is below the dose limits at the EPZ boundary. The establishment of a site boundary or two-mile zone remains the same basis for level of protection as an existing ten-mile zone provides for operating plants.

So as TVA evaluated the design information from the four SMR designs, we concluded that it was likely that all four would be able to meet the dose criteria at a two-mile radius and at least one would be able to meet site boundary, which is roughly 1,100 feet.

23 So TVA developed two distinct major 24 features emergency plans and included them in the 25 early site permit application and sought NRC's review

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

(202) 234-4433

13

14

and approval of both. There remains this additional licensing step at COLA phase, where a specific design must be selected and analyzed. In that potential future licensing step, TVA could include one of these two major features emergency plans if the detailed analysis confirms their applicability that the public dose is below the dose limits.

8 MEMBER CORRADINI: So if I might just 9 clarify, you used information from the four candidates 10 to help define the two miles, or you had defined the 11 two miles and you did some sample calculations, or are 12 we going to get into that?

MR. STOUT: It's more the former. We looked at the information that we got, made a determination that two miles ought to be sufficient. MEMBER CORRADINI: Okay.

17 MR. STOUT: Two miles is essentially a That's kind of how we viewed surrogate for scalable. 18 19 We think that so by having approval of it, let's it. suppose in the COLA phase we end up determining, 20 through analysis, that we reach the PAG at one mile. 21 Well, we can't use site boundary. We have to use two-22 23 So that's how it would work. mile. 24 Last --

MEMBER BLEY: And that's all based on a

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

25

	15
1	single module.
2	MR. STOUT: No, we considered both design
3	basis and beyond design basis. Multi-module would be
4	in the design basis phase.
5	MEMBER BLEY: Okay and you still come up
6	okay.
7	MEMBER CORRADINI: Well I guess that leads
8	me to the non-bulleted sub thing, which is combined
9	nuclear generating capacity for Clinch River Site is
10	not to exceed 800 megawatts or 24
11	So you took combinations that would look
12	as large of a thermal output and an associated source
13	term as that limit? That's I think where
14	MR. STOUT: So we have a number of
15	detailed slides and we're going to walk through the
16	methodology
17	MEMBER CORRADINI: Okay.
18	MR. STOUT: and we'll provide an
19	example calculation for information.
20	MEMBER CORRADINI: Okay, thank you.
21	MR. STOUT: All right. So with that,
22	consider this as all background. Now, let's jump into
23	the details of TVA's emergency preparedness content in
24	the ESPA. And I'm going to turn it over to Archie.
25	MS. MANOHARAN: Thank you, Dan.

(202) 234-4433

	16
1	Good afternoon. My name is Archie
2	Manoharan. I have been part of the licensing team at
3	TVA's Clinch River as the mod project for over a year.
4	Prior to that, I've been in licensing for over ten
5	years. And thank you for having us and giving us this
6	opportunity to present today.
7	As Dan said, we would like to present
8	details of the emergency preparedness information in
9	the application in the early sit permit
10	application. I would first like to begin with an
11	outline of the presentation we have for you today.
12	To fully understand the emergency
13	preparedness approach for a small modular reactor at
14	the Clinch River Site, information in three parts of
15	the application needs to be considered. Today we are
16	going to discuss and present information from Part 2,
17	the Site Safety Analysis Report, and Part 5, Emergency
18	Plan, Part 6, Exemptions and Departures.
19	Specifically in Part 2, in Section 13.3,
20	Emergency Preparedness Information and Section 13.3.3,
21	which discusses the dose-based consequence of
22	methodology that Dan had alluded to in the slide
23	before.

24This methodology and the small modular25reactor design features are the basis for the

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

emergency preparedness approach that we are proposing in the application. Based on this methodology, two distinct emergency plans have been put together in Part 5. In Part 5A, major features of an emergency plan that would support a site boundary EPZ are discussed. In Part 5B, major features of an emergency plan for a two-mile EPZ are discussed.

As Dan already mentioned, an SMR design for the Clinch River Site has not been selected yet. So in Part 2, we are seeking review and approval of the methodology and in Part 5, we are seeking review and approval by the staff of the major features of these emergency plans.

14 In a future COLA, once the reactor design 15 small modular reactor design has been once a 16 selected, the dose-based methodology will be implemented to show that the dose criteria is either 17 met at site boundary or two-mile. If it's met at site 18 19 boundary, then the Part 5A emergency plan, major features emergency plan, will be utilized to create a 20 complete and integrated emergency plan and COLA. 21 Ιf the dose criteria is met at two-mile EPZ, then the 22 Part 5B major features emergency plan will be utilized 23 24 to create a complete and integrated emergency plan in COLA. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

(202) 234-4433

17

	18
1	To support the information in Part 5, a
2	set of exemption requests have been described and
3	submitted in Part 6 of the ESPA. We will go over
4	these in detail in the next slides. But just to avoid
5	any potential confusion, unless stated otherwise, the
6	terms emergency planning zone, EPZ, refers to plume
7	exposure pathway emergency planning zone. We will try
8	our best to use the entire term but when we say EPZ,
9	we are referring to plume exposure pathway.
10	Next slide, please.
11	MEMBER SUNSERI: Archie, could I ask you
12	to move your microphone a little closer?
13	MEMBER CORRADINI: Yes, can you repeat
14	what you just said at the end? I didn't catch it.
15	MS. MANOHARAN: Oh.
16	MEMBER CORRADINI: And closer still for
17	your mike.
18	CHAIRMAN KIRCHNER: Thank you.
19	MS. MANOHARAN: To avoid any potential
20	confusion, we are going to the terms emergency
21	planning zone or EPZ, when we use those terms, we are
22	referring to plume exposure pathway emergency planning
23	zone.
24	MEMBER BLEY: Not ingestion.
25	MS. MANOHARAN: Not ingestion and my next
1	

(202) 234-4433

	19
1	slide explains why.
2	MEMBER BLEY: Okay.
3	MS. MANOHARAN: So in the course of the
4	staff's review of the emergency preparedness
5	information in our application, several requests for
6	additional information were issued. You see a few
7	listed here. In addition to the two that are listed,
8	RAI-9227 was also issued earlier this year, which is
9	not listed on this slide. But as a response to that
10	additional RAI, we withdrew our request for ingestion
11	exposure pathway exemption requests. And, therefore,
12	EPZ refers to plume exposure pathway.
13	Two audits were held to review the dose-
14	based methodology described in Section 13.3 and also
15	focused on reviewing the example analysis that was
16	conducted by TVA to show that the dose criteria can be
17	met at Clinch River Site boundary. Alex Young is
18	going to walk through the example analysis in a few
19	slides.
20	Starting with our information in Part 2,
21	Section 13.3.1, Physical Characteristics, this section
22	describes information concerning site description and
23	area population. As the figure here illustrates the
24	site vicinity, you can see the Clinch River Site in
25	the central of the figure there north of Interstate I-
	1

(202) 234-4433

	20
1	40. The Interstate I-40 is located about a mile away
2	from the site. The gray shaded area to the northeast
3	of the site is the DOE Oakridge Reservation. And two
4	towns are visible in this figure, Kingston to the west
5	about 6.8 miles away, and Lenoir City to the southeast
6	about 8.8. miles away.
7	Next slide.
8	MEMBER CORRADINI: So is there where
9	Clinch River Breeder Reactor, is that the same site
10	we're talking about?
11	MS. MANOHARAN: That's it.
12	MEMBER CORRADINI: Okay. So this is
13	irrelevant but curiosity. So when CRBR was being
14	considered, what was their emergency planning zone?
15	It was only 40 years ago. I don't see what's the
16	problem.
17	MR. STOUT: I don't know.
18	MEMBER CORRADINI: Yes? Oh, they
19	submitted to the NRC. Okay.
20	And then the second part of it is, if
21	you're within the EPZ if your EPZ is within I
22	can't remember the distance 1200 feet, it's all
23	within the red.
24	MR. STOUT: Yes, sir.
25	MS. MANOHARAN: That's correct.
I	I contraction of the second

(202) 234-4433

21
MEMBER CORRADINI: And just for the sake
of thinking it through, what is two miles from the red
dot the red star?
MS. MANOHARAN: I have a slide that is
coming up that actually shows the exact size.
MEMBER CORRADINI: Okay, fine. All right,
sorry.
MS. MANOHARAN: So that will answer that
question.
MEMBER CORRADINI: Okay, thank you.
MS. MANOHARAN: Okay. Section 13.3.3 in
Part 2 describes a dose-based consequence or entered
methodology for determining an appropriate EPZ size
for a small modular reactor at the Clinch River Site.
This approach, this methodology uses the same approach
and is consistent with the NUREG-0396 approach.
NUREG-0396 provided a basis for federal,
state, and local government agencies preparedness
organizations to determine the appropriate degree of
emergency response planning efforts in the area
surrounding a nuclear power plant. The report
introduced the concept of a generic EPZ as the basis
for planning of response actions which would result in
a dose savings in areas surrounding a nuclear plant in
case of a serious reactor accident.

(202) 234-4433

	22
1	The NUREG concluded that the objective of
2	an emergency plan emergency response plan should be
3	to provide dose savings for a spectrum of accidents
4	that could produce offsite doses in excess of
5	protective action guides, PAGs.
6	Consistent with this recommendation, the
7	dose-based methodology that is described in the ESPA
8	analyzes a spectrum of accidents and uses the same
9	dose criteria that is used in NUREG-0396, which is the
10	one rem total effective dose equivalent limit
11	established in the EPA PAGs.
12	What the dose-based methodology does is
13	take into consideration the unique SMR design features
14	which vary significantly from large light water
15	reactors. For example, SMRs have smaller cores.
16	Their source terms are expected to be several
17	magnitudes lower than large light water reactors,
18	which results in reduced accident consequences, as
19	demonstrated in the example analysis that we'll go
20	over in a minute, and also are expected to have
21	reduced likelihood of accidents. Their core damage
22	frequency is expected to be several magnitudes
23	reduced, compared to large light water reactors and
24	also are expected to have slower accident progression,
25	which allows for more time to take mitigative actions.
	I contract of the second s

(202) 234-4433

	23
1	Next slide.
2	CHAIRMAN KIRCHNER: This may be, on my
3	part, maybe just quibbling with the words in the
4	previous field graph that rigorously, it doesn't
5	ensure protection for doses above one rem. The one
6	rem is the trigger point to start your emergency
7	planning. And that's no guarantee that it's less than
8	one rem exposure. That's the intent.
9	So it's more trigger than it is and
10	it's a measure to protect the public against dose
11	aversion but it's not a guarantee that a member of the
12	public wouldn't get 1.5 rem or whatever total dose,
13	right?
13 14	right? MS. MANOHARAN: Yes.
13 14 15	right? MS. MANOHARAN: Yes. CHAIRMAN KIRCHNER: Okay.
13 14 15 16	right? MS. MANOHARAN: Yes. CHAIRMAN KIRCHNER: Okay. MS. MANOHARAN: The intent of that
13 14 15 16 17	right? MS. MANOHARAN: Yes. CHAIRMAN KIRCHNER: Okay. MS. MANOHARAN: The intent of that supplement was to show that we are using one rem TEDE.
13 14 15 16 17 18	right? MS. MANOHARAN: Yes. CHAIRMAN KIRCHNER: Okay. MS. MANOHARAN: The intent of that supplement was to show that we are using one rem TEDE. But I do your point is noted. Thank you.
13 14 15 16 17 18 19	right? MS. MANOHARAN: Yes. CHAIRMAN KIRCHNER: Okay. MS. MANOHARAN: The intent of that supplement was to show that we are using one rem TEDE. But I do your point is noted. Thank you. Next slide, please.
13 14 15 16 17 18 19 20	right? MS. MANOHARAN: Yes. CHAIRMAN KIRCHNER: Okay. MS. MANOHARAN: The intent of that supplement was to show that we are using one rem TEDE. But I do your point is noted. Thank you. Next slide, please. The technical criteria for determining a
13 14 15 16 17 18 19 20 21	right? MS. MANOHARAN: Yes. CHAIRMAN KIRCHNER: Okay. MS. MANOHARAN: The intent of that supplement was to show that we are using one rem TEDE. But I do your point is noted. Thank you. Next slide, please. The technical criteria for determining a plume exposure path for the EPZ has three criteria, A,
13 14 15 16 17 18 19 20 21 22	right? MS. MANOHARAN: Yes. CHAIRMAN KIRCHNER: Okay. MS. MANOHARAN: The intent of that supplement was to show that we are using one rem TEDE. But I do your point is noted. Thank you. Next slide, please. The technical criteria for determining a plume exposure path for the EPZ has three criteria, A, B, and C.
13 14 15 16 17 18 19 20 21 22 23	right? MS. MANOHARAN: Yes. CHAIRMAN KIRCHNER: Okay. MS. MANOHARAN: The intent of that supplement was to show that we are using one rem TEDE. But I do your point is noted. Thank you. Next slide, please. The technical criteria for determining a plume exposure path for the EPZ has three criteria, A, B, and C. Criterion A encompasses those areas in
13 14 15 16 17 18 19 20 21 22 23 24	right? MS. MANOHARAN: Yes. CHAIRMAN KIRCHNER: Okay. MS. MANOHARAN: The intent of that supplement was to show that we are using one rem TEDE. But I do your point is noted. Thank you. Next slide, please. The technical criteria for determining a plume exposure path for the EPZ has three criteria, A, B, and C. Criterion A encompasses those areas in which projected dose from design basis accidents could
13 14 15 16 17 18 19 20 21 22 23 24 25	right? MS. MANOHARAN: Yes. CHAIRMAN KIRCHNER: Okay. MS. MANOHARAN: The intent of that supplement was to show that we are using one rem TEDE. But I do your point is noted. Thank you. Next slide, please. The technical criteria for determining a plume exposure path for the EPZ has three criteria, A, B, and C. Criterion A encompasses those areas in which projected dose from design basis accidents could exceed EPA PAGS. Criterion B encompasses those areas

(202) 234-4433

1 in consequences -- for which consequences of less severe core melt accidents with intact containment 2 For C, it ensures that 3 could exceed the EPA PAGs. 4 this EPZ is of sufficient size to provide substantial 5 reduction in early severe health effects in the event of severe core melt -- in more severe core melt 6 7 accidents with containment by this failure. 8 Next slide, please. 9 MEMBER MARCH-LEUBA: Tell me what a less 10 severe core melt is. I mean on B, you said the consequences of a less severe core melt accident. 11 MS. MANOHARAN: 12 Yes. What is that? 13 MEMBER MARCH-LEUBA: MS. MANOHARAN: So the less severe core --14 15 just one second here. Yes, so the accident scenarios 16 would include core melt accidents with intact 17 containment beyond design basis scenarios and accident scenarios with core damage frequencies greater than 10 18 19 to the negative six, which I will explain in the next 20 _ _ MEMBER MARCH-LEUBA: You'll explain later? 21 MS. MANOHARAN: 22 Yes. MEMBER MARCH-LEUBA: I'll wait. 23 MS. MANOHARAN: And there is a distinction 24 between each of them, which we will go over. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

24

	25
1	MEMBER BLEY: So there is both a frequency
2	component to this and it is a contained melt.
3	MS. MANOHARAN: That is correct.
4	MEMBER CORRADINI: Did you really want to
5	say yes to that? In other words, you're assuming at
6	all times the containment is intact? Because I got
7	the impression you're looking for the collection, I
8	thought the collection of sequences that are both for
9	intact containments, which might have an unphysically
10	I'll use the word unphysical a prescribed source
11	term with an intact containment as well as PRA
12	sequences that would have a variety of source terms
13	but the containment could be bypassed.
14	MEMBER BLEY: It has the frequency element
15	on it, right?
16	MR. YOUNG: So I'd just like to clarify.
17	The criterion B portion, the less severe core melt
18	accidents is only looking at the intact containment.
19	MEMBER CORRADINI: Okay.
20	MR. YOUNG: The containment failure bypass
21	is handled in criterion C, which is the early severe
22	or the more severe core melt accident.
23	MEMBER CORRADINI: Okay, that's fine. And
24	then I thought you had said, I want to make sure, that
25	you have a frequency cut-off.
	1

(202) 234-4433

	26
1	MS. MANOHARAN: Yes, which is coming up in
2	the next slides.
3	MEMBER CORRADINI: Okay, fine. Thank you.
4	Okay, so we are at the frequency cutoff
5	slide, so the criterion A and B methodology
6	implementation. To verify that the dose consequences
7	beyond the EPZ do not exceed the EPA early phase PAGs,
8	the methodology starts with selecting appropriate
9	accident scenarios. The accident scenarios would mean
10	core damage frequency of 1E to the negative 6 per
11	reactor year is being selected.
12	Based on the accident scenarios that I've
13	selected, the source terms I calculated and the dose
14	consequence for the selected accident scenarios are
15	evaluated.
16	MEMBER BLEY: Now you're in category C,
17	right?
18	MS. MANOHARAN: This is still 1E to the
19	negative 6 per reactor year and then intact
20	containment. So we are in
21	MEMBER BLEY: Oh, so you're still in B.
22	MR. YOUNG: Yes, so the blue box is
23	important.
24	MS. MANOHARAN: Yes, so we group A and B
25	together and this slide discusses how criterion A and
1	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	27
1	B are evaluated. The next slide talks about how
2	criteria C is evaluated.
3	MEMBER CORRADINI: And then okay. I'm
4	not sure how to ask the question so let me ask it this
5	way.
6	So you're assuming that the containment is
7	intact during these in criterion A and B,
8	regardless of the accident sequence or is it
9	interwoven with the sequence itself tells you whether
10	the containment is in or out?
11	MR. YOUNG: The latter.
12	MEMBER CORRADINI: The latter.
13	MR. YOUNG: So if it meets the cutoff
14	frequency we've established here, we're only looking
15	at those accidents that are intact containment that
16	meet this cutoff frequency.
17	MEMBER CORRADINI: Okay. So my second
18	part of the question is where did you get 10 to the
19	minus 6 mean? Because as you get to these I'm
20	waiting for Dr. Kirchner to say this but I'll steal
21	his thunder. The uncertainty is such that is mean the
22	right value? Is 10 to the minus 6 with the mean the
23	right? Why? Why 10 to the minus six? Why mean?
24	MR. YOUNG: Sure. So the main core damage
25	frequency cutoff criteria we've established for

(202) 234-4433

	28
1	criterion B and C is established by a significant
2	amount of industry documentation. A lot of that
3	industry documentation identifies E to the minus 6 as
4	a point that most accidents are encompassed by that.
5	An example of that would include the SOARCA analysis.
6	MEMBER CORRADINI: Yes, well, don't point
7	to them. I'm looking at our resident PRA expert
8	because that surprised me.
9	MEMBER BLEY: I don't quite get this. If
10	you've done a PRA, if you had a plant, there are a
11	great many accidents at lower frequency and,
12	depending, some or a lot above this. I don't quite
13	understand it.
14	MEMBER CORRADINI: But you put everything
15	I guess what I'm trying to understand is you put
16	everything into two baskets. First, regardless of the
17	basket, you're only looking at things that pop at 10
18	to the minus 6 or larger. And then, depending upon
19	the sequence, if the containment fails or not fails,
20	you have it in two bins.
21	MR. YOUNG: And so if the containment
22	fails, it would not be considered in the criterion B
23	greater than 1E-6. We have a cutoff frequency that is
24	further down line for criterion C. So if you did have
25	a cutoff frequency, you would have to evaluate that in
l	I

(202) 234-4433

	29
1	criterion C.
2	MEMBER CORRADINI: Okay, I think I got it.
3	MS. MANOHARAN: So the very last step in
4	the methodology, implementation for criteria A and B
5	is to take the dose consequences calculated and
6	compare them to the EPA early phase PAG to ensure that
7	they are not exceeding.
8	So next slide, Criterion C. So EPZ should
9	be of sufficient size to provide substantial reduction
10	in early severe health effects in the event of a more
11	severe more melt accidents with intact containment.
12	So the first three steps are similar to
13	criteria A and B in that appropriate accident
14	scenarios, as selected, the cutoff here is mean core
15	damage frequency greater than 1E to the negative 7 per
16	reactor year. And source terms are calculated for the
17	selected accident scenarios and dose consequences from
18	those were evaluated.
19	There are two additional steps in
20	criterion C, which is to calculate the distance at
21	which the conditional probability to exceed 200 rem
22	whole body exceeds 1E to the negative 3 per reactor
23	year, consistent with the basis provided in NUREG-0396
24	and, finally, to compare the distance to the EPZ to
25	ensure that it is of sufficient size.
	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	30
1	Next slide, please. I would like to turn
2	it over to Alex Young, who is going to walk through
3	the example analysis that was conducted as a result of
4	an RAI request.
5	MR. YOUNG: Thanks, Archie. My name is
6	Alex Young. I'm part of the engineering team working
7	design engineering for the Clinch River project for
8	TVA. I've been working on this project for about four
9	years now.
10	Over the course of the review, one of the
11	things that was requested of TVA was for us to provide
12	some additional information that demonstrates that the
13	methodology we've just described can be implemented
14	and that the criteria for both the EPA early phase PAG
15	limits and the substantial reduction early health
16	effects can be met by an SMR design considered in an
17	OSI permit application.
18	To demonstrate this methodology, Clinch
19	River Site-specific example calculation was performed.
20	At the COLA, the applicant will still need to perform
21	an evaluation of whichever design is chosen for COLA.
22	This is just an example to demonstrate the
23	methodology.
24	This example calculation utilizes a
25	NuScale design that is assumed to be sited at the
	I contract of the second se

(202) 234-4433

Clinch River Site. So we used NuScale-specific design information like PRA and source terms and applied it to Clinch River Site's specific information like meteorological data and conservative assumptions like the 1,100 foot distance from release boundary to site boundary.

To summarize the evaluation, we start with criterion A, looking at design basis accidents. We utilized the design basis source term determined in NuScale's Chapter 15 of their design cert to calculate a dose of 0.104 rem and that leaves a significant amount of margin compared to the one rem limit that was established.

14 And we after we evaluated the design basis accidents, we considered the less severe core melt 15 16 accidents, which are those of the criterion B 17 evaluation. For this criterion, we look at accident scenarios with the main core damage frequency greater 18 19 than the 1E minus 6 and they have intact containments. But for the NuScale design, there are no accident 20 scenarios that meet this cutoff frequency. 21

However, there is a note in our methodology that if no accidents meet that cutoff frequency, we will develop a surrogate source term and analyze that source term to the limits.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

32 1 MEMBER BLEY: What kind of -- sorry, go ahead. 2 3 What kind of guidance have you given 4 yourself on how you define a scenario? A clever 5 analyst can break up the scenario into many sub-6 scenarios, each one of which has a lower frequency. 7 So what kind of rules do you have to make sure these 8 10 to the minus 6 and 10 to the minus 7s are 9 meaningful? 10 MR. YOUNG: Sure so I'll start by making a statement and then I'll hand it over to help from 11 Scott Webber, who can give some more detail about how 12 we did that in our example analysis. 13 14 But we look at various timing aspects and 15 equipment availability aspects. 16 MEMBER BLEY: So you may be grouping 17 things from a PRA --MR. YOUNG: Yes. 18 19 MEMBER BLEY: -- or from higher level set that have to meet these criteria? 20 MR. YOUNG: Yes. And it would be design-21 Scott can speak to how we handled this in 22 specific. the example. 23 24 MEMBER BLEY: Okay. I'm Scott Webber, PRA Group 25 MR. WEBBER:

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	33
1	at NuScale responsible for severe accidents and
2	emergency planning zone.
3	So towards what Alex was saying, in the
4	example work that was done here, there was no need to
5	distinguish between accident scenarios and accident
6	sequences because the as-submitted NuScale PRA has a
7	total CDF that is below the screening limits. And so
8	the question of
9	MEMBER BLEY: Does that include external
10	events
11	MR. WEBBER: That's correct.
12	MEMBER BLEY: and fires?
13	MR. WEBBER: All PRA that was part of
14	NuScale's design certification is included and that's
15	everything external events, internal, except for
16	seismic, which was not required at that time.
17	So the total core damage frequency is
18	greater sorry less than the screening limits
19	and, therefore, the grouping of accidents is
20	redundant.
21	MEMBER REMPE: Okay, I got confused in
22	your response. You said you did include external
23	events but then you said excluding seismic. Is that
24	what you said? So how could you do that?
25	MR. WEBBER: Right so the seismic PRA is

(202) 234-4433

	34
1	not required for design certification PRA.
2	MEMBER REMPE: Okay.
3	MR. WEBBER: And so there is no seismic
4	here available at this time.
5	MEMBER REMPE: Okay.
6	MEMBER CORRADINI: So I'm waiting for
7	other people to ask the question but I'm the least
8	competent.
9	So what did you pick to get 0.158?
10	MR. YOUNG: Sure so as we will continue on
11	in the slides, we will get to that point.
12	MEMBER CORRADINI: Okay. And then let me
13	make sure I understand. So bin A is design basis
14	accidents that are Chapter 15 related and with
15	containment intact. And based on that collection, you
16	got a number. And then B, there was an empty set. So
17	you assumed something and got a number.
18	And C was an empty set?
19	MR. YOUNG: Sure, so
20	MEMBER CORRADINI: They never broke
21	containment?
22	MR. YOUNG: So there are well, we'll
23	cover C here in just a second about how we exclude
24	that one. I would first like to cover the what
25	accident was selected for B.
	I Contraction of the second

(202) 234-4433
	35
1	MEMBER CORRADINI: Okay.
2	MR. YOUNG: So as we mentioned for
3	criterion B, there were no accidents that SCRAMed in,
4	based on the cutoff frequency we said but we are going
5	to evaluate a surrogate source term. The source term
6	we evaluated is the most frequent accident that is
7	used to develop the Chapter 15 design basis source
8	term for the NuScale design.
9	Utilizing that source term from that
10	accident, that event, we determined the 0.158 rem.
11	MEMBER CORRADINI: What was that sequence?
12	What was the event?
13	MR. YOUNG: Sure. So the sequence is a
14	loss of DC power with an ECCS failure. To give you
15	it is several orders of magnitude below what the
16	cutoff frequency is.
17	MEMBER MARCH-LEUBA: And it results in
18	core melt?
19	MR. YOUNG: I'm sorry?
20	MEMBER MARCH-LEUBA: You end up having a
21	core melt?
22	MR. YOUNG: It does result in core damage.
23	MEMBER MARCH-LEUBA: Core damage? How
24	severe?
25	MR. YOUNG: Scott, can you speak to how

	36
1	severe the core damage is on that accident?
2	MR. WEBBER: The severity of the accident
3	is somewhat of a vague definition. There is a core
4	damage threshold that the PRA Group uses, which is a
5	peak cladding temperature of 2200 Fahrenheit that is
6	reached in all portions of the core.
7	MEMBER MARCH-LEUBA: A hundred percent of
8	the core
9	MR. WEBBER: Exceeds
10	MEMBER MARCH-LEUBA: exceeds the 2200
11	
12	MR. WEBBER: the peak cladding
13	temperature.
14	MEMBER MARCH-LEUBA: So this is a complete
15	meltdown.
16	MR. WEBBER: Well based on the NuScale
17	design, it is not it does not necessarily melt.
18	MEMBER MARCH-LEUBA: But your initial do
19	cladding.
20	MR. WEBBER: There is definitely fuel
21	failure and relocation of fuel. Melting is a sort of
22	variable, depending on the amount of cooling in the
23	scenario.
24	MEMBER MARCH-LEUBA: So the oxide doesn't
25	melt but all of the cladding disappears.
	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	37
1	MR. WEBBER: There is significant
2	oxidation in the fuel relocation, yes.
3	MEMBER CORRADINI: So now let me ask the
4	question that I've bene waiting for.
5	If I put the alternative source term up
6	with categories in terms of the seven radiological
7	groups and then I have the timing, there is a conical
8	graph of that, and I put your source term up and
9	mapped it into that, what would it look like? Because
10	I assume this is much smaller than the alternative
11	source term on the percentage basis of the core.
12	MR. YOUNG: Which what are you asking
13	is smaller?
14	MEMBER CORRADINI: If I take NUREG-1465,
15	which is the alternative source term, it has
16	categories in terms of halogens, alkaline metals,
17	blah, blah, blah, and then it has timing when to
18	release gap release in-vessel, ex-vessel, et cetera.
19	I'm kind of curious if you've mapped in
20	the source term you used based on the discussion we
21	just heard, that comparison.
22	MR. YOUNG: I'll point to Scott to talk
23	about the specific source term and how that compares.
24	MEMBER CORRADINI: Do you have a slide
25	somewhere that we could look at or something we can

(202) 234-4433

	38
1	read later?
2	MR. YOUNG: We don't provide in this
3	presentation, we don't provide the specific source
4	term for this. That would be NuScale proprietary.
5	MEMBER CORRADINI: Ah.
6	MEMBER BLEY: We might see it in our
7	review.
8	MEMBER CORRADINI: Okay. Okay, that's
9	fine. That's good enough for the moment.
10	MS. MANOHARAN: I wouldn't say that there
11	is an RAI response that has the source term
12	information. It is NuScale proprietary, so it was
13	treated appropriately.
14	MEMBER CORRADINI: Okay so then we'll turn
15	to the staff and ask them. Thank you.
16	CHAIRMAN KIRCHNER: Now just to clarify
17	for the record, A on this slide and B both assume that
18	the containment leaks at the design leakage rate. Is
19	that correct?
20	MR. YOUNG: Yes, so the leakage rate for
21	A would be based on the assumptions in the NuScale
22	Chapter 15 analysis.
23	CHAIRMAN KIRCHNER: Sure. Right. Right.
24	MR. YOUNG: And the way NuScale has
25	specifically analyzed those accidents, those will be

(202) 234-4433

	39
1	reviewed in more detail at the COLA stage or during
2	the design certification.
3	CHAIRMAN KIRCHNER: Sure. An B, the same
4	assumption for containment performance?
5	MR. YOUNG: Scott, can you speak to
6	containment performance for criterion B in the leakage
7	rate?
8	MR. WEBBER: You were right, Alex, the
9	tech spec leakage is assumed for both.
10	CHAIRMAN KIRCHNER: For both. That's what
11	I assumed.
12	Then well, this is not a review of
13	NuScale. So perhaps going into it in detail is not
14	appropriate. But I'm just looking at the ratio of the
15	numbers from A to B.
16	A suggests and I'll just guess it's some
17	kind of LOCA kind of event or equivalent. I wouldn't
18	expect complete core failure. And that number is 50
19	percent higher for B. So it doesn't suggest that
20	you've lost the entire core. I just was a little
21	concerned, for the record, and I don't have enough
22	information to back up my intuition.
23	MR. YOUNG: So I'd like to clarify that
24	the criterion A design basis accidents is based on
25	NuScale's Chapter 15

(202) 234-4433

	40
1	CHAIRMAN KIRCHNER: Right.
2	MR. YOUNG: which is based on a
3	spectrum of accidents and not just a single LOCA
4	event.
5	CHAIRMAN KIRCHNER: Okay.
6	MEMBER MARCH-LEUBA: Now is the related
7	Chapter 15 accident analyzed in the results in core
8	failure?
9	MR. YOUNG: I'm sorry.
10	MEMBER MARCH-LEUBA: In any Chapter 15
11	event results in cladding damage?
12	MR. YOUNG: Not for NuScale.
13	MEMBER MARCH-LEUBA: Then why is it not
14	zero?
15	MR. YOUNG: I'll let Scott answer the
16	question on NuScale's Chapter 15 analysis.
17	CHAIRMAN KIRCHNER: Okay, sure.
18	MR. WEBBER: Yes, so as has been stated,
19	the NuScale analysis is an example based on best
20	available. But as of the design that has been
21	submitted, there is no fuel failure in any design
22	basis events for the NuScale design. So, therefore,
23	for the purposes of design basis source term to be
24	used for siting and other purposes, it was necessary
25	to already go beyond the design basis. So NuScale has

(202) 234-4433

	41
1	come up with what is called a design basis source
2	term, which is based on a set of five beyond design
3	basis accidents that include both LOCAs and losses of
4	power.
5	And so the design basis source term, which
6	is used for criterion A as a surrogate of all those
7	sequences that incorporates worst timing and new
8	releases.
9	MEMBER MARCH-LEUBA: I understand what it
10	is. I don't know why you did it. I mean it should be
11	sealed.
12	CHAIRMAN KIRCHNER: Okay, you may proceed.
13	MR. YOUNG: Okay, moving on to the
14	criterion C portion
15	MEMBER MARCH-LEUBA: Sorry. Is this for
16	one NuScale module or 800 megawatts electric worth of
17	emollients, which of the two?
18	MR. YOUNG: This is for a single NuScale
19	module.
20	MEMBER MARCH-LEUBA: So no need to put
21	failures.
22	MR. YOUNG: No, not for this analysis.
23	MEMBER MARCH-LEUBA: But see if you have
24	a full plant, you will have two of those and then you
25	will be over one.
1	

```
(202) 234-4433
```

	42
1	MR. YOUNG: Well the multi-module question
2	will be addressed in the specific PRA results of the
3	design that is chosen at COLA.
4	For this analysis, using the NuScale plant
5	at this time, multi-module events were not were
6	below the threshold for consideration in the analysis.
7	MEMBER MARCH-LEUBA: So was this one.
8	MR. YOUNG: But criterion A is based on a
9	Chapter 15 analysis. So and NuScale considered the
10	design basis source term in their Chapter 15 analysis.
11	We used that for the example calculation.
12	MS. MANOHARAN: Maybe I didn't provide a
13	little bit of context. We did the example analysis as
14	the result of an RAI that asked us to demonstrate that
15	the methodology can be implemented and dose criteria
16	can be met. NuScale being the only SMR design
17	available to us with the design certification
18	application that is in review with the staff and the
19	design maturity enough for us to go and use them for
20	this example. That was the intent of this example
21	analysis, to show that those criteria can be met.
22	MEMBER MARCH-LEUBA: Okay, so we assume
23	that there was 100 percent fuel failure of all the
24	cladding in which 2200 Fahrenheit. And it is robbing
25	oxidation of everything and the whole things goes to
	I

(202) 234-4433

	43
1	the bottom of the core.
2	The containment remains closed. How did
3	you get any releases?
4	CHAIRMAN KIRCHNER: In design basis leak
5	rate tech spec leak rate of containment would give
6	you
7	MEMBER MARCH-LEUBA: For NuScale?
8	CHAIRMAN KIRCHNER: Sure.
9	MEMBER MARCH-LEUBA: Well the first thing
10	to do is depressurize. There is no leakage. I guess
11	this is another possibility approximation.
12	MR. YOUNG: So moving on to criterion C,
13	this is the evaluation of the substantial reduction in
14	early health effects. When we performed the accident
15	screening, there were no accident scenarios for the
16	NuScale design with the main core damage frequency
17	greater than 1E minus 7.
18	MEMBER BALLINGER: Let me pull the string
19	a little bit more from Jose's. If you have 100
20	percent of the fuel of the cladding oxidized, what
21	is the pressure inside that vessel?
22	MS. BRADFORD: Can I this is Anna
23	Bradford from NRO. We're in a little bit of a gray
24	area here because we are not talking about the NuScale
25	design today. We will be coming to you with the

(202) 234-4433

1 NuScale design certification SE in the future, where we can get into these details. But TVA is not the 2 3 designer of NuScale. They used some of NuScale's 4 design information because we asked for details to 5 show that this was even possible, given possible designs. 6 You know show us that such a thing could 7 even occur. 8 So I just don't want TVA or maybe even 9 NuScale, who is I guess accommodating here today, to 10 have to get into the details of what was assumed in the design by the designer because they are not the 11 designer. 12 You will be seeing that in the future when 13 14 we come to ACRS with those details and with our 15 analysis of those details. So criterion C, no accident 16 MR. YOUNG: 17 scenario screened in based on the cored damage frequency of 1E minus 7 and, therefore, there is no 18 19 dose evaluation for criterion C. All this is to say that we met 20 the criterion A and B EPA early phase PAG dose limits and 21 did not screen any accidents for consideration in 22 criterion C. All this evaluation concludes that a 23 24 site boundary EPZ is possible at the Clinch River Site. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

44

	45
1	Next slide.
2	CHAIRMAN KIRCHNER: Okay, mindful of Anna
3	Bradford's comments that this is not a NuScale review,
4	but let me just so let's neutralize that.
5	Say you put the source of this number
6	aside. Multiply this number by the number of modules
7	that you might have and then, as was pointed out by
8	one of my colleagues, then you're above the one rem
9	trigger point.
10	So how do you plan going forward to deal
11	with the multi-module issue or you believe that you
12	can convince the staff that in PRA space, common mode,
13	common cause failure wouldn't require you to take all
14	X modules into consideration?
15	MR. YOUNG: So I'll say that our
16	methodology would consider multi-module events. The
17	inclusion of multi-module events is a design-specific
18	consideration that at COLA will be evaluated for the
19	particular design chosen.
20	So if we choose a particular design where
21	multi-module events need to be considered, those will
22	be considered in the methodology.
23	MEMBER REMPE: That's your hope is that it
24	will fall below the frequency is what I would guess.
25	MS. MANOHARAN: Yes, if the dose if I

(202) 234-4433

could just add to that point, if the dose criteria is not met at site boundary, then we would not be able to 2 use site boundary. That's why there is a two-mile emergency path. We definitely wanted to move that boundary and have some confidence that at least one reactor design would meet it. 6

7 MEMBER REMPE: And again, I am kind of coming to this without the background because I'm not 8 9 inside the subcommittee but this A and B is a little 10 misleading because the staff asked you to do it. But I'm guessing that if you really had picked the NuScale 11 design, you'd say hey, no, I'm not going to do this 12 because it all falls below, right? 13

14 MR. YOUNG: Well, just to clarify that 15 point, criterion B, whether anything screens in or 16 not, requires us to evaluate a surrogate source term 17 and come up with a perspective dose.

For criterion A, that would be very 18 19 technology-specific because our methodology requires us to consider the same evaluation that the design 20 would consider in their Chapter 15 of their design 21 cert or equivalent. 22

MEMBER REMPE: If they can't get a dose in 23 24 any other design basis accidents, then you'll put a 25 big zero there.

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

3

4

5

	47
1	MR. YOUNG: Yes. If the
2	MEMBER REMPE: Which means no circulating
3	release or whatever but, yes.
4	MR. YOUNG: If the design could prove that
5	the accident did not have to consider those design
6	basis accidents and the equivalent, those would be
7	zero and we would put a zero there.
8	Moving on to the next slide, so we just
9	discussed the example analysis that we performed. In
10	addition to this, we established an EPZ plant
11	parameter. This is separate from the plant parameter
12	envelope described in Chapter 2 of the site safety
13	analysis report. It is specific to the EPZ exemption
14	request. It does not apply to the rest of the site
15	safety analysis.
16	This is used to demonstrate or to ensure
17	that the exemption request would be applied
18	appropriately in the future at COLA. Even though this
19	is not an EPZ plant parameter envelope, as in Chapter
20	2, it would be applied very similarly in that at COLA
21	we will have to evaluate to ensure that the selected
22	design is bounded by the source terms established in
23	this plant parameter.
24	MEMBER REMPE: Well I have questions about
25	this, too. First of all, from this morning I asked a
	1

(202) 234-4433

	48
1	lot of questions about this four-day thing. And I was
2	told after the meeting this morning it's a rolling
3	four-days. It shouldn't be at t equals zero, which
4	wasn't conveyed this morning.
5	Is your thing going to be a rolling four-
6	day, as long as there is a release?
7	MR. YOUNG: So the way we look at the 96-
8	hour period is we look at from the start of release,
9	not the start of accident. So different accidents may
10	have different release timings.
11	So we start at the release time, not at
12	the accident start time. So we consider the initial
13	part of the release.
14	MEMBER REMPE: If I had a plant that had
15	a circulating release and they vented, and then they
16	managed to keep the core damage going for another 95
17	or 97 hours, and then they had core damage and,
18	kaboom, a lot of stuff came out, that's you know,
19	again, at the worst four hours would be start after
20	the event and do it later. So that's something.
21	And I would think, Ken Thomas, if he's
22	still here, can elaborate on this because if it is the
23	worst four days, then that won't work if you do it at
24	t equals zero. You should pick the most severe four
25	days is what you said is in the regulation and it was
I	I Contraction of the second seco

(202) 234-4433

Í	49
1	just what was in the draft rule was incorrect.
2	MR. THOMAS: So this is Kenny Thomas from
3	NSIR DPR, technical aid for this morning's discussion.
4	It's not in the current rule. That is part of the
5	confusion that we had this morning is what is the
6	necessary intent of the 96 hours.
7	So the 96 hours is an homage to the four-
8	day integrated dose and that's ongoing from the point
9	of when you start doing your dose projections you
10	start looking at what is the consequence impact to the
11	public and do you exceed one rem forecast over the
12	next 96 hours for the release and so forth.
13	So that is not in the current rule. It is
14	not in the guidance and it's one of the points of
15	confusion that we had this morning.
16	MEMBER REMPE: What is the legal
17	requirement for what they are doing? Do they have to
18	pick the most severe four days of a release so that
19	you can let the circulating release go on and then
20	start timing when you have the most severe? What is
21	the current requirement?
22	MR. THOMAS: Well, with respect to my
23	rule, it is not in it.
24	MEMBER REMPE: Not in your rule. That's
25	the current
	I contract of the second se

(202) 234-4433

	50
1	MR. THOMAS: Not yet.
2	MEMBER REMPE: I thought at the end of
3	this morning's or this afternoon when you got me
4	before this meeting and said this, I thought you said
5	the intent was to have the most severe and that's what
6	in the regulation. What's in the regulation?
7	MR. THOMAS: It's not in the regulation.
8	MEMBER REMPE: Oh, the guidance.
9	MR. THOMAS: Right or it's not even in the
10	guidance yet.
11	We don't have the proper people. I don't
12	see the research individuals who do or Michelle
13	Hart who do the consequence analysis.
14	So I would have to approach the
15	consequence analysis folks for that.
16	MS. BRADFORD: This is Anna Bradford, NRO.
17	We can go over this during the staff part of this
18	presentation, if that would be helpful.
19	MEMBER REMPE: Yes, again, because I don't
20	know about your four plans you've picked but to me it
21	seems like you might be able to have something more
22	severe if you
23	CHAIRMAN KIRCHNER: Well, for the record,
24	they are not considering that technology.
25	MEMBER REMPE: Well I don't know the four
	1

(202) 234-4433

	51
1	that they've picked if they've picked the most severe
2	for all four days.
3	CHAIRMAN KIRCHNER: But let's ask them how
4	they define your four days.
5	MEMBER REMPE: They've already told me
6	they start
7	CHAIRMAN KIRCHNER: From the start of
8	release.
9	MEMBER REMPE: Yes, that's what they've
10	said. So did you look beyond?
11	MR. YOUNG: I'll make a quick
12	clarification of that. This is for a plan parameter
13	that we've established based on certain accidents. We
14	considered that we did use the first four days from
15	the start of release. For established for
16	implementation of the methodology, we will evaluate
17	the most appropriate source term based on the accident
18	scenario that needs to be considered.
19	So the way our methodology worked, it does
20	not preclude us from having to consider the worst four
21	days or the early four days. That will revolve around
22	the accident selection and source term selection for
23	implementation of methodology but this is separate
24	from the example and separate from actual
25	implementation of the methodology.
	1

(202) 234-4433

	52
1	MEMBER REMPE: Okay, that helps, as long
2	as I know somebody is going to think about the most
3	severe four days. Thank you.
4	MR. YOUNG: Continuing on with this slide,
5	this is the plant parameter. We'll have to evaluate
6	it at COLA to ensure that the selected design meets
7	the source term we've developed.
8	To establish this EPZ plant parameter, we
9	developed the four-day atmospheric release source
10	term. This allowed us to account for various SMR
11	designs, and accident types, and the total four-day
12	release that was required for the EPA early phase PAG
13	dose limits.
14	The four-day atmospheric release source
15	term is a composite of three different source terms,
16	which includes the ESPA PPE Chapter 15 source terms
17	and the two source terms evaluated in the example
18	calculation. This accounts for various SMR designs
19	and various accident types to be considered.
20	The worst activity from each isotope
21	considered for each major time period, which we
22	considered to be the zero to 8, 8 to 24, and 24 to 96-
23	hour time period is then accumulated into a composite.
24	We summed those up over four days and come up with a
25	total four-day atmospheric release source term.

(202) 234-4433

	53
1	We then applied 25 percent of
2	discretionary margin to that total. From the four-day
3	total composite source term with the 25 percent
4	discretionary margin, we evaluate the dose
5	consequences. We determined that with this source
6	term, the four-day total composite plus 25 percent we
7	would be in compliance with the EPA PAG dose limit of
8	one rem.
9	At COLA, we will compare this source term
10	to the criterion A and B source terms for the accident
11	selected to this four-day atmospheric release source
12	term for EPZ exemption request applicability.
13	MEMBER REMPE: So you only considered the
14	species or the isotope. Did you consider like the
15	form, whether it is a particulate, whether it's a
16	I mean what did you do with respect to the form of the
17	isotopic release?
18	MR. YOUNG: So we utilized the atmospheric
19	the gaseous release source terms that were
20	determined from the two example analyses source terms
21	and the PPE source term. Specific percentages or
22	breakdown of particulate versus aerosol, et cetera, is
23	specific to those source terms for the reactor
24	designs.
25	And where we're at, we don't have all that
	I contract of the second se

(202) 234-4433

	54
1	information but the vendors consider that proprietary.
2	So we're just evaluating a known isotope with a known
3	activity.
4	MEMBER REMPE: Thank you.
5	MR. YOUNG: For the rest of the
6	presentation, I'll turn that back over to Archie.
7	MS. MANOHARAN: Thank you, Alex.
8	The last topic we have for Section 13.3 in
9	Part 2, we are on slide number 17, is information
10	concerning contacts and agreements.
11	In support of the ESPA, letters of support
12	from State of Tennessee, Anderson County, Roane
13	County, and City of Oak Ridge were submitted to the
14	staff. If a future combined license application is
15	pursued, TVA will pursue the appropriate certification
16	letters and letters of agreement with the local
17	emergency medical and law enforcement agencies to
18	ensure that there is enough emergency response
19	organization support available.
20	Most important before we leave Part 2
21	information is TVA would continue to work with state
22	and local support organizations to establish an
23	emergency preparedness at Clinch River that is
24	commensurate to the reactor design but selected at
25	COLA and the potential consequences resulting from
	1

(202) 234-4433

	55
1	that reactor design to the public health and safety.
2	Next slide. Moving on to information in
3	Part 5 Emergency Plans, as I had mentioned at the
4	beginning of this presentation, in Part 5 the ESP
5	contains two major features two emergency plans
6	major features for a site boundary EPZ and major
7	features of an emergency plan for two-mile EPZ.
8	Both of these plans consider and address
9	the 16 planning standards of NUREG-0654. They contain
10	the amount of information available to us during the
11	ESP development. So design-specific information such
12	as that would be required to develop accident
13	analyses, or staffing levels, or EALs are not
14	addressed in Part 5.
15	You also need to consider the information
16	in Part 5 with the exemptions request in Part 6, which
17	I will summarize later in the presentation. Next
18	slide.
19	There was a question earlier about what
20	does the site boundary EPZ look like. This figure
21	here in red shows the EPZ site boundary for Clinch
22	River. The layout of the information in Part 5A for
23	site boundary EPZ has two parts. One is the main
24	plan, which builds on the generic emergency plan used
25	by TVA for the current nuclear operating plants

(202) 234-4433

56 1 already approved by the staff and an appendix that has site-specific information concerning the site location 2 3 and other site-specific features. 4 In addition to providing information 5 concerning the necessary actions to safeguard on-site personnel and minimize damage, it proposes how the 6 7 emergency plan is compatible with the site. 8 Next slide. Another question was what 9 does the two-mile EPZ look like. The figure here, the 10 blue circle is the two-mile radius from approximately the center of the site. The red is the exact size and 11 configuration of the two-mile EPZ. As you can see, in 12 most areas, it is actually larger than two-mile EPZ 13 14 and never less than two. The exact size and configuration of the 15 two-mile EPZ was developed in relation to local 16 17 emergency response needs and capabilities, as they are affected by conditions such as demography, topography, 18 19 land characteristics, and access routes. MEMBER MARCH-LEUBA: In that, what is the 20 funny red line? 21 MS. MANOHARAN: The red line is the actual 22 two-mile EPZ. 23 So --24 MEMBER MARCH-LEUBA: No, the two-mile is the circle. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

57
MS. MANOHARAN: The blue line, which is a
circle, is to show you the circle with the two-mile
radius from the center of the site. But when you
actually create your exact EPZ size, you take into
account population, land characteristics, ease of
access
MEMBER MARCH-LEUBA: This is your
imaginary line to two-miles, which is not two miles?
This is something larger.
MEMBER BLEY: The actual EPZ is a little
bigger. So it is probably roads and things it looks
like.
MS. MANOHARAN: Yes, some rivers and
roads.
MEMBER MARCH-LEUBA: You were following
some existing roads and things like that?
MS. MANOHARAN: Yes, that's correct. Yes.
MEMBER MARCH-LEUBA: So basically, ORNL is
outside the line, the extant plant?
MR. YOUNG: Yes.
MS. MANOHARAN: A site evacuation
evacuation time estimate analysis was conducted to
show to support information, in part, which I will
go over in the next slide. Next slide, please.
So as I said, an evacuation time estimate

(202) 234-4433

	58
1	analysis was conducted to show that there are no
2	physical characteristics unique to the Clinch River
3	Site that would pose a significant impediment to
4	development of emergency planning emergency plans
5	at the site.
6	In addition to providing acting as a
7	tool to TVA and state and local governments for
8	specific site-specific information needed for
9	protective action decisions, it also serves as a tool
10	to show that there are no physical characteristics
11	that would hinder emergency plans.
12	It was conducted in accordance with
13	NUREG/CR-7002 and just to provide a clarification,
14	there is no site evacuation time estimate for Part 5A
15	because it is in the site boundary EPZ.
16	Next slide. That concludes our
17	information that we had for Part 5.
18	Moving on to Part 6 of the presentation,
19	to support the information in Part 5 of which has a
20	two-mile EPZ and a site boundary EPZ emergency plans,
21	a set of exemption requests were developed after
22	reviewing the current emergency preparedness
23	requirements and each set supports either Part 5A or
24	Part 5B. I will go over the exemption requests in a
25	summary in the next couple of slides. Next slide,
I	1

(202) 234-4433

please.

1

2 In Table 1-1 of Part 6, exemption requests 3 are described that support site boundary EPZ emergency 4 plan. In addition to deviating from the current ten-5 mile plume exposure pathway EPZ size, certain elements of a formal offsite emergency plan are being asked to 6 7 be exempt from, the logic being, at a COLA, after reactor design has been selected, the dose-based 8 9 methodology that was described in 13.3 is implemented to show that the dose criteria is adequately met at 10 site boundary. If that is the case, then these 11 exemptions would be warranted. 12

But it is also important to note that TVA's emergency plans will describe the capabilities to determine if a radiological release is occurring, promptly communicate it to offsite organizations for their consideration.

Next slide. Table 1-2 of Part 6 describes certain exemption requests that support, again, site boundary EPZ emergency plan, specifically from evacuation time estimates, certain elements of offsite notification, and offsite exercises.

Following the same logic, the SMR design would have to show that it meets the dose criteria at COLA, it goes with the dose-based methodology review

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	60
1	and then these exemptions will be granted.
2	It is also important to note before we
3	move on from here is that TVA is not seeking an
4	exemption from the requirements to notify responsible
5	state and local government agencies and, also, will
6	continue to invite state and local support
7	organizations to participate in periodic drills and
8	exercises.
9	Next slide. The last table, Table 1-3 in
10	Part 6, describes the exemption request that we put
11	forth for the two-mile EPZ emergency plan. The only
12	request or the only exemption request in place for a
13	two-mile EPZ is to deviate from the current ten-mile
14	EPZ size, which goes back to Dan's point at the
15	beginning of the presentation that it is the surrogate
16	to a ten-mile.
17	Next slide. Just to summarize the
18	technical basis in TVA's opinion for the exemptions is
19	the dose-based methodology consequence oriented
20	methodology that is described in Section 13.3, which
21	as we elaborated earlier, has the consistent approach
22	to NUREG-0396, evaluates a spectrum of accidents, has
23	the same dose criteria as EPA PAG and also ensures
24	that the EPZ is of sufficient size to provide
25	significant reduction in the case of severe health
	I contraction of the second

(202) 234-4433

	61
1	effects.
2	Combined with this technical criteria and
3	the dose-based methodology, and the SMR design
4	features, we believe that there are special
5	circumstances that exist that warrant granting the
6	exemption and that if a selected SMR design at COLA is
7	able to show that the dose criterias are met at either
8	site boundary or two-mile, exempting from these
9	requirements would still allow us to meet the
10	underlying purpose of the regulations.
11	Next slide, please. In summary, I think
12	it would be beneficial to go over what TVA is asking
13	for review in the ESPA and how that might be used in
14	a future combined license application.
15	So in Part 2 of the ESPA, we are seeking
16	approval of the dose-based consequence oriented
17	methodology for determining the plume exposure pathway
18	EPZ size. In a COLA, that methodology will be
19	implemented to develop a design-specific
20	implementation of the methodology, if approved in
21	ESPA.
22	In the ESPA in Part 6, we are asking to
23	deviate from the current ten-mile EPZ requirements
24	based on the dose-based methodology described in
25	Section 13.3. In COLA, design-specific EPZ size will

(202) 234-4433

	62
1	be determined, based on the dose-based methodology.
2	In Part 5 of the ESPA, major features of
3	two emergency plans are described and approval for
4	these is being sought for site boundary and two-mile.
5	In COLA, once the SMR reactor design has been
6	selected, dose-based methodology implemented, and the
7	design-specific EPZ sizes established, it could be
8	site boundary, in which case Part 5A emergency plan
9	major features of the Part 5 emergency plan will be
10	used to create a complete and integrated plan. The
11	same if the dose criteria is met at two-mile.
12	If the selected SMR design does not meet
13	the dose criteria, a new EPZ size will be developed
14	and a supporting emergency plan.
15	Okay, that concludes our presentation.
16	Thank you for your time. If there are any questions,
17	we will be happy to answer them.
18	CHAIRMAN KIRCHNER: Thank you.
19	Members, are there other questions?
20	Well, I should remind you that when you
21	have questions or comments from us individually that
22	doesn't necessarily represent the full committee.
23	And so with that, I will make a personal
24	observation. It seems to me that your plan B, if you
25	will, of the two-mile radius is prudent and a logical

(202) 234-4433

	63
1	backup to not being able to fit into your exclusion
2	area boundary or your site boundary. Sorry, I
3	misspoke.
4	How, given some of the examples that you
5	have worked, how confident are you on your local
6	weather patterns and other things such that you can,
7	with some margin, and this would be an interesting
8	thing to also ask the staff, to squeeze in your site
9	boundary these up to your multi-unit what's your
10	limit, 2,400 megawatts thermal?
11	MR. YOUNG: 2,420.
12	CHAIRMAN KIRCHNER: Yes. Do you have any
13	feeling for that or is that the purpose for the two-
14	mile backup?
15	MR. YOUNG: So I believe the question
16	CHAIRMAN KIRCHNER: Because it begs some
17	really detailed analysis over time of weather patterns
18	and such.
19	MR. YOUNG: Sure, the question revolves
20	around meteorology. We used Clinch River-specific
21	meteorological data that we collected in accordance
22	with the guidance, such as we did for the remainder of
23	the application, the end-dose analysis.
24	We have a lot of confidence in that data
25	because of some of the conservatisms we embedded into

(202) 234-4433

	64
1	our analysis, such as the 1,100 foot distance from
2	release boundary to site boundary that's been
3	mentioned and some of our other conservatisms in that
4	analysis.
5	CHAIRMAN KIRCHNER: So the weather is
6	going to accommodate your rather irregular shape, by
7	and large?
8	MR. YOUNG: Right. We
9	CHAIRMAN KIRCHNER: Do you see where I
10	mean given, say it were one-mile instead of 1,100 feet
11	and it was a circle, not your boundary, then
12	variations in weather patterns and such are not as
13	crucial as trying to make sure it shoehorns into that
14	irregular shape of your actual site.
15	MR. STOUT: So we're pretty confident in
16	1,100 feet. The site is big enough that you have a
17	lot of flexibility on exactly where you put the
18	footprint within that, so that you have more than
19	1,100 feet.
20	And then we have the meteorology data in
21	all directions, and all conditions, all seasons. So
22	you know our analysis was built in the conservatisms
23	to give us confidence that 1,100 feet is adequate.
24	CHAIRMAN KIRCHNER: Okay. All right,
25	thank you.

(202) 234-4433

	65
1	MEMBER REMPE: I'm sure I didn't if I
2	had done all my homework, I would know but did you do
3	like 30 years of site data or how many years of site
4	data did you consider?
5	MR. YOUNG: So we collected I believe
6	three years of on-site data that was utilized and we
7	did have data from the Clinch River Breeder Project
8	that we did use.
9	Scott, can you tell us how much data we
10	actually considered in the example analysis?
11	MR. WEBBER: Yes, so in the example
12	analysis, we used about representative years' worth of
13	data. It was I believe 2012 and '13, which was
14	considered to be well-representative of the
15	information that TVA had available for a larger
16	spread.
17	And the analysis also did dose assessment
18	for essentially every hour of that year so that there
19	was a release going in every direction and every
20	weather condition.
21	So what TVA was saying we have high
22	confidence that the analysis captured the most severe
23	meteorological conditions.
24	MEMBER MARCH-LEUBA: And the MA report is
25	the evidence for that year or is it 95 percent? Which
	I contraction of the second

(202) 234-4433

	66
1	is it?
2	MR. WEBBER: The numbers that were in the
3	slide are 50th percentile.
4	MEMBER MARCH-LEUBA: You said 80th
5	percentile?
6	MR. WEBBER: 50th percentile.
7	MEMBER MARCH-LEUBA: 50th.
8	MR. WEBBER: Yes. Mean and 95th were also
9	provided but he 50th percentile was shown.
10	MEMBER MARCH-LEUBA: For future already in
11	Knoxville you only get east wind when there is a
12	hurricane. And I'm sure you have even considered it
13	but there are hurricanes, I can assure you. So I
14	don't see how I mean for a real analysis, you need
15	to consider a hurricane. And you only get east wind
16	with a hurricane, which didn't happen in your three
17	years' of data.
18	MR. YOUNG: Sure. So we're many, many
19	miles inland, compared from where we see the really
20	high winds of met data. So from the averages of the
21	met data we collect, you know there are significant
22	meteorological events that get embedded into that.
23	MEMBER MARCH-LEUBA: But once every three,
24	four, or five years, you get 50 mile an hour coming
25	from the east. I know. I live there. And I know you
	I

(202) 234-4433

	67
1	didn't consider that.
2	MR. YOUNG: Well you know
3	MR. WEBBER: I'd just like to make a point
4	that for perspectives of dose to site boundary, faster
5	winds are not necessarily more conservative. The wind
6	speed is too high. You can push the plume out so fast
7	that you have almost no exposure.
8	So I think in this instance, actually, a
9	hurricane would not be limiting.
10	CHAIRMAN KIRCHNER: Yes, it may be that an
11	inversion is more limiting for them.
12	MEMBER MARCH-LEUBA: I just wanted to
13	analyze. I think the worst and they entirely say I
14	don't want to do it.
15	CHAIRMAN KIRCHNER: Okay. At this point,
16	if there are no further questions of the applicant,
17	let us take a quick break and we can reset and start
18	at 2:30 on this clock. We are recessed.
19	(Whereupon, the above-entitled matter went
20	off the record at 2:19 p.m. and resumed at 2:31 p.m.)
21	MS. SUTTON: Good afternoon. My name is
22	Mallecia Sutton. I am one of the safety project
23	managers for the Clinch River Nuclear Site early site
24	permit application. With me today is Mr. Allen
25	Fetter, the other safety project manager. Also with
	1

(202) 234-4433

me are the technical reviewers who will be presenting the topic area, Bruce Musico, from the Division of Preparedness and Response for Nuclear Security and Incident Response, also known as NSIR, and Michelle Hart from the Division of Licensing Site and Environmental Analysis in the Office of New Reactors, also known as NRO.

In the audience and on the conference 8 9 bridge are representatives from the Federal Emergency 10 Management Agency, FEMA, Technological Hazardous Division. Also, representatives from 11 Tennessee 12 Emergency Management Agency, TEMA, are on the conference bridge, including TEMA Director Patrick 13 14 Sheehan.

TVA is asking approval for an early site 15 permit for the Clinch River Nuclear Site. As part of 16 17 the application, TVA described emergency planning You have heard from TVA what topics for approval. 18 19 they submitted. The staff will be describing the emergency planning information. 20 review of the Although the staff will be presenting its findings, 21 the licensing action will not be complete until the 22 Commission makes the decision whether to grant the 23 24 early site permit and the exemptions.

The appropriate plume exposure pathway

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

1

2

3

4

5

6

7

(202) 234-4433

68

emergency planning zone size for this site will not be determined until a combined license application that references a specific small modular reactor design is submitted for the Clinch River Nuclear Site. The staff will be using several acronyms and abbreviations in this presentation today. The presentation has a list of definitions on the last two slides for your reference.

9 Earlier today you heard the staff give a detailed presentation of the rulemaking for emergency 10 planning for small modular reactors and other new 11 technologies currently in process. 12 The ACRS should recognize that TVA's Clinch River early site permit 13 14 application was submitted in May 2016. This was before the staff started work on the small modular 15 16 reactor and other technologies rulemaking. 17 Accordingly, the application and review of the is application by the staff based 18 on current 19 regulations and guidance. The staff cannot review to regulations or guidance that is not yet approved. 20

I will now briefly describe the early site permit and the plan parameter envelope. An early site permit is an approval of safety and environmental suitability of a proposed site to support future construction operation of the nuclear plant. In an

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

early site permit application, the applicant doesn't have to commit to building the reactor or specify reactor design that would be built there. The early site permit reserves both site safety and environmental issues that are independent of the type An early site permit does not of reactor design. allow for construction and operation of a nuclear plant.

9 Before a nuclear plant can be constructed 10 and operated at a site with an early site permit under 11 Part 52, a combined licensed application referencing 12 a specific reactor technology for this site must be 13 reviewed and approved by NRC. It is possible to 14 approve an early site permit site without a selected 15 reactor technology.

An early site permit plant parameter 16 17 envelope or PPE values are intended to bound a variety of reactor technologies, rather than one specific 18 19 The PPE values represent a surrogate technology. nuclear plant for the purpose of siting determination. 20 The PPE values are bound in criteria used by the staff 21 to determine the suitability of an early site permit 22 site for construction and operation of a nuclear 23 24 plant. The safety evaluation report evaluates the 25 site characteristics to include design basics,

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8
tornado, flood, and groundwater moisture, just to give a few examples.

3 In the combined license application, when 4 a specific technology is identified, the PPE values 5 are compared to those of the selected technology. Ιf design parameters of the selected technology exceed 6 7 bounding early site permit PPE values, additional reviews are conducted to ensure that the site remains 8 9 suitable from a safety and environmental standpoint for construction and operation of its selected nuclear 10 plant technology. In addition, the site parameters 11 for the referenced certified design must be bounded by 12 the site characteristics in the early site permit. 13

14 In the development of a plant parameter 15 envelope, an applicant typically draws data from a number of plant technologies under consideration to 16 17 construct a bounding envelope. It is important to note that when issuing a permit, the NRC approves the 18 19 PPE rather than the specific technologies that a PPE As such, any plant technology that 20 was drawn from. can demonstrate to be bounded by the plant parameter 21 envelope is suitable for use in a combined license 22 application. 23

The safety evaluation report for Chapter 13, Section 13.3 for the TVA Clinch River Nuclear Site

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

(202) 234-4433

application addresses the plant's design features, facilities, functions, and equipment necessary to a logical emergency planning that must be considered in an early site permit application that includes proposed major features of the emergency plans.

TVA early site permit application includes 6 7 a methodology that, if approved in an early site permit, could be used in future combined license 8 9 application referencing a specific small modular reactor design and early site permit to determine the 10 appropriate site-specific plume exposure pathway 11 emergency planning zone size for the TVA Clinch River 12 Nuclear Site. 13

14 The submitted early site permit application requests two sets of exemptions from the 15 current ten-mile plume exposure pathway emergency 16 planning zone requirements if certain conditions are 17 one set of 25 exemptions to support major 18 met: 19 emergency planning based features on the plume exposure pathway emergency planning zone at site 20 boundary and one set of two exemptions plume exposure 21 pathway emergency planning zone with a two-mile 22 23 radius. 24 If these sets of exemptions are approved

25 as part of the early site permit, it will be

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	73
1	accompanied by permit conditions specifying the
2	circumstances under which these plans can be used in
3	the combined license application. The combined
4	licensed applicant would apply the methodology
5	approved in the early site permit to the design
6	selected for the combined license application in order
7	to determine whether the conditions for either of the
8	two sets of exemptions have been met.
9	Now, I turn the presentation over to Bruce
10	and Michelle to discuss the technical review.
11	Bruce.
12	MR. MUSICO: Thank you. Good afternoon.
13	My name is Bruce Musico. I am a Senior Emergency
14	Preparedness Specialist. I and Michelle Hart reviewed
15	the emergency planning information that TVA provide
16	din its ESP application. Slide 2, please.
17	You're going to see somewhat of an overlap
18	from our slides with TVAs because we cover common
19	areas.
20	The ESP application requested a review of
21	three key areas. First of all, the plume exposure
22	pathway emergency planning zone, or EPZ, sizing
23	methodology. And Michelle is going to address that
24	shortly.
25	Secondly, TVA requested approval of two
	1

(202) 234-4433

1 major features on-site emergency plans. The first 2 emergency plan assumed a site boundary plume exposure The second emergency plan reflected an 3 pathway EPZ. 4 approximately two-mile plume exposure pathway EPZ and 5 this particular major feature of emergency plan included an evacuation time estimate. 6 7 And third, TVA requested approval of 25 exemption requests. And these are broken down into 8 9 One set was associated with the site two sets. boundary emergency plan, major features emergency plan 10 and the second set was associated with the two-mile 11 plume exposure pathway EPZ. 12 The ESP proposes an exemption from the 13 14 current ten-mile plume exposure pathway EPZ, which is 15 currently in our regulations. The exemptions address portions of our regulations, including 10 CFR 50.33, 16 .47, and Appendix E to 10 CFR Part 50. This is for 17 both on-site and off-site emergency planning. 18 Next 19 slide, please. This slide addresses the 10 CFR Part 52 20 licensing process in general. Upon issuance of an 21 early site permit, the applicant acquires approval 22 with conditions on: the plume exposure pathway EPZ 23 24 sizing methodology, the 25 requested exemptions, and the two major features emergency plans, site boundary 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

and two-mile EPZs.

1

2 combined license In the future, а 3 application that incorporates by reference the early 4 site permit will identify a chosen small modular 5 reactor or SMR technology for the Clinch River Nuclear At that time, the applicant must demonstrate 6 Site. 7 that the EPZ sizing methodology supports either the 8 site boundary or two-miles plume exposure pathway 9 emergency planning zone.

At that time, the COL applicant must also 10 provide a complete and integrated emergency plan. For 11 the two-mile plume exposure pathway EPZ, the COLA 12 applicant must provide an on-site emergency plan --13 I'm sorry -- provide an on-site and off-site emergency 14 15 For the site boundary plume exposure pathway plan. EPZ, the applicant must provide an on-site emergency 16 plan, which assumes that the site boundary, as defined 17 for EP purposes in the COLA, will be within the 18 19 applicant's owner-controlled area.

And in addition, the COL applicant must address the identified COL action items, of which we have identified 16, and the four permit conditions that we've identified in the application.

24 MEMBER MARCH-LEUBA: So Bruce, could I 25 talk for a minute?

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	76
1	MR. MUSICO: Yes.
2	MEMBER MARCH-LEUBA: The ESP you will
3	issue an SER or sign an ESP for them which has two
4	options, the two-mile or the site boundary.
5	MR. MUSICO: Site boundary, yes, that's
6	correct.
7	MEMBER MARCH-LEUBA: Is that correct? I
8	mean you approved both of them?
9	MR. MUSICO: We are approving both major
10	features emergency plan.
11	MEMBER CORRADINI: And they have to come
12	back with a chosen technology and show that they fit
13	into one of them.
14	MR. MUSICO: According to the methodology
15	that what we've also reviewed we'll have approved.
16	That's correct.
17	MEMBER CORRADINI: Okay.
18	MR. MUSICO: That's correct. This was a
19	first of a kind application in which we received two
20	emergency plans, rather than one with the application.
21	So it is kind of interesting in that respect.
22	MEMBER MARCH-LEUBA: And on that ESP, will
23	you have limitations about the methodology? Because
24	on their methodology, on their example, they have this
25	criteria for the frequency of 10 to the minus 6 and 10

(202) 234-4433

	77
1	to the minus 7, which are proposed. Will those become
2	part of the approval?
3	MR. MUSICO: The short answer is yes and
4	Michelle Hart is going to address that later.
5	The specific methodology is, however,
6	defined in Section 13.3 of the site safety analysis
7	report, which is Part 2 of the application, the ESP
8	application. So they have identified specifically
9	what the methodology is.
10	Next slide, please.
11	MEMBER BLEY: Quick question. They have
12	given you two on-site emergency plans. Are they
13	essentially identical?
14	MR. MUSICO: No.
15	MEMBER BLEY: Okay.
16	MR. MUSICO: They are very close. They
17	are very close.
18	MEMBER BLEY: Some will have connections
19	to off-site, I assume.
20	MR. MUSICO: Well, they're limited. First
21	of all, since they are major features emergency plan,
22	they are limited with respect to the extent that they
23	address our current emergency planning regulations and
24	guidance and they are permitted to do that. They can
25	pick and choose the limited aspects that they want to
	1

(202) 234-4433

address at the ESP stage.

1

And they've provided us with two separate 2 3 plans. We've reviewed them separately but we also 4 compared them and, to a great extent, both plans are 5 virtually identical, except to the extent that one plan reflects the site boundary of EPZ that they're 6 7 proposing. The other one reflects the approximate two-mile EPZ that they're proposing and they also 8 9 reflect the exemptions that are specifically requested 10 for them.

example, the site boundary major 11 For features emergency plan reflects the 25 exemption 12 requests for that particular plant. For the two-mile 13 14 major features emergency plan, there's not that much different than a ten-mile as far as the off-site 15 16 requirements. So they only have two exemption 17 requests that they are requesting for the two-mile major features emergency plant. 18

19 So the fact that they were, to a great extent, identical, made our job a little easier with 20 respect to approving them or reviewing them and 21 approving them, even though they are limited because 22 they are major features, but we also distinguished the 23 24 two plans, and you'll see that in the safety evaluation, between language in one versus the other 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

79 1 in that one would address various aspects of say the 2 site boundary EPZ, where the other one would reflect 3 and describe various aspects of the two-mile plume 4 exposure pathway EPZ. So there were differences and we called 5 those out specifically in the safety evaluation. 6 7 MEMBER BLEY: Thank you. All right, slide 4, please. 8 MR. MUSICO: This slide reviews the staff's review of the specific 9 exemptions. The NRC reviewed the requested exemptions 10 pursuant to 10 CFR 50.12, which is entitled Specific 11 Exemptions. 12 Specifically, 50.12(a)(2) states that the 13 14 Commission will not consider granting an exemption 15 unless special circumstances are present. And then in (ii), it states that special circumstances are present 16 whenever 17 application of the regulation in the circumstances particular would the 18 not serve 19 underlying purpose of the rule or is not necessary to achieve the underlying purpose of the rule. 20 Now for exemption requests there are a 21 number of special circumstances that are available to 22 23 them. This was one that they identified as applicable 24 to the application and the staff agree with that. This is appropriate. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

80 1 Next slide, please. The underlying purpose of 10 CFR 50.33, 50.47, and Appendix E to Part 2 50 is to, first of all, ensure that licensee maintain 3 4 effective on-site and off-site radiological emergency response plans; secondly, to ensure that there is 5 reasonable assurance that adequate protective measures 6 7 can and will be taken in the event of a radiological 8 emergency; and third, establish a plume exposure and 9 ingestion pathway EPZ as appropriate. And then the second bullet is the ESP 10 application serves to provide basis for 11 а the establishment in the COL application of either a site 12 boundary or two-mile plume exposure EPZ, and they can 13 14 pick which one, which maintains the same level of 15 protection, that is dose savings in the event of a radiological emergency, in the environs of the Clinch 16 River Nuclear Site as that which exists in the basis 17 for the ten-mile plume exposure pathway EPZ. 18 19 So the safety level is maintained. It's the same. 20 Next slide, please. Now, I'll turn it 21 over to Michelle. 22 MS. HART: Hi. I'm Michelle Hart. I'm in 23 24 the Office of New Reactors and I do look at siting

analysis as well as I looked at the analysis that they

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

provided for the EPZ sizing methodology and criteria.

2 had stated that their So TVA plume 3 exposure pathway EPZ size methodology is based on 4 these following technical criteria. And I think they 5 described them before but, to remind you, they are the 6 plume exposure pathway EPZ should encompass those 7 areas in which project dose from design-basis accidents could the EPA early phase protective action 8 9 guides; that the plume exposure pathway EPZ should encompass those areas in which consequences of less 10 severe core melt accidents could exceed the EPA early 11 phase protective action guides; and plume exposure 12 pathway EPZ should be of sufficient size to provide 13 14 for substantial reduction in early health effects in the event of more severe core melt accidents. 15

16 Next slide, please. This is slide 7. So the features or the outline of the methodology that 17 they provided in their site safety analysis report, 18 19 the first step that you go through is the accident scenario selection. So you would use the bounding 20 design-basis accident from the combined operating 21 license final safety analysis report Chapter 15. 22 And that is the analyses that you would use to look at the 23 24 safety of the plant and also to look at siting. And so in addition to those accidents which do not have 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

(202) 234-4433

core failure, you would have an accident used to assess your siting in the regulation and that, generally in the past, for the large light water reactors has been the LOCA with an intact containment and using the tech spec release rate from the containment. So you would use that same accident that's used for the siting analysis.

8 And then you would go to use the combined 9 operating license application site- and design-10 specific probabilistic risk assessment to categorize 11 the severe accident scenarios.

So this PRA and the assessment of severe 12 accident scenarios should be all modes, 13 include 14 internal and external events, would also include 15 applicable fuel handling and spent fuel pool accidents, and would have multi-module considerations, 16 17 if those are applicable to the specific SMR design that they choose. 18

You would start with all sequences with a mean core damage frequency about 10 to the minus 8 per reactor year and then you would further categorize those scenarios, once you look at those, and determine the scenarios from that.

24 So the first category, which when TVA was 25 talking that was the criterion B that they were

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

	83
1	talking about, would be the more probable, less severe
2	core melt scenarios. And those are with a mean CDF
3	greater than 10 to the minus 6 per reactor year and
4	include intact containment.
5	And the third category, or what they would
6	call criterion C, is the less probable, more severe
7	core melt scenarios. And those are with a mean CDF
8	greater than 10 to the minus 7 per reactor year with
9	containment bypass or failure.
10	CHAIRMAN KIRCHNER: Michelle, now let me
11	ask a question. You specify a mean CDF. How much
12	uncertainty do you consider beyond just a mean CDF?
13	I mean where I'm going with this, I've
14	raised this point before, is that for the less mature
15	concepts, let me say it that way, more still on paper,
16	not any real operating experience, how do you assess
17	the PRA and the uncertainties with that? Because I
18	suspect that most design teams will come in with very
19	low mean CDF numbers and then say well, I meet your
20	criteria on this slide and we don't have to consider
21	severe accidents.
22	MS. HART: Right.
23	CHAIRMAN KIRCHNER: How prudent is that
24	and how are you going to interject some, how should I
25	say it, regulatory certainty? Because that's one of
1	I contract of the second se

(202) 234-4433

84 1 the things you're trying to do in all of your 2 processes. How do you see the staff approaching this? 3 4 MS. HART: Well how -- I mean certainly, 5 it remains to be seen what will actually go through when we do the implementation, when the applicant goes 6 7 through the implementation and when we review the 8 implementation of it. 9 And so it does, as you are rightly saying, it does depend on the maturity of the specific design 10 that they've chosen and the quality of their PRA, the 11 acceptability of their PRA for this purpose. 12 And we would review that in conjunction with the 13 PRA 14 reviewers in the Office of New Reactors to determine 15 the usability of the information that they gave us. So there's no specific -- I don't think --16 Ι 17 think there is room for us to make that determination at the time of implementation. 18 We're 19 trying to cut off, trying to make the appropriate decisions at that time. 20 Right now, we're saying that this looks 21 reasonable to categorize your events using your PRA 22 and mean seems to be a reasonable bound to use for 23 24 that purpose, for the emergency planning purposes. 25 MEMBER BLEY: Well there are some things

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1 you might want to consider and that is, at the time of COLA, at least from what we've seen on other designs 2 they typically have 3 that have come through, no 4 operating experience. They might not -- they don't 5 have to have all their emergency procedures in place. Those have to be in place before startup. They don't 6 7 have real operators yet and they haven't had operators 8 through training. So there is a lot of things not 9 there.

On the site-specific side of it, by COLA, 10 you should have a specific site but they typically 11 don't upgrade their PRA to account for that, except 12 with some purely loose bounding calculations that say 13 yes, we meet the envelope of what was assumed in the 14 15 design cert PRA. So those kind of things you need to 16 give some kind of weight to along the lines of Walt 17 talking, account for them as possibly giving you higher results than the existing work. 18

19 MS. HART: Right. I think it's we do recognize that the PRA for the design and the PRA use 20 for the combined operating license, in general, may 21 not include all the information or may not be the 22 exact same quality that you would need to do this 23 24 assessment. And so there may be some portions of it 25 that they have to describe to us why that's

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 appropriate. And I think that that's -- it's a 2 discussion that we've been having with the licensing 3 modernization project also about the applicability of 4 the PRA and how you show that that's appropriate to 5 use for the purposes --MEMBER BLEY: Well, I'm glad they're 6 7 talking to you. 8 MS. HART: Yes. So there is some discussion along those lines that what you -- what we 9 10 have said in some of our quidance about what is required for a PRA, for the design certification 11 especially, is that it's appropriate so that we don't 12 have to do a detailed analysis of -- or a detailed 13 review of their PRA. And so there may be some further 14 15 step that has to come here, depending on the design and what they say in the PRA. 16 17 So a lot of this, unfortunately at this stage, we have to kind of rely on how we would 18 19 implement it later. And I know it may not seem like gives enough information or enough detailed 20 it information but I think you know this is a first of a 21 kind thing and if TVA does choose to go forward, if 22 they get their early site permit and then just decide 23 to go forward with the COL, we've been discussing this 24 with them -- not maybe necessarily this specific topic 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	87
1	but the idea of this analysis. And they helped
2	develop this analysis. They based it off of the
3	information in NUREG-0396. And so, generally, they're
4	trying to recreate what was done in NUREG-0396 for
5	their specific site at some future point, when they
6	specific design.
7	MEMBER BLEY: Yes, I don't have any real
8	qualms with the general approach but you will be the
9	first specific one looking at this, it appears to me.
10	So some kind of compensation for the things that
11	aren't there and can't be there yet ought to be on the
12	table.
13	MS. HART: Right and I think uncertainty
14	analysis is very important and it's something that we
15	will review carefully, the uncertainty, when we get to
16	the implementation stage.
17	MEMBER BLEY: Yes, it's not just
18	parametric uncertainty here. It's uncertainty in
19	things that aren't there that you can actually see
20	that aren't there yet.
21	MS. HART: That's correct.
22	Okay. So then of course, after you
23	categorize your events and select your scenarios, you
24	may group them, as you sometimes do in PRA but you
25	would determine source releases to the atmosphere for

(202) 234-4433

1 each of the categories, the design-basis accident, more severe, less severe, you know if there are more 2 You would calculate the dose 3 severe accidents. 4 consequences at distance from the plant and then you 5 would determine the plume exposure pathway, EPZ size that would meet the dose-based criteria to be used in 6 7 further determination of the actual emergency planning 8 zone. 9 Next slide, please. So slide 8, so the 10 dose-based EPZ size criteria is а dose to an individual from exposure to the airborne plume during 11 its passage and also to groundshine, using average 12 atmospheric dispersion characteristics for the site. 13 14 This is very similar to the way that it was done in 15 atmospheric NUREG-0396 using average dispersion 16 characteristics was one of the features that they 17 used.

And for the design-basis accident and for 18 19 the more severe less -- more probable, less severe accidents, the dose criterions is one rem total 20 effective dose equivalent from a 96-hour exposure. 21 And that one rem over 96 hours is at the lower end of 22 the dose range for the EPA PAG for early phase 23 24 protective actions, for example, evacuation and 25 sheltering. this is to verify that dose And

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

consequences do not exceed the EPA PAG beyond the site boundary, which is within the owner-controlled area, for the two-mile plume exposure pathway EPZ.

For that last category, the less probable, 4 accidents, you would calculate 5 severe the more distance at which the conditional probability to 6 7 exceed 200 rem whole body from a 24-hour exposure 8 would exceed 10 to the minus 3 per reactor year. And 9 the 200 rem whole body is an acute dose at which radiation-induced early health effects may begin to be 10 noted. For example, one of those effects is nausea. 11 And this is to verify that the plume exposure pathway 12 EPZ supports substantial reduction in early health 13 14 effects.

Next slide, please. So for the staff to review the plume exposure pathway EPZ size methodology that TVA provided, we did compare TVA's methodology and the dose criteria to the study used as the technical basis for the current 10-mile plume exposure pathway EPZ requirement. And that study was NUREG-0396.

And the features of TVA's methodology are consistent with NUREG-0396, in that it considered a range of accidents. It performed accident consequence analyses, and it determined an area outside of which

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

	90
1	early protective actions are not likely to be
2	necessary to protect the public from radiological
3	releases.
4	And, therefore, the staff concludes that
5	the applicant's proposed methodology is reasonable and
6	consistent with the analyses that form the technical
7	basis for the current regulatory requirement of a
8	plume exposure pathway EPZ of about ten miles in
9	radius.
10	MEMBER BLEY: If these are based on PRA,
11	do you have a sense for what not likely means,
12	quantitatively?
13	MS. HART: Quantitatively, there is
14	nothing in NUREG-0396 that would give you a clue to
15	that. I mean it did use NUREG I mean it used WASH-
16	1400 as its basis.
17	MEMBER BLEY: WASH-1400, which you could
18	look at.
19	MS. HART: Yes. Yes, and so in general,
20	I think in general we talk a lot about the cutoff. I
21	know that that was a discussion this morning, the
22	cutoff for what the frequency of the events or the
23	sequences should be that you should evaluate. And 10
24	to the minus 8, 10 to the minus 7, 10 to the minus 6,
25	those all have been numbers that have been floating

(202) 234-4433

	91
1	around. And as TVA had stated, the specifics for like
2	the 10 to the minus 6 per reactor year for the more
3	probable accidents in that category has been discussed
4	in several different areas. In industry, they have
5	used that number a lot.
6	Ten to the minus seven, maybe not quite as
7	often, has been discussed but it seems reasonable, at
8	this point. I think it's when we get to the
9	implementation phase, if there is some special case or
10	there is something like we were talking about
11	NuScale's PRA, their design PRA doesn't have anything
12	in that category of 10 to the minus 6 or higher but do
13	they have a backstop that they would provide some
14	other analysis to bound any potential severe
15	accidents.
16	So I think it's a reasonable good bounding
17	assessment.
18	MEMBER MARCH-LEUBA: When in slide 7 when
19	you say 10 to the minus 7 per reactor year, you mean
20	module or multi-module year?
21	MS. HART: Well that is actually the quote
22	from TVA's methodology. It does depend on the design
23	that is used. And so I think we will definitely look
24	at that. I think in general, though, we would say it
25	is equivalent to a module year, unless there is
1	1

(202) 234-4433

	92
1	something in the design that would show that there
2	would be multi-module events that would occur.
3	MEMBER REMPE: So when you reviewed their
4	analyses, what made you decide it was acceptable to
5	use one year of site-specific meteorological data from
6	TVA and use a 50 percent value?
7	MS. HART: I will be discussing the
8	example calculation and it's just an example to
9	evaluate the usability of the methodology. I did not
10	use their analysis to approve anything, per se. You
11	know I am not approving an EPZ size at this time.
12	MEMBER REMPE: Okay.
13	MS. HART: So it's just to say you know
14	how they used the methodology.
15	But the methodology does include the
16	feature that they would use average meteorological
17	conditions for the site and that was something that
18	was also done in NUREG-0396. So I think when you're
19	looking when you're doing projected analyses for
20	licensing purposes, in general, you want to use for
21	these purposes you want it to be a little bit more
22	representative than bounding in this case.
23	MEMBER REMPE: And is one year enough to
24	decide that something is representative?
25	MS. HART: That I can't say for sure.

(202) 234-4433

	93
1	We'll look at the implementation. I think we will
2	look at multiple years of data because they are
3	required to provide multiple years of data. And so
4	we'll determine if the information they are using in
5	their analyses is representative of the site, whether
6	it is that specific year or not.
7	MEMBER REMPE: Okay, thank you.
8	MS. HART: Okay, next slide, please, so
9	slide 10. In their request for the exemptions so
10	now we've moved on from the methodology to the
11	exemption requests they did describe that there are
12	features of small modular reactors that support the
13	exemption requests. And TVA stated that special
14	circumstances exist at the Clinch River Nuclear Site,
15	due to the anticipated enhanced safety features of the
16	SMR designs under consideration. And those things are
17	such as: smaller radionuclide inventories and source
18	terms; projected accident progression rates are
19	anticipated to be slower; that various design features
20	are expected to eliminate several historically-
21	considered design-basis events, for example, you
22	wouldn't have a lock rotor accident if you don't have
23	reactor coolant pumps; and advanced design features
24	would minimize accident consequences.
25	MEMBER BLEY: Are you saying this has to

MEMBER BLEY: Are you saying this has to

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	94
1	be confirmed when they come in for a specific design
2	or just the results of the calculation?
3	MS. HART: Well that is I think the
4	results of the calculation are what tell you the
5	emergency planning zone size. That would be the
6	actual proof of that.
7	I think for the purposes of requesting the
8	exemptions, they had to make general statements about
9	SMR designs and why they thought they were special.
10	MEMBER MARCH-LEUBA: For the record, I
11	don't agree with the point number one, a smaller
12	inventory. Per megawatt, because their refueling is
13	longer, it is not accumulating only two years of
14	inventory. It will accumulate ten years of inventory.
15	So the inventory is larger per megawatt.
16	MS. HART: Yes, some designs, that's true.
17	MEMBER MARCH-LEUBA: But it has to be
18	plant-specific.
19	MS. HART: I think in general that idea is
20	just that they are at smaller power in the first
21	place.
22	MEMBER MARCH-LEUBA: Right.
23	MS. HART: So the stuff in the core is
24	less
25	MEMBER MARCH-LEUBA: If you want to do it
	1

(202) 234-4433

	95
1	my module, then you take advantage of the lower power.
2	MS. HART: Yes.
3	MEMBER MARCH-LEUBA: But specifically
4	NuScale, if you are going to have an accident that
5	melts the core, it is going to be an external event
6	with a high probability of killing all 12 of them.
7	So the multi-module thing has to be
8	addressed properly.
9	MS. HART: Multi-module accidents do need
10	to be considered and that would be in your source
11	terms, if that is something that is appropriate to the
12	design that's been chosen.
13	MEMBER MARCH-LEUBA: If you look at those
14	sequences, to damage the core, it has to be an
15	external event and it will hit all of it.
16	MS. HART: I don't know if that is true.
17	That is something to discuss with NuScale.
18	MEMBER BLEY: And we don't know what they
19	are going to plan.
20	MS. HART: For the TVA Site, we do not
21	know which design they are going to choose. It may
22	not be NuScale. You never know.
23	Next slide, please. So, as you expressed
24	some concern about the statements that were made, I
25	also had some questions about them. So I asked them
	1

(202) 234-4433

to provide some information about what they mean by these things.

in my request for additional 3 And so 4 information, I did ask for specific technical support 5 related to those statements and a comparison to large light water reactors. And in their response, TVA did 6 7 provide tables with several parameters, comparing the smallest and largest SMRs, by that I mean based on 8 unit-rated thermal power, in the Clinch River Nuclear 9 early site permit application plant parameter envelope 10 the and medium currently 11 to large operating pressurized water reactors, one example of each one of 12 those, and the AP1000, as well. 13

14 And some examples of the parameters that they had comparisons was the internal events CDF and 15 large release frequency for the designs or for the 16 operating plants; the source term total activity -- so 17 that was just a total curie amount within the core of 18 19 each of those designs; the primary coolant liquid mass to power ratio; and some severe accident progression 20 information, you know the length of the releases, the 21 timing of the releases, things like that. 22 And there were some additional parameters and I didn't describe 23 24 them all here but they are in the response to the first RAI. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

(202) 234-4433

	97
1	And in general, they showed that the SMRs
2	do have better characteristics, if you look at these
3	specific parameters.
4	Next slide, please. So I also asked them
5	to give them being TVA to give me a
6	demonstration that the proposed plume exposure pathway
7	size criteria could be met at a given EPZ boundary
8	distance for potential reactor facilities that would
9	be represented by the surrogate design in the plant
10	parameter envelope.
11	And as you know, the plant parameter
12	envelope had several different designs that were used
13	to develop this envelope for the plant, surrogate
14	plant.
15	So in response to this request for
16	additional information, TVA provided an example
17	analysis using design information for a specific SMR
18	design as they described earlier, it was NuScale
19	as input to their plume exposure pathway EPZ size
20	methodology.
21	And the example analysis did show that the
22	design could support a site boundary plume exposure
23	pathway EPZ, however, it was not intended, either by
24	TVA nor interpreted that way by the staff, to prove
25	the case for the early site permit application to

(202) 234-4433

	98
1	justify a specific plume exposure pathway EPZ size.
2	And that is because it was based on preliminary design
3	information for an SMR at the lower end of the rate of
4	power that is part of the basis for the Clinch River
5	Nuclear Site ESP plant parameter envelope.
6	It used internal events design PRA only.
7	It did not include external events. And it did not do
8	a detailed uncertainly analysis. And the most
9	important reason, which of course I didn't put on the
10	slide, is that they are not asking for a specific EPZ
11	size at this time.
12	Next slide, please. So as TVA had
13	described, for use of the exemptions themselves in the
14	combined operating license, they did develop a non-
15	design-specific accident release source term that
16	would meet the plume exposure pathway EPZ size
17	criteria to be used as plant parameters. And those
18	are listed in our safety evaluation report Table 13.3-
19	1. It's the same idea as a plant parameter envelope
20	design-basis accident source term and it's used to
21	envelope an unknown design.
22	And this non-design-specific accident
23	release source term is reference in Permit Condition
24	1 for adoption of the EP exemptions by a COL that
25	references the ESP.
	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	99
1	This non-design-specific accident release
2	source term is an isotopic total release activity over
3	96 hours, which results in a total effective dose
4	equivalent of around 0.9 rem at the site boundary.
5	And as TVA had described earlier, it was based on
6	three core melt intact containment accidents, two were
7	design-basis accidents and one was a severe accidents,
8	from two different SMRs from the NuScale design and
9	also from the design that they used as the basis for
10	their early site permit siting analysis.
11	And they used the maximum activity release
12	for a specific nuclide from any of the three accidents
13	over a specific dose averaging period. They assumed
14	that would be the maximum release activity. And they
15	lined up the start of the release. Each time equals
16	zero at the same time of the release. So there was no
17	like if one started releasing at five hours and the
18	other one started releasing at ten hours, they moved
19	those both to the same starting period. And by dose
20	averaging period I mean those dose averaging periods
21	that we used in meteorological analysis, the zero to
22	8 hours, 8 to 24 hours, and 24 to 96 hours.
23	Once they determined the maximum release
24	for each radionuclide and the different
25	radionuclides may have a release from a different

(202) 234-4433

(202) 234-4433

1 plant or a different accident; they were all a composite together -- they added a 25 percent margin. 2 3 And then they did a back calculation to ensure that they fit within the dose criteria at the site 4 5 boundary. And there was an additional adjustment to some of those values. So there was at least a 25 6 7 percent margin over top of the maximum release for any of those three accidents that was included in this 8 9 non-design-specific accident release source term. Next slide, please. 10 So as I said, this was referenced in Permit Condition 1. And in Permit 11 Condition 1, COL applicant referencing the ESP, if 12 approved, would perform an analysis using the plume 13 14 exposure pathway EPZ size methodology with site- and 15 design-specific input to justify the plume exposure combined 16 EPZ size for the operating license 17 application. In addition to the output of the EPZ size 18 19 basis, it would also include the source term releases to the atmosphere. So an outcome of that analysis 20 would give you what was released to the atmosphere, 21 isotopic activity over time. 22 23 You would compare that release 24 characteristics to the environment to the SER Table 13.3-1 non-design-specific plant parameter source 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	101
1	term. And then you fit within if all of their
2	releases were less than what's in that table that was
3	developed in the ESP, then the COL applicant can adopt
4	the emergency planning exemptions.
5	And so that table, if you've looked at it
6	is a four-day total activity release to the atmosphere
7	for 71 separate isotopes.
8	So do you have any questions about that?
9	CHAIRMAN KIRCHNER: Yes, please. I was
10	just going back to the inventory is based on the
11	largest thermal unit that they were
12	MS. HART: It included the largest thermal
13	unit as one of the accidents.
14	CHAIRMAN KIRCHNER: One of the accidents.
15	MS. HART: Yes, and the other one was the
16	NuScale examples that they provided in the RAI
17	response.
18	MEMBER REMPE: So just to make sure about
19	this four-day question that I keep harping about, if
20	they finally come in, you will be there is some
21	clue to tell people hey, I'm not just going to look at
22	from the first of the release, I'm going to look at
23	the most severe time.
24	MS. HART: We'll look at the
25	characteristics of the entire scenario to determine if

(202) 234-4433

	102
1	they've evaluated the appropriate release
2	characteristics.
3	MEMBER REMPE: Thank you.
4	MS. HART: Okay, next slide, please.
5	So as a reminder, we've been talking about
6	the plant parameter envelope. It does include the
7	four different SMR designs, preliminary designs, the
8	mPower and NuScale, Holtec SMR, and Westinghouse SMR.
9	And the plant parameter envelope, itself, you could
10	include a different reactor design in the COLA that
11	falls within the following PPE information range and
12	that's two or more SMRs with a maximum 800 megawatts
13	thermal for a single unit and a combined site capacity
14	not to exceed 2,420 megawatts thermal or 800 megawatts
15	electric.
16	So next slide, please and I will turn it
17	back over to Bruce.
18	CHAIRMAN KIRCHNER: Michelle?
19	MS. HART: Oh, I'm sorry.
20	CHAIRMAN KIRCHNER: I was just thinking
21	about Table 13.3-1 and the condition, permit
22	condition. Different reactor vendors might have
23	different accident sequences and might get their
24	release from different isotopes. Do you see where I'm
25	going?
1	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	103
1	MS. HART: Yes.
2	CHAIRMAN KIRCHNER: So how does this fit
3	back to making that a condition that they live within
4	all of these four-day activity curie limits? Does
5	that always equate to still being below one rem at the
6	
7	MS. HART: Right. So
8	CHAIRMAN KIRCHNER: Do you see what I'm
9	going with?
10	MS. HART: Right, I see what you're
11	saying. So one of the reasons that this is a four-day
12	total integrated dose, so if there were different
13	characteristics to the rate of release, that's not
14	going to be a problem for them. But if there are
15	different isotopes that are included in this envelope
16	or if there is one isotope that is just really
17	different for a new design, it may not fit within this
18	table.
19	So, therefore, they don't automatically
20	get to use the exemptions but that doesn't mean that
21	they can't have a site boundary, a plume exposure
22	pathway EPZ because their analysis would prove that.
23	CHAIRMAN KIRCHNER: Okay.
24	MS. HART: This table is really only to
25	tell you that this is the information that we had in-

(202) 234-4433

	104
1	house at the time that we evaluated their exemption
2	requests. And so these are the conditions on the
3	exemption, as we understand it now. So we're not
4	trying to bound everything.
5	CHAIRMAN KIRCHNER: But when it really
6	came to an actual COLA with an actual plant, and if
7	something
8	MS. HART: They could take a variance.
9	CHAIRMAN KIRCHNER: say that I'll
10	pick something like xenon-133, which is a biggie here.
11	MS. HART: Right.
12	CHAIRMAN KIRCHNER: We're a little higher,
13	a little lower. Lower is okay but I mean say it were
14	higher, you would just analyze that as a variance.
15	I'm assuming it's not off the charts
16	different but it would be
17	MS. HART: Right. Right and I think the
18	implementation is still to be seen as well. I mean a
19	permit condition should be, as the lawyers have told
20	us, it should be ministerial. So you don't assess the
21	information. You just verify that the information has
22	been met
23	CHAIRMAN KIRCHNER: Okay, all right.
24	MS. HART: if that makes sense. But
25	they still may be able to justify a site boundary EPZ.

(202) 234-4433

	105
1	It's just they may have to take a variance or
2	CHAIRMAN KIRCHNER: Yes, they may, for
3	whatever reason, fuel choices or something, have a
4	different mix come out of their accident scenarios.
5	MS. HART: Right.
6	CHAIRMAN KIRCHNER: Okay.
7	MS. HART: Right.
8	Any additional questions on that?
9	Okay, so I will turn the presentation back
10	over to Bruce.
11	MR. MUSICO: Thank you. Slide 16, please.
12	This slide merely identifies some of the
13	key standards and guidance that the staff used to
14	perform its evaluation. There are additional
15	requirements and guidance documents that the staff
16	also used and those are identified within the safety
17	evaluation but these are the key ones.
18	Next slide, please. This slide deals with
19	the Federal Emergency Management Agency, FEMA, and our
20	consultation with them.
21	The NRC performed its review in
22	consultation with FEMA, pursuant to the FEMA-NRC
23	Memorandum of Understanding. FEMA's review was
24	limited in this case because, first of all, the ESP
25	application did not include any off-site emergency
1	

(202) 234-4433

	106
1	plans and, in addition, the major features plans only
2	addressed a limited aspect of the on-site emergency
3	planning features.
4	In FEMA's January 24, 2018 letter, FEMA
5	stated that, working with TEMA, and that's the
6	Tennessee Emergency Management Agency, FEMA did not
7	identify physical characteristics of the proposed site
8	that could pose a significant impediment to the
9	development of emergency plans, including evacuation
10	from the two-mile emergency planning zone.
11	In addition, the boundary established for
12	the proposed two-mile plume exposure pathway EPZ was
13	established relative to local emergency response needs
14	and capabilities, as they are affected by conditions
15	as demography, topography, land characteristics,
16	access routes, and jurisdictional boundaries.
17	And at this time, FEMA's finding does not
18	endorse or determine the adequacy of a proposed two-
19	mile plume exposure pathway EPZ for the site if
20	proposed during the licensing process. And these are
21	statements directly out of their letter.
22	In FEMA's June 12, 2017 letter, FEMA
23	further stated that it did not review or analyze the
24	feasibility and assumptions for the site boundary
25	emergency planning zone but, if requested in the
	1

(202) 234-4433
	107
1	future, would provide comments and recommendations to
2	the NRC.
3	CHAIRMAN KIRCHNER: May I make an
4	observation here, Bruce?
5	If I remember correctly the rules under
6	Part 50 and Part 52, the applicant is not required to
7	have this at this ESP juncture. Is that correct?
8	MR. MUSICO: Not required to have what?
9	CHAIRMAN KIRCHNER: The way the fully-
10	developed emergency plans.
11	MR. MUSICO: No. No, they are permitted
12	to come in with a major features emergency plan with
13	limitations.
14	CHAIRMAN KIRCHNER: Right.
15	MR. MUSICO: However, they are required to
16	come in and show that there are no physical
17	characteristics that could pose a significant
18	impediment to development of an emergency plan.
19	CHAIRMAN KIRCHNER: Yes.
20	MR. MUSICO: And also with respect to
21	let me see the boundary established for the
22	proposed two-mile plume exposure pathway EPZ, they
23	looked at that as well. And that was defined in the
24	evacuation time estimate.
25	CHAIRMAN KIRCHNER: Right.

(202) 234-4433

	108
1	MR. MUSICO: Now, if the applicant chose
2	not to submit an evacuation time estimate at this
3	time, it would be very limited with respect to what we
4	could evaluate and what finality they would get at
5	this time. So again, that is one of the advantages of
6	the major features emergency plan that they could come
7	in with and that they could pick and choose what
8	aspects of emergency planning they choose to address.
9	And it was limited, in this case, but it included
10	various aspects that they reflected and we reviewed.
11	CHAIRMAN KIRCHNER: The reason I brought
12	it up is I'm not an expert from alpha to omega on all
13	the details. But the implication from the slide, it
14	just it's like negative you know but actually I think
15	the applicant has met all of your requirements
16	MR. MUSICO: Well I I'm sorry.
17	CHAIRMAN KIRCHNER: or in Part 52 for
18	the ESP.
19	MR. MUSICO: I would characterize the
20	slide as positive in that
21	CHAIRMAN KIRCHNER: Okay. All right.
22	MR. MUSICO: It doesn't say no.
23	CHAIRMAN KIRCHNER: It only addressed
24	limited features and so on but
25	MR. MUSICO: An unbiased opinion here but
1	I Contraction of the second

(202) 234-4433

	109
1	what the slide represents is that there were two key
2	aspects that we are required to consult with FEMA. If
3	you look at the regulations from 10 CFR Part 52, there
4	are two areas where it specifically directs the staff
5	to make determinations in consultation with FEMA.
6	CHAIRMAN KIRCHNER: Right.
7	MR. MUSICO: And that's reflected in their
8	letter.
9	CHAIRMAN KIRCHNER: Yes.
10	MR. MUSICO: What the letter does reflect,
11	also, is that there are limitations that FEMA has
12	identified that they would still look at in a further
13	licensing process and they are not approving an
14	emergency planning zone at this time.
15	So I think it's an appropriate balance in
16	the response, where they did respond to the two in
17	consultation with requirements that are required for
18	us to work with them on in an early site permit but,
19	also, in addition, reflected an area of concern that
20	they had going forward in the licensing process.
21	CHAIRMAN KIRCHNER: Yes, that's fine.
22	It's just that when you went through the list, as you
23	did I'm sure this is quite accurate I just come
24	away with a feeling like they maybe they didn't do
25	something correctly. But as far as I can tell, the
	1

(202) 234-4433

	110
1	read from this slide is that they've done everything
2	that's needed at this point.
3	MR. MUSICO: That's correct. That's
4	correct, they did.
5	CHAIRMAN KIRCHNER: Okay, thank you.
6	MR. MUSICO: So we satisfied the two in
7	consultation with requirements in the regulations
8	CHAIRMAN KIRCHNER: Right, that's what I
9	thought. Okay, thank you.
10	MR. MUSICO: as well as identifying the
11	path going forward and their concerns going forward.
12	MEMBER BLEY: So you weren't approving an
13	EPZ at this time. You're approving an approach to
14	define.
15	MR. MUSICO: We are not approving an EPZ
16	at this time, a plume exposure pathway EPZ at this
17	time. We are approving a methodology for determining
18	dose that would be used to determine which of the two
19	major features emergency plans they can utilize in the
20	COLA application.
21	We are approving the two major features
22	emergency plans, which are reflected by the site
23	boundary EPZ and the two-mile EPZ.
24	MEMBER BLEY: Right.
25	MR. MUSICO: But in approving those, as

(202) 234-4433

	111
1	they relate and are reflected in the respective major
2	features emergency plan, does not approve those for
3	the site because that choice will be made at the COL
4	application stage.
5	MEMBER BLEY: Right.
6	MR. MUSICO: And at that stage, let's say
7	they picked the two-mile plume exposure pathway EPZ in
8	the COLA, while they get the benefit of finality and
9	the approval of the two-mile major features plan that
10	we approved, it is a major feature plan. It is
11	limited aspects of emergency planning. At that time,
12	they do have to come in with a complete and integrated
13	emergency plan.
14	So there is a delta between the limited
15	aspect of EP that we approved now, versus what the
16	final, all the EP requirements that they have to show
17	in the COLA.
18	CHAIRMAN KIRCHNER: Right.
19	MEMBER BLEY: When we get to the COLA
20	stage, before you approve the COLA, does FEMA have to
21	agree? Do they have to approve it or do they just
22	have to not you just have to consult with them and
23	they shouldn't have any major objections.
24	MR. MUSICO: Well, it depends. It depends
25	on which naturally, we would consult with them on
	1

(202) 234-4433

	112
1	the application, whatever came in. But as far as the
2	requirement for any approval from them, it depends on
3	which major features emergency plan is chosen by TVA.
4	And I'll discuss that in the upcoming slide.
5	MEMBER BLEY: Okay.
6	MR. MUSICO: Next slide, please, it would
7	be slide 18.
8	In the safety evaluation, the staff
9	identified 16 COL action items and we identified four
10	permit conditions. This merely distinguishes between
11	what a COL action item is and what a permit condition
12	is.
13	For the COL action items, what they do is
14	they track information that is needed before granting
15	a COL but is not required in the early site permit
16	application. They reflect the SMR design that may be
17	identified in the COLA and they require NRC
18	evaluation, further analysis, as part of the COL
19	application review.
20	What these primarily come from is the fact
21	this is similar to the PSEG site application that
22	we reviewed, which came in with a plant parameter
23	envelope, where they didn't identify specific reactor
24	technology. So there are certain areas that deal with
25	emergency planning that are reactor-specific. And so

(202) 234-4433

113 1 for those particular areas, that information just isn't available yet because they haven't identified 2 3 the reactor. 4 So the TVA identified a number of areas 5 where this information is not available now. It will be identified and addressed at the COL application 6 7 and, at that stage, we will review it in detail. And 8 we captured that as COL action items. 9 COL action request In short, items 10 information that they choose not to provide or is not available at this time but will require a subsequent 11 analysis in the COL application. So we will be doing 12 a detailed analysis on that information at that time. 13 14 In contrast, we identified four permit conditions and Michelle mentioned for Permit Condition 15 1 ministerial aspect of confirmation of whether they 16 17 met the permit conditions. We identified four, one of which was Permit Condition 1 that Michelle addressed, 18 19 and these all have that characteristic. is granted subject to permit 20 An ESP conditions, which 21 address required detailed 22 information that is not yet known but will be available in the COLA and subject to NRC confirmation. 23 24 Next slide, please. The next two slides, 19 and 20, merely list the 16 COL action items. 25 And

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	114
1	I won't read through those. You can read through them
2	yourself. But the details associated with why these
3	were identified and how the staff recommended that
4	there be COL action items, this is detailed within the
5	safety evaluation. You can look for detail in the SE.
6	Slide 21. Slide 21 lists the four permit
7	conditions that the staff identified and also we
8	identified one confirmatory item, which reflected
9	TVA's withdrawal of one of their exemption requests.
10	And this will be closed out when we receive the ESP
11	Application Revision 2. So this is just a minor
12	issue, as far as a confirmation in Rev. 2 that they
13	actually withdrew it in Rev. 2.
14	Next slide, please. This deals with the
15	COL application, the combined license application. n
16	the COL application, the COL applicant will identify
17	an SMR technology which must meet the plume exposure
18	pathway EPZ sizing methodology approved in the early
19	site permit for either the site boundary or two-mile
20	plume exposure pathway EPZ, or if they choose, they
21	may proposed a new emergency plan.
22	In other words, if they come in and they
23	show that one of the technologies they've chosen does
24	not using the methodology that we've approved in
25	the ESP does not meet either the site boundary or two-
I	I contraction of the second seco

(202) 234-4433

1 mile plume exposure pathway EPZ, then they would lose the benefit of the finality associated with the 2 3 approved two major features emergency plan. And they 4 would have to come in at the COL time with a complete 5 and integrated emergency plan, a completely new complete and integrated emergency plan with no benefit 6 7 from the preapproval and finality for the site boundary or two-mile plan that we've reviewed. 8 9 If the two-mile plume exposure pathway EPZ is selected and justified, the NRC will request that 10 FEMA review the off-site emergency plans -- and I 11 think that addresses your earlier question -- because 12 at that time, there would be a requirement for a 13 14 complete and integrated emergency plan to have to 15 submit off-site emergency plans. And that's where FEMA would come in, where they would review and 16 17 approve, as part of our consultation, the off-site emergency plans. 18 19 If. however, the site boundary plume

exposure pathway EPZ is selected and justified using the methodology, no formal FEMA approval of the offsite radiological plans are required because there would not be any off-site radiological emergency plans submitted in the COLA.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

The COL applicant will still need,

(202) 234-4433

25

(202) 234-4433

115

	116
1	however, to address requirements to communicate and
2	coordinate with off-site support organizations and
3	agencies.
4	Yes?
5	CHAIRMAN KIRCHNER: Let me throw a
6	hypothetical case out there. So invariably, we've
7	seen this with the existing fleet. They always want
8	to uprate the power, get more out of their investment.
9	So what happens now if TVA you grant
10	these exemptions, et cetera, and with these
11	limitations, permit conditions, et cetera but they
12	think this over for a bit and they say well, you know,
13	we really ought to get a few more hundred megawatts
14	electric out of this and they'll push up the thermal
15	rating? Are you still then in a position,
16	notwithstanding what we heard this morning I don't
17	know if you were there on the rulemaking
18	MR. MUSICO: I was there.
19	CHAIRMAN KIRCHNER: and the future of
20	that rulemaking, if they came in and said well, gee,
21	I think we can't quite shoehorn it into our current
22	site boundary and maybe we need a little cushion, so
23	we want to do it at three miles, what would happen
24	then? Would you notwithstanding the rulemaking
25	that should allow that flexibility, would you then

(202) 234-4433

ĺ	117
1	just reopen the case for that contingency?
2	MR. MUSICO: Well, yes. Yes, we would.
3	CHAIRMAN KIRCHNER: And I guess exemption
4	would be the means to handle it.
5	MR. MUSICO: They would pardon?
6	CHAIRMAN KIRCHNER: An exemption, then,
7	would be the means to handle it.
8	MR. MUSICO: No, not necessarily. If they
9	came in and they determined, through whatever means
10	the power itself, the power levels are really not
11	particularly relevant to the analysis that we did,
12	except to the extent that using the methodology,
13	subsequently they can meet the dose using the
14	methodology they've defined and we've approved, they
15	can meet the site boundary of two miles.
16	If they decide to come in with the reactor
17	technology that has a higher power level then that
18	could not meet either the site boundary or two-mile
19	plume exposure pathway EPZ, they would lose the
20	finality, the benefit associated with the two major
21	features emergency plan that we approved. They would
22	be required to come in with a totally new complete and
23	integrated emergency plan which reflected that.
24	With respect to the methodology, they have
25	the benefit of the methodology and if they could show
	I contraction of the second

(202) 234-4433

	118
1	that, using that methodology, they don't meet the two-
2	mile or the site boundary but they meet three miles,
3	conceivably, they could come in and use the
4	methodology with a new complete and integrated
5	emergency plan
6	CHAIRMAN KIRCHNER: That's what I was
7	testing.
8	MR. MUSICO: and we would review that.
9	CHAIRMAN KIRCHNER: And you would review
10	that.
11	MR. MUSICO: Well, we wouldn't be
12	reviewing the methodology again.
13	CHAIRMAN KIRCHNER: Right, no.
14	MR. MUSICO: We would be reviewing the
15	complete and integrated emergency plan.
16	CHAIRMAN KIRCHNER: Right but you wouldn't
17	throw them out and say no, that's ten miles, folks.
18	MR. MUSICO: No. No
19	CHAIRMAN KIRCHNER: Okay. That's what I'm
20	testing.
21	MR. MUSICO: because the methodology
22	CHAIRMAN KIRCHNER: I'm testing how
23	flexible your approach is.
24	MR. MUSICO: is not site boundary, two
25	miles, or ten miles. The methodology is the dose at

(202) 234-4433

	119
1	whatever distance it turns out to be.
2	CHAIRMAN KIRCHNER: Exactly.
3	MR. MUSICO: So we did think about that.
4	CHAIRMAN KIRCHNER: Okay, good.
5	MR. MUSICO: So yes, that's an interesting
6	approach that they could possibly take.
7	MS. BRADFORD: This is Anna Bradford from
8	NRO. Just one nuance is we wouldn't necessarily have
9	to I mean the methodology would be approved. So
10	someone said we wouldn't review the methodology. We
11	would review the application of that methodology
12	CHAIRMAN KIRCHNER: Of course. Yes, of
13	course.
14	MS. BRADFORD: to make sure we agree
15	with where they came out.
16	CHAIRMAN KIRCHNER: Yes, all right.
17	MEMBER MARCH-LEUBA: Yes, but make sure
18	when you write the SP that you box yourself with the
19	two-mile because you call it two-mile everywhere. I'm
20	looking at a map and I would love to have a one and a
21	half mile.
22	MR. MUSICO: Well, I wouldn't say they
23	boxed themselves. I would say they provide themselves
24	with a high amount of flexibility.
25	CHAIRMAN KIRCHNER: Yes.
	I

(202) 234-4433

	120
1	MEMBER MARCH-LEUBA: Well tell me again,
2	if it was only one and a half mile, you could make the
3	lower, the south boundary I-40 and don't have to have
4	any migration plans.
5	MR. MUSICO: They would have to choose the
6	two-mile emergency planning zone if they wanted to use
7	that major feature as a risk plan.
8	MEMBER MARCH-LEUBA: They cannot take one
9	and a half?
10	MR. MUSICO: They can take one and a half
11	but they still have to use the two-mile emergency
12	planning major features plan.
13	MEMBER MARCH-LEUBA: Why?
14	MR. MUSICO: If the methodology determined
15	that the desired dose was at one and a half miles,
16	they couldn't have the benefit of the site boundary
17	major features emergency plan. They would have to
18	utilize the two-mile major features emergency plan.
19	Now, if they didn't want to utilize that
20	and let's say they wanted to have a new one and a half
21	mile emergency planning zone, they would also lose the
22	benefit of the evacuation time estimate and they would
23	still have to off-site emergency plans. So, it would
24	be it wouldn't be advantageous to them to do that
25	because they've already gotten a lot of finality for

(202) 234-4433

	121			
1	that two-mile emergency planning zone. They've got			
2	the finality associated with the evacuation time			
3	estimate, as far as our review of the major features			
4	emergency plan. And they just have to supplement			
5	that, provide the delta for the complete and			
6	integrated emergency at the COL application			
7	MEMBER MARCH-LEUBA: Most of the plan is			
8	on I-40 and the Oak Ridge Turnpike because everything			
9	else is a desert. There is nothing there.			
10	MR. MUSICO: Well you know they could move			
11	the road. Who knows.			
12	MEMBER MARCH-LEUBA: Okay.			
13	MR. MUSICO: All right, slide 23. Thank			
14	you.			
15	All right, slide 23 let's see this			
16	summarizes the five key findings that the staff made			
17	in the safety evaluation report and these reflect the			
18	findings that are required by our regulation.			
19	First of all, the staff found that there			
20	are no significant impediments to the development of			
21	emergency plans. Secondly, there was an adequate			
22	TVA provided an adequate description of contacts and			
23	arrangements with federal, state, and local support			
24	agencies. The staff found that the proposed			
25	exemptions are acceptable. The staff found that the			
ļ				

(202) 234-4433

1 proposed major features emergency plans are acceptable. And finally, that the proposed dose-based 2 3 consequence-oriented ΕPΖ sizing methodology is 4 reasonable. Next slide, please, and I'll turn it back 5 over to Michelle or to Mallecia. Sorry. 6

7 MS. SUTTON: The staff's conclusion. The staff presented its review and findings on emergency 8 9 planning for the TVA Clinch River early site permit The staff concludes that the plume 10 application. exposure pathway emergency planning zone size and 11 acceptable methodology for determining the 12 is the plume 13 appropriate size of exposure pathway 14 emergency planning zone for the Clinch River Nuclear Site because it is consistent with the analyses that 15 form the technical basis for the current ten-mile 16 17 plume exposure pathway emergency planning zone.

The two major features emergency plans are acceptable because they meet the applicable standards of 10 CFR 50.47 and requirements of Appendix E to 10 CFR Part 50.

The exemption requests are acceptable because they are authorized by law, will not present an undue risk to the public health and safety, are consistent with the common defense and security, and

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	123	
1	special circumstances are present.	
2	Therefore, the staff finds the TVA early	
3	site permit application acceptable with respect to	
4	emergency planning and related exemption requests.	
5	Because we are discussing an early site	
6	permit, the staff wanted to clarify the relationship	
7	of the early site permit exemptions to a future	
8	combined license application that references the	
9	permit. The staff's presentation provided details on	
10	the evaluation of TVA's methodology, exemption	
11	requests, and emergency plans. This table provides	
12	the breakdown of TVA's request for approval in these	
13	three topic areas in their early site permit	
14	application and the final products of the staff's	
15	evaluation.	
16	In addition, it provides how the early	
17	site permit and exemptions can be implemented in a	
18	combined license application if the early site permit	
19	conditions are met.	
20	The last is an action that will not be	
21	completed until the Commission makes a decision	
22	whether to grant an early site permit and the	
23	exemptions. The appropriate plume exposure pathway	
24	emergency planning zone size for this site will not be	
25	determined until a combined license application that	
1		

(202) 234-4433

	124			
1	references a specific small modular reactor design is			
2	submitted for the Clinch River Nuclear Site.			
3	If there are no additional questions on			
4	this table or for the staff, this will conclude the			
5	staff's presentation.			
6	Any questions?			
7	CHAIRMAN KIRCHNER: Thank you. Let me go			
8	around first or take public comments first. Excuse			
9	me.			
10	So let me look around and see if anyone is			
11	in the room. Is there anyone in the room from the			
12	public who wishes to make a comment?			
13	Seeing no one stepping forward, can we			
14	open it is open.			
15	To those on our bridge line, is there			
16	anyone from the public who would wish to make a			
17	comment?			
18	Hearing none, we can close the bridge line			
19	or mute the bridge line. Thank you.			
20	And I will go around the table, starting			
21	with Ron.			
22	MEMBER BALLINGER: No comments.			
23	CHAIRMAN KIRCHNER: Dennis.			
24	MEMBER BLEY: No comments.			
25	CHAIRMAN KIRCHNER: Matt.			
	I contraction of the second seco			

(202) 234-4433

	125			
1	MEMBER SUNSERI: I appreciate the			
2	presentations. I have no comments.			
3	CHAIRMAN KIRCHNER: Joy.			
4	MEMBER REMPE: I also appreciate the			
5	presentations but have no comment.			
6	CHAIRMAN KIRCHNER: Jose.			
7	MEMBER MARCH-LEUBA: Why break a perfect			
8	record? No comment.			
9	CHAIRMAN KIRCHNER: Well, again, with the			
10	caveat that this is just one member's opinion and not			
11	that speaking for the ACRS, I think what we've heard			
12	from the applicant and what the staff has presented			
13	thank you for your presentations sounds reasonable			
14	and prudent. And I expect that the devil will be in			
15	the details when we actually see an actual technology			
16	selection and the COLA.			
17	So if there are no further comments, thank			
18	you again, and we are adjourned.			
19	(Whereupon, the above-entitled matter went			
20	off the record at 3:42 p.m.)			
21				
22				
23				
24				
25				
	I contraction of the second seco			



Committee on Reactor Salegua Committee Meeting Presented by Archie Manoharan, Licensing Alex Young, Engineering August 22, 2018

Acknowledgement and Disclaimer

Acknowledgment: "This material is based upon work supported by the Department of Energy under Award Number DE-NE0008336."

Disclaimer: "This presentation was prepared as an account of work sponsored by an agency of the United States Government. Neither the United States Government nor any agency thereof, nor any of their employees, makes any warranty, express or implied, or assumes any legal liability or responsibility for the accuracy, completeness, or usefulness of any information, apparatus, product, or process disclosed, or represents that its use would not infringe privately owned rights. Reference herein to any specific commercial product, process, or service by trade name, trademark, manufacturer, or otherwise does not necessarily constitute or imply its endorsement, recommendation, or favoring by the United States Government or any agency thereof. The views and opinions of authors expressed herein do not necessarily state or reflect those of the United States Government or any agency thereof."

TVA's Mission Serving the people of the Tennessee Valley to make life better.



Energy



Environment



Economic Development

Partner with 154 local power companies, to serve more than 9 million customers in parts of seven states. Directly serve 54 large industries and federal installations.

TVA's Nuclear Fleet





NRC Review of ESPA



ESPA – Emergency Preparedness Development

The ESPA considered information from four light water small modular reactor (SMR) designs:

- NuScale (160 megawatts thermal (MWt), 50 megawatts electrical (MWe))
- SMR-160 Holtec (525 MWt, 160 MWe)
- mPower (530 MWt, 180 MWe)
- Westinghouse (800 MWt, 225 MWe)

Combined nuclear generating capacity for the Clinch River Site not to exceed 2420 MWt (800 MWe)

Need for Scalable Emergency Planning Zone (EPZ):

- NUREG-0396 introduced the concept of a 10-mile EPZ 40 years ago
- NUREG-0396 considered large light water reactors (LWRs)

Based on SMR design information:

- TVA developed a dose-based, consequence-oriented approach to determine an appropriate EPZ size for a SMR
 - approach has the same dose criteria as NUREG-0396
 - takes into consideration SMR design and safety advancements
- Two emergency plans were proposed and developed
 - all four designs are expected to be able to meet the dose criteria for 2-mile EPZ
 - at least one design is expected to be able to meet the does criteria for Site Boundary EPZ
- Exemption requests that allow for review of major features of emergency plans other than 10-mile EPZ



Presentation Outline

Part 2, Site Safety Analysis Report (SSAR), Section 13.3, Emergency Preparedness:

- 13.3.1 Physical Characteristics
- 13.3.2 Emergency Plan (Refers to Part 5 of the ESPA)
- 13.3.3 Emergency Planning Zones
- 13.3.4 Evacuation Time Estimates (Supports Part 5B)
- 13.3.5 Contacts and Agreements

Part 5, Emergency Plan:

- Part 5A Emergency Plan Site Boundary EPZ
- Part 5B Emergency Plan 2-Mile EPZ

Part 6, Exemptions and Departures

- Exemption Requests for a Plume Exposure Pathway (PEP) EPZ at Site Boundary
- Exemption Requests for an approximate 2-mile PEP EPZ

Key NRC Interactions Related to Emergency Preparedness

Two audits were conducted to review the emergency preparedness information in the ESPA

- First audit November 2017 through February 2018
 - Example analysis completed by TVA to demonstrate feasibility that dose criteria can be met at Clinch River Site Boundary (RAI-8885)
- Second audit April 2018
 - EPZ Plant Parameter Approach (RAI-9206)

Requests for Additional Information (RAIs)

- RAI-8885 demonstrate that dose criteria can be met at Site Boundary EPZ
- RAI-9206 discuss how EPZ methodology was implemented in the example analysis and the EPZ plant parameter approach developed



Part 2, SSAR, Chapter 13 – Section 13.3 Emergency Preparedness



Section 13.3.1 – Physical Characteristics

Site Description DOE Oak Ridge Reservation borders the North-East sides

6.8 miles East of Kingston, TN 8.8 miles Northwest of Lenoir City, TN 9.2 miles East-Southeast of Harriman, TN (not shown) 25.6 miles West-Southwest of Knoxville, TN (not shown)

Area Population

CRN Site Center Point

Town/City Boundaries

CRN Site

Legend

U.S. Census 2010 data projected to 2015 856 permanent residents within 2-mile PEP EPZ 186,500 permanent residents within 15 miles

Counties

Rivers and Lakes

Recreation Areas

Grassy Creek Habitat Protection Area

→ Railroad

Interstate



The methodology uses a dose-based, consequence-oriented approach for determining the appropriate size of the PEP EPZ consistent with the NUREG-0396 approach with a dose criteria of the Environmental Protection Agency (EPA) early phase Protective Action Guides (PAGs).

The methodology is consistent with the NUREG-0396 approach:

- a spectrum of accidents are addressed
- Dose criteria is the same
- PEP EPZ boundary ensures protection from dose levels above 1 rem total effective dose equivalent (TEDE) limit established in the EPA PAG

Four light water SMR designs were considered which significantly differ from the large LWRs:

- smaller cores
- lower source terms
- reduced accident consequences
- reduced likelihood of accidents
- slower accident progression allows more time for mitigating actions



Technical criteria for determining the PEP EPZ size uses the existing emergency preparedness regulatory framework and dose saving criteria established in NUREG-0396

- Consistent with the NUREG-0396 sizing rationale, the technical criteria for determining the PEP EPZ size:
 - A. Encompass those areas in which projected dose from design basis accidents (DBAs) could exceed the EPA early phase PAGs.
 - B. Encompass those areas in which consequences of less severe core melt accidents could exceed the EPA early phase PAGs.
 - C. Be of sufficient size to provide for substantial reduction in early severe health effects in the event of more severe core melt accidents.

Criteria A and B: PEP EPZ encompasses those areas in which the plume exposure doses from DBAs and less severe core melt accidents could exceed the EPA early phase PAG

- Areas outside the PEP EPZ would meet the EPA early phase PAG dose limit of less than 1 rem TEDE.
- The methodology for verifying dose consequences beyond the PEP EPZ do not exceed the EPA early phase PAG levels includes:
 - Step 1 Selecting appropriate accident scenarios (accident scenarios with mean core damage frequency (CDF) greater than 1E-6 per reactor-year (rx-yr))
 - Step 2 Determining source terms for selected accident scenarios
 - Step 3 Calculating the dose consequences for selected accident scenarios
 - Step 4 Comparing the dose consequences for selected accident scenarios with the EPA early phase PAG

Criteria C: PEP EPZ be of sufficient size to provide for substantial reduction in early severe health effects in the event of more severe core melt accidents

Methodology for verifying that areas outside the PEP EPZ meet the limits for substantial reduction in early health effects:

- Step 1 Selecting appropriate accident scenarios (accident scenarios with mean CDF greater than 1E-7 per rx-yr)
- Step 2 Determine source terms for selected accident scenarios
- Step 3 Calculate the dose consequences for selected accident scenarios at the PEP EPZ boundary
- Step 4 Calculate the distance at which the conditional probability to exceed 200 rem (whole body) exceeds 1E-3 per rx-yr
- Step 5 Compare that distance with the PEP EPZ

Design Specific Example Analysis – Site Boundary PEP EPZ

- Evaluates NuScale Power Plant at the Clinch River Site
- Implements the dose-based methodology described in SSAR Section 13.3
- Demonstrates that Site Boundary EPZ is possible
- Doses at Site Boundary are much less than the EPA early phase PAG

Criteria	Site Boundary Dose TEDE (rem)	EPA Early Phase PAG Limit TEDE (rem)
A: Design Basis Accidents	0.104	1
B: Less Severe Core Melt Accidents	0.158	1

C: Reduction in Early Severe Health Effects No accident scenarios with mean CDF greater than 1E-7 per rx-yr.



EPZ Plant Parameter Approach



IVA

Section 13.3.5 – Contacts and Agreements

Letters of Support

- Letters of support from the State of Tennessee, Anderson County, Roane County, and the City of Oak Ridge were submitted in support of the ESPA.
- 10 CFR 52.17(b)(4) requires that the applicant make good-faith efforts to obtain certifications from local, State, and Federal governmental agencies with EP responsibilities.

Letters of Agreements and Certification Letters

- Certification letters and letters of agreements will be pursued during the combined license application (COLA) process.
- TVA will maintain agreements with surrounding emergency response organizations.
- TVA would continue to work with State and local support organizations to establish an emergency preparedness at Clinch River commensurate with the potential consequences to public health and safety


Part 5 – Emergency Plan



Part 5 – Emergency Plan

Part 5 of the ESPA contains the major features of two distinct Emergency Plans for Clinch River Site in accordance with 10 CFR 52.17(b)(2)(i).

Part 5A

 Describes major features of an Emergency Plan for a PEP EPZ consisting of the area encompassed by the Site Boundary.

Part 5B

 Describes major features of an Emergency Plan for a PEP EPZ consisting of an area approximately two miles in radius surrounding the Clinch River Site.

Both plans address the 16 planning standards in NUREG–0654, Section II, which reflects the requirements in 10 CFR 50.47(b)(1) through 10 CFR 50.47(b)(16) and Appendix E to 10 CFR Part 50 considering the requested exemptions described in Part 6 of the ESPA



Part 5A – Emergency Plan (Site Boundary EPZ)

- TVA Generic Emergency Plan as modified for Clinch River Site and an appendix with Site-Specific information
- Actions necessary to safeguard onsite personnel (within the site boundary) and minimize damage to property
- Information to ensure the compatibility of the proposed emergency plans (for onsite areas) with facility design features, site layout, and site location



Part 5B – Emergency Plan (2-Mile EPZ)

- TVA Generic Emergency Plan as modified for Clinch River Site and a Site-specific appendix
- Information to ensure the compatibility of the proposed emergency plans (for both onsite areas and the PEP EPZ) with facility design features, site layout, and site location.
- Site Evacuation Time Estimate Report



Part 5B – Evacuation Time Estimate

- Analysis of evacuation times is one method to identify any significant impediments to the development of emergency plans at the Site
- Provides TVA, State and local governments with site-specific information needed for protective action decision making
- Evacuation Time Estimates (ETE) analyses for Clinch River Site were completed in accordance with the guidance provided in NUREG/CR-7002, Criteria for Development of Evacuation Time Estimate Studies
- These analyses did not identify any physical characteristics unique to the Clinch River Site that could pose a significant impediment to the development of emergency plans



Pursuant to 10 CFR 52.7, Specific Exemptions, which is governed by 10 CFR 50.12, Specific Exemptions, TVA requested exemptions from the following emergency preparedness requirements for the Clinch River Site:

- Certain standards in 10 CFR 50.47(b) regarding onsite and offsite emergency response plans for nuclear power reactors
- Certain requirements of 10 CFR 50.33(g) and 10 CFR 50.47(c)(2) to establish PEP EPZ for nuclear power plants
- Certain requirements of 10 CFR Part 50, Appendix E, which establish the elements that make up the content of emergency plans

Two Sets of Exemptions

Based on the dose-based EPZ methodology described in Section 13.3 and taking light water SMR designs into consideration, two sets of exemptions were developed:

- Exemptions for a PEP EPZ established at the Site Boundary (Part 5A)
- Exemptions for an approximate 2-mile PEP EPZ (Part 5B)

Requested exemptions – Table 1-1 Exemptions Requested from 10 CFR 50.33(g), 50.47(b), and 50.47 (c)(2) for the **Site Boundary PEP EPZ Emergency Plan**

Regulation	Requirement	Exemption Request
10 CFR 50.33(g) 10 CFR 50.47(c)(2)	10 mile PEP EPZ distance	Deviate from 10 mile PEP EPZ
10 CFR 50.47(b), b(4), b(5), b(6), b(9), b(10)	Various elements of a formal offsite emergency plan	Deviate from formal offsite radiological emergency plan requirements on the basis that there are no offsite radiological consequences from any credible event in excess of the criteria described in Section 13.3. Note: TVA's emergency plan will describe the capabilities to determine if a radiological release is occurring and promptly communicate that information to the offsite response organizations for their consideration.

Requested Exemptions – Table 1-2 Exemptions Requested from 10 CFR 50, Appendix E for the Site Boundary PEP EPZ Emergency Plan

Regulation	Requirement	Exemption Request
10 CFR 50, Appendix E, Section IV.2 – IV.7	Evacuation time estimates (ETEs)	Deviate from ETE requirements as no offsite consequences from any credible event in excess of the criteria provided in Section 13.3, formal offsite radiological emergency response plans with preplanned evacuation details are not necessary. Therefore, there is no need for ETEs.
10 CFR 50, Appendix E, Section IV.D.1, D.3, D. 4	Certain elements of offsite notifications	Deviate from certain offsite notification requirements as members of public would not be within the Site Boundary PEP EPZ. (Note: TVA is not seeking an exemption from the requirement to notify responsible State and local government agencies within 15 minutes after declaring an emergency.)
10 CFR 50, Appendix E, Section IV.F.2, F.2.a, F. 2.a.(i) – 2.a.(iii), F.2.b, F.2.c, F.2.d	Certain elements of offsite exercises	Deviate from certain offsite exercise requirements as no formal offsite radiological emergency response plans would be needed as no offsite consequences from any credible event in excess of the criteria provided in Section 13.3. (Note: TVA would continue to invite State and local support organizations to participate in the periodic drills and exercises conducted.)



Requested Exemptions – Table 1-3 Exemptions Requested from 10 CFR 50.33(g) and 50.47(c)(2) for the 2-Mile PEP EPZ Emergency Plan

Regulation	Requirement	Exemption Request
10 CFR 50.33(g) 10 CFR 50.47(c)(2)	10 mile PEP EPZ distance	Deviate from 10 mile PEP EPZ



Technical Justification

 The criteria established in the methodology described in Section 13.3, provides for adequate protection of public health and safety by providing a EPZ that encompasses the areas in which the plume exposure doses could exceed the EPA early phase PAG, and for where there is a substantial reduction in risk of significant early health effects.

Special Circumstances Exist – Underlying Purpose of the Regulations Being Met

- Exemptions are Authorized by Law
- Exemptions Will not Present Undue Risk to Public Health And Safety
- Exemptions Are Consistent with the Common Defense and Security

Summary

	ESPA	COLA
PEP EPZ Methodology (Part 2, SSAR, Section 13.3)	Approval of the <u>dose-based</u> , <u>consequence oriented methodology</u> for determining the PEP EPZ size	Approval of <u>design specific</u> <u>implementation</u> of the methodology approved in the ESPA
EPZ Size (Part 6)	Approval <u>to deviate from the current</u> <u>10-mile PEP EPZ requirements</u> based on the methodology to determine PEP EPZ size	Approval of <u>design specific PEP EPZ</u> <u>size</u> based on design specific implementation of the methodology
Emergency Plan (Part 5)	Approval of the <u>major features</u> of the Site Boundary and 2-mile emergency plans presented in Part 5	Approval of the <u>remaining elements</u> of either the Site Boundary or 2-mile emergency plans OR a new plan based on design specific PEP EPZ size using methodology







ACRS Subcommittee August 22, 2018

Tennessee Valley Authority (TVA) Early Site Permit Application (ESPA)

ESPA Site Safety Analysis Report (SSAR) Section 13.3 Emergency Planning Advanced Safety Evaluation Report (SER) with no Open Items

Project Managers

Mallecia Sutton (NRO) Allen Fetter (NRO)

Technical Reviewers

Bruce Musico (NSIR) Michelle Hart (NRO)

13.3 Emergency Planning – TVA Early Site Permit Application

The ESPA requested review of 3 key areas, which consist of:

- Plume exposure pathway (PEP) emergency planning zone (EPZ) sizing methodology (ESPA SSAR, Sec. 13.3)
- 2 Major Features (onsite) Emergency Plans (ESPA Part 5)
 - ESPA Part 5A reflects a Site Boundary PEP EPZ
 - ESPA Part 5B reflects a 2-Mile PEP EPZ (includes an evacuation time estimate)
- 25 Exemption Requests (ESPA Part 6)
 - ESPA proposes 2 sets of exemptions (for the site boundary/2-mile PEP EPZs)
 - ESPA proposes an exemption from the current 10-mile PEP EPZ
 - Exemptions address portions of 10 CFR 50.33(g), 50.47(b) & (c)(2), and Appendix E to 10 CFR Part 50, for onsite and offsite emergency planning (EP)

Part 52 Licensing Process

- Upon issuance of the early site permit (ESP), the applicant acquires approval, with conditions, on:
 - The PEP EPZ sizing methodology
 - The 25 requested exemptions
 - The 2 major features E-plans (site boundary & 2-mi PEP EPZ)
- In the future, a combined license application (COLA) that incorporates by reference the ESP will:
 - Identify a chosen small modular reactor (SMR) technology for the Clinch River Nuclear Site
 - The applicant must demonstrate that the EPZ sizing methodology supports either the site boundary or 2-mile PEP EPZ
 - Provide a complete & integrated emergency plan
 - For the 2-mile PEP EPZ, must provide onsite & offsite emergency plans
 - For the site boundary PEP EPZ, must provide onsite emergency plan (assumes that site boundary, as defined for EP purposes in the COLA, will be within the applicant's owner controlled area)
 - Address identified COL action items and permit conditions

Review of Exemptions (Special Circumstances)

- The NRC reviewed the requested exemptions pursuant to 10 CFR 50.12 (Specific Exemptions)
 - 50.12(a)(2) The Commission will not consider granting an exemption unless special circumstances are present.
 - Special circumstances are present whenever
 - (ii) Application of the regulation in the particular circumstances would not serve the underlying purpose of the rule, or is not necessary to achieve the underlying purpose of the rule.

Special Circumstances (Underlying Purpose of Rule)

- The underlying purpose of 10 CFR 50.33, 50.47, and Appendix E to 10 CFR Part 50, is to:
 - Ensure that licensees maintain effective onsite and offsite radiological emergency response plans,
 - Ensure that there is reasonable assurance that adequate protective measures can and will be taken in the event of a radiological emergency, and
 - Establish plume exposure and ingestion pathway EPZs.
- The ESPA serves to provide a basis for the establishment (in the COLA) of either a Site Boundary or 2-mi PEP EPZ, which maintains the same level of protection (i.e., dose savings in the event of a radiological emergency) in the environs of the Clinch River Nuclear Site, as that which exists in the basis for a 10-mi PEP EPZ.

TVA PEP EPZ Size Methodology Technical Criteria

- PEP EPZ should encompass those areas in which projected dose from design basis accidents (DBAs) could exceed the U.S. Environmental Protection Agency (EPA) early phase protective action guide (PAG)
- PEP EPZ should encompass those areas in which consequences of less severe core melt accidents could exceed the EPA early phase PAG
- PEP EPZ should be of sufficient size to provide for substantial reduction in early health effects in the event of more severe core melt accidents

TVA PEP EPZ Size Methodology SSAR Section 13.3.3.1

- Accident scenario selection
 - Use bounding DBA from COLA Final Safety Analysis Report Chapter 15
 - Use COLA site- and design-specific probabilistic risk assessment (PRA) to categorize severe accident scenarios
 - All modes, internal and external events, applicable fuel handling and spent fuel pool accidents, multi-module considerations
 - Assess all sequences with mean core damage frequency (CDF) > 10⁻⁸ per rx-yr
 - More probable, less severe core melt scenarios
 - Mean CDF > 10⁻⁶ per rx-yr, intact containment
 - Less probable, more severe core melt scenarios
 - Mean CDF > 10^{-7} per rx-yr, containment bypass or failure
- Determine source term releases to atmosphere
- Calculate dose consequences at distance from plant
- Determine PEP EPZ size that meets the dose-based criteria

TVA Dose-Based PEP EPZ Size Criteria

- Dose to individual from exposure to the airborne plume during its passage and to groundshine, using average atmospheric dispersion characteristics for site
- DBA and more probable, less severe accidents
 - 1 rem total effective dose equivalent (TEDE) from 96-hr exposure
 - Lower end of dose range EPA PAG for early phase protective actions (e.g., evacuation and sheltering)
 - Verify that dose consequences do not exceed the EPA PAG beyond the site boundary (within owner controlled area) and 2-mile PEP EPZs
- Less probable, more severe accidents
 - Calculate the distance at which the conditional probability to exceed 200 rem whole body from 24-hr exposure exceeds 10⁻³ per rx-yr
 - Acute dose at which radiation-induced early health effects may begin to be noted (e.g., nausea)
 - Verify that the PEP EPZ supports substantial reduction in early health effects

Review of PEP EPZ Size Methodology

- Staff compared TVA's methodology and dose criteria to the study used as technical basis for current 10-mile PEP EPZ requirement (NUREG-0396)
 - The features of TVA's methodology are consistent with NUREG-0396
 - Considered a range of accidents
 - Performed accident consequence analyses
 - Determined an area outside of which early protective actions are not likely to be necessary to protect the public from radiological releases
- The staff concludes that the applicant's proposed methodology is reasonable, and consistent with the analyses that form the technical basis for the current regulatory requirement of a PEP EPZ of about 10 miles in radius.

SMR Features that Support the Exemption Requests

- TVA stated that special circumstances exist at the Clinch River Nuclear Site due to the anticipated enhanced safety features of the SMR designs under consideration
 - Smaller radionuclide inventory and source terms
 - Projected accident progression rate is anticipated to be slower
 - Various design features are expected to eliminate several historically considered design basis events
 - Severe accidents are projected to be less likely to occur
 - Advanced design features that would minimize accident consequences

Request for Additional Information Question 1

- Specific technical support related to the statements on SMR features and comparison to large light water reactors (LLWRs)
- TVA provided tables with several parameters comparing the smallest and largest SMRs (based on unit rated thermal power) in the Clinch River Nuclear ESPA plant parameter envelope (PPE) to large and medium currently operating pressurized water reactors and the AP1000

For example:

- Internal events CDF and large release frequency
- Source term total activity
- Primary coolant liquid mass to power ratio
- Severe accident progression information

Request for Additional Information Question 2

- Demonstration that the proposed PEP EPZ size criteria could be met at a given EPZ boundary distance for potential reactor facilities that would be represented by the surrogate design in the PPE
- TVA provided an example analysis using design information for a specific SMR design as input to the SSAR 13.3 PEP EPZ size methodology
 - Example analysis showed that design could support a site boundary PEP EPZ
 - Not intended to prove case for ESPA to justify a specific PEP EPZ size
 - Based on preliminary design information for an SMR at the lower end of the rated power (160 MWt) that is part of the basis for the Clinch River Nuclear ESPA PPE
 - Used internal events design PRA only
 - Did not do detailed uncertainty analysis

EP Exemption Plant Parameters

- TVA developed a non-design-specific accident release source term that would meet the PEP EPZ size criteria to be used as plant parameters (SER Table 13.3-1)
 - Same idea as PPE DBA source term to envelope an unknown design
 - Referenced in Permit Condition 1 for adoption of EP exemptions
- Isotopic total release activity over 96 hrs results in TEDE of about 0.9 rem at site boundary
 - 3 core melt, intact containment accidents (2 DBAs and 1 severe accident)
 - From 2 SMRs (160 MWt and 800 MWt)
 - Maximum activity release for a specific radionuclide from any of the 3 accidents over a specific dose averaging period was assumed to be the release activity of that radionuclide for that period
 - 0-8 hrs, 8-24 hrs, 24-96 hrs
 - Added 25% margin
 - Additional adjustment to values for backcalculation

Permit Condition 1

- COL applicant referencing the ESP (if approved) would perform an analysis using the SSAR 13.3 PEP EPZ size methodology, with site- and designspecific input, to justify the PEP EPZ size for the COLA
- The COLA PEP EPZ size analysis output includes the source term releases to the atmosphere
 - Isotopic activity release over time
- If the COLA PEP EPZ size analysis source term releases to the atmosphere are bounded by the non-design-specific plant parameter source term information in SER Table 13.3-1, then the COL applicant can adopt the EP exemptions
 - 4-day total activity release to the atmosphere for 71 isotopes
 - COLA values should be shown to be less than ESP (Table 13.3-1) values to adopt the EP exemptions

Plant Parameter Envelope

- TVA identified 4 SMR designs to develop the PPE
 - BWXT mPower (Generation mPower)
 - NuScale (NuScale Power)
 - SMR-160 (Holtec SMR)
 - Westinghouse SMR (Westinghouse Electric Co.)
- A different reactor design that falls within the following PPE information range may be selected in the COLA
 - 2 or more SMRs with a maximum 800 MWt for a single unit
 - Combined site capacity not to exceed 2420 MWt (800 MWe)



Review Standards/Guidance

- 10 CFR Part 52, Subpart A, Early Site Permits
- 10 CFR 50.47 & Appendix E to Part 50
- 10 CFR 50.12 & 52.7, Specific Exemptions
- NUREG-0800, Standard Review Plan, Sec. 13.3, Emergency Planning
- NUREG-0654/FEMA-REP-1 (Rev. 1), Suppl. 2, NSIR/DPR-ISG-01
- NUREG-0696, Functional Criteria for Emergency Response Facilities
- NUREG/CR-7002, Criteria for Development of ETE Studies
- NUREG-0396, Planning Basis for the Development of State and Local Government Radiological Emergency Response Plans in Support of Light Water Nuclear Power Plants
- EPA PAG Manual: Protective Action Guides and Planning Guidance for Radiological Incidents



Federal Emergency Management Agency (FEMA) Consultation

- NRC performed its review in consultation with FEMA, pursuant to the FEMA-NRC Memorandum of Understanding (MOU) (12/7/15, ML15344A371)
- FEMA review was limited because:
 - The ESPA did not include offsite emergency plans, and
 - The major features plans only addressed limited onsite EP features.
- FEMA's January 24, 2018, letter (ML18031B055) stated that:
 - Working with TEMA, FEMA did not identify physical characteristic of the proposed site that could pose a significant impediment to the development of emergency plans, including evacuation from the 2-mi EPZ.
 - The boundary established for the proposed 2-mi PEP EPZ was established relative to local emergency response needs and capabilities, as they are affected by such conditions as demography, topography, land characteristics, access routes, and jurisdictional boundaries.
 - At this time, FEMA's finding does not endorse or determine the adequacy of a proposed 2-mi PEP EPZ for the site if proposed during the licensing process.
- In its June 12, 2017, letter (ML17164A206) FEMA further stated that it did not review or analyze the feasibility and assumptions for the site boundary EPZ, but if requested in the future, would provide comments and recommendations.

COL Action Items vs. Permit Conditions

- The 16 COL Action Items:
 - Track information that is needed before granting a COL, but is not required in the ESPA
 - Reflect the SMR design that may be identified in the COLA
 - Require NRC evaluation as part of the COLA review
- The 4 Permit Conditions:
 - An ESP is granted subject to permit conditions, which address required detailed information that is not yet known, but will be available in the COLA and subject to NRC confirmation

16 COL Action Items

- 13.3-1, Select SMR (EPA PAGs)/PEP EPZ/E-plan
- 13.3-2, Update Letters of Agreement/MOUs
- 13.3-3, SMR facilities & staffing
- 13.3-4, Emergency action level scheme
- 13.3-5, Alert and notification system
- 13.3-6, SMR communications/data links
- 13.3-7, Joint Information Center location/capabilities
- 13.3-8, Onsite monitoring systems/equipment

COL Action Items (cont.)

- 13.3-9, Technical Support Center
- 13.3-10, Operations Support Center
- 13.3-11, Local Recovery Center
- 13.3-12, Central Emergency Control Center
- 13.3-13, Radiation monitoring systems
- 13.3-14, Meteorological tower & monitoring program
- 13.3-15, On-site personnel decontamination facility
- 13.3-16, Communications testing & hostile action exercises

4 Permit Conditions, 1 Confirmatory Item

- Permit Conditions (PC)
 - SMR PPE Accident Consequence Analyses
 - PC 1, Calculation of EPZ Size
 - Fukushima Dai-ichi (near term task force 9.3, Tier 1)
 - PC 2, Multi-Unit Staffing Assessment
 - PC 3, Communications Assessment
 - 2011 Emergency Preparedness Rulemaking
 - PC 4, On-Shift Staffing Analysis
- Confirmatory Item 13.3-1
 - Withdrawal of exemption request Item No. 19 (re: the requirement for remedial exercises)
 - Section IV.F.2.f of App. E to 10 CFR Part 50
 - Can be closed out when ESPA Rev. 2 is submitted



Combined License Application (COLA)

- In the COL Application:
 - The COL applicant will identify an SMR technology, which must meet the PEP EPZ sizing methodology approved in the ESP for either the site boundary or 2-mile PEP EPZ, or may propose a new emergency plan.
 - If the 2-mile PEP EPZ is selected and justified, the NRC will request that FEMA review the offsite emergency plans.
 - If the site boundary PEP EPZ is selected and justified, no formal FEMA-approved offsite radiological plans are required.
 - The COL applicant will still need to address requirements to communicate and coordinate with offsite support organizations and agencies

Staff Review Findings

- No significant impediments to the development of emergency plans (10 CFR 52.17(b)(1))
- Adequate description of contacts and arrangements with Federal/State/local support agencies (10 CFR 52.17(b)(4))
- Proposed exemptions are acceptable (10 CFR 50.12, 52.7)
- Proposed major features emergency plans are acceptable (10 CFR 52.17(b)(2)(i))
- Proposed dose-based, consequence-oriented EPZ sizing methodology is reasonable
Conclusions

- The staff concludes that:
 - The PEP EPZ sizing methodology is acceptable for determining the appropriate size of the PEP EPZ for the Clinch River Nuclear Site because it is consistent with the analyses that form the technical basis for the current 10-mile PEP EPZ.
 - The 2 major features emergency plans are acceptable because they meet the applicable standards of 10 CFR 50.47 and requirements of Appendix E to 10 CFR Part 50.
 - The exemption requests are acceptable because they are authorized by law, will not present an undue risk to the public health and safety, are consistent with the common defense and security, and special circumstances are present.
- Therefore, the staff finds the TVA ESPA acceptable with respect to emergency planning and related exemption requests.

TVA's Request in ESP Application and Method of Implementation (if ESP Application Approved) in COLA			Final Products and Approval Mechanism	
	ESP	COLA	ESP	COLA
Methodology (SSAR 13.3)	Approval of a dose-based methodology for determining the EPZ size, as described in SSAR Section 13.3.	Approval of site-specific implementation of the previously approved methodology in ESP SSAR Section 13.3 to justify EPZ size. EPZ size calculation provided using site- and design- specific information. Approval of final EPZ size.	Final Product: SER and permit Staff relies on NUREG-0396 and EPA PAG Manual. SECY-15-0077: Staff initiated rulemaking for SMRs and ONTs. Prior to establishment of rule, staff should be prepared to adapt approach to EPZs for SMRs under existing exemption processes, in parallel with its rulemaking efforts (case-by- case).	Final Product: SER, license with EPZ size Using the methodology in ESP SSAR Section 13.3, the COL applicant must demonstrate that the selected SMR design meets EPA PAGs for the selected EPZ size.
Exemption Request (Part 6)	Approval for exemptions from the current 10-mile EPZ requirement if certain conditions are met. Approval to use the methodology in ESP SSAR Section 13.3 to determine EPZ size in the COLA. The ESPA requests 2 sets of exemptions, one for a site boundary EPZ and one for a 2 mile EPZ, and proposed major features of emergency plans for each.	The COLA can rely on EP exemptions granted in the ESP, provided site- and design-specific information justify use of one of the sets of exemptions evaluated in the ESPA.	Final Product: SER and permit with exemptions (if approved) and related conditions Staff relies on exemption guidance, NUREG-0396 and EPA PAG Manual	Final Product: SER, license to reflect EPZ size supported in the COLA.
Emergency Plans (Part 5A and Part 5B)	Approval of the major features of the site boundary and 2-mile emergency plans in Part 5.	Approval of complete and integrated emergency plans, including offsite emergency plans if a PEP EPZ other than site boundary is selected. Includes the remaining features of the emergency plan (either site boundary or 2-mile) from the ESP or new emergency plan based on the final dose-based EPZ size.	Final Product: SER and permit Staff relies on existing rules and guidance, except to the extent that they are not applicable because of the requested exemptions.	Final Product: SER, license to reflect EPZ size supported in the COLA.

Abbreviations

- CDF core damage frequency
- CFR Code of Federal Regulations
- COL combined license
- COLA combined license application
- DBA design basis accident
- EP emergency planning
- EPA U.S. Environmental Protection Agency
- EPZ emergency planning zone
- ESP early site permit
- ESPA early site permit application
- ETE evacuation time estimate
- FEMA Federal Emergency Management Agency
- FSAR Final Safety Analysis Report
- LLWR large light water reactor
- MOU memorandum of understanding
- MWe megawatts electric
- MWt megawatts thermal
- NTTF Near-Term Task Force

Abbreviations (cont.)

- PAG (EPA) protective action guide
- PC permit condition
- PEP plume exposure pathway
- PPE plant parameter envelope
- PRA probabilistic risk assessment
- RG Regulatory Guide
- rem roentgen equivalent man (1 rem = 0.01 Sv)
- rx-yr reactor-year
- SER safety evaluation report
- SMR small modular reactor
- SSAR site safety analysis report
- TEDE total effective dose equivalent
- TEMA Tennessee Emergency Management Agency
- TVA Tennessee Valley Authority