

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Holtec International
(HI-STORE Consolidated Interim
Storage Facility)

Docket Number: 72-1051-ISFSI

ASLBP Number: 18-958-01-ISFSI-BD01

Location: Albuquerque, New Mexico

Date: January 24, 2019

Work Order No.: NRC-0087

Pages 211-386

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ATOMIC SAFETY AND LICENSING BOARD PANEL

+ + + + +

HEARING

-----x

In the Matter of: : Docket No.
HOLTEC INTERNATIONAL : 72-1051-ISFSI
: ASLBP No.
(HI-STORE Consolidated : 18-958-01-ISFSI-BD01
Interim Storage Facility) :

-----x

Thursday, January 24, 2019

State Bar of New Mexico
5121 Masthead Street NE
Albuquerque, New Mexico

BEFORE:
PAUL S. RYERSON, Chair
GARY S. ARNOLD, Administrative Judge
NICHOLAS G. TRIKOUROS, Administrative Judge

1 APPEARANCES:

2 On Behalf of Holtec International:

3 JAY SILBERG, ESQ.

4 of: Pillsbury Winthrop Shaw Pittman, LLP

5 1200 Seventeenth Street, NW

6 Washington, DC 20036

7 jay.silberg@pillsburylaw.com

8

9 On Behalf of the Nuclear Regulatory Commission:

10 JOSEPH I. GILLESPIE, ESQ.

11 of: Office of the General Counsel

12 U.S. Nuclear Regulatory Commission

13 Mail Stop - O-15 D21

14 Washington, D.C. 20555-0001

15 joe.gillespie@nrc.gov

16

17 On Behalf of Beyond Nuclear:

18 DIANE CURRAN, ESQ.

19 of: Harmon, Curran, Spielberg & Eisenberg, LLP

20 1725 DeSales Street, NW

21 Suite 500

22 Washington, D.C. 20036

23 dcurran@harmoncurran.com

24

25

1 On Behalf of the Sierra Club:

2 WALLACE L. TAYLOR, ESQ.

3 of: Law Offices of Wallace L. Taylor

4 4403 1st Avenue SE

5 Suite 402

6 Cedar Rapids, Iowa 52402

7 wtaylor784@aol.com

8

9 On Behalf of Fasken Land and Minerals and

10 Permian Basin Land and Royalty Owners:

11 ROBERT V. EYE, ESQ.

12 of: Robert V. Eye Law Office, LLC

13 4840 Bob Billings Parkway

14 Lawrence, Kansas 66049

15 bob@kauffmaneye.com

16

17 On Behalf of Eddy-Lea Energy Alliance:

18 JOHN A. HEATON

19 Vice Chairman

20 of: Eddy-Lea Energy Alliance

21 102 S. Canyon Street

22 Carlsbad, New Mexico 88220

23 jaheaton1@gmail.com

24

25

1 On Behalf of NAC International, Inc.:

2 SACHIN S. DESAI, ESQ.

3 of: Hogan Lovells, LLP

4 555 13th Street NW

5 Washington, D.C. 20004

6 sachin.desai@hoganlovells.com

7

8 On Behalf of the Alliance for Environmental
9 Strategies:

10 NANCY L. SIMMONS, ESQ.

11 of: Law Office of Nancy L. Simmons

12 120 Girard Boulevard SE

13 Albuquerque, New Mexico 87106

14 nlsstaff@swcp.com

15

16 On Behalf of Don't Waste Michigan:

17 TERRY J. LODGE, ESQ.

18 of: Don't Waste Michigan

19 316 N. Michigan Street

20 Suite 520

21 Toledo, Ohio 43604-5627

22 tjllodge50@yahoo.com

23

24

25

1 On Behalf of Lea County, New Mexico:

2 JONATHAN SENA

3 100 N. Main Avenue

4 Lovington, New Mexico 88260

5 jsena@leacounty.net

6

7 On Behalf of Eddy County, New Mexico:

8 RICK RUDOMETKIN

9 101 W. Greene Street

10 Suite 110

11 Carlsbad, New Mexico 88220

12 rrudometkin@co.eddy.nm.us

13

14 On Behalf of the City of Carlsbad, New Mexico:

15 JASON G. SHIRLEY

16 1024 North Edwards Street

17 Carlsbad, New Mexico 88220

18 jgshirley@cityofcarlsbadnm.com

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CONTENTS

Call to Order 217

Fasken Land and Minerals and Permian Basin Land
and Royalty Owners 217

City of Carlsbad, New Mexico 229

Holtec International 232

NRC/Staff 329

Closing Statements

 Beyond Nuclear 357

 Sierra Club 362

 Don't Waste Michigan 365

 NAC International 370

 Fasken Land and Minerals and Permian Basin
 Land and Royalty Owners 375

 Holtec International 377

Adjourn 386

P R O C E E D I N G S

9:00 a.m.

1
2
3 CHAIR RYERSON: Good morning, please be
4 seated. Welcome again, everyone. We're back here for
5 the second day of oral arguments on the Holtec matter,
6 Holtec International application to construct and
7 operate an interim nuclear waste facility in Lea
8 County, New Mexico.

9 I think the way we'll proceed this morning
10 is, first, with Fasken. And then, I believe that --
11 if the representative of the City of Carlsbad is here,
12 we'll give you a few minutes to say what you would
13 like to say.

14 And then, we will turn to Holtec, which
15 will probably take quite a bit more time. And
16 finally, the NRC staff.

17 Any questions about how we're proceeding
18 today that we haven't addressed? Everybody's prepared
19 to go forward? Good. Somebody -- yes, and a
20 reminder, again, to turn off or silence your cell
21 phones, will help a lot. Okay.

22 Well, let's begin, then, with the
23 representative of Fasken, Mr. Eye.

24 MR. EYE: May it please the Panel, my name
25 is Robert Eye. I represent Fasken and Permian Basin

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Land and Royalty Owners.

2 At a bare minimum, any decision concerning
3 the establishment of a consolidated interim storage
4 facility that would have the greatest concentration of
5 radiation between here and the sun should be done in
6 conformance with applicable law.

7 The application before you now does not
8 meet this minimum test. Including any Department of
9 Energy involvement in this proposal violates the
10 Nuclear Waste Policy Act.

11 When Congress passed the NWPA, it
12 recognized the real possibility that establishing a
13 CISF without a deep geologic repository would
14 effectively relieve the pressure off the imperative to
15 establish a deep geologic repository.

16 Why did Congress, in the NWPA, require the
17 repository be available and operational before
18 allowing a CISF? Congress well recognized that
19 putting a CISF into operation simply allowed a further
20 delay in establishing a deep repository, kicking the
21 can down the road farther.

22 And, yes, in 2019, there seems to be a
23 doubt about whether this unambiguous intent of
24 Congress, that clearly is manifested in the text of
25 the NWPA, is being met by the application presented by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Holtec.

2 This doubt raises all the familiar
3 problems with reaching a final disposition on spent
4 nuclear fuel in a deep geologic repository.

5 As plans are made to store 173,000 metric
6 tons of spent nuclear fuel in Southeast New Mexico,
7 durations of time for the use of this facility exceed
8 100 years.

9 What is the public to make of this?
10 Hearing these durations with no prospect of a deep
11 geologic repository raises the issue of an adherence
12 to the rule specified in the NWPA.

13 The Applicant and staff have been silent
14 about this attempted end-run around the NWPA. This
15 silence, coupled with the idea that the proposed CISF
16 will be in operation for over 100 years, leads to the
17 conclusion that a deep geologic repository is just so
18 much pie in the sky.

19 The authors of the NWPA would be troubled
20 and perplexed by this circumstance. They would be, I
21 think, very disagreeable about how their careful
22 sequencing and balancing in the NWPA has been
23 disregarded in the Holtec application.

24 This application puts the cart before the
25 horse. In doing so, the NWPA is violated. And that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is why Fasken and PBLRO took the steps it did to file
2 a motion to dismiss the application.

3 And I'm sure that there will be -- I sense
4 that there may be some questions about that later, so
5 I will turn and make a few brief statements about
6 standing.

7 Fasken and PBLRO have standing. First, as
8 discussed in the declaration of Tommy Taylor from
9 Fasken, Fasken has mineral interests two miles from
10 the Holtec site. These are mineral interests that
11 represent a substantial business investment and they
12 want to protect those.

13 This close proximity puts Fasken well
14 within the zone of the 14 to 17 miles that we've
15 discussed, we've heard discussed prior, that has been
16 recognized as proximate distance to justify standing
17 in the CISF context.

18 Fasken's interests, and the interests of
19 their counterparts in PBLRO, are jeopardized by the
20 Holtec proposal for its CISF.

21 Not only are the economic interests
22 related to the mineral rights at stake, but, as Mr.
23 Taylor points out in his declaration, there are
24 concerns about the health and safety of people in the
25 area who are exposed to this radiation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And then, indeed, that might force Fasken
2 to incur further costs to accommodate a CISF. Fasken
3 and other members of PBLRO work and live in that area.
4 And Fasken, for example, has to dispatch workers out
5 to that area, to tend to its interests.

6 Fasken recognizes that things like medical
7 costs, lost productivity, and long-term viability of
8 their business interests are directly at stake with
9 the CISF that's proposed in this matter.

10 You heard yesterday about how oil and gas
11 industry is so robust in the Permian Basin area that
12 they can't find enough workers to fill all the
13 available positions.

14 This is a sign of business activity that
15 is not only enviable, but it helps sustain the economy
16 of this area. The thousands of jobs that Fasken and
17 its PBLRO counterparts offer are at stake, which
18 ripples through the way of life of this entire area.

19 PBLRO's purpose, as stated in our papers,
20 is to protect those interests from the hazards
21 represented by the Holtec CISF. Accordingly, PBLRO
22 has representative standing. With that, I will do my
23 best to answer any questions that you have.

24 CHAIR RYERSON: Thank you, Mr. Eye. I
25 think we put in our January 10 order two questions

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that really are directed at you, Questions 3 and 4.

2 Let's assume that your clients have
3 standing, hypothetically, let's assume the Board
4 concluded that. The issue that we see is -- and it's
5 complicated by the procedural posture here. Let me go
6 back a little bit.

7 You, on behalf of your clients, filed a
8 motion to dismiss, as I recall, not a petition with
9 contentions. And Beyond Nuclear filed both a motion
10 to dismiss, and as a protective matter, a petition
11 with one contention, fundamentally the same issue as
12 the motion to dismiss.

13 Your motion was directed at the Commission
14 through the Secretary. The Commission has in effect
15 said that we should treat it, treat your motion, as a
16 petition with a contention.

17 The problem that I see, I think the Board
18 has concerns about, is that Commission case law is
19 pretty clear that a Petitioner may adopt the
20 contention of another Petitioner, but only if the
21 Petitioner who wants to do the adopting has a
22 contention of its own.

23 And in this instance, your motion
24 essentially adopts the arguments presented by Beyond
25 Nuclear's motion. And so, therefore, aren't we kind

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of stuck with the rule that you have not submitted a
2 contention of your own?

3 MR. EYE: As we explained in our response,
4 that I think addressed this, at least in part, it was
5 never our intention to present a contention.

6 CHAIR RYERSON: Right.

7 MR. EYE: I mean, to us, this is a
8 counterpart, a parallel, it's analogous to a Federal
9 Rule of Civil Procedure 12(b) motion. It says, in
10 effect, that the Commission lacks jurisdiction.
11 That's a classic 12(b) motion.

12 If we conceive that a petition -- or
13 rather, that a contention is necessary, we effectively
14 have abandoned this idea that somehow you have -- that
15 you don't have jurisdiction. We implicitly say, with
16 this contention, you have jurisdiction to decide this
17 case.

18 And indeed, it goes at the heart of our
19 arguments that the issue of the NWPA's involvement in
20 this case, although absent from the discussion from
21 the Applicant and staff, is one that is extant and
22 it's existential in this case.

23 A jurisdictional matter ought to be
24 handled properly in the context of the motion to
25 dismiss. I will grant you that it falls outside the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 strict formalities of contention practice, but so does
2 the omission of discussions of the NWPA.

3 So, how do we respond to that? Do we
4 essentially accede to the idea that the Commission has
5 jurisdiction, submit a contention, and let it play
6 out, only then to be confronted by a judge on appeal
7 who says, it appears to us that in fact you recognized
8 the NRC's jurisdiction over this?

9 So, we were caught -- one of the other
10 counsel put it well yesterday, caught between the
11 proverbial rock and hard place. The context of this
12 is unusual, it's unusual for the Panel, the
13 Commission, for the participants.

14 And we couldn't find another instance, and
15 we looked, we couldn't find another instance where the
16 Secretary had actually taken the step that was taken
17 here, where they take a pleading, they send it back to
18 the Panel, and they say, treat it in this way.

19 So, that lack of precedent puts us all
20 into unknown territory, I suppose, or unchartered
21 territory, to a certain extent. But we have to
22 remember that the essential piece of this is to ask,
23 has the Applicant conformed to the Nuclear Waste
24 Policy Act?

25 Irrespective of the procedural means to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 get to that question, whether it's through a
2 contention, whether it's through a motion to dismiss,
3 the issue remains the same.

4 So, we certainly were not intentionally
5 setting out to make this thing a procedural morass, we
6 really were not. On the other hand, we had to make
7 some judgment calls about how to proceed and this
8 seemed like a logical way to proceed, to have it run
9 more or less like a 12(b) motion would in civil
10 practice in court.

11 CHAIR RYERSON: Yes. Beyond Nuclear's
12 response to the Secretary's ruling was also to go
13 directly to a Federal Court of Appeals, in Beyond
14 Nuclear's case, the United States Court of Appeals for
15 the District of Columbia Circuit.

16 Have you sought relief in the Court of
17 Appeals in an interlocutory basis? Or have you sought
18 any relief in the Court of Appeals?

19 MR. EYE: I'm sorry, I didn't hear the last
20 part of your question.

21 CHAIR RYERSON: Have you sought to review
22 the SECY's order in the Court of Appeals?

23 MR. EYE: We have not yet.

24 CHAIR RYERSON: Okay. Hasn't your -- do
25 you still have time to do that?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. EYE: We have not. We're here --

2 CHAIR RYERSON: Okay.

3 MR. EYE: -- and again, this is, frankly,
4 this is a procedural scenario that only Franz Kafka
5 could really completely appreciate.

6 (Laughter.)

7 MR. EYE: And it does leave us all a little
8 uncertain about what steps ought to be taken.

9 So, partly respecting the fact that the
10 Secretary sent this, sent our motion back to the Panel
11 and ask that it be characterized and considered as a
12 contention, in respect of that, and to have an
13 opportunity to present our arguments to you, we hope
14 in a persuasive fashion, we decided to pursue this
15 route at this point.

16 And again, it is unusual. It's -- we're
17 hoping that at some point procedurally, we get
18 clarification. But I'm not actually counting on that.

19 CHAIR RYERSON: Okay. I think, if I
20 understand your argument correctly, and I think I do
21 better as a result of your comments right now, if you
22 had filed a petition with one contention that adopted
23 someone else's contention, it is pretty clear, I
24 think, under Commission precedent, that you are out.
25 That you can't just adopt somebody else's contention,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you have to have one of your own.

2 But what you're saying is, I think, is
3 that this is a very unusual, indeed unique, situation,
4 where we, that is the Board, has been told to treat
5 this as a contention, but this is unprecedented and
6 perhaps the Commission's ruling on that issue was
7 intended to apply to people who had intentionally
8 filed contentions, but not to those who were told, you
9 may have filed a motion, but it is a contention, it's
10 going to be treated as a contention, so we should
11 consider it in that light.

12 MR. EYE: Perhaps. I mean, but there are
13 other ways to interpret what was done as well. So,
14 again, we're working in sort of an unclarified
15 context.

16 CHAIR RYERSON: Yes. But, I mean, what
17 you're saying, I think, is that we should consider
18 whether the Commission precedent applies in this
19 unique situation. The Commission precedent in the
20 normal situation is, I think, pretty clear.

21 But you are urging that we take a hard
22 look at whether the Commission precedent, which would
23 effectively throw you out, your client out, whether
24 the Commission would really have intended for it to
25 apply in this unique situation?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. EYE: That is correct, Your Honor. And
2 one other minor, I think relatively minor point here.
3 I'm not sure that I really agree that we have adopted
4 the contention of Beyond Nuclear. We adopted their
5 legal argument, because they happen to support our
6 client's interest.

7 The contentions have certainly the same
8 intention, rely upon the same legal reasoning, but
9 they're different parties, with different interests,
10 that -- so, I don't really think that that point is
11 controlling.

12 I don't think it's dispositive. I think
13 what's dispositive is what you just articulated,
14 Judge, in terms of trying to figure out what to do in
15 this unusual context, where you have neither fish nor
16 fowl. And yes, that is unusual.

17 The NRC's general practice for resolving
18 these kinds of disputes is through contentions. So,
19 all of a sudden, now, you get a party who throws a
20 curve ball and raises a motion to dismiss.

21 It's not as if motions to dismiss are
22 unusual or unheard of in various forms of practice,
23 it's just that in this context, it's outside of what
24 is normally expected.

25 CHAIR RYERSON: Okay. Thank you. Judge

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Arnold, did you have questions?

2 JUDGE ARNOLD: No questions.

3 CHAIR RYERSON: Judge Trikouros?

4 JUDGE TRIKOUROS: No questions.

5 CHAIR RYERSON: Thank you.

6 MR. EYE: Thank you.

7 CHAIR RYERSON: Well, let's deal with a few
8 brief comments from the City of Carlsbad. Is that Mr.
9 Shirley? Welcome, Mr. Shirley.

10 MR. SHIRLEY: Thank you, Your Honor. I
11 appreciate the opportunity to speak to you today. And
12 I apologize, my voice is a little rough today, so
13 we're going to get through this though.

14 As you know, my name is Jason Shirley. I
15 serve on the City Council in Carlsbad and I'm the
16 designated representative to the Eddy-Lea Energy
17 Alliance that is working with Holtec on this project.

18 Carlsbad has an official population of
19 27,000 people, but is much larger in recent years, due
20 to the expansion of the oil and gas in the region.
21 Additionally, Carlsbad's approximately 35 miles away
22 from the proposed Holtec HI-STORE Consolidated Interim
23 Storage Facility.

24 Carlsbad has been keenly interested in the
25 development of the Holtec site since the 2013 report

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from the President's Blue Ribbon Commission
2 recommendation that a consolidated interim storage
3 facility be established.

4 The CISF will have a real impact on our
5 community and we expect that it will bring the
6 following benefits to Carlsbad. That it will create
7 several hundred jobs for our citizens. That those
8 jobs will come with high salaries and raise local wage
9 averages.

10 That it will generate significant tax
11 revenue for the City of Carlsbad, improving our
12 infrastructure and further diversifying our economy.
13 It will not only benefit our region, but also provide
14 a service for our nation in safely storing spent
15 nuclear fuel.

16 We're familiar with living near a site for
17 nuclear waste disposal, as we're located 25 miles from
18 the existing Waste Isolation Pilot Plant Facility
19 that's ran by the Department of Energy, which employs
20 some 1,200 people and has a \$400 million annual budget
21 that benefits the region very greatly.

22 Our constituents support the Holtec CISF.
23 We know that we are a nuclear savvy community, with
24 many years of experience in the field. We've seen
25 success and we follow the science and we have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 culture of safety in Carlsbad.

2 We also are here today to show our support
3 for the Holtec CISF. It's welcome in our community.
4 We look forward to the jobs, the revenue, the
5 diversification, and the other benefits that it will
6 create. Thank you so much for your time today.

7 CHAIR RYERSON: Thank you, Mr. Shirley.

8 MR. SHIRLEY: Yes, sir.

9 CHAIR RYERSON: And I'd just like to
10 confirm, I believe we heard yesterday that the City of
11 Hobbs will not be participating orally. Again, all of
12 the petitions by local governments stand unopposed at
13 this point. So, there's certainly no need to say
14 anything today.

15 We will next move to Holtec. And just two
16 comments to start. I don't know -- Mr. Silberg, will
17 you be speaking?

18 MR. SILBERG: I will be making the opening
19 statements.

20 CHAIR RYERSON: The opening statement. I
21 don't know if you need extra time. We recognize it's
22 five and a half, again, five and a half to one, at
23 this point, perhaps is the way to characterize it, so
24 our clocks might run a little slow on the ten minutes,
25 if you need more time. But you may conclude that you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 really just want to answer the questions.

2 Either, Mr. Silberg, you or one of your
3 colleagues probably should address, at the outset,
4 either as part of your opening or right after it, the
5 issue we asked for some comments on yesterday.

6 And what that related to was NAC's
7 argument that if they are not in this proceeding to
8 address the environmental report issues now, they will
9 not have the same opportunity at a later time, if
10 there's an amendment, hypothetically, that would
11 permit the NAC canisters to be placed in the Holtec
12 casks.

13 So, if either you, Mr. Silberg, could
14 address that in addition to your general opening or
15 one of your colleagues, we would appreciate that.
16 Thank you.

17 MR. SILBERG: Good morning, Mr. Chairman,
18 Members of the Board. Holtec International
19 appreciates this opportunity to appear before you, as
20 an important step forward towards the licensing of the
21 Holtec HI-STORE Consolidated Interim Storage Facility.

22 We believe that this is a extremely
23 important facility for this nation. Holtec is pleased
24 to be able to sponsor it.

25 We're disappointed that we need it,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because the Nuclear Waste Policy Act provided that the
2 Department of Energy was supposed to start accepting
3 spent nuclear fuel from the nuclear industry starting
4 January 31, 1998, a day some of us say will live in
5 infamy.

6 Because they have not met that obligation
7 and because we do not have a permanent repository,
8 facilities like this are necessary for a variety of
9 reasons.

10 There are stranded spent fuel storage
11 installations around the country. There will be more
12 of them as time moves on, as plants are shut down,
13 plants are decommissioned, and everything but the
14 spent fuel is off the site.

15 Facilities like the Holtec facility will
16 enable those sites to be finally returned to other
17 productive uses. Both the utilities that own those
18 sites and the jurisdictions in which those sites are
19 located would desperately like that spent fuel to be
20 stored safely and environmentally secure at another
21 location.

22 This location is also a much more secure
23 location than where many of the interim spent fuel
24 storage sites are now located. Some of those are very
25 near major metropolitan areas. There are many of them

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 scattered around the country.

2 It is safe at those locations. We believe
3 it is safe, the Commission has found that it is safe.
4 But it would be better if it were in a more remote
5 location, far away from metropolitan areas.

6 With those introductory remarks, let me
7 first introduce the Holtec team. Our attorneys, from
8 the Pillsbury Law Firm in Washington, myself, Jay
9 Silberg, Tim Walsh, and Anne Leidich, my associates.

10 The Holtec management, project, and
11 technical personnel here today: Joy Russell, who is
12 the Senior Vice President and a member of Holtec's
13 Executive Committee; Ed Mayer, who is our Project
14 Director for the HI-STORE facility; and Kim Manzione,
15 who is the Licensing Manager.

16 Let me give you a little bit of background
17 about Holtec. The company was formed in the mid-
18 1980s. Today, it designs, engineers, licenses,
19 manufactures, and deploys its technology and services
20 around the world. And while nuclear is the focus of
21 Holtec, Holtec also provides technology for solar,
22 geothermal, and fossil power industries.

23 Holtec's early focus was on heat exchanger
24 technology. And today, over 120 power plants on four
25 continents use these Holtec components.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In 1992, Holtec launched its technology
2 for dry storage of spent nuclear fuel. Among the
3 first of that technology was the first licensed
4 multipurpose canister for storage and transportation,
5 the first dual-purpose metal cask, the first transport
6 cask licensed for high burnup and MOX, mixed oxide,
7 fuel, and the first double-walled canister for special
8 storage.

9 The Nuclear Regulatory Commission has
10 issued certificates of compliance under 10 CFR Part 72
11 for four different Holtec dry storage technologies.
12 Its dry storage systems were first installed in 2000
13 and today, over 1,200 Holtec systems are in service,
14 storing more than 62,000 spent fuel assemblies in 65
15 nuclear sites in the U.S. and 51 nuclear sites abroad.

16 In addition to dry storage, Holtec is a
17 leader in wet storage technology and is currently
18 developing the design for a small modular nuclear
19 reactor.

20 And more recently, Holtec has become
21 involved in the nuclear plant decommissioning and has
22 agreements with two utilities to own and decommission
23 their reactors, including assuming the ownership of
24 spent fuel.

25 The NRC staff is now reviewing the license

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 transfer applications for those facilities. Once
2 those transactions close, Holtec will, in essence,
3 become a nuclear utility, owning spent fuel currently
4 in dry storage and in pool storage.

5 Holtec manufactures all of its own
6 equipment and has three U.S. manufacturing facilities,
7 with more than 1,400,000 square feet of manufacturing
8 space.

9 In addition to manufacturing dry storage
10 systems, Holtec has also constructed spent fuel
11 storage facilities and provides for moving spent fuel
12 from pools to pads.

13 A little bit about the project. I think,
14 as you've heard from representatives of the
15 jurisdictions that will host the facility and we've
16 worked with closely, Holtec has a well of local
17 support for these facilities and a well of support
18 around the state.

19 In 2015, the Governor of New Mexico wrote
20 to the Secretary of Energy suggesting the
21 consideration of an interim storage site in
22 Southeastern New Mexico. In 2016, the House and
23 Senate of the New Mexico Legislature both issued
24 memorials in support of a CISF facility.

25 In April of 2016, the Eddy-Lea Energy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Alliance, that you've heard John Heaton speak about
2 yesterday, and the Cities of Carlsbad and Hobbs, and
3 Holtec entered into a memorandum of agreement for the
4 HI-STORE facility.

5 And in July of 2016, the New Mexico Board
6 of Finance approved an option agreement for the sale
7 of the HI-STORE site to Holtec.

8 As you've heard, the site is in Lea
9 County, about 35 miles from Hobbs and about 35 miles
10 east of Carlsbad. It's a little bit over 1,000 acres.
11 The area is home to other nuclear projects, as you've
12 heard, Urenco Uranium Enrichment Facility in Lea
13 County and the DOE WIPP Facility in Eddy County.

14 The project itself will use Holtec
15 canisters in the initial phase, with NRC certificates
16 of compliance, that are loaded and welded shut at
17 utilities, transported to the site unopened, and
18 placed in subsurface vertical modules at the site.
19 The canisters are not opened after being welded shut
20 at the utility site.

21 The initial phase will be -- for which
22 we've applied, is 8,680 metric tons or 500 casks, and
23 the initial phase is limited to Holtec casks and
24 canisters.

25 There may be subsequent phases. The site

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is capable of storing 100,000 metric tons of uranium,
2 in 10,000 canisters. Holtec is not asking for a
3 license beyond Phase 1. But because expansion is
4 possible, the environmental report evaluates the
5 environmental impacts for all phases.

6 And I would notice there have been a lot
7 of discussion that the capacity is 173,000 metric tons
8 of uranium, that is a number that is not correct. The
9 capacity, as defined by Holtec, is 100,000 metric
10 tons.

11 Studies at the site started in 2006, as
12 part of the Global Nuclear Energy Partnership, a \$250
13 million DOE project to develop advanced nuclear
14 technologies.

15 HI-STORE is based on licensed technology
16 which is currently installed and in operation. The
17 HI-STORM UMAX, the underground storage, certificate of
18 compliance was issued in 2015 and is currently in use
19 at two U.S. nuclear plants.

20 I want to be very clear, because a lot of
21 the discussion centers around the role of DOE. This
22 project is not dependent on contracts with DOE and is
23 not dependent on DOE ownership of the spent fuel.

24 I'm happy to respond to the questions you
25 may have on that. But the short answer is if DOE is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not entitled to hold title to commercial fuel, DOE
2 won't be involved.

3 The NRC review of the application was
4 filed in March of 2017. It was accepted for NRC
5 review in March of 2018. Holtec has received four
6 requests for additional information from the NRC
7 staff. That process is well underway.

8 As to the petitions to intervene, we have
9 carefully examined each one and have addressed in our
10 submittals whether each has met the Commission's
11 requirements for standing and contention
12 admissibility, and we believe they have failed to meet
13 those requirements.

14 Our answers to the petitions set forth our
15 positions in detail and explain why the petitions do
16 not meet the NRC standards. In the interest of time,
17 we will not try to summarize our positions, as they
18 are well set forth in our briefs, but we are very
19 pleased to answer questions that the Board may have.

20 We thank the Board for being here, we look
21 forward to answering your questions, and we look
22 forward to dealing with you through the completion of
23 this licensing facility.

24 I'd like also to ask the Board's
25 permission, if we could sit at the front row, we'll be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 passing the microphone, if we could have the
2 microphone back and forth between Tim and Anne and
3 myself.

4 CHAIR RYERSON: Yes, I think that will work
5 nicely.

6 MR. SILBERG: Thank you very much.

7 CHAIR RYERSON: We -- our space here is not
8 what we originally intended and we're doing the best
9 we can.

10 MR. SILBERG: We understand.

11 CHAIR RYERSON: Thank you.

12 MR. SILBERG: Let me first address the
13 question you raised about the NAC issue. We believe
14 that it's incorrect that if they're not in this
15 proceeding, they will lack the opportunity to address
16 the environmental report.

17 Right now, the application does not permit
18 the storage of NAC casks or non-Holtec casks at this
19 facility. We accept and are very clear, that in order
20 for other vendors' casks to be stored at the site, we
21 would need to amend the license and we would need to
22 amend the certificate of compliance for the UMAX
23 system, because right now, that is only licensed for
24 Holtec casks.

25 It may well -- we may well file those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 applications. The casks, the underground facility,
2 are large enough to accommodate canisters of any
3 manufacturer. That's why we call it universal.

4 We recognize that NRC will have questions,
5 we recognize that the licenses and the certificate of
6 compliance may need to be amended. At those times, we
7 will have to, as part of the application, determine
8 whether there are any changes needed to the
9 environmental documents that have already been
10 submitted.

11 There will be an environmental statement
12 in each application. That statement may be no change
13 is required. If a change is required, our application
14 will include that.

15 If the NRC staff disagrees with our
16 conclusion, if that is our conclusion, that no changes
17 to the environmental analysis are needed, the NRC can
18 ask us additional questions or can provide that
19 information on their own. We will have to deal with
20 it.

21 If NAC believes that our conclusion, if
22 that is our conclusion, that no changes to the
23 environmental report are needed, they can challenge
24 that conclusion in the appropriate forum, which may be
25 a license amendment, it may be an amendment to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 COC. They will have rights to participate, they will
2 not be shut out.

3 Right now, their interests are not
4 affected, because they're not in the application. We
5 don't say, in the environmental report, that any NAC
6 casks will be stored at the site.

7 We have tried to bound the environmental
8 impacts by saying, here are the impacts for a fully
9 developed site. If the site is less than fully
10 developed, if we only build five phases instead of ten
11 phases, we have bounded the environmental impacts. If
12 we reach the full capacity of the site, we will have
13 fully addressed the environmental impacts.

14 In no case are we shutting out NAC, if
15 they have issues with their particular casks. But
16 what we have looked at here is the capacity of the
17 site, whether it's 100,000 tons in Holtec casks or
18 100,000 tons in Walmart casks, whosever casks those
19 are, we have evaluated it.

20 There's nothing unique about NAC, their
21 interests are not affected, we're not saying good,
22 bad, or indifferent about their technology.

23 So, our answer is, we don't think they
24 need to be in this proceeding to protect their
25 interests, we don't believe they have demonstrated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that they have standing, and we don't believe that
2 they have demonstrated an admissible contention.

3 CHAIR RYERSON: Thank you, Mr. Silberg.

4 MR. SILBERG: And at this time, if I could
5 regain my seat and we'll go through --

6 CHAIR RYERSON: You may, it could be a long
7 time at the podium otherwise. Let me -- I probably
8 have fewer questions than my technical colleagues, so
9 let me begin, again.

10 First, Mr. Silberg, you may -- you have
11 every right not to respond on this point. There were,
12 last week, motions to file new or amended contentions
13 that seemed to be pretty closely related to Beyond
14 Nuclear Contention 1 and Sierra -- Beyond Nuclear's
15 only contention, and Sierra Club Contention 1.

16 And are you prepared to discuss those at
17 all now or do you want to wait? You have until, I
18 think, mid-February, February 11, something like that
19 to respond to those.

20 MR. SILBERG: I can certainly discuss --
21 let me turn on the mic here.

22 CHAIR RYERSON: Okay.

23 MR. SILBERG: I could certainly --

24 CHAIR RYERSON: That one should be working.

25 MR. SILBERG: I can certainly --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 MR. SILBERG: I missed my career as a rock
3 singer.

4 (Laughter.)

5 MR. SILBERG: I can certainly discuss it
6 and I think I would like to put in perspective some of
7 the statements that have been made, because I think,
8 for those who may not be familiar with the project,
9 there's a lot of misinformation that we've heard.
10 We've --

11 CHAIR RYERSON: Excuse me, if you're
12 prepared to address them, then, to some extent, you
13 have time respond in writing and then, there will be
14 a reply.

15 But I must say, I was somewhat struck
16 myself by what appears to be a Holtec document that
17 was issued this month, and we hear from you that if
18 DOE can't be involved, they won't be involved, but the
19 Holtec document, I'm not quoting it, but loosely says,
20 and of course, this Lea County Project will have to
21 await action either by the Congress or by DOE. And
22 that was confusing to me.

23 MR. SILBERG: Let me read you the sentence.
24 And I will say that this is one sentence out of a six
25 or seven page document. The sentence has been totally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 taken out of context by the Interveners.

2 What the sentence says is, quote, while we
3 endeavor to create a national monitored retrievable
4 storage location for aggregating used nuclear fuel at
5 reactor sites across the United States into one (HI-
6 STORE CISF) to maximize safety and security, its
7 deployment will ultimately depend on the DOE and the
8 U.S. Congress.

9 And it's that last phrase that seems to
10 have gathered everybody's attention. Honestly, I
11 think the sentence has been totally misconstrued by
12 Petitioners.

13 The phrase in question, its deployment
14 will ultimately depend on the DOE and the U.S.
15 Congress, does not say that we need DOE approval to go
16 ahead. It does not say that we need DOE to hold title
17 to spent fuel. It does not say we need DOE to take
18 over any aspect of this project.

19 What it says is that if DOE and the
20 Congress make decisions, particularly with spent fuel
21 storage and permanent storage, that will have an
22 impact on this project, and its deployment will depend
23 on that.

24 If, for instance, Congress and DOE decide
25 to go ahead with Yucca Mountain, we pray that will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 happen -- and it's ironic that people would criticize
2 this facility as, perhaps, reducing the incentive for
3 a permanent disposal are among those who have fought
4 toughest to keep us from Yucca Mountain.

5 Putting that aside, if Congress were to
6 take steps to put in place permanent disposal or
7 federal interim storage on a schedule that made the
8 CISF, the Holtec HI-STORE project unnecessary,
9 obviously that would have an impact on the Holtec HI-
10 STORE project.

11 So, its deployment would ultimately depend
12 on what DOE and Congress does. If we build Phases 1,
13 2, 3, 4, 5, and Yucca Mountain becomes available, we
14 won't build Phases 6, 7, 8, 9, and 10.

15 So, the obvious connection between the
16 state of the DOE nuclear waste program and interim
17 storage is clear in every way, because if we had
18 interim storage in operation today, we wouldn't be
19 here. We would be most pleased to be sending fuel
20 directly to Yucca Mountain.

21 Unfortunately, we're not in that position.
22 Utilities, after having contributed \$35 billion to the
23 Federal Treasury to pay for Yucca Mountain, find that
24 their money has dissipated.

25 \$7 billion has been spent on Yucca

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mountain and there are people in Congress and in the
2 outside community who would like that money to be
3 thrown away, for Yucca Mountain to disappear forever.

4 If Yucca Mountain proceeds on a schedule
5 which makes this facility unnecessary, in whole or in
6 part, if some other permanent disposal facility were
7 developed on a schedule which makes this facility not
8 usable, in whole or in part, that would have an effect
9 on the deployment of this facility.

10 That's what that statement means, nothing
11 more, nothing less. The environmental report has been
12 amended.

13 Rev 3, which was filed with the NRC in
14 November, which is available, publicly available, has
15 made clear that the few references in the report where
16 it appeared that DOE would hold title to the fuel or
17 would be responsible for the fuel that would come to
18 Holtec, those references have been clarified, to make
19 sure that it is either the utilities or DOE.

20 And the reason DOE is in there is, DOE may
21 have the ability to take title. They don't know, we
22 agree with that, for commercial fuel that they don't
23 already have -- unless it's through an R&D program,
24 because DOE has a few assemblies from commercial
25 reactors that it took for R&D that are probably at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Idaho National Labs.

2 But if Congress passes legislation that
3 allows DOE to take title, Congress passes legislation
4 which authorizes direct funding for this project, then
5 sure, DOE could have a role. That isn't the situation
6 now. We aren't depending on it, we don't assume it.

7 The statement that we heard yesterday,
8 that having Option 1 and Option 2 means that both
9 options are illegal just makes no sense at all.
10 Severability clauses exist throughout private
11 contracts and public statutes. There's no indication
12 that putting DOE as a possible participant in this
13 would make illegal private participation in the
14 absence of DOE ability.

15 The environmental report, where these
16 statements appear, is to describe, what are the
17 environmental impacts?

18 If you look at it in that context, we
19 don't need to address who owns the fuel at all,
20 because whether it's DOE hold title or the utilities
21 hold title or Holtec holds title, the environmental
22 impacts are going to be identical.

23 So, the statements in the environmental
24 report are useful for background information, but in
25 terms of environmental impacts, and that is what the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 environmental report is there to do, those statements
2 have no bearing and don't provide a basis for
3 contention in this proceeding.

4 CHAIR RYERSON: I just want to be sure I
5 heard you correctly, Mr. Silberg. You said that,
6 today -- are you conceding that as of today, DOE
7 cannot take title to spent nuclear fuel, that it
8 doesn't already own, cannot take the power companies'
9 spent nuclear fuel, take title to it, today, as the
10 law currently stands?

11 MR. SILBERG: I agree with you in general.
12 I would note that DOE has taken the position that it
13 has authority under the Atomic Energy Act, under its
14 research and development authority, to take spent fuel
15 to study. And they have done that.

16 DOE has the core from Three Mile Island
17 Unit 2 facility, sitting up in Idaho, they studied
18 them. They have occasional assemblies, I believe they
19 have one from North Anna. I think they may have one
20 from Point Beach, that has been moved to Idaho and is
21 being studied.

22 The high burnup fuel program that's being
23 developed, already in effect, that's a DOE EPRI
24 program. DOE is going to take fuel, I believe, from
25 North Anna, in a cask.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Eventually, that cask will be moved up to
2 Idaho. They'll open it and confirm the high burnup
3 fuel is not being destroyed, because it's high burnup
4 fuel.

5 So, there are cases where DOE has title.
6 But what we're talking about -- and those are very,
7 very small quantities compared to the amounts we're
8 talking about, and that's not the focus of this
9 project.

10 But I will agree with you that, on their
11 current legislation, DOE cannot take title to spent
12 nuclear fuel from commercial nuclear power plants,
13 under the current statement of facts, but that could
14 change, depending on what Congress does.

15 CHAIR RYERSON: Yes, it could change, based
16 on what Congress does. But I guess where I was coming
17 was, I was going to suggest that this seemed to me
18 like an ideal issue for a legal issue contention.

19 We did not, in the pleadings, have you
20 position on the lawfulness of DOE's taking title.
21 Now, we did have the staff's, which I think treated
22 that issue as premature.

23 MR. SILBERG: But the reason we didn't put
24 the legal position in is because it's irrelevant,
25 because we don't depend on DOE's taking title. And we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 say we don't depend on DOE's taking title.

2 CHAIR RYERSON: But for Option 1, you do,
3 don't you? Wouldn't you?

4 MR. SILBERG: If that were the case, but
5 Option 1, as we've --

6 CHAIR RYERSON: Okay. So, in other words,
7 Option 1 is a contingent option, based upon something
8 happening --

9 MR. SILBERG: In the future.

10 CHAIR RYERSON: -- that makes it lawful?

11 MR. SILBERG: Correct.

12 CHAIR RYERSON: Okay. So, we don't need to
13 argue whether it's lawful today, you --

14 MR. SILBERG: I don't think there's any
15 dispute on the law, as to DOE's current authority to
16 take title for other than R&D purposes.

17 CHAIR RYERSON: Okay. Other than what you
18 characterized, I think, as a narrow research exception
19 --

20 MR. SILBERG: Correct.

21 CHAIR RYERSON: -- you agree, Holtec
22 International agrees that, under the Nuclear Waste
23 Policy Act, today, DOE may not lawfully take title to
24 spent nuclear fuel?

25 MR. SILBERG: Correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR RYERSON: Correct. And the staff, I
2 just have to turn to the staff on this, which consider
3 the issue premature, does the staff agree with that?

4 MS. KIRKWOOD: Does the staff agree that
5 it's premature or does the staff agree that it's
6 unlawful?

7 CHAIR RYERSON: I'm sorry --

8 MS. KIRKWOOD: I just want to be sure I'm
9 answering the right question. Are you asking if the
10 staff agrees that it's premature --

11 CHAIR RYERSON: No.

12 MS. KIRKWOOD: -- or if the staff believe
13 that it's unlawful?

14 CHAIR RYERSON: No. I -- you said it's
15 premature.

16 MS. KIRKWOOD: Okay.

17 CHAIR RYERSON: You said it was premature.
18 My question today, having heard Mr. Silberg's
19 statement on behalf of Holtec International, does the
20 staff agree that, as of today, it was unlawful, under
21 the Nuclear Waste Policy Act, for DOE to take title,
22 put aside the research exception, to generally take
23 title to spent nuclear fuel?

24 MS. KIRKWOOD: The staff has not reached a
25 position on that issue --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR RYERSON: Okay.

2 MS. KIRKWOOD: -- at this time.

3 CHAIR RYERSON: All right. Well, we have
4 Holtec's position. We may find that satisfactory. I
5 don't think we probably -- well, we'll probably have
6 a few minutes for everybody at the end, if we have
7 time, and we can see, but it seems to me that, what I
8 thought appeared to be just a fine legal issue
9 contention is no longer necessary.

10 MR. SILBERG: I think we're all in violent
11 agreement on this question --

12 CHAIR RYERSON: Okay.

13 MR. SILBERG: -- except perhaps for the
14 staff.

15 CHAIR RYERSON: All right. Well, that --

16 MR. SILBERG: But I will note that in the
17 litigation that arose out of the DOE breach of
18 contract, we argued, going back to the 1990s, that DOE
19 did have authority, other than the Nuclear Waste
20 Policy Act, to take our spent fuel, as they were
21 taking from research reactors, for instance, or Three
22 Mile Island.

23 And DOE and the Courts, DOE argued that
24 that was a unique Atomic Energy Act R&D authority and
25 the Court generally agreed. We've conceded that since

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 then.

2 CHAIR RYERSON: Okay. Thank you. Okay.
3 Well, let me move -- I have really just a few more
4 questions and then, maybe we'll take a break after
5 those and go to my technical colleagues.

6 But on Sierra Club Contention 4, this is
7 the challenge to, primarily a challenge to the
8 consequences of an accident, a transportation
9 accident, with respect to spent nuclear fuel.

10 And the Sierra Club, I believe, relies
11 upon the Lamb and Resnikoff study, based on the 2001
12 Baltimore tunnel fire, and they're treating that as
13 though it had been a nuclear accident, and the
14 consequences of that.

15 And the Sierra Club's position is that, at
16 the very least, that raises a factual dispute for
17 which there should be a hearing.

18 And your position, as I understand it, is
19 that you have cited the 2008 final supplemental
20 environmental impact statement from the Department of
21 Energy on the Yucca Mountain case, which was rather
22 critical of that study, and which would be grounds
23 for, I think, at the least, you would argue, at the
24 least, saying that that is -- the Lamb and Resnikoff
25 analysis represents a worst case basis, which the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Applicant's environmental report does not need to deal
2 with.

3 And my question for you, Mr. Silberg, is,
4 is that apparent from the environmental report? I
5 know the Commission has said that it is the
6 Applicant's job to -- or not the Applicant's job, the
7 Petitioner's job to read the application, read and
8 study the application, but this is a citation in the
9 application.

10 Does the application explain that position
11 explicitly or would the Petitioner be required to read
12 the application and then, read every citation in the
13 application?

14 MR. SILBERG: Well, before we do that, and
15 my colleagues are looking to see exactly what it says,
16 let me make a number of other points.

17 CHAIR RYERSON: Okay.

18 MR. SILBERG: First of all, we don't think
19 that the Lamb-Resnikoff study is material in this
20 case, for a number of reasons. One is, there's no
21 showing that that tunnel is on a rail route that will
22 take fuel from anywhere to CISF.

23 Second, the larger criticism in the Lamb-
24 Resnikoff study is that the fire that engulfed the
25 train and the tunnel was more severe than the NRC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 requirements require, I believe it is an 1,800 degree
2 maximum temperature.

3 The NRC Part 71 standards for
4 transportation casks give a maximum temperature number
5 that is below that. I believe it's 1,400 degrees
6 Fahrenheit.

7 So, in essence, that's a challenge to the
8 NRC's regulations for designing the casks. If they
9 wanted to put in a claim for a waiver of the NRC Part
10 71 standards, they could have done that.

11 In fact, the Part 71 standards should not
12 be involved in this case. The transportation casks
13 that Holtec would use have their certificates of
14 compliance.

15 You don't challenge, in this case, in a
16 licensing case, for a site-specific license, a
17 certificate of compliance that's been adopted by the
18 Commission in a rulemaking. If they wanted to
19 challenge that, they're well beyond the time frame.

20 The Lamb-Resnikoff study is also
21 inapplicable to this case, because the reason that
22 tunnel fire was so intense were the contents of the
23 cars.

24 Holtec will ship spent fuel by dedicated
25 trains. There will be no contents that will be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 flammable of the type that created that fire in the
2 tunnel.

3 So, that study, while it's interesting,
4 and that was a very significant fire, has no relevance
5 to spent fuel transportation.

6 And further, as we explained, there are
7 requirements that the Federal Railway Administration
8 review all the routes to make sure they are
9 appropriate.

10 We believe that if the Baltimore tunnel
11 were on a transportation route to the HI-STORE
12 facility, that the FRA would review that route and if,
13 in their expert judgment, they determined that it was
14 an inappropriate route, we would bypass it. If they
15 determined it was an appropriate and we needed to use
16 it, we would feel free to use it.

17 So, for all those reasons, I think Lamb-
18 Resnikoff is of no relevance in this case. It
19 challenges the NRC regulation. Now, I don't know,
20 have you guys -- I'll pass the mic to Tim Walsh.

21 CHAIR RYERSON: Yes.

22 MR. WALSH: Thank you, Your Honor. With
23 respect to your question about if the environmental
24 impact statement addresses this, Section 4.9.3.2,
25 Accident Impacts, discusses how the Holtec analysis

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was tiered off of the Department of Energy final
2 environmental impact statement.

3 So, the explicit reference is there. And
4 while the ER doesn't specifically address the Lamb-
5 Resnikoff report, that's what the analysis is based
6 on. And the DOE analysis specifically addressed the
7 higher estimates provided by Lamb and Resnikoff.

8 CHAIR RYERSON: Okay. But Sierra Club's
9 counsel, if he read the application and the
10 environmental report, he would have seen the citation,
11 but he would not have been clued in in any way that
12 the Lamb and Resnikoff suffered from the deficiencies
13 that the supplemental environmental impact statement
14 addresses?

15 MR. WALSH: Certainly, Sierra Club's
16 expert, Dr. Resnikoff, would be intensely familiar
17 with the criticism that's --

18 CHAIR RYERSON: Good point, sir.

19 MR. WALSH: -- levied against him.

20 CHAIR RYERSON: Okay, thank you. But --
21 okay. A couple more questions. Sierra Club
22 Contention 8, and this is a contention that I believe
23 the NRC staff says is admissible, at least in part.

24 The calculation of the annual contribution
25 to a fund for -- looking for the right word -- for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 closing out the facility, decommissioning the
2 facility, Holtec -- I think the staff's principal --
3 I believe Sierra Club saw an inconsistency between the
4 numbers that were in, perhaps, the environmental
5 report and in other parts of the application.

6 And the staff raised the issue whether --
7 can we assume that every canister is full? They may
8 vary in the amounts.

9 And so, from both those directions, there
10 was some challenge to whether there isn't an
11 admissible contention on whether the amount, the
12 metric tons of uranium, at a certain amount, would
13 give rise to the total decommissioning fund payment
14 that you calculated. What is your response on that?

15 MR. WALSH: As explained in our response,
16 Your Honor, they used the wrong number. And so, we
17 detailed in our response their contention that --

18 CHAIR RYERSON: Excuse me, they would be
19 the Sierra Club?

20 MR. WALSH: Yes, Your Honor, the Sierra
21 Club. They used the wrong number in their calculation
22 and we laid out the calculation for them in our
23 response. And also, they overlooked the fact of the
24 real rate of return, which was discussed yesterday.

25 CHAIR RYERSON: Yes, that, we understand.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The real rate of return, they ignored. But there were
2 two numbers in the application, weren't there?

3 JUDGE ARNOLD: Let me just say, the
4 environmental report clearly says, 5,000 metric tons.
5 And you used a capacity of 8,600-and-something metric
6 tons, times the \$840 per metric ton. So, that
7 confusion still exists.

8 MR. WALSH: I am confirming that the
9 correct number was used in the decommissioning funding
10 plan, but let me -- if you give me a moment, I can
11 check.

12 MR. SILBERG: While Tim is looking, let me
13 make one further point, in terms of the staff's, and
14 I don't want to put words in their mouth, but the
15 staff's response to the contention and finding of
16 admissibility was made before it had the benefit of
17 reviewing our response to the contention.

18 I don't know whether the staff would be in
19 a position to say that cleared it up for them or not,
20 but they did not have the benefit of that when they
21 filed their contention responses.

22 CHAIR RYERSON: Well, while we're waiting,
23 we might as well ask the staff. Thus far, the staff
24 has not changed its position on anything, but let's
25 ask whether the staff's review of Holtec's response

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has affected the staff's position?

2 In other words, the simple question, I
3 should try to simplify this, does the staff continue
4 to assert that the Sierra Club Contention 8 is, well,
5 either is admissible or you would not oppose its
6 admission?

7 MS. KIRKWOOD: Your Honor, at this point,
8 the staff would like to change its position to take no
9 position on the admissibility of that contention.

10 CHAIR RYERSON: The staff is taking note of
11 the position. Are you changing -- you're changing
12 your position to no longer oppose? I mean, you're
13 changing the position that you consider the contention
14 now not admissible?

15 MS. KIRKWOOD: We're -- initially, we had
16 filed saying we found a portion of it admissible.

17 CHAIR RYERSON: Correct.

18 MS. KIRKWOOD: We're changing that to say,
19 we're just not taking a position on that contention.

20 CHAIR RYERSON: You're not -- oh, you're
21 not taking a position one way or the other?

22 MS. KIRKWOOD: Right.

23 CHAIR RYERSON: Okay. Thank you.

24 MR. SILBERG: Perhaps we can come back to
25 that. Tim and Kim are both looking for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 references.

2 CHAIR RYERSON: Okay.

3 JUDGE ARNOLD: Let me just clarify what I
4 said, it's in the Chapter 1 Introduction to the ER.
5 And it says, quote, Holtec is currently requesting
6 authorization to possess and store 500 canisters of
7 spent nuclear fuel, containing 5,000 metric tons of
8 uranium.

9 However, if you look at your proposed
10 license, it says, 8,680 metric tons. So, there seems
11 to be a disjoint between the ER and the proposed
12 license.

13 MR. SILBERG: Yes. My understanding is the
14 appropriate number is 8,670 metric tons, I don't know
15 if the 5,000 is still in there --

16 JUDGE ARNOLD: Well, the --

17 MR. SILBERG: -- in the ER.

18 JUDGE ARNOLD: The 5,000 is consistent with
19 the eventual goal of 100,000.

20 MR. SILBERG: But that --

21 JUDGE ARNOLD: The 8,680 is consistent with
22 the number Interveners were saying of 170,000.

23 MR. SILBERG: Right. And the assumption is
24 that all canisters are equal, and all canisters are
25 not equal. In fact, the early canisters, which will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be Holtec, will have more fuel in them, because they
2 have greater capacity than the average of other
3 canisters.

4 So, on an average basis, the 173,000
5 number is wrong, because the later canisters are
6 expected to have less fuel than the earlier canisters.
7 I think that's the clarification as to why there are
8 different numbers.

9 CHAIR RYERSON: Thank you, Mr. Silberg. I
10 think -- you're still researching an answer, is that
11 correct?

12 MR. SILBERG: Yes.

13 CHAIR RYERSON: This could be, then, maybe
14 a good time to take a little bit of an early break.

15 MS. CURRAN: Before we break, could I --

16 CHAIR RYERSON: Yes.

17 MS. CURRAN: -- have the microphone? I
18 also have looked at different documents for the
19 different numbers, about how many metric tons.

20 And I just want to read for Judge Arnold
21 the sentence from Page 1-1 of the environmental
22 report. It's in the middle of the page.

23 It says, Holtec is currently requesting
24 authorization to possess and store 500 canisters of
25 SNF, containing 8,680 metric tons of uranium, MTUs.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, that number, 8,680, appears on the first page of
2 the environmental report. It is Revision 3, but I
3 believe it's in earlier revisions as well. Thank you.

4 CHAIR RYERSON: Thank you. Let's -- we
5 have a request here from NAC's counsel. I think we're
6 going to take a break shortly, if you have a minute or
7 two that you can respond, if you wish to respond.

8 MR. DESAI: A minute or two, thank you very
9 much.

10 CHAIR RYERSON: Okay. Go right ahead,
11 then.

12 MR. DESAI: So, the -- a lot of their reply
13 regarding -- their answer regarding the question
14 relates to the scope of the ER for an amendment. They
15 say that there will be an ER for an amendment.

16 And our reply is they didn't say that that
17 ER would get to facility design alternatives. I want
18 to cite to just -- you will find a lot of cases that
19 get to this point.

20 Turkey Point, LBP-90-16, 31 NRC 509,
21 Westlaw didn't give you the page number for this one.
22 31 NRC 509, the statement says the scope of the
23 National Environmental Policy Act (NEPA) review is
24 more limited than one performed prior to initial
25 licensing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And it cites to other decisions, LBP-81-
2 14, 13 NRC 677, and in other decisions, they get to
3 the fact that an environmental review for an amendment
4 is limited, it's linked to the consequences of that
5 amendment.

6 For an amendment, for a cask-canister
7 thing, it would be limited to a cask-canister
8 infraction.

9 And that makes sense, because when you
10 have a power plant, they get amendments all the time
11 for their license, in the amendment proceeding, you
12 don't get to go back in that amendment proceeding over
13 design and litigate the design of the power plant.

14 In this case, the facility, the ER is
15 going to govern the whole facility, they said that.
16 So, whenever this amendment happens, Amendment 3 gets
17 passed or later amendments that put in NAC, the
18 facility will have been designed and will have been
19 built. So, there's no ability to litigate the design
20 alternatives.

21 And on the contra-side, look at it this
22 way, if we challenge the design alternatives later,
23 we're going to run into this ironclad obligation that
24 is well discussed, because we know everything now.

25 We know that -- we know their design

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 approach. We know it involves the universal casks,
2 which they acknowledged is comprehensive, going to
3 take other canisters. In addition to their point,
4 look at 2.2.2.1 of the ER, which says what universal
5 cask is in more detail.

6 And we're going to know all the
7 information we need at this point to file a contention
8 about the design alternatives analysis. So, later on,
9 what are we going to really get out of this that's
10 going to prevent us from running into this ironclad
11 obligation analysis?

12 CHAIR RYERSON: Thank you, Mr. Desai. Mr.
13 Silberg, did you want to say something before we take
14 a break?

15 MR. SILBERG: I have two points. First, I
16 didn't think we would get into a debate on individual
17 contentions, but --

18 CHAIR RYERSON: Right.

19 MR. SILBERG: -- there is a -- again, I
20 would like to respond to NAC counsel. The idea that
21 we will have fully designed and built the facility
22 when this issue might come up, we won't have built the
23 facility Phases -- whatever phase we're seeking
24 approval for won't have been built at the time that
25 change comes forward.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And the idea that we have to consider as
2 a design action putting out competitors' facilities on
3 our site makes, frankly, no sense at all. It's as if
4 we wanted to build a reactor with a Westinghouse
5 design and GE came and said we want you to evaluate
6 putting a GE plant on that same site.

7 Well, that's not the purpose of this
8 project. As we made very clear, the purpose of this
9 project is to deploy Holtec technology. They want to
10 talk about alternative technologies and alternative
11 sites, it's not the competitor.

12 CHAIR RYERSON: All right. Thank you, Mr.
13 Silberg. Let's take a break now, let's go to promptly
14 at 10:30, and we will resume then. Thank you.

15 (Whereupon, the above-entitled matter went
16 off the record at 10:12 a.m. and resumed at 10:30
17 a.m.)

18 CHAIR RYERSON: Welcome back, please be
19 seated. Mr. Taylor?

20 MR. TAYLOR: Chair, before we move on, may
21 I clarify something that was discussed about the
22 Baltimore tunnel fire and Dr. Resnikoff's report?

23 CHAIR RYERSON: Yes.

24 MR. TAYLOR: I believe Mr. Silberg made
25 some comment before the break that Dr. Resnikoff's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 report --

2 CHAIR RYERSON: I don't think that mic is
3 on.

4 MR. TAYLOR: Before the break, Mr. Silberg
5 made a comment, I believe, as I understood it, that
6 the Baltimore fire report by Dr. Resnikoff was
7 irrelevant, because that was not a route that was
8 being considered for the Yucca Mountain project.

9 It's my understanding that that report was
10 a response to the 1999 Yucca Mountain EIS draft, which
11 did have the Baltimore tunnel as part of the route to
12 Yucca Mountain, and that, in response to Dr.
13 Resnikoff's report, the route was then modified for
14 the final EIS.

15 CHAIR RYERSON: Okay. Thank you, Mr.
16 Taylor. Back to Holtec, I think you were looking for
17 some information to give us.

18 MR. WALSH: Yes, Your Honor. With respect
19 to the decommissioning of cost estimate, Table 9.1.4
20 of the Decommissioning Funding Plan provides the
21 Holtec estimate for the decommissioning cost for Phase
22 1, \$23.7 million.

23 Section 2.2 of the separate document, the
24 life cycle cost estimate says we need to collect \$840
25 per MTU to meet those decommissioning costs. You have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to use the 8,680 MTU number to get to that number.

2 So, that's why the decommissioning costs
3 estimates that we provided were based on the intended
4 capacity of Phase 1. And the ER Rev 3 does have the
5 correct number, as far as holding 8,680.

6 CHAIR RYERSON: Okay. Thank you. I really
7 -- I think I have one more area for questions myself,
8 and then, I think there are some questions from some
9 of my colleagues, particularly on the geology issues.

10 My question is on standing. I want to
11 understand Holtec's position on the standing a little
12 better. Holtec's position is that none of the six
13 Petitioners has standing and NAC is kind of a
14 different case.

15 But -- oh, I know, Beyond Nuclear has a
16 member who lives a mile, I believe, from the facility
17 and I'm not quite sure I fully understand Holtec's
18 position on standing.

19 I guess my concern, to give it to you, is
20 that, is Holtec arguably conflating the test for the
21 admissible contention with the test for standing? I
22 know the Commission tells us that when we consider
23 standing, unlike when we consider contentions, we
24 should be fairly lenient in finding standing.

25 And if someone lives a mile from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 facility, do they have to establish a pathway, a
2 possible leak from the facility, if you're putting all
3 these metric tons of uranium practically in their
4 backyard, doesn't that give them standing?

5 Would you like to explain a little more
6 why even those who reside very close to the proposed
7 facility, in your view, do not have standing?

8 MR. WALSH: Thank you, Your Honor. Yes.
9 Our position is that the Commission requires a case-
10 by-case analysis of standing in materials license
11 cases. And specifically, it is the Petitioner's
12 burden to show that they would be impacted by the
13 facility. And in this case, they have not done so.

14 There are several reasons for our
15 position. It is true that Petitioners are obligated
16 to demonstrate some sort of plausible mechanism by
17 which they would be impacted by the analysis. And
18 there's Commission case law on that.

19 In particular, the U.S. Army Installation
20 Command case, which is a case cited by several of the
21 Petitioners, where the Commission rejected standing
22 where it found that there was no obvious potential for
23 offsite migration of the radionuclides in that case.

24 The Commission has also issued some
25 rulings with respect to what type of dose has to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 received in order to constitute a harm.

2 And their Energy Solutions case, CLI-11-3,
3 says, mere potential exposure to minute doses of
4 radiation within regulatory limits does not constitute
5 a distinct and palpable harm on which standing can be
6 founded.

7 The SAR, Table 7.3 of the SAR, gives you
8 the dose at 1,000 meters, or a kilometer away, and
9 that is 0.0848 millirem. And no one has asserted that
10 they reside closer to that, there. And that's
11 assuming continually 8,000-and-change hours of
12 occupation. It's a 24/7, 365 day/year analysis.

13 There's been some discussion, too, about
14 some of the case law in here. In particular, the 17-
15 mile radius that was established in the Diablo Canyon
16 and the Shearon Harris cases. Those cases are easily
17 distinguishable from the one at present here.

18 Shearon Harris involved a spent fuel pool
19 expansion proceeding. And in that case, the
20 activities that were going to be licensed involved
21 actual handling of bare fuel, having it shipped in in
22 transportation casks, unloaded, and put into the spent
23 fuel pool at the Harris plant site.

24 In the Diablo Canyon proceeding, while,
25 yes, that was an at-reactor independent spent fuel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 storage installation, the licensed action there
2 involved, first and foremost, an above-ground
3 independent spent fuel installation, whereas the one
4 we propose to build will be below-ground, and
5 therefore, has a significantly different risk profile.

6 But in addition, the licensing action at
7 Diablo Canyon involved the placement of spent fuel
8 from the spent fuel pool into canisters, and then
9 moving those canisters onto the pad.

10 Those operations are not present here in
11 this proceeding. The canisters, as my colleague said
12 in the very beginning, are going to come to the site
13 sealed and will not be opened.

14 And so, our contention is that Petitioners
15 have not demonstrated that that case ought to apply
16 here. And again, I think it's incumbent upon the
17 Petitioners to show, in a case-by-case scenario, why
18 that ought to apply here, and we don't think it does.

19 CHAIR RYERSON: Okay. I guess the problem
20 I potentially have with that position is that I have
21 a hard time imagining who would have standing in your
22 view.

23 You say that the canisters are not going
24 to leak, the casks aren't going to leak. But can you
25 tell me who might have standing? Can you think of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anyone who would possibly have standing under your
2 theory?

3 MR. WALSH: Your Honor, it's Petitioner's
4 burden to demonstrate they have standing. We've laid
5 out all the facts that are appropriate here.

6 CHAIR RYERSON: Okay. Thank you. All
7 right. I think, Judge Trikouros, did you have some
8 questions?

9 JUDGE TRIKOUROS: Yes. Fortunately, many
10 of my questions have already been answered, which is
11 convenient.

12 We started the discussion yesterday with
13 the Don't Waste Michigan group, regarding their
14 Contentions 5 and 12. And the -- I had asked the
15 question, would subsidence on this site potentially
16 cause damage to the UMAX storage system? And the
17 answer, of course, came back, yes.

18 I will ask you the same question. And
19 I'll add to it that, if you tell me that the design of
20 the system incorporates subsidence as part of the
21 design basis, then perhaps the answer to that question
22 is no. But what is the correct answer?

23 MS. LEIDICH: The correct answer, we
24 believe, is that there won't be subsidence on the
25 site. And we've provided information in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 environmental report, which also refers to the ELEA
2 2007 report, which underwent a detailed analysis of
3 the site itself, looking for evidence of subsidence.

4 And this is specifically the site, not
5 West Texas, which Interveners or Petitioners have used
6 as their basis for subsidence. They refer to West
7 Texas, we're looking at the actual site itself.

8 And it goes back about 50 years worth of
9 what they're looking at. And there has been no
10 evidence of subsidence at the site that we have seen.

11 JUDGE TRIKOUROS: So, you're saying there
12 won't be subsidence and you don't have to account for
13 it for that reason? Okay.

14 MS. LEIDICH: We believe that it's not a
15 credible threat.

16 JUDGE TRIKOUROS: It seems like, the SAR,
17 I think agrees with you, on, I think it's Page 2-54,
18 I mentioned it yesterday, seems to indicate the same
19 as what you're saying.

20 However, the ER does have places where it
21 seems to indicate that subsidence is possible, Page
22 344-345. Again, that's a PDF reference. It's the
23 section that says Pecos Valley Section and
24 Physiographic Subregions.

25 It says solution subsidence depressions of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 varying sizes are common landscape features across
2 this section, because of the dissolution of
3 evaporating carbonate units. Also, I would --

4 MS. LEIDICH: I'm sorry, could you -- 344
5 and 345 of the document that I'm looking at appear to
6 be graphs.

7 JUDGE TRIKOUROS: Well, we may -- okay.
8 So, this is a PDF document and the one I have is
9 obviously different than the one you have. The
10 section is called Pecos Valley Section and
11 Physiographic Subregions. That's the section name.

12 MS. LEIDICH: Is it possible that you're
13 looking at Rev 3 of the document?

14 JUDGE TRIKOUROS: No, I am not.

15 MS. LEIDICH: Oh, well, in the area, there
16 has been subsidence, in the general Permian Basin
17 region. Without looking at the document itself and
18 finding the page, and I might have to get back to you
19 a little bit later, I can't tell you specifically if
20 this is near the Holtec site.

21 JUDGE TRIKOUROS: Okay.

22 MS. LEIDICH: We haven't seen subsidence
23 near the Holtec site. However, in the overall Permian
24 Basis region, there has been some.

25 It's typically more associated with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 potash mining that occurs in the area, which is why,
2 in Section 3-2, or Page 3-2 of the ER, we reference
3 that Holtec holds the mineral rights for potash mining
4 down to 5,000 feet, which is why they don't expect
5 subsidence.

6 Once you get below that level, you don't
7 expect subsidence to occur. And in fact, the
8 Schafersman report itself indicates that activity
9 below 3,000 feet would not result in subsidence. He
10 says that on Page 15.

11 JUDGE TRIKOUROS: Okay. And I bring this
12 up because, of course it's Don't Waste Michigan, two
13 contentions specifically deal with this. We learned
14 yesterday, from Mr. Lodge, that there's an RAI that
15 was issued recently, well, I guess it was March, that
16 dealt with this. And I hadn't seen the RAI or any
17 answers. So, this was all news to me.

18 But subsidence would be a common mode
19 failure, in risk parlance. It wouldn't potentially
20 fail one canister, it would fail all canisters, all
21 casks, perhaps I should say. So, it's a serious
22 matter. And not one that should be lightly dismissed.

23 MS. LEIDICH: Your Honor, the RAI in
24 question was issued in March of 2018, of last year.
25 It was responded to in May of 2018. The Interveners

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or the Petitioners had the opportunity to address that
2 RAI in their contention, if they so choose, and they
3 did not. We can probably provide an ML number for you
4 with a bit of looking.

5 In terms of the risk of subsidence, again,
6 we do not believe that a risk has been substantiated
7 at the site. We do not believe that Petitioners have
8 put forth a risk.

9 And given that Holtec controls the mining
10 rights down to 5,000 feet and that there has been no
11 evidence of past subsidence, we don't consider this a
12 risk that is credible.

13 JUDGE TRIKOUROS: Okay. But the Petitioner
14 did put forth a challenge to that in Contention 5 and
15 12, correct?

16 MS. LEIDICH: The Petitioner's --

17 JUDGE TRIKOUROS: And they do have an
18 expert who supports their position.

19 MS. LEIDICH: The Petitioner's own expert
20 indicates that there is no risk if the drilling occurs
21 below 3,000 feet, and we own the mineral rights down
22 to 5,000 feet.

23 JUDGE TRIKOUROS: With respect to hydraulic
24 fracturing?

25 MS. LEIDICH: We own the potash mineral

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rights down to 5,000 feet. Potash mineral mining
2 occurs about 5,000 feet, traditionally in the 1,000-
3 2,000 range. As Petitioners even note in their own
4 report, oil and gas drilling occurs much lower,
5 generally 8,000 feet.

6 JUDGE TRIKOUROS: And what about Contention
7 12, with respect to the geology below the site? Their
8 expert, Dr. or Mr. Schafersman, I believe it is,
9 indicates that the nature of the geology of the site
10 is significantly different than what's mentioned in
11 the ER.

12 I think I mentioned this yesterday, but
13 comparing Section 3.3.3 of the ER with Section 2 of
14 the, I guess I would refer to it as the Schafersman
15 report, are in direct contradiction, with respect to
16 the occurrence of karst in the geology of the site.
17 And my understanding is that the karst geology does
18 lead potentially to subsidence.

19 And also, subsidence has been shown to
20 occur in the vicinity of the site. Now, you're saying
21 it has not occurred at that exact spot --

22 MS. LEIDICH: And there's a lot of data to
23 support that assertion. I don't read the
24 Schafersman's report as asserting that there is karst
25 specifically at the location. In fact, I believe he

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 says that there is not.

2 What he does point out is that there is a
3 Salado area below the site. I believe that he says it
4 starts at 1,400 feet. And he alleges that the Salado
5 area may grow into karst if there were leaking oil,
6 fuel, oil field waters, old burn injection wells, or
7 broken casing causing a dissolution cavity to develop
8 in the Salado.

9 I don't see any specific references to
10 particular karst formations at the site itself.
11 However, I would say that these are all speculative,
12 he's assuming that a series of events may occur that
13 have not occurred at the site.

14 And all of this, again, is contrary to the
15 evidence at the site that there has been no subsidence
16 there.

17 I don't see anything in the Schafersman's
18 report that specifically points towards karst at this
19 specific site. He does say, of course, that it's in
20 West Texas and it's in other areas of the Permian
21 Basin, which we do not dispute.

22 I will make a note that the basic geologic
23 data on Page 13 of the Schafersman's report, to the
24 extent that you are relying on it, this is geologic
25 data for Well CP975. That is not at the Holtec site,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's actually at the border with Texas. It's
2 somewhat unclear from the report where that's located.

3 JUDGE TRIKOUROS: Yes. I'm not relying on
4 it, I'm -- the Petitioners are relying on it. Okay.
5 Well, I understand. But we do have a contention, we
6 do have two contentions, that deal with this and they
7 are supported by expert opinion.

8 MS. LEIDICH: Well, we disagree that the
9 Schafersman's report supports the existence of karst
10 at the site or subsidence at the site.

11 JUDGE TRIKOUROS: But right now, we're not
12 in a hearing, we're --

13 MS. LEIDICH: Well, if the Petitioner's own
14 documents can be reviewed to whether or not they
15 support the contention, in fact, the Petitioner's
16 documents that are put forth in support of a
17 contention should be reviewed to determine whether or
18 not it presents an adequate basis for factual or
19 expert support.

20 JUDGE TRIKOUROS: Okay. That's fine. At
21 this point, that's enough. But I will, again, remind
22 you that we were told yesterday that staff is looking
23 at this, as well.

24 MS. LEIDICH: Just as one last comment,
25 again, that RAI was from last year and it has been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 responded to. We can get you the ML number, if you
2 wish.

3 JUDGE TRIKOUROS: Yes, I hope --

4 MS. LEIDICH: We'll look for that.

5 JUDGE TRIKOUROS: -- you can. Yes. All
6 right. Okay. I'm going to jump around a little bit
7 at this point and ask --

8 MS. LEIDICH: If it's geology, it's still
9 me.

10 JUDGE TRIKOUROS: No, no, no, it's --

11 (Laughter.)

12 JUDGE TRIKOUROS: I have other questions
13 that -- do you want to -- how do you want to do this?

14 CHAIR RYERSON: Why don't you continue,
15 Judge Trikouros?

16 JUDGE TRIKOUROS: Okay. All right. I'm
17 just going to try and fill in gaps that I have. With
18 respect to the start clean stay clean question, if a
19 canister doesn't meet the receipt and inspection
20 procedures that Holtec has, the plan is to ship it
21 back to the sender.

22 Would there be -- and of course, it would
23 have to meet the requirements of 10 CFR Part 71. If
24 it doesn't, if it can't be shipped back, and I assume
25 that that may happen, there's no indication that it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 couldn't happen, what would happen at that point?

2 MR. WALSH: Your Honor, we don't anticipate
3 it happening at all. If a canister is found to be
4 leaking or damaged in any way, it will be shipped back
5 in an NRC-approved transport cask. And it must be
6 shipped in accordance with Part 71.

7 And we can't imagine a circumstance where
8 a canister that doesn't meet our requirements would
9 not be -- when inserted into the transportation casks
10 would not be sufficiently protective.

11 But we would take whatever steps are
12 necessary to ensure that it could be transported back
13 to its originating site.

14 JUDGE TRIKOUROS: Do you have the ability
15 to, for let's say canning or anything like that, at
16 the Holtec facility?

17 MR. WALSH: No, we do not.

18 MR. SILBERG: I will make one further
19 point, that is, you can insert a Holtec canister into
20 a sleeve, if there's a problem with the canister,
21 before it's put into the vertical shaft.

22 The shaft has enough clearance to support
23 an additional over-canister over the canister before
24 it's permanent or temporarily set in the vertical
25 shaft.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 JUDGE TRIKOUROS: Okay.

2 MR. TAYLOR: Your Honor, I don't know if an
3 objection is appropriate, but this is the first time
4 we're hearing --

5 JUDGE TRIKOUROS: Can somebody --

6 CHAIR RYERSON: Excuse me, you might ask
7 for the opportunity to speak.

8 MR. TAYLOR: I'm sorry, I apologize. If I
9 may be heard for a moment, Your Honor?

10 CHAIR RYERSON: Yes.

11 MR. TAYLOR: Thank you. This is the first
12 time we're hearing this information. We're trying
13 this case, we're trying things on the merits, so it
14 seems. Certainly, there is a problem of conflating
15 standing and merits kinds of issues, that I've been
16 hearing this morning.

17 But this is new information, and a
18 representation of counsel, certainly nothing we've
19 seen in the documentation that there's some sort of
20 mitigating methodology that's available, if there is
21 a troubled canister that is delivered to the site.
22 Thank you.

23 CHAIR RYERSON: Is that your point, that --

24 MR. TAYLOR: Yes.

25 CHAIR RYERSON: Okay, thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. LEIDICH: Your Honor, we have an ML
2 number available for you for that RAI response, if
3 you're ready. This was RAI 2-2, and the ML number is,
4 ML18150A330.

5 JUDGE TRIKOUROS: That was ML18150A30?

6 MS. LEIDICH: A330.

7 JUDGE TRIKOUROS: A330, good. Okay, thank
8 you.

9 MS. LEIDICH: Thank you.

10 JUDGE TRIKOUROS: Okay. In your answer to
11 Contention 23, you state, the system allows for ready
12 retrieval of the spent fuel from the storage system
13 for further processing or disposal. Can you tell me
14 what you mean by further processing or disposal?

15 MR. WALSH: Your Honor, that simply means
16 removing it from the storage module and sending it to
17 a repository, as is the hope one day. Taking the
18 canister out of the module and sending it to its
19 ultimate disposition.

20 JUDGE TRIKOUROS: Regardless of its
21 condition?

22 MR. WALSH: It's supposed to meet the
23 staff's Interim Staff Guidance 2 on retrievability.
24 That's why we state that in there. In the matter of
25 transportation, the canister will have to be inspected

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 again to meet the requirements of Part 71.

2 JUDGE TRIKOUROS: All right. So, what you
3 mean is, shipping it offsite to a disposal facility?
4 That --

5 MR. WALSH: Correct.

6 JUDGE TRIKOUROS: That's what that means,
7 okay. That's fine.

8 With respect to high burnup fuel, is
9 meeting the requirements of Interim Staff Guidance 11
10 Rev 3, we talked about this yesterday with, perhaps,
11 Mr. Lodge, is that sufficient to maintain safe storage
12 for, let's say, the service life, 100-year service
13 life? Just simply meeting those temperature
14 requirements are sufficient?

15 MR. WALSH: We believe it's sufficiently
16 protective of the cladding, yes, Your Honor. In
17 addition, we also meet the ambient temperature
18 requirements as well, too, with some margin.

19 So, there is less likelihood -- at the
20 site itself. Therefore, there is less likelihood of
21 potential degradation due to temperature-induced
22 degradation.

23 JUDGE TRIKOUROS: All right. So, from your
24 point of view, as long as you maintain the fuel within
25 certain temperature limits, high burnup fuel can be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 treated the same as lower burnup fuel?

2 MR. WALSH: Yes. In addition, Your Honor,
3 I would also like to correct something from yesterday.
4 There is the aging management program for high burnup
5 fuel, which is not a voluntary program, as was stated.
6 It will be part of the license requirements of the
7 facility.

8 That is a program that's going to,
9 basically, incorporate data that is learned from the
10 Department of Energy and EPRI, and we'll take whatever
11 protective actions are necessary. But the assertion
12 yesterday that it's a voluntary program is flat wrong.

13 JUDGE TRIKOUROS: Okay. I guess we did
14 discuss that yesterday with Mr. Lodge. And you're in
15 a position to implement anything that comes out of
16 these research programs that are underway?

17 MR. WALSH: Yes, that is our position.

18 JUDGE TRIKOUROS: All right. Thank you.

19 JUDGE ARNOLD: I've got a question along
20 that line. Concerning high burnup fuel, now, your
21 canisters are certified for the storage of high burnup
22 fuel, right?

23 MR. WALSH: Correct.

24 JUDGE ARNOLD: And the transportation casks
25 are certified for transportation of high burnup fuel?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALSH: Correct.

2 JUDGE ARNOLD: Now, is it your assertion
3 that these certifications pretty much put all of the
4 questions on high burnup fuel out of the scope of this
5 licensing action?

6 MR. WALSH: The design related issues are
7 outside the scope of this action. We still have to
8 evaluate, as we did, the environmental impact of
9 storing and transporting spent nuclear fuel. And
10 that's what we did.

11 JUDGE ARNOLD: Okay. I'm just wondering,
12 what -- is there some rule that tells us that these
13 issues being certified are no longer within the scope
14 --

15 MR. WALSH: Yes.

16 JUDGE ARNOLD: -- of this?

17 MR. WALSH: Yes, Your Honor. Rule 72.46(e)
18 of the Commission regulations deals with the storage
19 question.

20 And it specifically states that if an
21 application for a specific license incorporates by
22 reference a design of a spent fuel storage cask for
23 which NRC approval under Subpart L has been issued or
24 sought, the scope of any public hearing to consider
25 the application will not include any cask design

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issues.

2 And then, with respect to transportation,
3 it's a similar analysis, but different rules apply.
4 Because we have the transportation certification and
5 we are allowed to transport spent fuel under the
6 general license, that general license is not subject
7 to challenge in this proceeding.

8 JUDGE ARNOLD: Thank you.

9 JUDGE TRIKOUROS: Okay. Let me continue
10 with high burnup fuel discussion. There's a table in
11 the UMAX FSAR, it's Table 5.0.1. There's also a Table
12 7.1.1.

13 And the Table 5.0.1 and the subsequent
14 table define what they call a design basis fuel
15 burnup. Actually, it says, design basis fuel burnup,
16 cooling time, and enrichment.

17 The Table 5.0.1 is referring to an MPC-32
18 and also the MPC-37 canister. And it has a burnup of
19 45 gigawatt days per metric ton uranium, which is
20 defined as the threshold where high burnup fuel
21 begins. It also has a cooling time of five years and
22 it has an enrichment of 3.6 percent, which is less at
23 issue here.

24 What -- and the other table, 7.1.1, has a
25 burnup of also 45 gigawatt days per metric ton, a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cooling time of eight years.

2 And I guess my question is why would you
3 set a design basis to be the minimum threshold of high
4 burnup fuel? And I -- okay.

5 Before you answer that, there is also, in
6 the certificate of compliance document, let's see if
7 I can give you the exact reference, this is
8 certificate of compliance for the MPC-37 canister.
9 That certificate of compliance had some appendices
10 attached to it. Appendix B is entitled the Approved
11 Contents and Design Features.

12 So, for MPC-37 canister, the maximum
13 enrichment is five percent, which is certainly
14 acceptable. The cooling time is greater than or equal
15 to three years, which is also acceptable.

16 But the assembly average burnup is less
17 than or equal to 68.2 gigawatt days per metric ton,
18 which means, of course, it could be 68.2. So, how do
19 you reconcile -- and this Appendix B is the references
20 given for what should be acceptable to your site, for
21 an MPC-37.

22 There's also the MPC-89 portion of that,
23 very similar, but it's 65 gigawatt days per metric
24 ton, so it's slightly less.

25 So, you have a design basis assembly of 45

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and you have assemblies coming in that are at, let's
2 say, 65 or perhaps more gigawatt days, how does that
3 all work?

4 MR. WALSH: Just to confirm, you referenced
5 Table 5.0.1 from the UMAX FSAR, and --

6 JUDGE TRIKOUROS: Yes.

7 MR. WALSH: -- you mentioned also a Table
8 7.1.1, is that in the same document?

9 JUDGE TRIKOUROS: I believe so, yes. In
10 fact, it is.

11 MR. WALSH: That might be the HI-STORE.

12 JUDGE TRIKOUROS: I believe it's identified
13 as the UMAX FSAR.

14 MS. LEIDICH: We don't have a Table 7.1.1
15 in the UMAX FSAR.

16 MR. WALSH: We recommend that we take a
17 moment to --

18 JUDGE TRIKOUROS: Oh, let me take that
19 back. The first table is the UMAX FSAR. The second
20 table is the --

21 MR. WALSH: HI-STORE?

22 JUDGE TRIKOUROS: -- CISF, yes, that's
23 correct, FSAR.

24 MR. WALSH: Can we take a moment to
25 research and get back to you?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 JUDGE TRIKOUROS: Sure.

2 MR. SILBERG: We could either do that over
3 the lunch break and continue now, or take the break
4 now --

5 JUDGE TRIKOUROS: It might be better to do
6 that, to give you the time to do that, unless it's
7 going to be real quick.

8 CHAIR RYERSON: Yes, so, I mean, do you
9 want to continue with your other questions now?

10 MR. SILBERG: I think we have the answer.

11 JUDGE TRIKOUROS: Okay, good. Excellent.

12 MR. WALSH: The answer is that source terms
13 and doses are based on a combination of burnup,
14 enrichment, and cooling time. The chosen mix is
15 reasonably bounding. Burnup alone does not determine
16 dose for the spent fuel.

17 JUDGE TRIKOUROS: Okay. But it is a
18 factor.

19 MR. WALSH: Yes, it is.

20 JUDGE TRIKOUROS: It's not --

21 MR. WALSH: Yes.

22 JUDGE TRIKOUROS: -- all, but it is a
23 factor.

24 MR. WALSH: Yes. But the certification for
25 the UMAX system is up to -- is capable of storing the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MPC canisters. That is specifically stated in the
2 certification for the UMAX.

3 JUDGE TRIKOUROS: All right. So, in other
4 words, the -- that 65 or 69, depending on which
5 canister it is, can be accommodated safely and the
6 fact that the UMAX Table 5.0.1 calls that a design
7 basis assembly of 45 is not what goes into the
8 analyses?

9 The analyses are done to accommodate the
10 higher burnup, the highest burnup you can accommodate,
11 which apparently is 65, for the MPC --

12 MR. WALSH: Hold on one second, Your Honor.
13 We'll come back to this, Your Honor.

14 JUDGE TRIKOUROS: Okay. All right, that's
15 fine. Your ability to retrieve canisters under all
16 conditions of storage, I believe those are your words,
17 certainly, they're referenced by the staff at various
18 times and we just talked about that, your
19 environmental -- your onsite radiation protection
20 program is capable of accommodating any condition of
21 the canister, when it's retrieved for disposal? Is
22 that correct?

23 MR. WALSH: Yes.

24 JUDGE TRIKOUROS: That's correct?

25 MR. WALSH: Yes.

1 JUDGE TRIKOUROS: So, no matter what
2 cracking you might see, no matter how much failed fuel
3 there may in a canister, you can retrieve it safely
4 and send it off for disposal?

5 MR. SILBERG: I assume that there's a
6 credibility issue here. One can postulate the
7 meteorite the hitting the cask dead-on --

8 JUDGE TRIKOUROS: Let me correct that. I'm
9 talking about all normal conditions of storage over a
10 long period of time.

11 MR. SILBERG: Correct.

12 JUDGE TRIKOUROS: Okay.

13 MR. SILBERG: That's correct.

14 JUDGE TRIKOUROS: Because we are -- we do
15 have the service life issue of -- or the defined
16 service life of 100 years --

17 MR. SILBERG: Yes.

18 JUDGE TRIKOUROS: -- or perhaps even more.
19 All right. Thank you. If a leak occurs in the
20 canister while it's in the UMAX enclosure, can it be
21 identified?

22 MR. SILBERG: We wouldn't expect any leaks,
23 but the aging management program is specifically in
24 the application to deal with those kinds of
25 circumstances.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 JUDGE TRIKOUROS: Okay. And I do believe,
2 from what I've seen, that you would lift the canister
3 out of the enclosure and inspect it as you bring it
4 out, at various levels, to see if there's any
5 cracking, is that correct?

6 MR. SILBERG: The monitoring would be
7 visual. There's an annulus between the canister and
8 the cask wall. And the monitoring would be done
9 visually, remotely visual --

10 JUDGE TRIKOUROS: Correct.

11 MR. SILBERG: -- we're not sending any
12 people down there, but we'll send equipment down
13 there.

14 JUDGE TRIKOUROS: Right. So, you'd be
15 lifting the canister out and visually inspecting the
16 canister?

17 MR. SILBERG: Well, I think you might
18 visually inspect it before you'd lift it.

19 JUDGE TRIKOUROS: So, you could send a
20 camera down --

21 MR. SILBERG: Yes.

22 JUDGE TRIKOUROS: -- and visually inspect
23 it? Okay. Can a leaking canister be repaired?

24 MR. SILBERG: The answer is that it's
25 outside the scope, because there are no credible leak

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 paths.

2 (Laughter.)

3 JUDGE TRIKOUROS: Okay. I take that as a
4 no.

5 MR. SILBERG: At the present time, it's not
6 within the scope of this license application.

7 JUDGE TRIKOUROS: Hypothetically, if a leak
8 did occur, could you put it inside another container?

9 MR. SILBERG: That's what we talked about
10 before, where you have the encapsulation and the
11 vertical casks have enough clearance to insert an
12 over-canister, over the canister and inside the
13 vertical module.

14 JUDGE TRIKOUROS: So, any assertion that
15 you had no way to handle a leaking canister is
16 incorrect?

17 MR. SILBERG: That's right. The question
18 was can you repair a cask? And that's really outside
19 the scope. But that's not to say that you can't take
20 steps to remedy a problem, even if something happens
21 that we don't consider credible, which is a leak
22 through the cask.

23 JUDGE TRIKOUROS: Right. Can you remove
24 the fuel from a cracked canister and put it in another
25 canister?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SILBERG: If you have the right
2 facility, yes. But that's not part of the design of
3 HI-STORE.

4 JUDGE TRIKOUROS: Okay. Well, I think
5 you've answered my next question, have you seen any
6 cracks in canisters in the past? And it sounds like
7 you said no.

8 MR. SILBERG: No, there have been none.
9 The question about removing fuel is the dry transfer
10 storage discussion we had yesterday. It is a
11 technique that is possible, but it is not part of the
12 design.

13 The design would have to go through a
14 licensing process. That's been stated very clearly in
15 the continued storage rule that adding any DTS would
16 be a license event.

17 JUDGE TRIKOUROS: Okay. I guess, the
18 problems at San Onofre, are they applicable here? The
19 -- I'm not very familiar with the problems at San
20 Onofre.

21 MR. SILBERG: Yes, the answer is, we
22 believe, no. The standoff pins are no longer being
23 used in current manufacture. There are all of, I
24 think, 42 casks that have those. The problems in San
25 Onofre, we do not think are relevant at this site.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 JUDGE TRIKOUROS: Okay. The aging
2 management program, not specifically the high burnup
3 fuel one, but the standard aging management program
4 does include testing of groundwater, and can you tell
5 me what that means?

6 Because we have an outstanding contention
7 that claims that there's groundwater there that you
8 have not -- that you don't know is there, so to speak.

9 MR. SILBERG: Well, we have existing wells
10 that have been monitored that have identified
11 groundwater. The results of that are set forth in the
12 application.

13 I don't know off the top of my head what
14 the aging management plan says on that specific topic,
15 we can certainly find that information and get it to
16 you.

17 JUDGE TRIKOUROS: Yes, it didn't have a lot
18 of details. It basically said you would be testing
19 the groundwater, it didn't identify -- I don't think
20 it identified specific wells or anything like that.

21 I don't even think it identified the
22 groundwater specifically, if it was talking about
23 aquifers or -- but again, we've been through so much
24 material, I can't remember the details of that.

25 But if there were near-surface

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 groundwater, do you believe that the aging management
2 program would capture that?

3 MR. SILBERG: We do.

4 JUDGE TRIKOUROS: Okay. And in terms of
5 cracking of the concrete support plate, the bottom
6 concrete support plate, if there were a crack in that,
7 water would get into the annulus between the canister
8 and the UMAX enclosure wall. Do you monitor that for
9 moisture?

10 MR. SILBERG: Well, first of all, my
11 understanding, and I stand to be corrected by our
12 technical experts, is that groundwater is not at the
13 level of the bottom of the vertical canister. I don't
14 know how far below it is -- okay. We don't have the
15 number, but it is not at the level or above the level.

16 So, A, there is no mechanism for getting
17 water. B, there is no mechanism for concrete
18 cracking. Whether or not we monitoring the bottom of
19 the annulus or the bottom of the vault for water -- we
20 don't currently monitor that.

21 JUDGE TRIKOUROS: You don't monitor that?

22 MR. SILBERG: No.

23 JUDGE TRIKOUROS: But you can put a camera
24 down there to look at the canister wall, so,
25 therefore, if you saw water, I assume that you would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 take action?

2 MR. SILBERG: We would indeed.

3 JUDGE TRIKOUROS: Okay.

4 MR. SILBERG: And to our knowledge, those
5 kind of requirements are not imposed on the current
6 in-operation UMAX systems at U.S. plants.

7 JUDGE TRIKOUROS: Okay. With respect to
8 the question of brine being in groundwater, I believe
9 that your aging management program groundwater testing
10 does include brine testing, is that correct?

11 MS. LEIDICH: Yes, that is correct.

12 JUDGE TRIKOUROS: Okay. If there were a
13 crack in a spent fuel storage canister, and I
14 understand there's never been one and you don't
15 anticipate one, would that result in the release of
16 radioactive material or would there be a need for
17 further fuel damage internal to the canister for a
18 serious release?

19 MS. LEIDICH: To the extent that there's
20 been allegations of a release that's liquid-based, we
21 don't believe there's any mechanism for there to be
22 such a release, given that there is no liquid stored
23 at the facility. In terms of -- I'm not sure, in
24 terms of dose, is that the other question?

25 JUDGE TRIKOUROS: Well, it's, if there were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 moisture in the annular region and it caused the
2 corrosion of the canister and your canister cracked,
3 there would be no liquid release, there would only be
4 fission product gas release, correct?

5 MS. LEIDICH: That is correct, there are no
6 liquids.

7 JUDGE TRIKOUROS: Okay. The -- we have a
8 contention that talks about the near-surface
9 groundwater. Do you have anything more to add on
10 that, regarding the presence of near-surface
11 groundwater?

12 MS. LEIDICH: In terms of near-surface
13 groundwater, we believe that the only groundwater that
14 has been located was in Well ELEA-2, I think is the
15 number. And it was first identified at a depth of 90
16 to 100 feet and, of course, it welled up to about 35
17 feet, I want to say.

18 But the other wells that were drilled,
19 including in the GEI report, did not encounter any
20 groundwater at those levels. They were looking for
21 groundwater as they went down.

22 As we detail in our response, they took
23 spoon samples, but there was no other groundwater at
24 or near surface level that was identified at the
25 facility.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 JUDGE TRIKOUROS: Okay. And I think your
2 answer to that contention, I think it's Contention 15,
3 Sierra Club Contention 15 --

4 MS. LEIDICH: Yes, we detailed that.

5 JUDGE TRIKOUROS: -- supports that, yes.

6 MS. LEIDICH: Yes.

7 JUDGE TRIKOUROS: Okay. There was a
8 discussion yesterday regarding hypothetical accident
9 conditions versus real-life accident conditions.

10 Can you address that, with respect to what
11 you've done for your canister and cask design? Do you
12 do any kind of computer code analyses? Is that part
13 of your design basis?

14 MR. SILBERG: Well, certainly, computer
15 code analyses are part of that basis.

16 JUDGE TRIKOUROS: Okay. That would be
17 hypothetical accident?

18 MR. SILBERG: For transportation casks, we
19 have physical tests, yes.

20 JUDGE TRIKOUROS: Okay. So, for what were
21 termed hypothetical accident conditions, you do
22 computer code analyses? For real-life accident
23 conditions, you put these canisters and casks through
24 physical testing requirements, as required by the
25 regulation?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SILBERG: That's correct.

2 JUDGE TRIKOUROS: Okay.

3 MR. SILBERG: And there are many, many
4 tests that have been done on canisters, casks, over
5 the years. That data is certainly included in the way
6 that these new casks are analyzed.

7 We don't necessarily test to failure every
8 cask design, but there have been those tests in the
9 past. And the results of those tests are certainly
10 incorporated in how casks are designed.

11 JUDGE TRIKOUROS: The thermal analyses that
12 you do to assure that you don't exceed the, I'll say
13 the high burnup fuel temperature limits, but I mean it
14 for both high burnup and non-high burnup fuel, those
15 analyses, are they computer code analyses or do you do
16 any actual testing?

17 MR. SILBERG: Computer analyses.

18 JUDGE TRIKOUROS: Okay. Do you do any kind
19 of data to capture when they're in the enclosure, to
20 make sure that your computer code is correct?

21 MR. SILBERG: We have benchmarked, in the
22 context of the UMAX design, there have been
23 benchmarking tests that are done.

24 JUDGE TRIKOUROS: Okay. So, you have
25 experimental data that you correlate your computer

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 codes against?

2 MR. SILBERG: Yes.

3 JUDGE TRIKOUROS: Okay.

4 MR. SILBERG: I apologize for turning
5 around, but I don't like to give those technical
6 answers, based on my technical knowledge.

7 JUDGE TRIKOUROS: Please, I'm happy to have
8 you turn around as much as you need to. The Sierra
9 Club Contention 21, that's dealing with this question
10 of transportation of high burnup fuel and that they
11 would be dealt with on a case-by-case basis. Can you
12 say anything regarding that, as it applies to your
13 storage facility?

14 MR. SILBERG: Well, as I understand it, the
15 certificates of compliance for UMAX, for the
16 transportation casks, and for the canister all include
17 high burnup fuel.

18 So, to that extent, they are currently
19 licensed, been approved by the NRC, obviously. And at
20 the present time, there's no more that is required.
21 We have met the NRC's tests, we have met the
22 regulatory criteria.

23 JUDGE TRIKOUROS: Okay. The -- you also
24 answered earlier that all of the new research that's
25 going on, that you're plugged into that research and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that you would be required to make changes as
2 indicated by that data?

3 MR. SILBERG: As necessary, the aging
4 management program will incorporate the results of the
5 DOE EPRI program on high burnup fuel. Those results
6 will be incorporated as appropriate.

7 JUDGE TRIKOUROS: You don't have your own
8 demonstration program for high burnup fuel?

9 MR. SILBERG: No.

10 JUDGE TRIKOUROS: All right. Okay.

11 MR. SILBERG: I think that the DOE EPRI
12 program is intended to be an industry-wide program,
13 with wide participation by the utility vendor
14 community, DOE, and EPRI.

15 I believe the NRC is an observer to that
16 program, or perhaps even a participant in it.
17 Certainly, they're aware, in detail, of what's going
18 on.

19 JUDGE TRIKOUROS: All right. The Interim
20 Staff Guidance seemed to imply that they had a fairly
21 active role in it, because they -- I think that's part
22 of the case-by-case basis discussion. But --

23 MR. SILBERG: That's right.

24 JUDGE TRIKOUROS: -- a number of these
25 questions are going to have to be asked again. What

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about transportation within the facility, in terms of
2 Contention 21? Is that --

3 MR. SILBERG: Well, generally, I don't know
4 in this particular case, but transportation within a
5 facility, a Part 50 facility, where you're moving
6 casks from the reactor building out to the SOC, those
7 don't require Part 71 approval, is my understanding.

8 They're all done under the Part 72
9 license, the transportation down the hallway or using
10 the vertical crawlers, as appropriate, are reviewed by
11 the NRC. But I don't believe that it's part of a Part
12 71 program, if that's what the question is.

13 JUDGE TRIKOUROS: Yes, that was the
14 question. Part 71 does not apply?

15 MR. SILBERG: Correct, until you go
16 offsite.

17 JUDGE TRIKOUROS: Yes, correct. Okay. I
18 think I'm okay for now. Thank you very much.

19 MR. SILBERG: Thank you.

20 CHAIR RYERSON: Judge Arnold?

21 JUDGE ARNOLD: I do have some questions,
22 and I'll be asking some questions similar to Judge
23 Trikouros, too difficult to filter them out.

24 Having to do with Sierra Club Contention
25 2, the issue of safer and more secure, do you explain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the environmental report what you mean by that?

2 MR. SILBERG: Yes, we do. We explain why
3 we believe, although at-reactor storage is safe, has
4 been designated by the NRC as safe, overall basis, the
5 HI-STORE facility will be safer and more secure. More
6 secure, because it's remote. It's safer because it's
7 underground, among other reasons.

8 JUDGE ARNOLD: Did you intend for that
9 statement to be inclusive of the transportation of
10 fuel, or just once it's at your facility?

11 MR. SILBERG: No, it includes
12 transportation. And for that, we rely on the generic
13 analyses that say, transportation of spent fuel is a
14 minor environmental impact.

15 JUDGE ARNOLD: Concerning Sierra Club
16 Contention 4, having to do with transportation from
17 the reactors to the CIS, they fault your dependence on
18 NUREG-1714, saying it is only for the regional
19 transportation, not across the whole country. You
20 state, in your --

21 MR. SILBERG: Is 1714, is that the PFS EIS?

22 JUDGE ARNOLD: Let me --

23 MR. SILBERG: I believe it is.

24 JUDGE ARNOLD: Let's see, an ISFSI in
25 Tooele County --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SILBERG: Yes. Tooele.

2 JUDGE ARNOLD: Tooele, okay.

3 MR. SILBERG: Close enough.

4 JUDGE ARNOLD: What exactly -- now, in your
5 response, you said that looked at more than just the
6 region.

7 MR. SILBERG: Yes. My recollection is the
8 contention said that that EIS only dealt with local
9 transportation, and that's incorrect.

10 JUDGE ARNOLD: Okay. Now, in this
11 contention, Petitioners appear to have a credible
12 analysis of the radiological consequence of a
13 transportation accident occurred while shipping spent
14 fuel.

15 On Page 25 of their petition, they
16 compared the results of that analysis to the results
17 of your analysis and find their results to be orders
18 of magnitude, 1,250 times the result that you have.

19 How can we not consider that a material
20 dispute of fact with the application?

21 MR. SILBERG: We believe you have to look
22 at the document that they rely on to determine whether
23 it is material to this proceeding. And we've had some
24 discussions about why we respectfully submit that it
25 is not.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 JUDGE ARNOLD: Okay.

2 MR. SILBERG: If they submit a material
3 document, even though, by a PhD, even though it looks
4 like a credible report and it may be a credible
5 report, if it's not material to this case, it can't
6 support the admission of a contention.

7 JUDGE ARNOLD: Okay. Concerning this
8 analysis, I think it was yesterday, you said, or maybe
9 it was today, the temperature in that tunnel was
10 greater than the temperature required for the
11 certification of the casks, correct?

12 MR. SILBERG: That's my recollection, yes.

13 JUDGE ARNOLD: And you said that, somehow,
14 using that fire would be a challenge to the rules?

15 MR. SILBERG: Using the temperature of that
16 fire to say that our transportation is inadequately
17 analyzed is a challenge to the rule. Also, the
18 conditions, as we discussed earlier, of that fire are
19 not relevant, for the reasons we discussed.

20 JUDGE ARNOLD: Okay. I'm more familiar
21 with the reactor world than spent fuel, but in the
22 reactor world, it's been demonstrated several times
23 now that actual accidents sometimes do exceed the
24 design accidents.

25 And so, it seems to me, we've got a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 historical fact that a fire on a railroad in a tunnel
2 can exceed the design temperature. Does acknowledging
3 historical fact constitute a challenge to a design
4 specification?

5 MR. SILBERG: Yes, and you have to also
6 look to see whether that event is relevant, as we
7 described earlier.

8 The magnitude of that fire was a result of
9 the combustibles. The combustibles in that tunnel on
10 that day are not what you would have with
11 transportation of spent fuel.

12 Whether the design is sometimes exceeded
13 in real-life, we nevertheless have an NRC regulation.
14 If the Petitioners thought that that regulation was
15 inadequate, they should have sought a waiver under the
16 Commission's procedures. They did not do that.

17 This is not new information. They've
18 known about the Resnikoff analysis. They've known
19 about the Baltimore tunnel fire. If they wanted to
20 challenge the applicability of the regulation in this
21 case, they had more than enough time to do so.

22 JUDGE ARNOLD: Okay. Concerning
23 Petitioner's claim that the railroad infrastructure is
24 deteriorating, when it comes time to move spent fuel,
25 will you be permitted to make use of any railroad

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 track that is in place and available? Or is there
2 some inspection, do they look to see if the tracks
3 have recently been certified?

4 MR. SILBERG: Yes. As we discussed in our
5 response, the Federal Railway Administration does that
6 function for transportation routes over the rail.

7 This will not be the first rail
8 transportation of spent nuclear fuel in this country.
9 Those procedures have been in place, they've been
10 exercised.

11 We've had, perhaps, hundreds of shipments
12 over rail of spent nuclear fuel in this country.
13 We've had thousands of shipments over the road in this
14 country. Worldwide, it's even greater.

15 But, yes, the rail infrastructure for a
16 particular route will be inspected at the time a route
17 is chosen and the time the shipments will take place.

18 JUDGE ARNOLD: Okay. So, a railroad track
19 that is today in excellent condition, but is in the
20 future, deteriorated, that could be okay for shipment
21 now, but not okay when you go to the Part 71 shipment
22 process, and it would be precluded from use?

23 MR. SILBERG: And vice versa.

24 JUDGE ARNOLD: So, yes. So, now is not a
25 good time to be determining the condition of railroad

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tracks for future use?

2 MR. SILBERG: Now would be a very bad time
3 to do that.

4 JUDGE ARNOLD: Okay.

5 MR. SILBERG: In this context.

6 JUDGE ARNOLD: Sierra Club Contention 9,
7 the ER must examine the environmental impacts of the
8 containers being used beyond their approved service
9 life. Do you anticipate there will be any time where
10 you have spent fuel stored in a container whose
11 certification has expired?

12 MR. SILBERG: No, because we would apply to
13 extend that certification, at which point, it would be
14 reviewed by the Nuclear Regulatory Commission.

15 JUDGE ARNOLD: And you have a system in
16 place that will assure that's done?

17 MR. SILBERG: We are obligated to be -- our
18 license conditions, one, is when a license expires, we
19 will file in advance, because we want to take
20 advantage of the timely renewal doctrine.

21 Also, this brings into play the continued
22 storage rule, because we do not have to look at
23 environmental impacts beyond the license life.

24 JUDGE ARNOLD: Concerning Sierra Club
25 Contention 11, concerning the potential consequences

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of an earthquake, does historic data account for the
2 possibility that recent and future oil and gas
3 drilling may affect earthquake frequency or severity?

4 MS. LEIDICH: We believe that it does.
5 There's been drilling in the area, as is mentioned in
6 the expert report used by Petitioners, for over 40
7 years, I think over 50 years.

8 There's no reason to believe that the
9 current historic data does not encompass drilling. In
10 fact, the expert report put forth by Petitioners does
11 not have any more recent earthquakes than the 2012
12 earthquake that we already analyzed for.

13 In addition, we believe that the report
14 put forth by Petitioners does not support that there
15 will be more earthquakes in that region going forward.
16 If you read it in a great level of detail, it actually
17 finds a low fault potential in the area of the Holtec
18 site. So, we don't believe it even supports their
19 assertions.

20 JUDGE ARNOLD: Does it support any increase
21 in the severity of ground motion of earthquakes?

22 MS. LEIDICH: No.

23 JUDGE ARNOLD: Okay. You have some sort of
24 design ground motion?

25 MS. LEIDICH: Yes. In fact, there is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 design ground motion for the HI-STORM facility, which
2 is, I believe, between 0.7G and 1G, depending on the
3 acceleration and the orientation of the ground motion.

4 The bounding analysis for the site has
5 been referred to as 0.25 in every direction. That is
6 far greater than what the USGS returns for the site,
7 which is only 0.04 to 0.06G. So, the UMAX HI-STORM
8 design well bounds any potential impacts from the
9 site.

10 JUDGE ARNOLD: Okay. So, you're saying,
11 the design ground motion is not a close fit to
12 historical data, but it in fact has some margin?

13 MS. LEIDICH: It is significantly larger.

14 JUDGE ARNOLD: Okay.

15 CHAIR RYERSON: Judge Arnold and I have
16 agreed that this might be a good time for lunch.
17 We're obviously not going to finish this morning, I'm
18 very optimistic we will finish today.

19 So we'll take an early lunch again, I
20 think, because there's no cafeteria in this building,
21 people have to go out for lunch. We'll take about an
22 hour and a half. So why don't we plan to reconvene
23 promptly at 1:15? Thank you.

24 (Whereupon, the above-entitled matter went
25 off the record at 11:42 a.m. and resumed at 1:15 p.m.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR RYERSON: Welcome back and please be
2 seated. Almost there. A couple of items before Judge
3 Arnold continues his questioning of Holtec.

4 I wanted to alert the NRC staff of the
5 questions I will have, when we get to you, in case you
6 need to either think about them or look them up. My
7 principal area of questioning pertains to the filing
8 that you made on October 9.

9 I believe the staff either would have
10 admitted, in whole or in part, or at least would not
11 have opposed the admission of six contentions, two of
12 which are essentially the same.

13 And we've talked a little bit over the
14 last two days about possible changes of position on
15 some of those.

16 And I think it would be useful to go
17 through, not now, but when we get to you, go through
18 exactly what your position is today on the
19 admissibility of those six contentions, and if you've
20 changed on any others as well.

21 But we'll do that later, I just wanted you
22 to know we're going to ask about that. And then, I
23 think before Judge Arnold continues, there was an
24 answer Holtec was going to give to Judge Trikouros on
25 one point.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALSH: Yes, thank you, Your Honor.
2 Before the lunch break, Judge Trikouros asked a
3 question about the design basis fuel analysis from the
4 UMAX FSAR and the HI-STORE FSAR.

5 And you quoted the numbers from Table
6 5.0.1 of the UMAX and Table 7.1.1 from the HI-STORE.
7 So, the -- and that this was tied into the high burnup
8 fuel, if I understand your question correctly.

9 The design basis in those documents did
10 use a 45 gigawatt day burnup for the calculations.
11 It's important to note, first of all, that the burnup
12 level of the fuel isn't necessarily bounding. And
13 that's the purpose of the design basis calculation, to
14 get us a bounding number that will reasonably
15 approximate a high dose rate.

16 And so, we used the design basis numbers
17 in the calculations, the high burnup number, the
18 number of years of cooling, and the enrichment level
19 of the fuel, as the basis for our calculations.

20 We need to look at multiple parameters of
21 the fuel in order to give us what we think is a
22 reasonably conservative dose estimate for these
23 purposes.

24 At the end of the day, the NRC found the
25 analysis that we performed to meet the requirements

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that are stated in the certifications for both the
2 UMAX and the -- in the UMAX FSAR, which is three years
3 minimum cooling time, 68 gigawatt days burnup, and
4 five percent max enrichment.

5 The key phrase in the NRC's conclusion in
6 the certification is that the analyses we performed,
7 and this is from Section 6.4.4 of the staff's safety
8 evaluation report, is that with the analyses that we
9 performed and the conservative loading assumptions
10 that we use, i.e., the canister is always going to be
11 inside a system, we meet the requirements as stated in
12 the certification. And therefore, we met the
13 regulations set forth in 10 CFR 72.104.

14 JUDGE TRIKOUROS: So, the analyses in the
15 SAR, the two SARs, are conservative, with respect to
16 the certification? In other words, the 68 gigawatt
17 days per metric ton fuel comes into the facility, it
18 meets the requirements of the SAR?

19 MR. WALSH: Correct.

20 JUDGE TRIKOUROS: Okay. That's what I
21 needed to know. And that included the three-year
22 cooling time, the --

23 MR. WALSH: Yes, it has --

24 JUDGE TRIKOUROS: -- five percent enrich --

25 MR. WALSH: -- to meet the combination of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the parameters, yes, Your Honor.

2 JUDGE TRIKOUROS: Right. Okay. Thank you.

3 CHAIR RYERSON: Judge Arnold?

4 JUDGE ARNOLD: Okay. Sierra Club
5 Contention 12 has to do with the dunes sagebrush
6 lizard. Now, on Page 50 of the petition, the Sierra
7 Club states, the 2007 report 2.6.1.1 lists the sand
8 dune lizard as likely to be present at the site and
9 vicinity.

10 Now, that's a report that you referenced.
11 Could you explain this in the context of your
12 conclusion that that lizard is not present on your
13 site?

14 MR. WALSH: Yes, Your Honor. My
15 understanding of the report was that it found that it
16 had not been observed, but also that the habitat that
17 the lizard would seek out was also not present at the
18 site, as well, too.

19 So it wasn't just based on a no-sighting
20 criteria, it was we don't have the type of habitat
21 that that lizard would prefer on the site.

22 JUDGE ARNOLD: Okay. Concerning Sierra
23 Club Contention 18, the Holtec ER has not adequately
24 determined and discussed the possibility that waste
25 contaminated groundwater would reach the Santa Rosa

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 formation.

2 Now, does -- is it the certification of
3 the HI-STORM system that states there is no plausible
4 scenario for the release of radioactive material?

5 MS. LEIDICH: I believe that that occurs in
6 several different locations in the application,
7 including in the SAR for the HI-STORE facility itself.

8 JUDGE ARNOLD: Okay.

9 MS. LEIDICH: But I'll have -- I can get
10 you a specific reference, if you would like.

11 JUDGE ARNOLD: Yes, please.

12 MS. LEIDICH: It might take me a moment.

13 JUDGE ARNOLD: All of this spent fuel
14 that's going to be stored there is in the form of
15 unprocessed, straight from the reactor spent fuel?

16 MS. LEIDICH: That is correct.

17 JUDGE ARNOLD: Okay. Could you briefly
18 describe what material the greater-than-Class-C waste
19 is? I mean, this is storage of spent fuel, greater-
20 than-Class-C.

21 MR. SILBERG: Typically, greater-than-
22 Class-C waste would include activated metal components
23 of reactor vessel belt region, typically. Also, might
24 have resins that are above the low level waste Class
25 C. I think people tend to down-blend that now, so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's much less significant.

2 JUDGE ARNOLD: Okay. And will any of the
3 stored waste be in liquid form?

4 MR. SILBERG: No.

5 JUDGE ARNOLD: No?

6 MR. SILBERG: Let me also note that this
7 phase, Phase 1 of the application, does not include
8 GTCC.

9 JUDGE ARNOLD: Oh, okay. Thank you.

10 MR. SILBERG: GTCC is greater-than-Class-C
11 waste.

12 JUDGE ARNOLD: Let's see, concerning Sierra
13 Club Contention 20, it's a high burnup fuel question.
14 Appendix B of the certificate for the MPC-37 says that
15 it's an average burnup of 68.2 gigawatt day per metric
16 ton. I assume, then, that there would be some higher
17 burnup and some lower burnup to come up with that
18 average?

19 MR. WALSH: That's my understanding,
20 correct.

21 JUDGE ARNOLD: Okay. And concerning Sierra
22 Club Contention 21, having to do with no experimental
23 support for the safe transportation and storage of
24 high burnup fuel.

25 Let's see. Actually, what I want to get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 into is what is the actual meaning to us of the
2 certification of the HI-STAR 190?

3 MR. WALSH: The certification of the HI-
4 STAR 190 means that it has been certified by the NRC
5 to be capable of transporting fuel at the burnup level
6 specified in the certification.

7 So, it's -- and this certification is
8 based on extensive analyses and tests, which go into
9 that process: criticality, shielding, thermal
10 evaluations, effective vibrations on the fuel, on the
11 structural integrity.

12 And the certification essentially says
13 that there's not expected to be any damage in normal
14 or accident conditions because of those.

15 JUDGE ARNOLD: Now, we already know that
16 the certification includes some limitation on the
17 burnup. Are there other limitations in this
18 certification on use of that?

19 MR. WALSH: For the HI-STAR 190?

20 JUDGE ARNOLD: Yes.

21 MR. WALSH: They are nearly identical to
22 the ones we've just discussed. And give me a moment.
23 I think they're essentially identical.

24 Minimum cooling time of three years,
25 maximum gigawatt days of 68, I think that's for the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if you're transporting MPC-37, which is the
2 pressurized water reactor fuel assemblies. And I
3 think it's a little bit lower for the BWR. And
4 maximum five percent enrichment.

5 JUDGE ARNOLD: Is there a limit on the mass
6 of material in it?

7 MR. WALSH: I think it's limited by the
8 number of fuel assemblies that can be transported, 37
9 for the MPC-37 and 89 BWR for the MPC-89.

10 JUDGE ARNOLD: Okay. Is the safe
11 transportation of high burnup fuel dependent upon the
12 cladding remaining intact?

13 MR. WALSH: I do not believe so, but let me
14 double-check that, Your Honor. First of all, there is
15 -- the design and the analyses supporting the
16 certification demonstrate, and the temperature
17 limitations also apply as well, too, which is the
18 primary driver for cladding degradation, show that
19 they're going to -- the expectation that there will be
20 no integrity issues for the cladding during transport.

21 So, the basis for the confidence in that
22 is the underlying designs. But at the end of the day,
23 you can still transport it if the fuel, if something
24 happens to the fuel while in transport.

25 JUDGE ARNOLD: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SILBERG: Let me add a little bit to
2 that. Transportation of solid fuel is permitted. In
3 fact, it's specifically called out in the standard
4 contract for high level waste and spent fuel between
5 the utilities and DOE.

6 JUDGE ARNOLD: Thank you.

7 MS. LEIDICH: Your Honor, I have a
8 reference also for the SAR, where it says that there
9 are no liquid effluents. That's on Page 193.

10 JUDGE ARNOLD: Okay, 193. This might have
11 been asked already. Sierra Club Contention 23, Holtec
12 has not described how degradation that leads to gross
13 ruptures in the fuel would be detected. Do you have
14 the capability to detect a gross failure of the
15 cladding? Of the fuel?

16 MR. WALSH: The answer to that question is
17 that we demonstrate that we can't have degradation for
18 the cladding of the fuel. And we certified the design
19 to maintain the temperatures below which cladding is
20 expected to occur.

21 And in addition, the design basis heat
22 load and the ambient temperatures for the facility
23 itself are below those certified for the UMAX system.
24 Therefore, we expect, at the facility itself, there
25 will be more margin protecting against such

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 temperature.

2 JUDGE ARNOLD: You earlier talked about the
3 aging management plan. To what extent could that
4 affect it or just can't?

5 MR. WALSH: My understanding of the aging
6 management plan is that it's going to be based on
7 research ongoing with the Department of Energy and
8 EPRI, and the results of that research, we will take
9 whatever actions are deemed necessary to address the
10 findings from that research. That's the basis of the
11 aging management plan for high burnup fuel.

12 JUDGE ARNOLD: Joint Petitioners Contention
13 2 has to do with reasonable assurance for funds to
14 cover the cost of construction, operation,
15 maintenance, and decommissioning.

16 You talk about the \$840 per metric ton.
17 Is there any way that you could end up receiving any
18 spent fuel without having assurance of receiving that
19 \$840 per metric ton?

20 MR. SILBERG: That would be a part of the
21 contractual agreement between the owners of the fuel
22 and Holtec. Stuff would not get on the road until
23 that contract was in force.

24 JUDGE ARNOLD: This has to do with Joint
25 Petitioners -- again, about the -- I'm a little lost.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 JUDGE TRIKOUROS: While you're searching,
2 can I ask a quick question?

3 JUDGE ARNOLD: Go ahead.

4 JUDGE TRIKOUROS: Your answer about the
5 fuel won't move unless there's a contract in place,
6 does that include the plants you own?

7 MR. SILBERG: We would be on the hook for
8 that, whether there's a contract or not, since it's
9 our fuel.

10 JUDGE TRIKOUROS: Okay.

11 MR. SILBERG: I think the answer would be
12 yes.

13 JUDGE TRIKOUROS: Yes, thank you.

14 JUDGE ARNOLD: Okay. This concerns Joint
15 Intervenors Contention 3, the environmental report is
16 incorrect, in that it contains a gross underestimation
17 of the volume of low level radioactive waste.

18 I looked in the environmental report and
19 I couldn't find a quantification of the weight, of the
20 mass of low level waste. All I found was small
21 quantities of it. Did you provide a number in the ER?

22 MR. SILBERG: No, we did not. But I would
23 note that the assumption that all the tons of concrete
24 and steel that are used in the facility will become
25 contaminated by low level waste is without any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 substance.

2 JUDGE ARNOLD: Well, they challenged your
3 underestimation of the volume, and you're saying you
4 never gave the volume.

5 MR. SILBERG: Well, we said it was small,
6 and they said it's everything. And it's clearly not
7 everything.

8 JUDGE ARNOLD: Okay. Well, for an
9 industrial facility, what is a small volume? Is it
10 cubic feet, cubic yards?

11 MR. SILBERG: I guess you could -- the
12 units of measurement would depend, but --

13 JUDGE ARNOLD: For an industrial activity,
14 what can -- how big can it be and still be considered
15 small?

16 MR. SILBERG: I guess it depends on the
17 industrial activity. How much it would be in this --
18 if you're asking us to quantify it at this point in
19 time, I can't do it on the fly.

20 JUDGE ARNOLD: Okay.

21 MR. SILBERG: But I will say, experience
22 with decommissioning nuclear facilities indicates that
23 not every cubic yard of concrete and piece of steel
24 that's in the reactor building becomes contaminated as
25 low level waste.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 JUDGE ARNOLD: Concerning Joint Petitioners
2 Contention 5, about the mineral interests below the
3 site, on Page 54 and 55 of their petition, the
4 Petitioners claim that you have failed to include in
5 the ER information required by 10 CFR 72.90 and 94.

6 On Page 56 of your answer, you addressed
7 the first of these and you stated where you had the
8 72.90 information, but I didn't see any answer to the
9 Petitioners' claim on 72.94 in your reply.

10 In fact, 72.94 requires the region must be
11 examined for both past and present manmade facilities
12 and activities that might endanger the proposed ISFSI
13 and the information concerning the potential
14 occurrence and severity of such events must be
15 collected and evaluated for reliability, accuracy, and
16 completeness.

17 MS. LEIDICH: That's correct. And we
18 believe that we have evaluated the past and present
19 activities that would endanger the proposed facility,
20 as we have stated before.

21 There is no danger to the proposed
22 facility, at least not that's been established by
23 Joint Petitioners, and the facility itself has been
24 designed such that it can withstand significant
25 earthquakes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 JUDGE ARNOLD: Would that information be in
2 the environmental report or the safety analysis
3 report?

4 MS. LEIDICH: There was a comparison of the
5 ground acceleration for the site and the UMAX facility
6 in the safety analysis report.

7 JUDGE ARNOLD: Joint Petitioner Contention
8 3, your future reprocessing facility, what plans do
9 you have to reprocess the spent fuel?

10 MS. LEIDICH: We have no plans to reprocess
11 the spent fuel.

12 JUDGE ARNOLD: Joint Petitioner Contention
13 9, potential transportation routes. Actually, we've
14 covered that adequately already.

15 Joint Petitioners Contention 11 has to do
16 with transportation routes and it touches on
17 terrorism. Do you anticipate that your facility might
18 accept spent fuel from San Onofre or Diablo Canyon or
19 any place within the jurisdiction of the Ninth
20 Circuit?

21 MR. SILBERG: It's certainly possible.

22 JUDGE ARNOLD: Should this happen,
23 hypothetical, will you rely on the current ER for that
24 transportation or will you be addressing the Ninth
25 Circuit requirement somewhere else?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SILBERG: Well, we don't think the
2 Ninth Circuit applies. I do believe we have addressed
3 terrorism, either directly or by reference to other
4 reports, many of whom have talked about terrorism.

5 This is a facility that's located not in
6 the Ninth Circuit and we think that the appropriate
7 circuit to look at would be the circuit in which the
8 facility is located or the D.C. Circuit, as provided
9 for by the Atomic Energy Act and other statutes.

10 JUDGE ARNOLD: And you believe that for
11 spent fuel that's being transported within the
12 jurisdiction of the Ninth Circuit?

13 MR. SILBERG: Because the facility and the
14 licensing action involves a facility that is not in
15 the Ninth Circuit.

16 MS. BONINE: Could you repeat that answer?

17 MR. SILBERG: Sure. This facility is not
18 in the Ninth Circuit and therefore, the appropriate
19 circuit law to look at is the law of this circuit.

20 The NRC has said that, but for the Ninth
21 Circuit, it will apply the court decisions primarily
22 out of the U.S. Court of Appeals for the Third
23 Circuit, and that will be the ones that NRC applies,
24 except as to those facilities, and the NRC Policy
25 Statement specifically says facilities, as do cases

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that have referred to that Policy Statement. We're
2 not licensing a facility in the Ninth Circuit.

3 JUDGE ARNOLD: I'm done with my questions.

4 CHAIR RYERSON: Judge Trikouros, did you
5 have any more questions for Holtec?

6 JUDGE TRIKOUROS: No.

7 CHAIR RYERSON: Thank you. NRC staff, did
8 you want to make a brief opening?

9 MS. KIRKWOOD: We do not, Your Honor.

10 CHAIR RYERSON: You do not? Okay. Well,
11 let me get back to the questions I tried to alert you
12 to. You have a microphone? No, you're getting one.
13 Okay.

14 MS. KIRKWOOD: And, Your Honor, if it's
15 okay, we were planning to do the same thing that
16 Holtec did.

17 CHAIR RYERSON: I'm sorry?

18 MS. KIRKWOOD: We were going to do the same
19 that Holtec did and pass our --

20 CHAIR RYERSON: Pass, yes, that's fine.
21 Well, I have in front of me your filing on October 9,
22 and I think we've asked you some of these questions
23 yesterday or earlier today, but it would be helpful to
24 run through, one final time, what the NRC staff's
25 position now is on the admissibility of contentions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think, on October 9, I believe there
2 were six contentions that you either thought were
3 admissible, in whole or in part, or at least you
4 weren't opposing the admissibility of them. And let
5 me run through them.

6 I think, NAC -- and also, the NAC
7 contention you addressed, but in effect, you said it
8 was moot from your standpoint, because you would not
9 find NAC as having standing.

10 MS. KIRKWOOD: Correct.

11 CHAIR RYERSON: But you, nonetheless, you
12 independently looked at the admissibility of its
13 contentions.

14 And NAC Contention 3, I believe relates to
15 the adequacy of the analysis of alternative designs.
16 And do you still think that that contention is at
17 least potentially admissible?

18 MS. KIRKWOOD: We do, Your Honor.

19 CHAIR RYERSON: You do? Okay. Then, on
20 the two contentions that are really very similar, at
21 least in part, Beyond Nuclear's sole contention and at
22 least the first portion of Sierra Club Contention 1.

23 I believe you felt that those were
24 admissible, again, in part, the Sierra Club in part,
25 and have -- in view of the corrections, as Mr. Silberg

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has described them, to the ER or otherwise, have you
2 changed your position on that?

3 MS. KIRKWOOD: It's not so much, I would
4 say, that we've changed our position, Your Honor, but
5 I think it may have been overtaken by events, because
6 with the revision to the ER, the portion of the
7 contention we had found admissible appears to be moot.

8 CHAIR RYERSON: Okay.

9 MS. KIRKWOOD: But I know that -- I believe
10 Beyond Nuclear is planning to, then, amend the
11 contention.

12 CHAIR RYERSON: I'm sorry?

13 MS. KIRKWOOD: I understood that they were,
14 then, going to file an amendment, based on that change
15 to the ER --

16 CHAIR RYERSON: Oh, they're going to --

17 MS. KIRKWOOD: -- to the contention.

18 CHAIR RYERSON: Okay.

19 MS. KIRKWOOD: Which is what we talked
20 about yesterday.

21 CHAIR RYERSON: So, your position is, if
22 there's an inconsistency, it would be admissible, but
23 at the moment, you don't see an inconsistency in view
24 of the change? In a -- your position is the same, but
25 events have transpired?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. KIRKWOOD: Yes. Our position on that
2 contention is, other than the inconsistency, the
3 Petitioners have not identified how the issue they are
4 raising is material to a finding that the NRC must
5 make.

6 CHAIR RYERSON: Right. And your position
7 on the lawfulness of what we've been calling Option A
8 or Option 1, I believe you used the word premature to
9 address that, but that apparently is no longer
10 necessary to address. Is that -- am I wrong?

11 MS. KIRKWOOD: There's still an option
12 contained in the application, option -- just certain
13 --

14 CHAIR RYERSON: Correct, but --

15 MS. KIRKWOOD: -- Option 1 being that DOE
16 would take title.

17 CHAIR RYERSON: Correct.

18 MS. KIRKWOOD: Correct.

19 CHAIR RYERSON: But counsel for Holtec
20 International has represented, and correct me if I'm
21 misrepresenting what you represented, but has now
22 represented that Holtec International's position is
23 that, at the present time, DOE could not, consistent
24 with the Nuclear Waste Policy Act, take possession of
25 the nuclear waste, except with an exception, narrow

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 exception, fairly narrow, for research materials.

2 MS. KIRKWOOD: Yes, I did hear them say
3 that.

4 CHAIR RYERSON: Okay.

5 MS. KIRKWOOD: That option is still
6 contained in their application.

7 CHAIR RYERSON: Right. I -- we understand,
8 but the -- you were initially concerned, the staff was
9 initially concerned about an apparent inconsistency
10 between the language in the environmental report and
11 in the rest of the application.

12 And that appears to have been, we'll hear,
13 perhaps, one last time from Beyond Nuclear, but that
14 appears to have been cured for the present time. Is
15 that correct?

16 MS. KIRKWOOD: Yes.

17 CHAIR RYERSON: You're not disagreeing with
18 that?

19 MS. KIRKWOOD: No, I --

20 CHAIR RYERSON: Okay.

21 MS. KIRKWOOD: -- believe that that has --

22 CHAIR RYERSON: Okay.

23 MS. KIRKWOOD: -- been cured.

24 CHAIR RYERSON: Let's move to Sierra Club
25 Contention 4, and if I characterize you correctly, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 staff thought that that contention would be admissible
2 in part.

3 It would be admissible in so far as it
4 dealt with the potential consequences of a nuclear
5 accident in transportation, but not as to the
6 likelihood of such an accident. And has your position
7 changed at all on that?

8 MR. GILLESPIE: No, Your Honor, our
9 position has not changed.

10 CHAIR RYERSON: Not changed? Okay. And I
11 think there was only one more contention that the
12 staff would have argued is at least admissible in
13 part.

14 And that was Sierra Club Contention 8, the
15 decommissioning plan, based upon an apparent
16 inconsistency between the numbers, between how many
17 metric tons of uranium would be multiplied by the
18 amount that Holtec was proposing. And has your
19 position changed on that?

20 MS. KIRKWOOD: Yes, Your Honor. We are no
21 longer taking a position --

22 CHAIR RYERSON: Right.

23 MS. KIRKWOOD: -- on that contention.

24 CHAIR RYERSON: So, you're no longer --
25 that's right, you said that earlier today. No longer

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a position, you're not opposing --

2 MS. KIRKWOOD: Right.

3 CHAIR RYERSON: -- but you're not taking a
4 position.

5 MS. KIRKWOOD: We're not taking a position.

6 CHAIR RYERSON: Okay. And I'm sure you
7 would have told me if this were the case, but of the
8 40 or so other contentions, or the total of 40
9 contentions, you haven't changed your position, the
10 staff's position on any other contentions as a result
11 of the filings or the arguments today?

12 MS. KIRKWOOD: No. The Sierra Club and
13 Beyond Nuclear both added a final contention regarding
14 adopting one another's contentions, and I think that's
15 -- I don't know.

16 It's not really a standalone contention.
17 We don't have any objection, based on their latest
18 filing, to the adoption, if they each had contentions
19 admitted.

20 CHAIR RYERSON: Right. There was some
21 filings about that, there were motions about that. I
22 think, from the Board's standpoint, yes, the Board has
23 the power to tell them that, one, we'll be pursuing
24 certain contentions and the other contentions -- I
25 think a major reason that a party would want to adopt

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 another party's contentions is that one party may not
2 be here, for whatever reason. The Board decides they
3 don't have standing, potentially, or that they drop
4 out.

5 And I take it that, in that situation, the
6 NRC staff doesn't see any problem with someone who has
7 previously adopted the contentions of the other
8 participant or party, pursuing those contentions, to
9 the extent, of course, they're admissible.

10 MS. KIRKWOOD: Correct.

11 CHAIR RYERSON: Okay.

12 MS. KIRKWOOD: Correct.

13 CHAIR RYERSON: All right. I think that is
14 all I have. Judge Arnold, do you have questions for
15 the staff?

16 JUDGE ARNOLD: Sure, a few. I've asked
17 some of the Petitioners here, and I'll ask you too, to
18 your knowledge, does the Department of Energy
19 currently hold title to spent fuel and greater-than-
20 Class-C waste?

21 MS. KIRKWOOD: Yes, Your Honor.

22 JUDGE ARNOLD: Is it a significant amount?
23 Do you know about how much?

24 MS. KIRKWOOD: May I have a moment to
25 confer with my -- yes, we would consider it a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significant amount, both Fort St. Vrain and TMI.

2 JUDGE ARNOLD: Okay. So, the condition in
3 the application that they accept waste from the DOE
4 would permit them to accept this waste that the DOE
5 currently holds, correct?

6 MS. KIRKWOOD: The condition in the
7 application --

8 JUDGE ARNOLD: In the application, they say
9 they'll either take it from the DOE or from the
10 individual plants. This part one, taking it from the
11 DOE, would allow them to take the significant spent
12 fuel and greater-than-Class-C waste that currently DOE
13 holds title to, correct?

14 MS. KIRKWOOD: Just one moment. Your
15 Honor, neither of those are stored in UMAX designs, so
16 they're outside of this application, because this
17 application would only allow them to take waste or
18 spent fuel that is stored in a UMAX design.

19 JUDGE ARNOLD: Okay. Concerning Sierra
20 Club Contention 2, the issue of safer and more secure
21 versus safe and secure. In order to grant the
22 license, does the staff have to find that this
23 facility is safer and more secure or do you only need
24 to know it's safe and secure?

25 MS. KIRKWOOD: We don't need to find it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 safer and more secure, no. I'll just go with that.

2 CHAIR RYERSON: This has to do with safe
3 transportation of high burnup fuel, Sierra Club
4 Contention 21.

5 On Page 71 of their petition, the Sierra
6 Club references Interim Staff Guidance ISG-11 for
7 support for their assertion that the NRC staff is
8 still working on the safety question concerning high
9 burnup fuel and its transportation.

10 But this staff guidance is dated 2003. Do
11 you know if this is the latest word from the NRC
12 concerning high burnup fuel?

13 MR. GILLESPIE: Your Honor, it's not the --
14 well, it is the latest finalized guidance, I believe,
15 on this subject. There's ISG-11, that was issued in
16 the time frame that you mention.

17 There was also a draft RIS that was
18 published, that I think Legal has referenced as part
19 of the HI-STAR application. And there's a draft
20 NUREG, 2224, that finalizes some of this guidance, but
21 it's currently not in final form.

22 JUDGE ARNOLD: So, would you say the
23 Interim Staff Guidance is currently behind the state
24 of the art?

25 MR. GILLESPIE: Your Honor, I would not go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that far. With respect to transportation, the Interim
2 Staff Guidance 11 states that it would be done on a
3 case-by-case basis, and that's still the current
4 state.

5 JUDGE ARNOLD: Thank you.

6 MS. BONINE: Could you repeat his answer?
7 It's really hard to understand what he's saying.

8 MR. GILLESPIE: Okay, I apologize.

9 MS. BONINE: Speak slower, if you could
10 talk slower.

11 CHAIR RYERSON: Okay. We'll try to do
12 that, everyone, okay? Thank you.

13 MS. BONINE: Are you going to repeat the
14 answer?

15 MR. GILLESPIE: I can repeat the answer.

16 CHAIR RYERSON: Go ahead.

17 MS. BONINE: Thank you.

18 MR. GILLESPIE: The question was whether
19 Interim Staff Guidance 11 was currently behind the
20 state of the art. But the Interim Staff Guidance 11
21 states that it will be evaluated on a case-by-case
22 basis and that is still currently how things are done.

23 MS. BONINE: And that's according to ISG-11
24 or this draft --

25 CHAIR RYERSON: Excuse me, ma'am?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. BONINE: I'm sorry.

2 CHAIR RYERSON: No --

3 MS. BONINE: It's just hard to hear, he's
4 still mumbling.

5 CHAIR RYERSON: Maybe if you went for the
6 --

7 MS. BONINE: And these --

8 CHAIR RYERSON: Excuse me. Excuse me.
9 Thank you for alerting us that you're having
10 difficulty hearing, but the participants are only the
11 ones who are here. Would you try the podium? Perhaps
12 that will work better, to repeat the answer.

13 MR. GILLESPIE: Yes. So, the question that
14 was received was whether Interim Staff Guidance 11 was
15 behind the state of the art.

16 Currently, Interim Staff Guidance 11, the
17 guidance that is in there states that it will be
18 evaluated on a case-by-case basis, and that is still
19 the method in which the NRC is doing these reviews.

20 CHAIR RYERSON: Thank you.

21 MS. BONINE: So, the answer is yes?

22 JUDGE ARNOLD: This -- okay. A question on
23 Joint Petitioners Contention 11. Once again, this is
24 about transportation of fuel and terrorism.

25 And do you believe that transportation of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 spent fuel through the jurisdiction of the Ninth
2 Circuit Court will require further environmental
3 evaluation?

4 MR. GILLESPIE: Your Honor, no, the
5 facility itself is located outside the Ninth Circuit.
6 Licensees already have a general license to ship fuel
7 throughout the country, under the provisions of the
8 general license in Part 71 and approved COCs and
9 approved packages.

10 CHAIR RYERSON: Judge Trikouros, do you
11 have further questions for the staff?

12 JUDGE TRIKOUROS: I do. In many cases,
13 you heard the questions and answers that Holtec
14 provided. So I just want to make sure. Where you
15 never identified any problem with those answers, I'm
16 going to assume that you're okay and agree with them.
17 Is that a fair assumption? Or should I ask questions
18 over again?

19 MS. WASE: Your Honor, Alana Wase. If
20 you're referring at least to the geological
21 groundwater questions, the technical questions, we
22 agree with Holtec's responses.

23 JUDGE TRIKOUROS: Okay. That's fine.
24 I'll make that assumption and I'll only ask you the
25 questions that I want to hear you actually say yes to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 separately. All right. Let me start --

2 MS. KIRKWOOD: Wait. Just -- sorry. I
3 don't want to interrupt you. I just want to be clear.
4 We don't agree with every word they said in general.

5 JUDGE TRIKOUROS: All right. Let's
6 proceed and I'll try and get through as many of these
7 as I can directly to you. All right. With respect to
8 what happens if a canister doesn't pass the receipt
9 and inspection criteria when it arrives at Holtec,
10 namely that the canister is contaminated or damaged in
11 some way or whatever the receipt and inspection
12 requirements are as provided in the SAR, it doesn't
13 meet them.

14 And I had asked the question and the
15 answer was that it would be shipped back to the
16 sender. And I'd asked the question, I believe, well,
17 what would happen if, in fact, it was unable to meet
18 the transportation requirements for shipment back to
19 the center? And the answer was that it would be
20 placed in a transportation canister that was available
21 for that purpose and would then be able to be shipped
22 back. Do you have any problem with that?

23 MR. GILLESPIE: No, Your Honor.

24 JUDGE TRIKOUROS: Okay.

25 JUDGE ARNOLD: Would the NRC be notified

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if they received something that they could not store?

2 MR. GILLESPIE: I'm not sure. It would
3 depend on the details of the technical specifications,
4 I believe. Whether that would trigger a reporting
5 requirement, I'm not familiar with the exact terms of
6 that. But otherwise they would also be -- there's
7 requirements before shipping that we have to approve
8 routes. And that may also trigger some sort of
9 approval if they intend to ship a return that they
10 hadn't expected to.

11 JUDGE TRIKOUROS: Okay. With respect to
12 burn up -- and again, I apologize for having to repeat
13 questions to you that I had already asked Holtec. But
14 I have no other way of doing this. But I'm going to
15 summarize. So the certificate of compliance
16 requirements for fuel that can be shipped to Holtec
17 was provided in Appendix B of the certificate of
18 compliance as I had said earlier. I referenced the
19 table that provided burn ups the size of 68.5
20 gigawatt-days, I believe, and noted that the SAR
21 analyses or at least the SAR indicated number was 45
22 gigawatt-days.

23 The answer came back that the analyses
24 that were done did utilize 45. But they were rather
25 conservatisms in the analysis such that the results

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would be applicable to the certificate of compliance
2 table requirements including 68.5. Do you agree with
3 that?

4 MR. GILLESPIE: Your Honor, I can't speak
5 to the exact details that were done as part of the
6 application. But I would note that with respect to
7 this application, as we say in our brief, the safety
8 and the review of the transportation package designs
9 that we see as outside of the scope of this hearing.
10 But I don't know with respect to the details of the
11 SAR for the HI-STAR 190 system.

12 Okay. So you're saying that you don't
13 whether or not -- you personally right now do not know
14 if 68.5 gigawatt-days can be accommodated in the
15 facility safely, safely meaning within the
16 acceptability of the analyses that were done in
17 support in the SAR itself?

18 MR. GILLESPIE: Well, I should clarify if
19 that's the case if that's okay. The COC represents
20 what the staff found acceptable. And so long as
21 something that's transported in accordance with the
22 COC or stored within the UMAX system. Within that
23 COC, if it permits storage of higher burner fuel, then
24 the staff sees that as sufficient.

25 JUDGE TRIKOUROS: All right. Holtec said

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they took that all into account. And do you have any
2 reason to think that's not correct?

3 MR. GILLESPIE: No, Your Honor. And
4 looking at the petitions, there's not a clear
5 allegation of what that stands at, identifying exactly
6 which portion is in scope that they're alleging a
7 deficiency with. And then also things like could
8 potentially be in scope is unclear exactly what
9 dispute they have that they raised.

10 JUDGE TRIKOUROS: All right. Now actually
11 I don't personally know if there are any fuel
12 assemblies in the United States that are greater than
13 68.5. But clearly, they would not be able to be
14 shipped to the Holtec facility if they were. Is that
15 a correct statement?

16 MR. GILLESPIE: Your Honor, I think based
17 on what is currently available, I believe that's
18 correct. But regardless of whether something does now
19 or later, the issue of having a Part 71 license is
20 already been issued under the general license. So if
21 a package was approved in the future, they could
22 transport that. That could be transported. Whether
23 they could accept that at the site under their
24 proposed license, they may ultimately require an
25 amendment to accept it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 JUDGE TRIKOUROS: And clearly, all the
2 paperwork says that it couldn't be shipped. And if
3 have a nod from Holtec, and you have no problem with
4 that. So that's it. Holtec indicated that they
5 haven't seen any cracks in canisters and that the San
6 Onofre experience no longer -- doesn't apply because
7 of modifications that have been made. Do you agree
8 with that?

9 MR. GILLESPIE: Your Honor, I'm not
10 familiar enough with the facts of what occurred in San
11 Onofre to make a judgment on that here.

12 JUDGE TRIKOUROS: All right. With respect
13 to contention 15, Sierra Club contention 15, this is
14 the contention where -- okay. I was going to
15 summarize it for you, but that's all right. All
16 right. Well, I'll summarize it anyway. This is a
17 contention that basically asserts that there's
18 near-surface groundwater that was not identified in
19 the environmental report.

20 And also the next contention, I believe
21 Sierra Club contention 16, it's the same sort of thing
22 but with respect to the presence of brine in a shallow
23 groundwater area. And the staff answer basically was
24 we don't need to worry about that. It's inadmissible
25 because there won't ever be a leak.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. KIRKWOOD: Your Honor, I would not
2 characterize our response as such. It was rather that
3 the petitioners have a burden to controvert statements
4 in the ER and the SAR. There were numerous statements
5 in the ER and the SAR which establish that there is no
6 credible pathway for a leak from the facility. And we
7 identified those. I can run through them if you like,
8 but they're in the brief.

9 JUDGE TRIKOUROS: Okay. I agree with
10 respect to the fact that there's no liquid release.
11 So from that point of view, I understand that. But
12 the contention was somewhat broader in the sense that
13 it was trying to identify potential cracking
14 mechanisms if groundwater were to get in contact with
15 the canister and that sort of thing.

16 I had asked the question if you ignore the
17 transport of radioactivity part of that of those two
18 contentions and you just look at them as, is the ER
19 adequate, those contentions are claiming that the ER
20 is not adequate, just ending it right there. No more,
21 no discretion of liquid pathways or anything. Do you
22 agree with that, that the -- from that point of view,
23 their contention is that the ER is not adequate. Do
24 you agree with that?

25 MS. KIRKWOOD: Your Honor, staff is still

1 reviewing the ER. As we discussed the RAI is ongoing.
2 It's normal course of business. So we do not yet have
3 a position on the merits of the ER.

4 JUDGE TRIKOUROS: Okay. And I guess this
5 proceeding and the staff review has come to a point of
6 contact in another contention. Let me just ask one
7 question on this point. I believe the 10 CFR 51
8 requirement is for the applicant to describe the
9 affected environment. If there's no leakage path, is
10 any of the ground affected by this installation?

11 MS. KIRKWOOD: Your Honor, our argument
12 could be made. But nonetheless, it's staff's position
13 to describe the site characteristics generally to
14 establish a baseline.

15 JUDGE TRIKOUROS: And we also discussed
16 and that's why I don't want to spend too much time
17 going over things that we discussed. But we also
18 discussed that the aging management program in the SAR
19 requires groundwater testing. And I can't imagine
20 that they wouldn't use the ER as a basis for
21 identifying why groundwater is there and what
22 potential corrosive material might be in the
23 groundwater and therefore having an ER that doesn't
24 have the correct groundwater identified and the
25 correct sources of, say, brine identified could be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 problematic from that point of view.

2 I can't imagine in the aging management
3 program they're going to go do some environmental
4 analysis to try and find new groundwater. They're
5 just going to use whatever knowledge they have of
6 where groundwater is. I would assume that. And I had
7 no basis for not assuming that based on the
8 conversation we had on this yesterday. So from that
9 -- from the point -- so you're telling me that you're
10 not ready to answer that question --

11 MS. KIRKWOOD: We are not --

12 JUDGE TRIKOUROS: -- with respect to
13 whether the contention as it applies to just the
14 adequacy of the ER is --

15 MS. KIRKWOOD: Well, Your Honor, it's the
16 petitioners' burden also to establish materiality.
17 And our position is, is that because a credible
18 pathway for the leaks has not been established,
19 they've not shown the materiality of the contention,
20 how it would affect conclusions in the ER.

21 JUDGE TRIKOUROS: Well, contention 16 was
22 with the brine discussion was really talking about
23 brine affecting the facility. Contention 15 with
24 respect to the presence of groundwater was identifying
25 that as a pathway to the environmental if there's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 leak. So they're not exactly -- but both of them have
2 the one thing in common, that they're claiming that
3 the environmental report is not adequate.

4 MS. KIRKWOOD: That is correct that that
5 is their claim.

6 JUDGE TRIKOUROS: Okay. All right. Let's
7 see. I'll still ask this one again. There's a claim
8 that a crack in the canister or in the UMAX cask
9 enclosure is not credible and that there has been no
10 experience of crack in the canister. I don't know if
11 we just covered this. I don't remember. But could
12 you just -- do you agree with that?

13 MS. WASE: Could I confer with staff for
14 a second?

15 JUDGE TRIKOUROS: Yes.

16 MS. WASE: Your Honor, that's correct.
17 There is no evidence of any NRC licensed canisters
18 cracking.

19 JUDGE TRIKOUROS: Okay. So with respect
20 to subsidence possible -- the possibility of
21 subsidence in the site vicinity, you heard the answer
22 that Holtec gave. But I'm going to ask that one again
23 specifically. Do you agree that there is no
24 possibility of subsidence at the Holtec site?

25 MS. WASE: Your Honor, we are conducting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our review currently of the potential for subsidence
2 at the site. I would point out you mentioned the ER.
3 And I believe your citation was to the possibility of
4 regional subsidence. I'd like to provide you with
5 citations to ER 4-5 as well as ER 3-14 which they both
6 noted -- the ER notes that there's no evidence of
7 local subsidence actually at the site as opposed to in
8 the area.

9 JUDGE TRIKOUROS: Right. And that is
10 consistent with what Holtec has --

11 MS. WASE: Correct.

12 JUDGE TRIKOUROS: -- told us?

13 MS. WASE: Correct.

14 JUDGE TRIKOUROS: Okay.

15 MS. WASE: And also if I could, Your
16 Honor, the SMU study that was referenced yesterday for
17 evidence of subsidence, I believe it's in footnote 26
18 of the petition. The closest subsidence that the
19 study references is approximately 75 miles from the
20 site.

21 JUDGE TRIKOUROS: Okay. And by the way,
22 this is a Don't Waste Michigan contention 12, I
23 believe --

24 MS. WASE: That was referencing --

25 JUDGE TRIKOUROS: -- and also 5.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. WASE: Yes, that was -- my response
2 referenced footnote 26 of contention 5.

3 JUDGE TRIKOUROS: Okay. Yes, so 5 and 12
4 were really -- as we said yesterday, they're dealing
5 with the same thing. But one is human activity and
6 the other is geologic activity. So one natural, one
7 human.

8 MS. WASE: If I could point out with
9 respect to Don't Waste Michigan contention 12, our
10 position is that contention is not admissible as the
11 petition did not reference the SAR or the ER.

12 JUDGE TRIKOUROS: I understand.

13 MS. WASE: Okay.

14 JUDGE TRIKOUROS: I understand that.

15 MS. WASE: Thank you.

16 JUDGE TRIKOUROS: Okay. With respect to
17 hydraulic fracturing below 5,000 feet, does the staff
18 agree that totally precludes the possibility of
19 subsidence effects?

20 MS. WASE: Staff's review is still ongoing
21 on that as well.

22 JUDGE TRIKOUROS: Okay. But you heard the
23 answers that were provided in a positive way that if
24 you drill below -- and I think they said 3,000 feet.
25 But certainly if you drill below 5,000 feet or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hydraulic fracture below 5,000 feet, there will not be
2 a subsidence effect?

3 MS. WASE: Yes, and, Your Honor, staff has
4 not yet made a conclusion on that.

5 JUDGE TRIKOUROS: So you're still working
6 on that?

7 MS. WASE: Correct.

8 JUDGE TRIKOUROS: Okay. And with respect
9 to this issue that came up, your answer to contention
10 23. If you're worrying about defects that might occur
11 during the service life -- 100-year service life --
12 well, I guess your answer did not address the time
13 period up to the service life. I think you were
14 addressing the license life.

15 And we discussed yesterday that any
16 extension beyond the license life at each stage would
17 be required to be reviewed as a license renewal which
18 would include an environmental review and a safety
19 review. So one could not get to even the design life
20 without having to go through a series of reviews; is
21 that correct?

22 MR. GILLESPIE: Yes, Your Honor.

23 JUDGE TRIKOUROS: So we don't need to
24 worry about 100 years right this minute, and that's
25 consistent with the guidance as well?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GILLESPIE: Yes, Your Honor. Based on
2 the canisters that could go in the facility as
3 proposed and the 40-year license term, there'd be no
4 way to reach 100 years without another renewal.

5 JUDGE TRIKOUROS: Okay. I pointed out
6 earlier again that a cursory look at the Schafersman
7 report, it seemed to me it was in direct dispute, if
8 you will, with part of the ER, specifically Section
9 3.3.3 of the ER and Section 2 of the Schafersman
10 report with respect to cost geology formations. Do
11 you have any comment on the adequacy of Section 3.3.3
12 of the ER?

13 MS. WASE: One minute, Your Honor.

14 JUDGE TRIKOUROS: Thank you.

15 MS. WASE: As a preliminary matter, Your
16 Honor, if I could note the Schafersman report is only
17 relied on for contention 12. It's not mentioned as a
18 basis for contention 5.

19 JUDGE TRIKOUROS: And Holtec had an
20 elaborate answer to this as well. But I'm asking you
21 separately.

22 MS. WASE: We're not going to take a
23 position on that at this time as our review is still
24 ongoing.

25 JUDGE TRIKOUROS: All right. I had asked

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the question, would subsidence on the site potentially
2 cause damage to the UMAX system? Do you have an
3 answer to that?

4 MS. WASE: No, Your Honor. May I confer
5 with staff?

6 JUDGE TRIKOUROS: Yes.

7 MS. WASE: Your Honor, that is an area
8 that is under review currently. So we are not taking
9 a position.

10 JUDGE TRIKOUROS: Okay. All right. That
11 is my last question. I've had -- all my other
12 questions have been answered throughout the
13 proceeding. So thank you very much.

14 CHAIR RYERSON: Judge Arnold, any further
15 questions? All right. Well, we're now either
16 virtually done or almost done. We did suggest the
17 possibility in our order that if there's an interest
18 in them, we could have very brief final statements
19 from the various participants. Perhaps I could just
20 ask for a show of hands. There is interest.

21 MS. CURRAN: Voting.

22 CHAIR RYERSON: You're voting. What we'll
23 do then, we'll take another break. And we'll go
24 through in the same order. Do not feel you need to
25 say anything if you don't want to. Do not feel you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 need to use all five minutes. We will limit these to
2 five minutes maximum. And we'll go through in the
3 order. I think we'll try to restrain ourselves from
4 any questions. But we will provide that opportunity.

5 One thing I will mention too. I am sorry
6 if there was some problem with the audio. It sounded
7 like it's now working or at least when the podium is
8 used. But I should alert people. If you really have
9 an interest, there will be a written transcript of
10 this proceeding which is being prepared. I'm not sure
11 exactly when we get that, possibly three working days
12 or something like that. And that will, fairly
13 promptly, be posted on the NRC website. So if you go
14 to the NRC public website and you go to the electronic
15 hearing docket and find this case, it will be there in
16 its entirety within a reasonable period of time. I'm
17 not sure exactly how long.

18 MS. BONINE: Is that NRC.gov?

19 CHAIR RYERSON: Correct. And there is a
20 public -- the staff may know better than I. But there
21 is a public access to the electronic hearing docket
22 that virtually all of the documents are available on.

23 PARTICIPANT: Your Honor, I'm happy to --
24 I may have turned the mic off -- I'm happy to show any
25 member of the public, if they have internet access,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 how to get to the electronic records.

2 CHAIR RYERSON: Great, they can see on the
3 break then. But thank you very much. All right.
4 Let's resume at 20 of 3:00, 2:40. And we will finish
5 up then. Thank you.

6 (Whereupon, the above-entitled matter went
7 off the record at 2:23 p.m. and resumed at 2:42 p.m.)

8 CHAIR RYERSON: All right. So what we are
9 going to do as we said earlier, we're going to have
10 very brief final statements from those who wish to
11 make them, no more than five minutes. You do not have
12 to make one. You do not have to take five minute.
13 But we would begin with Ms. Curran --

14 MS. CURRAN: Thank you.

15 CHAIR RYERSON: -- for Beyond Nuclear.

16 MS. CURRAN: Yes. At the end of these two
17 days, it is safe to say that everyone agrees that DOE
18 cannot currently take title to privately owned spent
19 fuel except in a few narrow exceptions. And everyone
20 agrees that the purpose of the Holtec project is to
21 take spent fuel from privately owned nuclear reactor
22 sites.

23 I would like to respond to two statements
24 by Mr. Silberg to the effect that this doesn't matter.
25 First, Mr. Silberg said that having an option that DOE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 may take title to spent fuel which we've been calling
2 Option 1 that may currently violate the law is okay
3 because that option could be severable. He referred
4 to severability clauses and contracts that can save
5 contracts from such illegal options.

6 But severability clauses work by allowing
7 for the illegal provisions to be struck from the
8 contract. If Holtec is willing to strike the illegal
9 provisions from its application, removing Option 1,
10 and then refile the application, this could, of
11 course, negate our legal claims.

12 In the meantime, we continue to maintain
13 that an application that would allow for DOE ownership
14 of spent fuel, whether it is characterized as
15 alternative or contingent is unlawful under the
16 Nuclear Waste Policy Act and the Administrative
17 Procedure Act.

18 In fact, what Holtec is asking the NRC to
19 do is the very type of action the APA prohibits as the
20 District Court held in State of New York, et al v.
21 U.S. Department of Commerce. And those numbers of the
22 docket, it's still a slip opinion, are 18-CV-2921 and
23 18-CV-5025, January 15th, 2019. Agencies are not
24 above the law and they cannot do more than Congress
25 allows.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 As the court recognized in the State of
2 New York, the APA is meant to protect the integrity of
3 legal proceedings like this one. As the court
4 explained -- and I just want to read this to you
5 because I think it's very eloquent language. Although
6 some may deride its requirements as red tape, the APA
7 exists to protect core constitutional and democratic
8 values. It ensures that agencies exercise only the
9 authority that Congress has given them, that they
10 exercise that authority reasonably, and that they file
11 applicable procedures. In sort, it ensures that
12 agencies remain accountable to the public they serve.

13 Here by even entertaining Holtec's license
14 application, the NRC has shown a serious lack of
15 accountability to the public, not to mention a lack of
16 consistency with its own standards. As Judge Ryerson
17 noted earlier, any member of the public taking issue
18 with a license application that's been filed with the
19 NRC has an iron clad obligation to contest the
20 application with specificity and support. License
21 applications are thus treated as real and serious and
22 not hypothetical.

23 Here, as is demonstrated by two days of
24 oral argument, petitioners have spent precious time
25 and treasure analyzing an application that is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fundamentally hypothetical. We are not just chasing
2 a rabbit that may disappear down a hole. We're
3 chasing the white rabbit, a fictional creature.

4 Second, I want to respond to Mr. Silberg's
5 suggestion that it doesn't really matter whether the
6 owner of the spent fuel at the Holtec facility turns
7 out to be the DOE or a private licensee because the
8 impact analysis of the environmental report will not
9 change if DOE were the owner of the spent fuel.

10 Setting aside the illegality of Holtec's
11 license application under the APA, Mr. Silberg is
12 wrong as a practical matter. If DOE becomes the owner
13 of spent fuel to be transported from reactors to the
14 Holtec facility and stored there, that would need to
15 be done by federal legislation.

16 As Mr. Silberg said in his opening
17 statement, the issue of what to do with spent reactor
18 fuel is a huge national problem. Congress effectively
19 will be crafting a temporary alternative to the
20 national repository. In that event, it is very
21 reasonable to assume that Congress would put DOE in
22 charge of such a national project and not Holtec.

23 And as the driver of the project, DOE
24 would likely be responsible for the environmental
25 analysis. It is not hard to imagine that the range of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 alternatives examined in a DOE prepared draft EIS for
2 a national spent fuel storage program would include
3 more than one type of cask and more than one type of
4 facility design.

5 In all likelihood, Holtec's proposal would
6 become an alternative for DOE to consider in its own
7 EIS, not necessarily the proposed alternative. This
8 is a huge difference. As Mr. Silberg stated today,
9 the purpose of this project is to deploy Holtec casks,
10 not NAC casks. The purpose of a national spent fuel
11 storage program would be to solve the national spent
12 fuel storage problem, not to advance one company's
13 spent fuel management business in preference to
14 another's.

15 Under the APA, the NRC may not continue to
16 entertain an application that could require federal
17 participation in the ownership of the spent fuel to be
18 stored. Holtec's application should be dismissed, and
19 Holtec can refile after the Congress has taken the
20 necessary action. In the alternative, if Holtec
21 wishes to continue to pursue this license application
22 now, it must drop from the application any reference
23 to the DOE as a potential owner of the spent fuel.

24 Thank you very much.

25 CHAIR RYERSON: Thank you, Ms. Curran.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Next we have, I believe, Mr. Taylor for the Sierra
2 Club.

3 MR. TAYLOR: Thank you. As the Board
4 reviews the admissibility of the contentions, I ask
5 that you keep in mind the standards for admissibility
6 of contentions. At this point, we are not required to
7 prove our case. In fact, the burden of proof is
8 always on the applicant. We've tried to draft our
9 contentions narrowly and specifically so they are
10 focused on definite facts and issues.

11 The Commission has said that a petitioner
12 needs to only come forward with factual issues and not
13 merely conclusory statements and vague allegations as
14 cited in Northeast Nuclear Energy Company at 53 NRC
15 22. In other words, the contention should make enough
16 of a showing to require reasonable minds to inquire
17 further as said in Vermont Yankee v. NRDC, a U.S.
18 Supreme Court case at 435 U.S. 519. We have tried to
19 comply with those admissibility standards.

20 I suggest that Holtec in the answers of
21 the NRC staff are attempting to impose an improperly
22 high standard on contention admissibility. They are
23 claiming that Sierra Club must set forth in great
24 detail the facts, often very technical in nature and
25 with pinpoint specificity, argue exactly where the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Holtec documentation is in error or inadequate.

2 As I explained a moment ago, that is not
3 the standard. Furthermore, it seems as if Holtec can
4 make unsupported conclusory statements in its
5 documentation, and then it's up to a petitioner to
6 refute those statements with detailed facts supported
7 by expert testimony or irrefutable authority. That
8 improperly shifts the burden of proof. In fact, as we
9 saw here today, I would suggest that Holtec was
10 basically allowed to orally amend its application
11 documents by responding to the Board's questions.

12 With respect to a few of the issues that
13 Ms. Curran suggested, the idea that DOE would take
14 title as we now see Holtec admitting is purely
15 hypothetical. And a license cannot or should not be
16 issued on the basis of a hypothetical.

17 If, in the alternative, we go with Option
18 2 as you described it with a private reactor owners
19 retaining title, there is absolutely nothing in the
20 Holtec documentation that would infer at all that the
21 plant owners would want to retain title. So again,
22 it's a hypothetical.

23 With respect to the service life of the
24 containers, the safety of the containers on into the
25 future, the aging management plan that Holtec is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relying on, although it may be a requirement of the
2 license, there's absolutely no assurance beyond that
3 license period that the AMP will be carried out. It
4 is purely voluntary from that perspective, and there's
5 no oversight.

6 Holtec imagines that they'll keep getting
7 extensions apparently. But in their documentation,
8 they've only expressed the intent to get the initial
9 license and perhaps a 40-year extension. That's only
10 60 years. So they have not shown any indication as to
11 what assurance we have of the safety of the containers
12 beyond that 60-year period.

13 CHAIR RYERSON: And I think we're going to
14 have to ask you to wrap up --

15 MR. TAYLOR: Okay.

16 CHAIR RYERSON: -- over the next minute,
17 Mr. Taylor.

18 MR. TAYLOR: Okay. Thank you. I didn't
19 realize I'd gone that long already. So we would ask
20 that the Board find that Sierra Club has standing and
21 that our contentions are admissible. Thank you.

22 CHAIR RYERSON: Thank you, Mr. Taylor. Do
23 we have anyone here today for Alliance for
24 Environmental Strategies? Is Ms. Simmons here?

25 MS. BONINE: Ms. Simmons is not here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR RYERSON: Is not here? Well, again,
2 it is not necessary to make this final statement. So
3 the Alliance petition stands on the record that we
4 have.

5 MS. BONINE: As a member of AFES, could I
6 speak briefly?

7 CHAIR RYERSON: Actually, it's clear in
8 our order that today we're only hearing from people
9 who have filed appearances with the NRC. But we've
10 heard from Ms. Simmons yesterday. We have your
11 pleading, so thank you very much.

12 Next we have Mr. Lodge for joint
13 petitioners.

14 MR. LODGE: Thank you very much. And
15 thank you for the Board's presence and the attention
16 and rigor and preparation that clearly has been
17 reflected on the last couple of days on your part.

18 There's a number of points I want to make.
19 I was very troubled this morning by the Holtec
20 statement that remediation concerns are outside the
21 scope of the proposal. And I think it's a little bit
22 difficult for that point of view to be sustained given
23 the revelation in the last approximate ten days of
24 November, RAI responses from Holtec that indicate a
25 slight change in the return to sender policy whereby

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Holtec now says that if there are nonconforming casks
2 with contamination, leakage, whatever, they will
3 either returned to the originating reactor site or
4 devoted to a facility with loading capability.
5 Loading capability, of course, being code for some
6 type of dry transfer system or some type of means of
7 being able to unload fuel or otherwise work with very
8 dangerous radioactive casks.

9 So remediation is quite within the scope.
10 And in fact, remediation and the apparent indifference
11 on the part of Holtec to the need to have the
12 capability then and there on site is a major issue and
13 is within the scope.

14 Some of the realities that are being
15 avoided with magical thinking include the NRC staff's
16 admission some months ago that 29 storage canisters at
17 San Onofre are damaged. So we start out with the
18 potential, and I, of course, cannot guarantee that
19 Holtec will be taking those canisters. But in the
20 event that they do, we start out with unknowns that
21 there already are, in effect, damaged canisters that
22 are going to be coming. And they're going to have to
23 be dealt with in some way. There will have to be
24 reality based thinking in the acceptance plan.

25 One of the points that my petitioners were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 attempting to make through Dr. Ballard's report and
2 remonstrance was precisely that this is -- there's a
3 mission creep potential here that Holtec could become
4 a de facto permanent -- not repository but a permanent
5 place where all of this garbage stays essentially
6 forever.

7 Part of the psychology that I fear and
8 suggest may come to pass if this plan is somehow
9 approved is that Holtec will also become the
10 destination for a lot more waste than simply
11 commercial nuclear reactor waste. There is still
12 defense. There's military waste out there. As we
13 have heard and discussed, there's DOE waste that was
14 taken off the hands of commercial operators.

15 And one of the reactors that hasn't been
16 mentioned that we believe DOE probably has possession
17 of their waste is Fermi 1 which was, of course, a fast
18 breeder reactor which generated during its thankfully
19 limited lifetime a great deal of plutonium laden
20 radioactive waste. So just to designate and limit and
21 see the limitations that are binding on the part of
22 Holtec would be a welcome and necessary event.

23 Another point that I'd like to make is
24 that to get back into the 173,600 ton work is footnote
25 137 in the answer that was filed -- oh, I hope I can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 find it in time. Footnote 137, basically I'll
2 summarize it.

3 In the Holtec answer to the Don't Waste
4 Michigan petitioner's initial petition states
5 essentially that 173,000 -- the 173,600 figure may be
6 what they call an overstatement of the likely waste to
7 be delivered. But they essentially admit that it
8 creates or that they have taken some liberty to
9 overestimate because there is probably going to be
10 more than 100,000 tons of waste. So today we still
11 don't know. It's an unknown knowable.

12 Finally, I'd like to talk about standing.
13 The calculations that were performed using the U.S.
14 EPA's online environmental justice population
15 demographic tool suggests that the known rail routes,
16 the mainline routes across Texas that are very, very
17 likely to be used at some point for delivery to
18 Holtec, that within 800 meters on either side of those
19 railroad lines. In the aggregate, 2010 data -- census
20 data suggests that approximately 930,000 Texans live
21 within a half mile of a rail line where literally
22 hundreds, if not thousands of loads of cargos will be
23 delivered.

24 In New Mexico, the figure is approximately
25 132,000 people live within a half mile either side of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the likely rail delivery routes. That is the
2 equivalent in New Mexico of -- pardon me.

3 CHAIR RYERSON: We're going to have to ask
4 you to wrap up in a minute, Mr. Lodge.

5 MR. LODGE: I'm getting there. Thank you,
6 sir. It is the equivalent of twice the 2010
7 population of Santa Fe living within a half mile.
8 It's 132,000 is more than the combined populations of
9 Hobbs, Carlsbad, and Roswell combined. And it's
10 greater than the population of Las Cruces and Hobbs
11 combined.

12 Standing has been established. It's been
13 established by our declarations, and it is a bogus
14 argument against standing that somehow the rail routes
15 are unknown.

16 My final point is this, regarding mostly
17 the rail routes since that's approximately 95 percent
18 of the delivery. I keep seeing the suggestion that
19 the rail routes will be chosen by the Federal Railway
20 Administration. They're out of our hands. They
21 cannot be known. It's years away, et cetera, et
22 cetera. That's false.

23 If there's another federal agency that may
24 or indeed must be included in consultation for NEPA,
25 then let's bring them in with the NRC acting as the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lead NEPA preparer. But you don't just say we can't
2 do anything. It's another agency. It's another turf.
3 We can't talk about it. There are environmental
4 justice concerns. There are very distinct standing --
5 there's considerable evidence of standing.

6 And that raises the other final problem
7 which is that we are as interveners required to have
8 our contentions projected out 120 years. We are
9 required -- and more than 30,000 comments in
10 opposition to this plan are essentially calling upon
11 the NRC to consider the largest maximal picture
12 possible. That's what NEPA requires. That is the
13 obligation and the charge upon the Commission.

14 Thank you very much.

15 CHAIR RYERSON: Thank you, Mr. Lodge. Mr.
16 Desai for NAC International.

17 MR. DESAI: Thank you very much for having
18 us here this week. I'll start the closing, and then
19 the general counsel with NAC International, Mr.
20 Helfrich, will finish. We've timed it, we've
21 established.

22 I will start with the environmental issues
23 as you expected. But I'm just going to repeat a few
24 lines of NUREG-1748 which is referenced as the NEPA
25 standard in Section 1.0 of the ER and discussed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 throughout. Section 5.25 is core and states that
2 failure to address an alternative -- and in order to
3 fail to address an alternative, you have to have a
4 brief discussion of the reasons for rejecting the
5 alternative.

6 Holtec provides a reason that is incorrect
7 and not been disavowed, its universal system failing
8 NEPA requirements. The NRC staff agrees with us here.
9 Section 5.2.4 states reasonable alternatives include
10 those that are practical or feasible from the
11 technical and economic standpoint and using common
12 sense rather than simply desirable from the
13 applicant's point of view.

14 We've discussed a lot this week on
15 reasonable alternatives including the open alternative
16 being built down the road. Keep in mind when reading
17 Holtec statements about alternatives and the last few
18 comments of our exchange about alternatives in
19 competitions.

20 Now as to timing, the whole facility is
21 getting its NEPA review here, all 20 phases. The
22 amendment that is always being advocated as this cure
23 all is for cask use. Look at the cases. We can't
24 relitigate the facility design later on. Think of it
25 this way. If a power plant gets a license amendment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for another fuel type, it can't at that time
2 relitigate the alternatives to building the power
3 plant.

4 And they say their amendment may come
5 sooner or later. That's the point. They can do it
6 whenever, including after the facility is built.
7 Recall a facility can't get built under NEPA unless
8 the NEPA review is done. They're getting that
9 facility level review here so they can build the
10 facility. And then we can't litigate a NEPA issue on
11 a facility design after it's been NEPA approved and
12 built.

13 So when Holtec takes the position that we
14 have participation, please take a hard look to make
15 sure we actually have hearing rights. And those
16 hearing rights are the same as we would get now.
17 Thank you very much.

18 CHAIR RYERSON: Thank you. Welcome, sir.
19 And I think I recall seeing that you have entered an
20 appearance.

21 MR. HELFRICH: Yes, I have. Thank you,
22 Your Honors. Thank you all. I'm Bob Helfrich, NAC
23 Senior Vice President and general counsel.

24 As we said yesterday, with respect, NAC is
25 not opposed to a consolidated interim storage facility

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in principle including this CISF. We narrowed our
2 contentions out of consideration for that. Please
3 assume for a moment that universal is not just a term
4 that relates to size, you know, like a diameter or a
5 volume of a UMAX underground receptacle.

6 But is there any so called universal cask
7 such as described in the UMAX COC amendment 3 and in
8 the environmental report which is feasible for NRC
9 approval under Part 72 today and where the applicant
10 does not have access to the original proprietary
11 design of the vendor who is the COC holder of the
12 canister.

13 We had noticed the difficulty in the UMAX
14 COC amendment 3 docket where the NRC questioned
15 Holtec's lack of original proprietary design
16 information to address standard functions such as
17 criticality, shielding, thermal design, cooling, and
18 structural integrity.

19 But that is just the licensing aspect of
20 the term universal which is Holtec's term used in the
21 environmental report, for example, at Section 2.2.2.1
22 stating UMAX is the only licensed technology with the
23 universal capability, et cetera. The phrase was not
24 universal capacity.

25 But either way, it's not yet licensed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This is an assertion by Holtec, an assumption that is
2 an essential element of this application as explained
3 in the NAC's George Carver's affidavit with our
4 petition.

5 Without the original design information
6 for the other non-Holtec canisters available, how will
7 Holtec as the ISFSI licensee owner respond, diagnose,
8 safely manage, and correct for an incident or an
9 operational event? Something involving mishandling,
10 for example, where realistic and accurate
11 calculations, not just founding, are needed. NAC
12 wants to know, is a Holtec UMAX universal cask
13 feasible for NRC approval for this facility? If it
14 is, we need to be involved now.

15 As a final point, NAC respectfully
16 suggests as a first step if Holtec does not want to
17 address any non-Holtec canisters in this application,
18 then perhaps Holtec would eliminate the term universal
19 in the application as it refers to the UMAX cask and
20 limit the application to only Holtec canisters for
21 which licensing approvals exists. The use of the term
22 universal, with all respect, is causing confusion.

23 Thank you.

24 CHAIR RYERSON: Thank you, sir. Let's
25 see. We next move to Fasken, Mr. Eye.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. EYE: Thank you, Mr. Chairman. A few
2 brief comments to close.

3 To the extent that the license application
4 continues to use the either-or in terms of the
5 alternatives as to who would have title or the right
6 to take title, that raises a hypothetical that we
7 think is improperly considered in the context of this
8 license application. And I support that with asking
9 -- by asking the panel to consider how far a
10 petitioner's contention would get raising a
11 hypothetical and asking the Board to consider it.

12 Likewise, Holtec infers, suggests,
13 implies, states flat out that there's a legislative
14 fix for this. That is pure conjecture and
15 speculation. Nobody knows what kind of bill might
16 come out of a committee, what marked up version it
17 would be, what amendments get offered and adopted on
18 the floor, whether it would be signed by the
19 President. That's complete conjecture and
20 speculation.

21 And I would suggest again that approach by
22 a petitioner would be unsuitable and rejected by
23 licensing boards of the NRC. Hence, if there's going
24 to be essentially, more or less, fair treatment of the
25 parties, Holtec should not be allowed to engage in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 speculation, conjecture to support its license
2 application.

3 Finally, there's a suggestion this morning
4 by Mr. Silberg that while there's -- his suggestion is
5 that this facility is safer than counterparts in urban
6 areas because it's in a sparsely populated zone. That
7 conflates safety with potential for the number of
8 injuries or harm, the kind of harm that might result.

9 If, in fact, these facilities are as safe
10 as Holtec suggests, they could be put anywhere. They
11 could be put in West Chester County if they're that
12 safe. But that's not what's being proposed here.
13 Instead, the burden of the harm is shifted to an area
14 that's sparsely populated just because it's sparsely
15 populated. No other quality would support that. That
16 is not a fair way to evaluate whether this facility is
17 safe.

18 So with those comments, I would thank the
19 panel for its attention.

20 CHAIR RYERSON: Thank you, Mr. Eye.
21 Holtec International, Mr. Silberg.

22 MR. SILBERG: Thank you, Mr. Chairman. I
23 hope you'll give me a little leeway because I'm
24 responding to --

25 CHAIR RYERSON: Five and a half to one.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SILBERG: Five and a half to one.
2 First, and I wasn't planning to give a closing
3 statement. But since everyone is, I think it's
4 appropriate.

5 The case that the Board and the audience
6 here were able to listen to the strong local support
7 from the folks from Eddy and Lea County and ELEA
8 yesterday and today from Carlsbad. It's unfortunate
9 that yesterday's presentations for people who were
10 listening remotely when the audio link went out while
11 they were speaking. And we hope that their
12 presentations will be clearly on the record so that
13 the strong local support that we have will be
14 reflected.

15 Let me try to go through some of the
16 comments that we just heard. The issue of the DOE
17 presentation is that is it hypothetical that DOE will
18 participate? We don't know. There was legislation on
19 the floor of Congress to do that. That legislation
20 did not pass.

21 Mr. Eye said all this is hypothetical. On
22 the other hand, Mr. Lodge said we ought to assume that
23 there's going to be federal legislation. We ought to
24 further assume that that federal legislation will
25 result in taking the site from private ownership. We

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 should further assume that that federal legislation
2 will force other casks besides Holtec on that site.
3 When we talk about hypothetical and speculative,
4 that's about as much as I've ever heard.

5 Do we need to show a basis? Sierra Club's
6 counsel said that they shouldn't be required to prove
7 their case. That's correct. They should not. Their
8 obligation is to show that there's a basis for their
9 contentions that is material to the contention. We
10 don't expect a determination whether those bases are
11 factually correct or better science and technology
12 than ones we might have. But we do urge the Board to
13 take a look at those documents to see whether they
14 meet the test of materiality.

15 We don't require detailed facts. We don't
16 require a refutable authority, and we're not urging
17 that on the Board. But we do need to make sure that
18 the Commission's rules on contention and admissibility
19 are adhered to. And we hope you'll take a hard look
20 at the filings of both sides.

21 In terms of DOE taking title, it's clear
22 that from an environmental standpoint DOE's presence
23 as an option has no impact on the environment.
24 Whether we identify it as an option down the road
25 certainly doesn't make the application illegal in any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sense.

2 We recognize that the current state of the
3 Nuclear Waste Policy Act does not permit except with
4 respect to spent fuel that's already owned by DOE. It
5 does not require that they be a party to this. On the
6 other hand, if in the future they should become a
7 party to that, it is an obvious fact. But it does not
8 change any of the environmental consequences.

9 There's a question raised about the role
10 of the AMP beyond the licensing period and that that's
11 voluntary. I think we had testimony clearly that it
12 is not voluntary. And beyond the license period for
13 that part of the license application or any part of
14 the license application, it's clearly set aside by the
15 continue storage rule.

16 I still don't understand the continued
17 reference to the 173,000 tons. That's been fully
18 explained. I also don't think it's terribly relevant
19 to this Board's rulings. I don't think it provides a
20 basis because I don't think there is a basis for that
21 number.

22 In terms of the railroads, whether or not
23 there are 900,000 or 132,000 people on a half mile on
24 either side of railroads and whether that's an
25 environmental justice issue, I do note that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consolidated petitioners, Don't Waste Michigan and
2 others, have not raised an environmental justice
3 contention. So I don't think it's appropriate for
4 them to raise that in their closing statements.

5 With respect to the NAC statements, I
6 would note that they are incorrect in saying that
7 there are no cases in which one vendor's cask is
8 stored in another vendor's -- one vendor's canister is
9 stored in another vendor's cask. In fact, at this
10 very time at the Trojan Plant, there are Holtec
11 canisters that are stored in TranStore casks. It is
12 something that happens. It is not a violation of law.
13 It's not inappropriate, and it certainly doesn't
14 create additional environmental consequences.

15 The issue that we ought to consider NAC
16 canisters on our site violates the very basis of our
17 purpose and needs statement. The purpose of this
18 facility is to deploy the Holtec UMAX system. It is
19 not to bring other people's casks on the site. We
20 don't need to do that. We've explained why that is
21 not required as part of the design alternatives
22 consideration.

23 We are not surprised and we're glad to
24 hear that NAC is not opposed to this facility. They
25 are apparently opposed to the word "universal". In

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the context of an environmental report and talking
2 about phases that are not before this Board for the
3 license, we think that that concern is not a relevant
4 basis for a contention.

5 If the NRC should license the storage of
6 NAC canisters in the Holtec UMAX, then it will be
7 appropriate if the NRC is able to do that. Without
8 access to NAC's proprietary information, we believe
9 that they will be able to do so. Then storage should
10 be perfectly fine. If NAC is unable to license that
11 system without the access to NAC proprietary
12 information, and if that proprietary information does
13 not become available, then the NAC canisters will not
14 be stored on the Holtec site and their concerns are
15 moot.

16 In any event, we don't need access. We
17 don't believe we need access to proprietary
18 information. And if we do and we can't get it, their
19 concern is moot.

20 With respect to the legislative fix that
21 Mr. Eye said being a purely hypothetical, we don't
22 know what will happen in Congress. We don't know a
23 lot of what will happen tomorrow. However, if it does
24 happen, it's perfectly appropriate for a document
25 which is intended to look out to the future to say,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this might happen.

2 In this case, if it does happen, it
3 doesn't affect the environmental consequences of this
4 action. And therefore, even if it does happen, we
5 think the presence of Option 1 in the environmental
6 report is of no materiality and therefore not the
7 basis for the contention.

8 We really appreciate the Board's clearly
9 intense scrutiny of the application documents. We
10 were pleased to be able to provide answers to the
11 extent we can. We think we did. And we look forward
12 to the next phase of this proceeding.

13 Thank you very much.

14 CHAIR RYERSON: Thank you, Mr. Silberg.
15 Does the NRC staff want to say anything?

16 MS. KIRKWOOD: No, Your Honor.

17 CHAIR RYERSON: That's what I guessed.
18 All right. Well, thank you all. That concludes what
19 we intended to cover at this proceeding. Now our job
20 now is to take all the information we've received and
21 that includes the hundreds of pages of pleadings that
22 I referred to yesterday and everything that we've
23 heard today and render a decision on the standing of
24 the various participants, the petitioners, and on the
25 admissibility of their individual contentions of which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there are approximately 40, I believe.

2 It's our intention to rule at the same
3 time on the local government petitions which again
4 stand unopposed and all pending motions of which I
5 described the first day. We have all sorts of pending
6 motions that are related to those major issues.

7 The NRC has certain milestones for us
8 which we always try to comply with. Basically, we
9 should try to render a decision within 45 days of the
10 argument or 45 days of the last pleadings that were
11 filed.

12 This has gotten a little complicated here
13 because last week there were I believe two sets of
14 motions for new or amended contentions. And the
15 briefing on those will not be completed until well
16 past the middle of February. So just considering
17 those, it looks like our timing which would've been
18 around March 11, I think, will probably push back to
19 early April or so.

20 There's a little further complication in
21 that there may be further filings. And at some point,
22 I think we have to make a decision that we're going to
23 decide based on the briefing that has been completed
24 and that we will defer to a second decision --
25 additional motions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think the motions we received last week
2 are sufficiently closely related to the Sierra Club's
3 contention and contention 1 and the Beyond Nuclear
4 contention. It really doesn't make much sense to try
5 to sever those in any way. I think they are part of
6 the same types of arguments, and so we will deal with
7 those together.

8 We'll have to see the filings that may be
9 coming in, in the next couple weeks whether we really
10 have to sever those or just push the whole decision
11 back a little bit. So that's where we are. Most
12 likely, a decision on everything in very late March or
13 early April but possibly even later than that. If we
14 can't meet the milestones for any reason, we will
15 issue a notice to that effect.

16 Let's see. Now on behalf of the Board, I
17 want to personally thank all of the counsel who've
18 spoken today and as well as the representatives of the
19 local governments. I think everybody has been
20 extremely professional, and this has been extremely
21 helpful to us as we make our decision.

22 Also as most of you know, this forum, the
23 Bar of the State of New Mexico was a place we had to
24 come to on relatively short notice. We were all set
25 up to use the federal court -- the older federal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 court building, the historic one. And apparently
2 there's some funding problems in the federal
3 government at the moment, and they were unable to
4 ensure us at some point that they could support us.

5 So we made a relatively sudden decision to
6 come here to the Bar of the State of New Mexico, and
7 the staff here could not have been more cooperative
8 and helpful. And it's been wonderful for us and a
9 wonderful opportunity to make a quick shift and what
10 I hope has been, from all standpoints, a successful
11 two-day event.

12 Do I have any comments from other judges?
13 Judge Arnold? Judge Trikouros?

14 JUDGE ARNOLD: I think you've said it.
15 Thank you.

16 CHAIR RYERSON: We have one. Mr. Lodge is
17 standing up. Mr. Lodge?

18 MR. LODGE: Your Honor, I wonder if I may
19 make a very brief request to the panel.

20 CHAIR RYERSON: You may make a request.

21 MR. LODGE: All right. It's a start. We
22 request on behalf of the joint petitioners a 14-day
23 period for the Board to hold open the record of this
24 proceeding for the purpose of providing some
25 documentation related to the Baltimore tunnel fire

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 colloquy that was discussed this morning. We would
2 like to respond to the issue of whether or not there
3 were maps and the implications.

4 CHAIR RYERSON: Well, let me say this.
5 We're certainly not going to decide anything in 14
6 days. The new contentions go beyond that for the
7 briefing. Whether what you submit is something that
8 we can appropriately consider is another issue. But
9 you may submit something within 14 days.

10 MR. LODGE: Thank you, Your Honor.

11 MR. TAYLOR: The Sierra Club joins in that
12 request.

13 CHAIR RYERSON: Fair enough. Fair enough.
14 Again, no assurances that we will consider that that
15 is something that was required or permissible or
16 appropriate in view of what's been said here. But
17 we're not doing anything for the next 14 days. We're
18 working, I hope, for the next 14 days but not issuing
19 any decisions.

20 All right. We stand adjourned. Thank you
21 again.

22 (Whereupon, the above-entitled matter went
23 off the record at 3:28 p.m.)
24
25