

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

In the Matter of )  
 )  
PACIFIC GAS AND ELECTRIC COMPANY ) Docket No. 50-133  
 ) License No. DPR-7  
(Humboldt Bay Power Plant, Unit No. 3) )  
\_\_\_\_\_ )

AFFIDAVIT OF MICHAEL R. SHERWOOD

MICHAEL R. SHERWOOD, being first duly sworn on oath,  
states:

1. I am one of the attorneys of record representing  
Intervenors in this proceeding.

2. Intervenors are also parties to the presently  
pending proceeding before the Public Utilities Commission of  
the State of California captioned:

Application of Pacific Gas and Electric  
Company for authority, among other things,  
to increase its rates and charges for  
electric service (Electric) Application No. 58545

Application of Pacific Gas and Electric  
Company for authority, among other things,  
to increase its rates and charges for  
gas service (Gas) Application No. 58546

Investigation on the Commission's own  
motion into the electric resource plan  
and alternatives of Pacific Gas and  
Electric Company and the ratemaking  
implications and options relating to  
the various plans O.I.I. No. 26

Intervenors were represented in the said proceedings by  
William S. Curtiss (Esq.) of the Sierra Club Legal Defense Fund.

Mr. Curtiss has since transferred from the San Francisco to the Denver office of Sierra Club Legal Defense Fund.

3. The attached 22 pages are true and correct copies of pages excerpted from the record of the said California PUC proceedings. Specifically, the attached items are:

a) Pages 3286-3287 and 3294-3297 of the Reporter's Transcript of Hearing (found in Volume 35), before PUC Administrative Law Judge Marcel J. Gagnon, a portion of the record of the testimony on cross-examination of Roy Davis, called as a witness by PG&E on June 7, 1979. The examination was conducted by James S. Rood, attorney for the California Public Utilities Commission. William H. Edwards, Esq. represented PG&E; William S. Curtiss, Esq. represented Intervenors.

b) Pages 3464-3465 and 3487-3489 of the same Reporter's Transcript of Hearing (found in Volume 36), a portion of the record of the testimony on cross-examination of James O. Schuyler, called as a witness by PG&E on June 12, 1979. This examination was also conducted by James S. Rood, attorney for the California Public Utilities Commission. William H. Edwards represented PG&E.

c) Cover and pages 5-7 of the Prepared Rebuttal Testimony of James O. Schuyler, a part of PG&E's Exhibit No. 77, admitted on June 7, 1979.

d) Cover and pages 1-3 of Humboldt Bay Unit No 3, Testimony of Roy Davis, admitted on June 7, 1979 as PG&E's Exhibit No. 79.

e) Cover and pages 13-14 of PG&E Electric Depart-

ment, Comparison Exhibit, dated June 1, 1979, admitted on  
June 13, 1979 as PG&E's Exhibit No. 89.

Dated: October 16, 1979, San Francisco, California.

Michael R. Sherwood  
MICHAEL R. SHERWOOD

Subscribed and sworn to before me  
this 16th day of October, 1979.



Richard M. Rogers  
Notary Public, City and County of San  
Francisco, California

1320 019

1 MR. ROOD: All right.

2 Let me move to another area.

3 Q Mr. Davis, would you refer to page 4 of your testi-  
4 mony.

5 At the top you state:

6 "If it is determined Unit 3 cannot  
7 be returned to operation, the  
8 Commission will determine how PG&E  
9 will be fully compensated for net  
10 plant investment and the balance in  
11 the account."

12 Now, are you suggesting that the Commission should  
13 issue an order so that PG&E will recover all of its costs  
14 on the Humboldt nuclear facility, if the plant should have  
15 to shut down permanently?

16 A Yes, I believe that's the import of my testimony.

17 Q Why do you think these costs should be recovered if  
18 Humboldt never reopens?

19 A There are unrecovered capital costs. It was a pro-  
20 ductive plant. We used the best estimates of depreciation  
21 allowances. If they were not adequate to cover the cost by  
22 the time it shuts down there would be some unrecovered  
23 capital costs which have served the customers over a period  
24 of time.

POOR ORIGINAL

25 Consequently, it would seem equitable to me that  
26 these costs would have to be covered by the ratepayers.

27 Q Why do you think the Commission should make a  
28 judgment at this time, in other words, prejudge these issues  
29 in this decision?

30 MR. EDWARDS: Prejudge what issues?

1320 020

1 MR. ROOD: The recovery issues the witness just  
2 brought up.

3 MR. EDWARDS: The witness has testified that he believes  
4 that the Commission should order recovery if necessary  
5 based upon the facts, the fact that it was used and useful.

6 Now I don't see that there is any controversy over  
7 that. The plant did operate. So that is all he is testify-  
8 ing to.

9 MR. ROOD: The problem is the if necessary.

10 The staff feels that the Commission should not issue  
11 an order in this proceeding which will allow for future  
12 recovery of this money if it appears that the plant never  
13 will reopen without some investigation into the reasonable-  
14 ness of this order.

15 That is my question.

16 Q Why is this reasonable?

17 A I would certainly concur that there would have to be  
18 a hearing on how the proper rate-making treatment would be  
19 for any plant that was insufficient -- that had unrecovered  
20 capital costs.

21 Q I would like to move to another area, Mr. Davis,  
22 your testimony regarding Mendocino in Exhibit 77.

23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47  
48  
49  
50  
51  
52  
53  
54  
55  
56  
57  
58  
59  
60  
61  
62  
63  
64  
65  
66  
67  
68  
69  
70  
71  
72  
73  
74  
75  
76  
77  
78  
79  
80  
81  
82  
83  
84  
85  
86  
87  
88  
89  
90  
91  
92  
93  
94  
95  
96  
97  
98  
99  
100

POOR ORIGINAL

///

1320 021

1 the supervision of Mr. Schyuler?

2 A Mr. Schyuler is fully aware of what is happening, as  
3 I understand it, with hearings before the Nuclear Regulatory  
4 Commission.

5 Q All right, sir, with respect to Exhibit 79 and your  
6 testimony at Page 1, Lines 18 through 20, and I will quote  
7 from those --

8 A What page, sir?

9 Q Page 1, quote:

10 "PG&E believes that the revenue  
11 requirements for the unit based on  
12 capital in service as of 12/31/78,  
13 should be borne by current rate-  
14 payers."

POOR ORIGINAL

15 In plain language, Mr. Davis, what does that mean?

16 A This means that we are seeking to have the Humboldt  
17 Plant included as part of the rate base on which we are  
18 entitled to earn at the capital cost accounts as of 12/31/78,  
19 along with any maintenance and operating costs that are  
20 incurred on site, property taxes and income tax ramifications,  
21 or income tax expenses associated with that plant.

22 Q Do you know, Mr. Davis, what the capital in-service  
23 amount is as of 12/31/78?

24 A The depreciated cost is approximately \$16 million.

25 Q Can you tell me, sir, what portion of that \$16  
26 million represents investments in the plant that PG&E has  
27 made since the plant was shut down in 1976?

28 A Not specifically, but it isn't an appreciable amount.

29 It may be three to five-million dollars, as a ball  
30 park.

1           There have been additional expenditures since the  
2 beginning of -- there have been expenditures, but they are  
3 not included in this figure.

4           They are being carried as construction work in  
5 progress, and are not part of what we are recommending to  
6 be included in this case.

7           Q   Do you know what the expenses are that are so being  
8 carried as construction work in progress?

9           A   On the order of twenty-plus-million dollars.

10          Q   Twenty-plus million?

11          A   Twenty-two million may be a good round number.

12               That is what was anticipated to be in 1980, and we  
13 aren't making appreciable expenditures today.

14          Q   Let's get back to the 16 million for a moment.

15               If your application is approved as requested, what  
16 annually will be the revenue to PG&E if the rate of return  
17 as requested is approved, and this 16 million is included  
18 in rate base, in round figures?

19          THE WITNESS:   May I have the question again?

20          ALJ GAGNON:   Read the question, please, Miss Reporter.

21               (Record read)

22          THE WITNESS:   We are seeking a 10.7-percent return on  
23 investment, which is to cover bonds, preferred and common  
24 equity.

25               16 million times 10. -- 10 percent would be just a  
26 little more than 1.6 million of net revenue covering bonds,  
27 preferred, common.

28          MR. CURTISS:   Q   Thank you. Am I to understand from  
29 your testimony a moment ago that with the amounts that  
30 are now being considered as construction work in progress,

1 plus the amounts of the 16 million that have been spent  
2 which are under consideration for inclusion in the rate  
3 base, that PG&E has spent somewhere between twenty-five  
4 and twenty-eight million dollars on the Humboldt Plant since  
5 it was shut down in 1976?

6 A No.

7 MR. EDWARDS: Objection. There is an assumption in the  
8 question that is incorrect.

9 Well, maybe I will just let the witness -- I will  
10 let the witness --

11 THE WITNESS: 16 million was net investment of the  
12 plant, net investment being what it cost us originally to  
13 build the plant, additions up until December 31st, '78,  
14 less the depreciation that had accrued for this plant.  
15 /

16  
17  
18 POOR ORIGINAL  
19

20  
21 1320 024  
22  
23  
24  
25  
26  
27  
28  
29  
30



1                   The \$22 million is the amount that we  
2 have spent basically since it was shut down.

3           MR. CURTISS: Q All right.

4                   So \$22 million approximately is the total expendi-  
5 tures that PG&E has made since the plant was shut down on  
6 Unit 3?

7           A Yes.

8           Q Now, was it at your suggestion, Mr. Davis, that  
9 PG&E has asked that this \$16 million be included in rate  
10 base?

11                   What I am asking is whether as part of your job  
12 duties as a PG&E employee do you recommend that this be  
13 included in rate base?

14           A I so recommended, but others participated in that  
15 decision.

16           ALJ GAGNON: Maybe we should have it clarified.

17                   As I understand it, it is now in the rate base, is  
18 it not?

19           THE WITNESS: It is in the rate base on a recorded  
20 basis. It was in the rate base for our '78 test year.

21                   We propose to continue it in 1980.

22           ALJ GAGNON: Mr. Curtiss, it is now in the rate base.  
23 The issue arises because the staff is saying that it should  
24 be excluded.

POOR ORIGINAL

25           MR. CURTISS: I understand. Thank you, your Honor.

26           Q Would your recommendation be changed, Mr. Davis, if  
27 you were certain that the plant would never reopen?

28           A I would certainly have to reevaluate if I were  
29 certain that the plant would never be operative and develop  
a proposal as to how it should be handled.

those studies would bring up to a successful completion.

Q When do you anticipate at this point that all of these studies will be completed?

A This is a moving target because as you gather more data you find additional studies need to be made.

In my opinion, the studies cannot be completed until at the very earliest late 1980.

Q You stated it was a moving target.

I take it the target is moving away rather than towards you?

A It's moving in both directions. Some data confirms data that you have already taken. Other data says that, gee, I should go take -- drill us another hole here.

Q Now, you just stated I think that the present target is the end of 1980, is that correct?

A In my estimate we cannot complete the geologic work much before the latter part of 1980.

Q Now, on page 5 in answer to Question 7 you stated that your current estimate for completion of the geologic investigations is mid-1980.

Would you then change that estimate?

A Yes. I will stand corrected. Since I prepared this testimony we are still reviewing the data.

Q Well then, would it be appropriate to delete mid and insert end of?

A Late 1980 I would prefer.

MR. EDWARDS: May that change be made, your Honor?

ALL GAWSON: So ordered.

How does the last sentence support with that?

MR. EDWARDS: In that paragraph, your Honor?

POOR ORIGINAL

1320 026

Yes.

Q Mr. Schuyler --

A Would you give me the reference, I got lost.

Q Lines 8 and 9 on page 5.

You state:

"I believe the earliest date we could hope to achieve operation would be December 31, 1980."

Should that also be changed?

A I think that is still a correct statement. We could hope to do that.

That is the earliest date. It could be later.

Q If you don't finish the geological investigations until late 1980, isn't there a requirement for hearings?

A Correct.

Q So my question is, if you don't finish the investigations until the end of 1980, how can you then schedule hearings and still get the plant in operation by December 31, 1980?

A Well, I said it's the earliest date.

Q What would be the latest date?

A The latest date is going to -- cannot be determined until we complete the geologic studies that are underway. So, I mean, it could go out in 1981, 1982.

Q Now, following the completion of the investigations and the hearings the NRC would then give you a permit, is that correct?

A Let me clarify a possible misunderstanding.

We have a license to operate the Humboldt Bay Power Plant Unit No. 1 from the NRC.

**POOR ORIGINAL**

1320 027

J5  
1 acceleration?

2 A Yes.

3 Q Do you have any idea, Mr. Schuyler, of the cost -- the  
4 total cost of modifying the Humboldt plant to meet the  
5 .25G operating-basis earthquake and the .5G safe shutdown  
6 earthquake?

7 A We have spent approximately \$26.6 million in  
8 modifications and in the geologic and seismological studies  
9 up to the April, 1977 report.

10 Q Do you have any estimate as to what additional  
11 amounts have been spent since April, 1977?

12 A Well, excuse me, these -- the figure I just gave you  
13 of 26.6 million was the amount that we have spent to date,  
14 as of March; the last figures I have as of March, the end  
15 of March, 1979, and most of that was spent prior to April,  
16 1977.

17 We have spent approximately \$2,700,000 in the most  
18 recent geologic and seismological studies.

19 Q Can you give me a total component of that 26.6  
20 million that represents the cost of the studies to date?

21 A I don't have that broken down.

22 I can give you a ball-park estimate.

23 I would say in the neighborhood of \$5 million.

24 Q So, we do have something on the order of twenty-one  
25 to twenty-two million that was spent for other things  
26 besides these studies.

27 Can you tell me what general categories of expenses  
28 make up that twenty-one to twenty-two million?

29 A Yes. In modifying the plant to withstand a .25G  
30 operating-basis earthquake, we had to do a number of

POOR ORIGINAL

1320 028

1 structural modifications.

2 We had to reinforce the roof of the refueling  
3 building.

4 We had to reinforce the walls.

5 We had to take and replace some of the electrical  
6 equipment.

7 Most of it we either tried to analyze, or we did a  
8 shaker-table testing on the equipment to prove its seismic  
9 capability.

10 And where we couldn't do that, why, then, we replaced  
11 it with new equipment that was qualified for the seismic  
12 levels.

13 There was a large expenditure on reanalyzing the  
14 piping systems and providing new pipe, new pipe supports  
15 for the piping in the plant.

16 And in addition, there has been the engineering costs  
17 in doing all of this.

18 Q How much more money needs to be spent on the  
19 structural modifications in order to complete the repair  
20 of the plant to meet the .25G operating-basis earthquake  
21 and the .5G safe shutdown earthquake?

22 A I don't seem to have that number with me.

23 I would estimate it is probably less than a million  
24 dollars.

25 Q And do you know, Mr. Schuyler, how much has to be  
26 spent to complete the studies?

27 A We divided the studies into basically two phases.

28 The first phase, which is presently going on, the  
29 latest studies, it will take approximately \$1.2 million to  
30 complete.

POOR ORIGINAL

1 At the end of that, we'll have to make another  
2 decision as to what the results show, and at that point, may  
3 or may not require going ahead with future studies.

4 The next program could be as high as \$7 million, Phase  
5 2.

6 Q So that I'm sure I understand your answer, did you  
7 tell me that of the \$3.2 million estimated cost of the  
8 present program, 2.7 million had already been spent?

9 A No. We have already spent 2.7 million.

10 We have an additional 3.2 million to complete the  
11 Phase 1 program, for an overall cost of about 5.9 million  
12 for Phase 1.

13 Q So, we are looking at a potential cost through the  
14 end of up to something like 12.9 million?

15 A Correct.

16 Q So, in round figures, we are talking about a  
17 potential cost of the modifications, assuming the standards  
18 we have discussed are employed, of something on the order  
19 of up to \$35 million at the upper limit?

20 A Taking 12 plus 26 or something -- is that --

21 Q 12 point something plus 22.

22 A All right.

23 Q Now, to your knowledge, Mr. Schuyler, has PG&E  
24 made any studies of whether or not this investment of up to  
25 \$35 million in repairing this plant is justified by the  
26 benefits of getting it back into service?

27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47  
48  
49  
50  
51  
52  
53  
54  
55  
56  
57  
58  
59  
60  
61  
62  
63  
64  
65  
66  
67  
68  
69  
70  
71  
72  
73  
74  
75  
76  
77  
78  
79  
80  
81  
82  
83  
84  
85  
86  
87  
88  
89  
90  
91  
92  
93  
94  
95  
96  
97  
98  
99  
100  
101  
102  
103  
104  
105  
106  
107  
108  
109  
110  
111  
112  
113  
114  
115  
116  
117  
118  
119  
120  
121  
122  
123  
124  
125  
126  
127  
128  
129  
130  
131  
132  
133  
134  
135  
136  
137  
138  
139  
140  
141  
142  
143  
144  
145  
146  
147  
148  
149  
150  
151  
152  
153  
154  
155  
156  
157  
158  
159  
160  
161  
162  
163  
164  
165  
166  
167  
168  
169  
170  
171  
172  
173  
174  
175  
176  
177  
178  
179  
180  
181  
182  
183  
184  
185  
186  
187  
188  
189  
190  
191  
192  
193  
194  
195  
196  
197  
198  
199  
200  
201  
202  
203  
204  
205  
206  
207  
208  
209  
210  
211  
212  
213  
214  
215  
216  
217  
218  
219  
220  
221  
222  
223  
224  
225  
226  
227  
228  
229  
230  
231  
232  
233  
234  
235  
236  
237  
238  
239  
240  
241  
242  
243  
244  
245  
246  
247  
248  
249  
250  
251  
252  
253  
254  
255  
256  
257  
258  
259  
260  
261  
262  
263  
264  
265  
266  
267  
268  
269  
270  
271  
272  
273  
274  
275  
276  
277  
278  
279  
280  
281  
282  
283  
284  
285  
286  
287  
288  
289  
290  
291  
292  
293  
294  
295  
296  
297  
298  
299  
300  
301  
302  
303  
304  
305  
306  
307  
308  
309  
310  
311  
312  
313  
314  
315  
316  
317  
318  
319  
320  
321  
322  
323  
324  
325  
326  
327  
328  
329  
330  
331  
332  
333  
334  
335  
336  
337  
338  
339  
340  
341  
342  
343  
344  
345  
346  
347  
348  
349  
350  
351  
352  
353  
354  
355  
356  
357  
358  
359  
360  
361  
362  
363  
364  
365  
366  
367  
368  
369  
370  
371  
372  
373  
374  
375  
376  
377  
378  
379  
380  
381  
382  
383  
384  
385  
386  
387  
388  
389  
390  
391  
392  
393  
394  
395  
396  
397  
398  
399  
400  
401  
402  
403  
404  
405  
406  
407  
408  
409  
410  
411  
412  
413  
414  
415  
416  
417  
418  
419  
420  
421  
422  
423  
424  
425  
426  
427  
428  
429  
430  
431  
432  
433  
434  
435  
436  
437  
438  
439  
440  
441  
442  
443  
444  
445  
446  
447  
448  
449  
450  
451  
452  
453  
454  
455  
456  
457  
458  
459  
460  
461  
462  
463  
464  
465  
466  
467  
468  
469  
470  
471  
472  
473  
474  
475  
476  
477  
478  
479  
480  
481  
482  
483  
484  
485  
486  
487  
488  
489  
490  
491  
492  
493  
494  
495  
496  
497  
498  
499  
500  
501  
502  
503  
504  
505  
506  
507  
508  
509  
510  
511  
512  
513  
514  
515  
516  
517  
518  
519  
520  
521  
522  
523  
524  
525  
526  
527  
528  
529  
530  
531  
532  
533  
534  
535  
536  
537  
538  
539  
540  
541  
542  
543  
544  
545  
546  
547  
548  
549  
550  
551  
552  
553  
554  
555  
556  
557  
558  
559  
560  
561  
562  
563  
564  
565  
566  
567  
568  
569  
570  
571  
572  
573  
574  
575  
576  
577  
578  
579  
580  
581  
582  
583  
584  
585  
586  
587  
588  
589  
590  
591  
592  
593  
594  
595  
596  
597  
598  
599  
600  
601  
602  
603  
604  
605  
606  
607  
608  
609  
610  
611  
612  
613  
614  
615  
616  
617  
618  
619  
620  
621  
622  
623  
624  
625  
626  
627  
628  
629  
630  
631  
632  
633  
634  
635  
636  
637  
638  
639  
640  
641  
642  
643  
644  
645  
646  
647  
648  
649  
650  
651  
652  
653  
654  
655  
656  
657  
658  
659  
660  
661  
662  
663  
664  
665  
666  
667  
668  
669  
670  
671  
672  
673  
674  
675  
676  
677  
678  
679  
680  
681  
682  
683  
684  
685  
686  
687  
688  
689  
690  
691  
692  
693  
694  
695  
696  
697  
698  
699  
700  
701  
702  
703  
704  
705  
706  
707  
708  
709  
710  
711  
712  
713  
714  
715  
716  
717  
718  
719  
720  
721  
722  
723  
724  
725  
726  
727  
728  
729  
730  
731  
732  
733  
734  
735  
736  
737  
738  
739  
740  
741  
742  
743  
744  
745  
746  
747  
748  
749  
750  
751  
752  
753  
754  
755  
756  
757  
758  
759  
760  
761  
762  
763  
764  
765  
766  
767  
768  
769  
770  
771  
772  
773  
774  
775  
776  
777  
778  
779  
780  
781  
782  
783  
784  
785  
786  
787  
788  
789  
790  
791  
792  
793  
794  
795  
796  
797  
798  
799  
800  
801  
802  
803  
804  
805  
806  
807  
808  
809  
810  
811  
812  
813  
814  
815  
816  
817  
818  
819  
820  
821  
822  
823  
824  
825  
826  
827  
828  
829  
830  
831  
832  
833  
834  
835  
836  
837  
838  
839  
840  
841  
842  
843  
844  
845  
846  
847  
848  
849  
850  
851  
852  
853  
854  
855  
856  
857  
858  
859  
860  
861  
862  
863  
864  
865  
866  
867  
868  
869  
870  
871  
872  
873  
874  
875  
876  
877  
878  
879  
880  
881  
882  
883  
884  
885  
886  
887  
888  
889  
890  
891  
892  
893  
894  
895  
896  
897  
898  
899  
900  
901  
902  
903  
904  
905  
906  
907  
908  
909  
910  
911  
912  
913  
914  
915  
916  
917  
918  
919  
920  
921  
922  
923  
924  
925  
926  
927  
928  
929  
930  
931  
932  
933  
934  
935  
936  
937  
938  
939  
940  
941  
942  
943  
944  
945  
946  
947  
948  
949  
950  
951  
952  
953  
954  
955  
956  
957  
958  
959  
960  
961  
962  
963  
964  
965  
966  
967  
968  
969  
970  
971  
972  
973  
974  
975  
976  
977  
978  
979  
980  
981  
982  
983  
984  
985  
986  
987  
988  
989  
990  
991  
992  
993  
994  
995  
996  
997  
998  
999  
1000

1320 030

U

Application No. 58546

Application No. 58546

Exhibit No. 77

Date

Wit.: Various

---

PACIFIC GAS AND ELECTRIC COMPANY

REBUTTAL TESTIMONY

---

1320 031

A 6 Continued -

age dating analyses, additional microseismic recording, and review and re-interpretation of existing onshore and offshore seismic reflection records.

Q 7 When is the unit likely to return to service?

A 7 Our current estimate for completion of the geologic investigations is ~~until~~ <sup>late</sup> 1980. After completion of the investigations and acceptance of them by the NRC Staff, a public hearing will be required in order to obtain the required license amendment. I believe the earliest date we could hope to achieve operation would be December 31, 1980.

Q 8 What is the monthly cost of operation and maintenance of Humboldt Bay Unit 3 when the plant is in service? What is the cost when the plant is not in service?

A 8 PG&E's nuclear plant expenses, excluding fuel, for the years 1979 and 1980, as estimated for the current general rate case, Application No. 58545, are \$186,400 and \$200,300 per month, respectively. These expense estimates assumed full operation of the unit. These 1979 and 1980 estimates were based on actual data for 1973-1977, as 1978 data was not available when the rate case application was prepared. PG&E's latest monthly estimates for 1979 and 1980 are: (a) in service - \$222,500 for 1979 and \$238,700 for 1980; (b) not in service - \$182,300 for 1979 and \$195,500 for 1980. Fuel expenses are excluded from all these figures.

The differential in costs between full operation and shut-down operation is not very great, as the Nuclear Regulatory Commission (NRC) requires that the plant must be staffed 24 hours a day, 365 days a



A 8 Continued -

1 year, with a 7-man operating staff per shift on site, and that the  
2 full plant security system must be staffed and maintained. What  
3 economies have been obtained are due to (1) lower maintenance costs;  
4 (2) deletion of one shift position saving four employees; and (3)  
5 where possible, delaying filling positions vacated by attrition.

6 Q 9 What has been the net cost to the system since the shutdown of Humboldt  
7 Bay Unit 3 in terms of increased cost of service?

8 A 9 The major effect on net system costs because of the shutdown of the  
9 Humboldt Bay Unit 3 electric generating plant has been the cost of  
10 fuel to generate replacement power. Humboldt Bay Unit 3 generated  
11 383 million Kwh in 1975, its last full year of operation, at a fuel  
12 cost of \$1,123,000. To determine the true replacement cost of that  
13 power each year since then would require resimulating operations during  
14 that period at a great expense of time and money.

15 However, an approximation of the cost can be made if certain  
16 simplifying assumptions are made: (1) assume that replacement power  
17 was generated in an oil-fueled steam generation plant. Therefore the  
18 cost can be based on the average cost of fuel oil for the year estimated.  
19 This is a reasonable assumption, as PG&E uses its most efficient low-  
20 cost sources of power first, gradually bringing on higher cost sources.  
21 Thus, the most likely source of replacement power would be oil-fueled  
22 generation: (2) assume that the cost of capacity replacement is zero;  
23 (3) assume that 1975's output of 383 million Kwh is typical for the  
24 estimated years.

25 Given the above assumptions, the net cost of replacing Humboldt

A 9 Continued -

Bay Unit 3 energy was approximately as follows: 1976 - \$3,906,000;  
1977 - \$7,890,000; 1978 - \$8,694,000. The 1976 figure is approximately  
half of the 1977 or 1978 figures because Unit 3 generated energy for  
only the first six months of that year.

Q 10 Mr. Schuyler, does that complete your testimony?

A 10 Yes, it does.

1320 034

10-11-78  
J. H. Ketch

Application No. 58545  
Application No. 58546  
Exhibit No. ~~58546~~  
Date 6-2-79

---

PACIFIC GAS AND ELECTRIC COMPANY

REBUTTAL TESTIMONY

ROY DAVIS

HUMBOLDT POWER PLANT

---

1320 035

HUMBOLDT BAY UNIT NO. 3

TESTIMONY

OF

ROY DAVIS

1 Q 1 What is PGandE's position concerning rate base treatment and the  
2 inclusion of operating expenses related to Humboldt Bay Unit No. 3  
3 in Test Year 1980?

4 A 1 At the time Application No. 58545 was being prepared, Humboldt Bay  
5 No. 3 was expected to be in operation for the entire year 1980.  
6 Therefore PGandE included the unit in the test year. At this time  
7 it is not expected to be in operation until after the test year as  
8 testified to by Mr. J. O. Schuyler. PGandE therefore agrees with  
9 the staff that capital additions remain in Construction Work In  
10 Progress (CWIP) and accrue an Allowance for Funds Used During Con-  
11 struction (AFUDC). In PGandE's comparison exhibit Humboldt Bay  
12 capital costs as of 12/31/78 and 1980 operating expense have been  
13 included.

14 Q 2 Has the Staff included Humboldt Bay Unit No. 3 in Test Year 1980?

15 A 2 No, with the exception of a allowance for on-site maintenance  
16 and operation expenses.

17 Q 3 Does PGandE disagree with the Staff's treatment?

18 A 3 Yes, PGandE believes that the revenue requirements for the unit  
19 based on capital in service as of 12/31/78 should be borne by  
20 current ratepayers. The plant has in the past operated to the  
21 benefit of the ratepayer and is expected to continue to do so in  
22 the future. It has merely been temporarily shut down.

1 Q 4 What was the Staff's recommendation for this unit?

2 A The Staff Operations Division (Exhibit 24, page 11-3, paragraph 14)  
3 recommended transferring this net capital cost into CWIP to accrue  
4 AFUDC until such time as the plant begins operating again. However,  
5 the Staff Finance Division (testimony of Anderson, page 825; Dun,  
6 page 833-4) confirmed the statement by PGandE's witness (Mr. K. S. Taylor  
7 page 795-803) that this recommendation violates the Uniform System  
8 of Accounts.

9 Q 5 How could the CPUC accomplish the goal of the utility's division  
10 recommendation?

11 A 5 As stated by Mr. K. S. Taylor, PGandE could be ordered to accrue  
12 carrying costs and other costs for the unit for future rate  
13 treatment.

14 Q 6 What would be the nature of such an order?

15 A 6 I have had drafted certain language that could be included in the  
16 decision which would accomplish the intent of the Utility Division's  
17 recommendation. It is as follows:

18 "The Commission Staff's recommendation to transfer Humboldt  
19 Bay Power Plant, Unit No. 3 from plant-in-service to CWIP  
20 will be rejected. It is not appropriate to return operative  
21 plant to CWIP. However, the cost of Unit 3 for the adopted  
22 Test Year 1980 will be excluded from the rate base, and oper-  
23 ating costs (except \$ \_\_\_\_\_ for minimum on site production  
24 maintenance and operation expense) will be excluded from  
25 expenses, as Unit 3 is not currently being operated. It is  
26 not the intent of this Commission to deny the recovery of

1320 037

A 6 Continued -

1 return on investment or expenses of this unit, but only  
2 to delay recovery until the Unit 3's future is known. In  
3 order to compensate the Company for the costs applicable to  
4 this unit, the Company is hereby directed to establish on  
5 the effective date hereof an appropriate account to record  
6 all actual costs excluded from the costs adopted in this  
7 proceeding. Any increase or decrease in income taxes result-  
8 ing from the non-operation or operation of this unit must  
9 also be recorded in the account. This account will accumulate  
10 costs for operations, maintenance, taxes and return on invest-  
11 ment. The appropriate monthly rate applicable to the return  
12 on investment and to average monthly balance in this account  
13 is one-twelfth of the rate of return authorized by this  
14 decision. No depreciation shall be accrued for Unit No. 3  
15 until further order of this Commission.

16 After the unit is back in operation, the investment in  
17 plant will be included in rate base and all costs of operation  
18 for Unit 3 will be included in expenses to be adopted for the  
19 next test year. The balance in said account will be amortized  
20 over the remaining life of the plant. PGandE will be ordered  
21 to file within 60 days of the effective date hereof a full  
22 description of the implementation of this procedure, including  
23 all proposed accounting entries and an estimate of the annual  
24 amounts to be recorded.

1320 038

Application No. 58545  
Exhibit No. 89  
Date 6-13-79  
Witness Roy Davis

---

---

PACIFIC GAS AND ELECTRIC COMPANY  
ELECTRIC DEPARTMENT

COMPARISON EXHIBIT

JUNE 1, 1979

---

---

1320 039

Pacific Gas and Electric Company  
Electric Department

Other Production, Transmission, and Distribution  
PGUC Staff, PGandE's Exhibit No. 10 and PGandE's Revised Estimate  
Showing PGandE's Acceptance of Staff Amounts and Remaining Issues  
(000's Omitted)

Line No.	Account Number		Account Name	CPUC Staff	PGandE	PGandE	Accept	Issues		PGandE Revised Estimate	Line No.
	CPUC	PG&E		Exhibit Nos. 24, 30 and 91	Exhibit No. 10	Exceeds Staff		From Staff Report	Additions Revised Estimate		
				(A)	(B)	(C) = B - A	(D)	(E)	(F)	(G) = B - D + F	
<u>Electric Production Expenses</u>											
<u>Steam Power - Operation:</u>											
1	-	-	3 Accounts - No Difference	\$15,838	\$15,838	\$ -	\$ -	\$ -	\$ -	\$15,838	1
2	500	760	Supervision & Engineering	2,088	2,093	5	4	1	-	2,089	2
3	505	764	Electric Expenses	19,582	19,614	32	24	8	-	19,590	3
4	506	765	Misc. Steam Power Expenses	3,493	3,502	9	8	1	-	3,494	4
5			Total - Steam Power Operation	41,001	41,047	46	36	10	-	41,011	5
<u>Steam Power - Maintenance:</u>											
6	-	-	1 Account - No Difference	3,431	3,431	-	-	-	-	3,431	6
7	510	440	Supervision & Engineering	2,572	2,586	14	11	3	-	2,575	7
8	511	441	Structures	920	927	7	6	1	-	921	8
9	512	442	Boilers & Related Apparatus	4,887	4,888	1	1	0	-	4,887	9
10	513	444	Main Turbog. Apparatus	5,196	5,259	63	49	14	-	5,210	10
11	513	445	Main Turbog. Auxiliaries	4,328	4,360	32	25	7	-	4,335	11
12	513	446	Accessory Electric Equip.	704	712	8	6	2	-	706	12
13	514	447	Misc. Steam Plant	1,244	1,249	5	3	2	-	1,246	13
14			Total - Steam Pwr. Maintenance	23,282	23,412	130	101	29	-	23,311	14
15			Total - Steam Pwr. M. & O.	64,283	64,459	176	137	39 <sup>(a)</sup>	-	64,322	15
<u>Nuclear Power - Operation:</u>											
16	517	770	Supervision & Engineering	152	59	(93)	-	(93)	-	59	16
17	519	772	Coolants & Water	49	59	10	-	10	-	59	17
18	520	773	Steam Expenses	322	502	180	-	180	-	502	18
19	523	775	Electric Expenses	191	235	44	-	44	-	235	19
20	524	776	Misc. Nuclear Power Exps.	519	484	(35)	-	(35)	-	484	20
21			Total - Nuclear Pwr. Operations	1,233	1,339	106	-	106	-	1,339	21
<u>Nuclear Power - Maintenance:</u>											
22	528	450	Supervision & Engineering	97	141	44	-	44	-	141	22
23	529	451	Structures	82	34	(48)	-	(48)	-	34	23
24	530	452	Reactor & Related Apparatus	256	410	174	-	174	-	410	24
25	530	453	Reactor Plant Auxiliaries	33	138	105	-	105	-	138	25
26	531	454	Main Turbog. & Related Apparatus	6	186	180	-	180	-	186	26
27	531	455	Main Turbog. Auxiliaries	15	41	26	-	26	-	41	27
28	531	456	Accessory Electric Equip.	2	4	2	-	2	-	4	28
29	532	457	Misc. Nuclear Plant	55	91	36	-	36	-	91	29
30			Total - Nuclear Pwr. Maintenance	546	1,065	519	-	519	-	1,065	30
31			Total - Nuclear Pwr. M. & O.	1,779	2,404	625	-	625 <sup>(b)</sup>	-	2,404	31
<u>Hydraulic Power - Operation:</u>											
32	-	-	7 Accounts - No Difference	8,187	8,187	-	-	-	-	8,187	32
<u>Hydraulic Power - Maintenance:</u>											
33	-	-	8 Accounts - No Difference	4,713	4,713	-	-	-	-	4,713	33
34	544	463	Prime Movers & Generators	1,523	1,823	300	189	111	-	1,634	34
35			Total - Hydro Power Maintenance	6,236	6,536	300	189	111	-	6,347	35
36			Total - Hydro Power M. & O.	14,423	14,723	300	189	111 <sup>(c)</sup>	-	14,534	36
<u>Other Power</u>											
37	-	-	3 Operation Accts. - No Difference	308	308	-	-	-	-	308	37
38	-	-	3 Maintenance Accts. - No Difference	506	506	-	-	-	-	506	38
39			Total - Other Power M. & O.	814	814	-	-	-	-	814	39
40	-	-	49 Accounts	-	-	-	-	-	1,105 <sup>(d)</sup>	1,105	40
41			Total Electric Production	\$81,299	\$82,400	\$1,101	\$326	\$775	\$1,105	\$83,179	41



U

Description of Issues

- 1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41
- (a) Assumption by Staff that Geysers Unit 14 will not go into service until September 1980; PGandE original estimate was June 1979. Staff disallowed 8/12 of PGandE's original 1980 estimate. Staff Exhibit 24, page 11-1, and Transcript Pages 1104-1107, S. Han.

PGandE's latest estimate Geysers Unit 4 is June 1, 1980, therefore disallowance should be 5/12, or \$137,000, rather than \$176,000. D. E. Nielsen, Transcript pages 768-772.

- (b) Assumption by Staff that Humboldt Bay Unit 3 will not be in service in 1980. Staff estimates that 1978's expenses (with certain adjustments) are more representative of standby operation than PGandE's original estimate, and used them as a basis for estimating 1980's expense by factoring-up the adjusted 1978 expenses at 7% per year. Staff Exhibit 24, page 11-2, S. Han

PGandE's latest estimate of expenses for Unit 3 in a standby status is \$2,346,000 for 1980. The difference between this estimate and PGandE's original estimate is minimal. Exhibit ~~77~~ rebuttal testimony of J. O. ~~Schleyer~~ *Schleyer*, page 5, line 21.

- (c) Assumption by Staff that a 10-year amortization of a 1974 BELDEN overspeed problem is better than PGandE's 5-year amortization. PGandE accepts 10-year amortization but finds Staff's calculation of the effect was overstated. Staff adjusted for the total 10-year amortization rather than the difference between PGandE's 5-year amortization and a 10-year amortization.
- (d) Effect of 1978 recorded expenses on estimates. Information available to Staff, but not to PGandE at time its estimate was prepared. This figure is net effect of differences in all production accounts.

CPUC witness E. Knolle, Transcript page 913, beginning at line 15 through 23, page 914, indicates that he would accept effect 1978 recorded data at 1/6 of its value; recorded 1978 data entered by Knolle at Transcript pages 898-900.

1320 041

CERTIFICATE OF SERVICE

The foregoing document, Intervenors' Memorandum In Support of Answer In Opposition To Licensee's Motion To Hold Proceedings In Abeyance, has been served today on the following by deposit in the United States Mail, properly stamped and addressed:

Richard F. Locke, Esq.  
Counsel for Pacific Gas and Electric Company  
77 Beale Street, 31st Floor  
San Francisco, CA 94106

Barry Smith, Esq.  
Office of Executive Legal Director  
BETH 042  
U.S. Nuclear Regulatory Commission  
Washington, D.C. 20555


Secretary  
U.S. Nuclear Regulatory Commission  
Washington, D.C. 20555  
Attn: Docketing and Service Section

Edward Luton, Esq., Chairman  
Atomic Safety and Licensing Board Panel  
U.S. Nuclear Regulatory Commission  
Washington, D.C. 20555

Mr. Gustave A. Linenberger, Member  
Atomic Safety and Licensing Board Panel  
U.S. Nuclear Regulatory Commission  
Washington, D.C. 20555

Dr. David R. Schink  
Department of Oceanography  
Texas A & M University  
College Station, TX 77840

Dated: October 16, 1979.

  
\_\_\_\_\_  
MICHAEL R. SHERWOOD  
Attorney for Intervenors

1320 042