

9.7

NUCLEAR REGULATORY COMMISSION

---

IN THE MATTER OF:

PUBLIC MEETING

DISCUSSION OF UCS PETITION ON QUALIFICATION OF  
ELECTRICAL EQUIPMENT AND RESPONSES TO IE BULLETIN 79-01

Place - Washington, D. C.

Date - Wednesday, 11 July 1979

Pages 1 - 58

---

**POOR ORIGINAL**

Telephone:  
(202) 347-3700

ACE - FEDERAL REPORTERS, INC.

*Official Reporters*

444 North Capitol Street  
Washington, D.C. 20001

NATIONWIDE COVERAGE - DAILY

533. 001

7908080 536

DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on Wednesday, 11 July 1979 in the Commission's offices at 1717 H Street, N. W., Washington, D. C. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected, or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determinations or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of or addressed to any statement or argument contained herein, except as the Commission may authorize.

CR5872

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

PUBLIC MEETING

DISCUSSION OF UCS PETITION ON QUALIFICATION OF  
ELECTRICAL EQUIPMENT AND RESPONSES TO IE BULLETIN 79-01

Room 1130  
1717 H Street, N. W.  
Washington, D. C.

Wednesday, 11 July 1979

The Commission met, pursuant to notice, at 1:30 p.m.

PRESENT:

- DR. JOSEPH M. HENDRIE, Chairman
- VICTOR GILINSKY, Commissioner
- RICHARD T. KENNEDY, Commissioner
- PETER A. BRADFORD, Commissioner
- JOHN F. AHEARNE, Commissioners

ALSO PRESENT:

Messrs. Jordan, Butcher, Hoyle, Stello, Lieberman,  
Snyder, Moseley, Gossick, Denton, Eisenhut, and Moore.

533 003

MELTZER/Mml  
Tl cr5872

P R O C E E D I N G S

1  
2 COMMISSIONER GILINSKY: The Chairman has asked me  
3 to proceed. He is unavailable. He should come in in the course  
4 of the meeting.

5 Mr. Kennedy, I understand, also asked that we  
6 proceed and he expects also to be coming in soon.

7 So, why don't you go on with the briefing that you  
8 have prepared.

9 MR. GOSSICK: Fine.

10 I have asked Victor to introduce the speakers.

11 MR. STELLO: Okay.

12 The purpose of the briefing this afternoon is to  
13 provide the Commission with the status of the review of the  
14 qualification of electrical equipment, specifically with  
15 respect to the responses to I&E Bulletin 79-01.

16 Review is still ongoing. Therefore, the nature of  
17 the presentation today will be status report. It will be  
18 concentrating on the two aspects of the bulletin; one which  
19 required a 24-hour report of any deviations, where there was  
20 not -- unqualified equipment identified, as well as a comprehen-  
21 sive review of all electrical equipment.

22 Ed Jordan and Ed Butcher will be doing the briefing.

23 Ed?

24 MR. JORDAN: Okay.

25 May I have the first slide, please.

mm2

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

(Slide)

The purpose of the bulletin, 79-01, which was issued in February 1979, was to cause Licensees to identify all electrical equipment which may be subjected to the accident environment, and then review the qualification of each associated component and to verify that the required safety related equipment will function if called upon.

The Licensees were requested by this bulletin to review the documentation against the FSAR accident environment, and against the FSAR commitment for qualification.

Where documentation was not available, Licensees were to perform analyses or tests to verify that qualification was indeed existent.

The Bulletin was issued subsequent to Regional Office followup on the Circular 78-08, which was issued in May of 1978. The Circular required essentially the same thing but did not require responses from the Licensees and didn't give the timeframe.

COMMISSIONER GILINSKY: Is that the difference between a Circular and a Bulletin?

MR. JORDAN: Primarily, yes.

The Bulletin notifies the Licensees --

MR. JORDAN: Yes.

It requests the Licensees to perhaps perform a review, but doesn't require the Licensees to advise the

mm3

1 Commission of the results of that review, and it doesn't  
2 normally specify timeframe.

3 COMMISSIONER AHEARNE: Is it fair to say then that  
4 it is a distinction of how important you think it is?

5 MR. JORDAN: True. That's right.

6 COMMISSIONER AHEARNE: Then what led to the conclusion  
7 that what happened between May and February -- to reach the  
8 conclusion --

9 MR. JORDAN: Okay. The inspectors were following  
10 up on the Licensees' action with regard to the Circular, and  
11 they found unqualified limit switches on the safety systems  
12 inside containment existed in addition to those that had been  
13 previously identified in another Bulletin.

14 They also found that in some cases Licensees were  
15 unable to provide documentation to indicate that certain  
16 components were qualified such as transmitters, electrical  
17 cables, motor insulation, cable splices and whatnot, so that  
18 things were not progressing as rapidly as we thought they should.

19 Well, that was the basis --

20 COMMISSIONER GILINSKY: Could you tell me why we  
21 went out with a Circular in the first place, because this  
22 followed our learning that in fact there had been unqualified  
23 equipment on reactors, didn't it?

24 MR. JORDAN: I believe that the thinking was that we  
25 had several bulletins that had hit specific issues, like limit

mm4  
1 switches or components, and that a Circular which described --  
2 requested the Licensees to examine the whole system, would  
3 suffice, and then our inspection program would followup on  
4 the Circular.

5 So I think it is simply that we have matured somewhat  
6 in the way we approach this.

7 COMMISSIONER BRADFORD: Well, wasn't the maturity  
8 helped by the fact that the response rate to the Circular wasn't  
9 all that good?

10 MR. JORDAN: That's correct.

11 COMMISSIONER AHEARNE: But I thought that you didn't  
12 have to have a response to a Circular.

13 MR. JORDAN: Response meaning what the Licensees  
14 did, not a written response.

15 COMMISSIONER BRADFORD: Let's see. So that not  
16 only did they not give you written responses, but they also didn't  
17 do enough?

18 MR. JORDAN: That's correct. And they were doing  
19 it at different rates. Since we didn't specify the rate, then  
20 Licensee X was taking it to heart and doing it fast, and  
21 Licensee Y was taking his time.

22 Okay. The objectives of the Bulletin.

23 Next slide.

24 (Slide)

25 We discussed it. They were to expedite the

1 Licensee review of the electrical equipment qualification.  
2 And now they require reporting on the part of the Licensee.

3 First of all, it caused them to promptly evaluate  
4 and report identification of unqualified equipment within  
5 24 hours of that identification, followed by written --

6 COMMISSIONER GILINSKY: Let me ask -- how do these  
7 Bulletins differ from previous Bulletins?

8 Were the previous ones specific with regard to certain  
9 kinds of equipment?

10 MR. JORDAN: Yes, we had two previous qualification-  
11 type Bulletins that were specific to like limit switches, a  
12 particular type of limit switch, a particular component.

13 And now this Bulletin we are saying, look at all  
14 of your components that are required to function in an  
15 accident environment and establish that they do have  
16 qualifications.

17 So it was much, much broader.

18 MR. SNYDER: Is it fair to say, Ed, that the  
19 timing on the circular now of May 31st -- in fact it does  
20 quote very strongly from the Commission's decision of April  
21 13th, you know a couple of weeks before, a month before in  
22 which it reflected that there was still an unsatisfactory  
23 pattern ongoing.

24 MR. JORDAN: Yes.

25 MR. SNYDER: A broader kind of thing rather than



mm6

1 specific and you quoted very heavily from the Commission's  
2 order in the Circular and the Bulletin which followed up on,  
3 just basically repeating the Circular, I think.

4 MR. JORDAN: That's correct.

5 Okay. So the Licensees were then required to  
6 include in this 24-hour, 14-day report, an evaluation of  
7 their basis for continued operation if they chose to continue  
8 operating with components they identified as unqualified.

9 Ed Butcher will describe in a little more detail  
10 later on the results of those reviews. Some 31 plants identified  
11 and reported on unqualified equipment as a result of that  
12 particular phase of the Bulletin. And this was distributed  
13 in time over the time from issuance of the Bulletin in February,  
14 until the recent past.

15 COMMISSIONER AHEARNE: The qualifications that you  
16 are holding them to are what?

17 MR. JORDAN: The qualifications are the FSAR  
18 requirements, the discussion in the FSAR about the accident  
19 environment.

20 COMMISSIONER AHEARNE: They don't refer specifically  
21 then to any IEEE standard?

22 MR. JORDAN: The later plants would, but the older  
23 plants would not.

24 COMMISSIONER AHEARNE: And the later plants would  
25 end up referring to which then?

mm7

1 MR. JORDAN: To the 1974 --

2 MR. STELLO: '71. The later operating plants in '71.

3 MR. JORDAN: Okay.

4 COMMISSIONER AHEARNE: And none of them really  
5 referred to '74, for example.

6 MR. STELLO: No.

7 COMMISSIONER BRADFORD: What would typical language  
8 be in the FSAR of a plant that was not committing itself to  
9 1971 standards, but was just making a more general commitment?

10 MR. JORDAN: Well there would be a statement in the  
11 FSAR as to the accident environment itself, the temperature in  
12 the containment. For instance we go to general radiation  
13 levels.

14 COMMISSIONER BRADFORD: So that might actually be  
15 more specific than would be involved simply in a commitment  
16 to meet the '71 standard?

17 MR. JORDAN: That would be plant specific and have  
18 less detail than the IEEE standard.

19 COMMISSIONER BRADFORD: What kind of detail does  
20 the IEEE standard have?

21 MR. JORDAN: I will let Ed answer that.

22 MR. BUTCHER: I think the question is, what would  
23 be in the FSAR for a plant that was not committed to the  
24 '71 version of the standard.

25 And what would be there would be a specification

mm8

1 of the environment inside containment, and the design basis  
2 of that temperature, pressure, radiation --

3 COMMISSIONER BRADFORD: That sounds more specific  
4 in fact than just the IEEE standard as of 1971.

5 MR. BUTCHER: In those plants that did reference  
6 the standard as a basis for licensing, that information would  
7 also be there. The LOCA environment would have to be specified  
8 in either case.

9 In the case of those plants that reference the standard,  
10 there would be a further statement that would say the equipment  
11 would be qualified to function in this environment in accordance  
12 with the provisions of the '71 version IEEE standard 323.

13 In the case of plants previous to the standards,  
14 what it would say would be qualified to function in this  
15 environment, without specifically specifying a standard.

16 MR. JORDAN: The next thing that the Bulletin  
17 required was a report in 120 days of the Bulletin on the  
18 documentation of the determination of qualifications of the  
19 components, all of the components that are subjected to an  
20 accident environment. And these responses were due June 15th.

21 The final objective of the Bulletin was to feed back  
22 generic issues of unqualified equipment to all Licensees,  
23 and we issued a revision to this Bulletin on June 4, which  
24 fed back to Licensees the specific problems with ASCO solenoid  
25 valves in which internal components had been found not to be

mm9

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

environmentally qualified for radiation or temperature  
resistance at certain plants.

And so, because these valves were rather widely  
used, we provided this additional information to Licensees  
that perhaps somehow had not become aware of this.

I just happen to have a couple of the components  
in my pocket.

Vince, if you would switch to the backup slide --

(Slide)

CR 5872

Mimi #2

url

1 This is the back-up side on the ASCO valves.

2 MR. JORDAN: Okay, the circle components, the  
3 disc holder and pins are what I have. And, for instance,  
4 for that particular valve, they have an acetal component  
5 that's in many of the valves and are not qualified, and those  
6 were replaced with a metal component that then causes that  
7 valve to be environmentally qualified.

8 So those are the two components that when exchanged  
9 makes the difference for the valve being environmental or  
10 not environmentally qualified.

11 COMMISSIONER AHEARNE: When you went on the  
12 6-4 supplemental, did you adjust the reporting date of 6-15?

13 MR. JORDAN: Yes. We did not change the reporting  
14 date, so we are bringing this material to the licensee's  
15 attention.

16 We also identified in it a problem -- possibly  
17 a problem with preventive maintenance with regard to aging  
18 the components.

19 The coil that's up in the box to the right, if  
20 energized according to the manufacturer, has a life of some  
21 four years, so we're going to bring it to the licensee's  
22 attention that these should be replaced periodically.

23 So I think one could say that that might  
24 constitute a success story for that component in that we have  
25 had no failures traced to that particular maintenance

1 or to that environmental situation, and we were able, through  
 2 the bulletin, to identify by the licensee identifying to us,  
 3 and then we transmittted to all the licensees.

4 May I have the next slide. Slide 3, please.

5 [Slide.]

6 The responsibility for action on the bulletin  
 7 responses agreed upon within the NRC Staff, so that I&E  
 8 performs the tasks on the left, and NRR on the right, and we  
 9 have, of course, a number of interfaces going through this  
 10 thing.

11 I&E performs the screening of the 120-day  
 12 reports. NRR reviews the 24-hour, 14-day --

13 COMMISSIONER GILINSKY: What are the conditions  
 14 for the 24-hour report?

15 MR. JORDAN: That the licensee identifies unqualified  
 16 components and that he is then reporting in accordance with  
 17 tech spec.

18 We brought this particular reporting requirement  
 19 to his attention --

20 COMMISSIONER GILINSKY: And NRR decides on the  
 21 level of seriousness, the safety significance --

22 MR. JORDAN: That's right.

23 COMMISSIONER GILINSKY: -- of that report.

24 MR. JORDAN: Yes.

25 COMMISSIONER GILINSKY: And that is reported on the

ck

1 120-day basis?

2 MR. JORDAN: 120-day basis, the licensee is  
3 reporting the sum total of his review, that is all of the  
4 components required to be qualified, the level they qualify,  
5 and on what basis they qualified.

6 COMMISSIONER AHEARNE: Are you going to discuss  
7 what kind of 24-hour reports were received?

8 MR. JORDAN: Yes. Ed will discuss those. So  
9 I&E screens the 120-day reports. We are in the process of  
10 doing that now. We will initiate action on the deficient  
11 reports. That is those that are incomplete, have other  
12 problems with them. On that basis we would consider  
13 enforcement action, if we find enforcement problems with the  
14 licensee, then we would subsequently conduct what we are  
15 calling an interim review.

16 This will be comparing the qualifications to the  
17 criteria that exist in the FSAR at this particular time.  
18 Then we would be conducting a final review based on guide-  
19 lines that NRR will develop.

20 COMMISSIONER AHEARNE: The NUREG that you mentioned  
21 there, you mean it would be mentioned in the NUREG?

22 MR. JORDAN: Yes, this is what we anticipate as  
23 being the publishing of the results of the interim review.  
24 So, in addition to feeding back to the licensees, we would  
25 publish a NUREG stating what the results were.

ar4

1 MR. SNYDER: Is that for each licensee?

2 MR. JORDAN: No.

3 MR. SNYDER: It's across the board on the subject?

4 MR. JORDAN: Yes.

5 COMMISSIONER GILINSKY: Now is the failure to  
6 have qualified equipment a violation of the license of  
7 regulation or commitment?

8 MR. JORDAN: Generally it's a failure to meet a  
9 commitment, to meet the FSAR requirement.

10 COMMISSIONER GILINSKY: And how do we regard that?

11 MR. JORDAN: If you recall, in the Cook instance,  
12 that was a material fault statement that was identified, and  
13 so that was the enforcement action taken on that particular  
14 issue.

15 There may be instances where the failure to have a  
16 qualified component is somewhat innocent -- maybe that's  
17 the wrong term to use, but it was inadvertent in the process,  
18 and we become smarter over a period of time.

19 COMMISSIONER BRADFORD: I gather that there's  
20 a much more specific than I thought commitment in the FSAR  
21 for all these plants that you have equipment qualified to a  
22 clearly specified environment; is that right?

23 MR. JORDAN: I think it's perhaps more implied  
24 than specific, because the criteria require that the plant  
25 be able to sustain an accident, and the FSAR describes the



ar5

1 accident requirement, so you just have to put those two  
2 together and assume all of the components required to  
3 function should meet that criteria.

4 COMMISSIONER AHEARNE: Are there explicit state-  
5 ments that lay that on as a requirement? I follow the  
6 implication --

7 MR. JORDAN: In some FSARS, there are. I wouldn't  
8 say that's the case of all. Let me just refer to Ed.

9 MR. BUTCHER: I think the types of equipment  
10 you find in the FSARS run the full spectrum. The sense of  
11 the commitment would be the component -- a component will be  
12 supplied that's capable of functioning in an accident  
13 requirement. That commitment could be implied or implicitly  
14 stated.

15 One way to imply it would be for the licensee to  
16 say that the plant is designed in conformance with general  
17 design criteria called a specific one, and certainly that  
18 would be an implied commitment to provide a qualified  
19 component.

20 COMMISSIONER AHEARNE: But you are saying that  
21 there is no standard commitment required that all components  
22 in the plant shall be qualified to function in the environment  
23 as specified in such-and-such?

24 MR. BUTCHER: I'll let Vic address that. He  
25 certainly has had more experience with FSARS than I have, but

ar6

1 I would say in many cases I have seen such implicit -- or  
2 specific commitments and others I have not, depending upon  
3 the age of the plant, the time of licensing, and the  
4 licensing process that existed at that time.

5 MR. STELLO: I think it's very difficult to try to  
6 describe in a sentence, or a paragraph, something that  
7 will cover all of the applications. Some cases have  
8 application because of the questions and answers, you are  
9 dealing with a very specific component -- (Inaudible.)

10 COMMISSIONER AHEARNE: Would you use your microphone,  
11 please.

12 MR. STELLO: A very specific component, where that  
13 particular component, test conditions for it are identified  
14 in quite a bit of detail. In some cases even the test  
15 procedures are part of the operation, and in some cases  
16 test reports.

17 So it covers a large spectrum of conditions.  
18 When they try to get it all inclusive, all components for  
19 all conditions, I think there it has described it as best as  
20 it can be. It covers a fairly complete spectrum. Up until  
21 the time you get into the standard. Well, the standard was  
22 available 3-23, 1971, for the equipment that was necessary  
23 for equipment there to meet that particular standard.  
24 And there the equipment, I think fairly -- you had a  
25 blanket statement to cover all safety equipment with one

ar7

1 standard, but prior to the standard it really is a large  
2 variety of ways that it's described.

3 COMMISSIONER AHEARNE: But after the standard --

4 MR. STELLO: After the standard it's comprehensive  
5 and inclusive.

6 COMMISSIONER BRADFORD: Except any vagaries in the  
7 standard itself would then be reflected in commitments to  
8 meet it.

9 MR. STELLO: That's true, to the extent they  
10 exist they clearly are there, yes.

11 COMMISSIONER BRADFORD: And the standard itself had  
12 enough problems with it that it was replaced within three  
13 years.

14 MR. STELLO: It clearly was replaced in three  
15 years. I'm not going to sit here and argue how much of an  
16 improvement at the matter, but there clearly are some new  
17 things that were added. Some of the largest issues that  
18 we're faced with in the reviews was the concept of aging, and  
19 that was a new concept introduced for the first time in the  
20 '74 standards.

21 COMMISSIONER BRADFORD: The '71 standard came into  
22 being and fairly quickly became referenced in Licensee commitments  
23 from '71 on. The '74 standard was in place for five years,  
24 which was longer than the '71 standard was ever in place,  
25 yet we still don't have any operating plants that reference

ar8

1 the '74 standard; is that right?

2 MR. STELLO: The '74 standard was adopted for  
3 reviews that were in the construction permit process.

4 MR. DENTON: I think it might be useful to have a  
5 member of that standards committee, who is here today, Mr. Ross  
6 Moore describe what led to the development of the '74  
7 standard and some of the reasons, perhaps, why it has not  
8 found full adoption to date.

9 MR. MOORE: I'm not sure I can remember with  
10 great specificity what happened in those days, but  
11 certainly the 1971 standard was -- the IEEE undertook that  
12 at the old AEC regulatory group's request because we found  
13 just such a variety of qualification methods. Right after  
14 the '71 came out, there was several issues that it didn't  
15 very well address, and one was aging, and that is being  
16 able to run a qualification test on a piece of equipment, but  
17 simulates a 40-year old piece of equipment.

18 Well, '74 went into that. That is still a very  
19 difficult problem.

20 COMMISSIONER AHEARNE: Went into it to the extent  
21 of requiring it -- not saying how it was going to be done?

22 MR. MOORE: That's correct. And there was a lot  
23 of opposition to including that in this standard when  
24 nobody really knew how to do accelerated aging tests on  
25 everything. But our feeling was that the best way to get

ar9

1 progress made was to put it in the standards so that people  
2 would have to start working on it, and I think that the  
3 results have shown that to be true.

4 As I remember one of the other differences  
5 between '71 and '74, I believe it clarified a little bit more  
6 the extent to which you could rely on analysis -- or a  
7 stronger requirement for testing versus analysis.

8 Those are, I believe, the typical areas between the  
9 two, '74 still -- certainly we would like to see more  
10 specificity than is in there now, and I know that what's  
11 we're working on in Staff to get more specific, and margins  
12 to account for a variation of the units off the assembly  
13 line, conditions -- the adequacy of the simulation of the  
14 accident environment, so that there was a requirement for  
15 margin.

16 COMMISSIONER AHEARNE: I don't understand what you  
17 mean by margins.

18 MR. MOORE: Oh, I'm sorry. It's a requirement  
19 that you test out a temperature higher than you expect in  
20 the accident environment pressure or for a longer period than  
21 you expect the device to have to operate.

22 MR. SNYDER: Does that include, Ross, the  
23 question of double LOCA peak testing in the '74 standard  
24 versus the single peak in the -- is that typical of the  
25 kind of margin you're talking about?

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. MOORE: Right. The envelop --

MR. SNYDER: But you hit it twice, when in fact if there was an accident of that sort, you'd never see the second one; is that correct?

MR. MOORE: Right. It covers a possible error in predicting the accident environment of simulating it in the test, of variations between units off assembly lines. That's what it's aimed for.

It's not very rigorously derived, but the idea is to go well beyond what you think it will have to meet.

COMMISSIONER GILINSKY: Thank you.

end 2

533 022

1 COMMISSIONER AHEARNE: I'm not sure if this question  
2 is for Ross, but do we then now require the '74 standard to be  
3 met for plants that are now under construction?

4 MR. MOORE: We have a date for CPs. What is the  
5 cutoff date for '74, somebody who is closer to it than I am?

6 There is a date established for CPs: beyond that  
7 date, required to meet the '74 standards; prior to that, the  
8 1971 --

9 COMMISSIONER AHEARNE: Aren't we already in that date?  
10 Are there any plants left that are now being held to '74  
11 standards?

12 MR. MOORE: No, not in the operating license.

13 COMMISSIONER AHEARNE: For construction?

14 MR. MOORE: Aren't they required to -- the new CPs  
15 should -- construction permits are making commitments to meet  
16 it.

17 COMMISSIONER AHEARNE: To meet it.

18 MR. MOORE: Right.

19 COMMISSIONER AHEARNE: Okay.

20 MR. DENTON: I think I can help on that a bit. We  
21 put Comanche Peak as somehow the plant that would meet the  
22 '74 standard. I think within the staff there are serious  
23 doubts as to whether the '74 standard can be met literally.

24 COMMISSIONER AHEARNE: That was my next question.

25 MR. DENTON: A lot depends on how you interpret the

mte 2

1 standard, what you think the standard means, and I think that's  
2 why the staff has had so much difficulty with this issue, is  
3 taking those words in the standard and how do you translate  
4 those into tests. I see the standard as intended to envelop  
5 all pieces of equipment regardless of the time it had to  
6 operate.

7 In order to simplify the process, we have ended up  
8 going back and looking piece by piece at equipment, how long  
9 it had to actually operate and what it's environment was. We  
10 have not really achieved any efficiency from the standard in  
11 that sense yet.

12 MR. JORDAN: The status of the responses from the  
13 licensees, the 120-day responses, I guess, are that the 57  
14 plants that are covered by this bulletin have responded. The  
15 11 SEP plants are excepted. They are further along in the  
16 review of environmental qualification than the bulletin  
17 requires. Also, Indian Point 1 and Humboldt Bay were excepted  
18 since they are operational at this time.

19 The adequacy of the responses are being screened, and  
20 the responses from our viewpoint, in a preliminary fashion,  
21 range from what we feel is very thorough to poor. And we will  
22 be contacting licensees. We have contacted some licensees  
23 already, requesting additional information necessary for us  
24 to perform our review.

25 COMMISSIONER BRADFORD: What would a poor response --



1 what would the characteristics be that would make it poor?

2 MR. JORDAN: In not providing the information that  
3 was requested. We requested a very extensive listing of  
4 components and the environment to which they are subjected and  
5 the manner of their qualification. And some licensees have  
6 made what I would say are blanket statements that don't give  
7 us the information we need in order to evaluate adequacy.

8 COMMISSIONER BRADFORD: So if a licensee listed a  
9 particular component and then decides what's qualified by  
10 analysis, is that sufficient?

11 MR. JORDAN: That's going to be the basis of our  
12 review, so that we can correlate across the 57 plants. For  
13 instance, if we have a specific component that another licensee  
14 has qualified that particular component by test, then perhaps  
15 we can determine adequacy and be able to feed that information  
16 back to the licensee.

17 So we're going to have a very large matrix of  
18 information.

19 COMMISSIONER BRADFORD: But will you ever actually  
20 check either the analytical methods of the tests that lie  
21 behind the assertions that they qualify?

22 MR. JORDAN: We may. We're not far enough into it  
23 to say at this point.

24 The inspection process intent is to determine the  
25 validity of the licensee's assertions in his bulletin response.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

COMMISSIONER BRADFORD: How long would a typical bulletin response be? How many items are covered? How many pages?

MR. JORDAN: Hundreds of items, and the responses are ranging to a half an inch thick. So a proper response is a quite lengthy document.

May I have the next slide, please.

(Slide.)

After the screening that we were just discussing, we are going to conduct the interim review, and this is being performed by a task group consisting of IE headquarters, IE regional and NRR personnel. And the object there is to provide the widest possible perspective and to ensure consistent review of all licensees.

This process will facilitate verification in questionable areas by inspection. And I believe if we encounter, for instance, problems with a component that was stated by the licensee to be qualified by analysis, through our experience that we didn't feel was correct, then certainly we would review that in more detail.

So there is going to be judgment involved in these.

The final reviews, once the final acceptance criteria and guidelines are generated, will be performed by the same task group. So that this will be a relatively long-life task group. This is a very large effort. We anticipate

1 several man-years of work will be required to complete the  
2 reviews. And as far as the schedule, projection is that the  
3 final review will be completed by March of next year. The  
4 interim review will be completed by September. And we plan  
5 to try to resolve the open issues by June 1980, by one year  
6 from now.

7 At this point Ed Butcher will discuss the results  
8 of the review of the licensees' 24-hour notifications and  
9 development of guidelines for our final review.

10 MR. BUTCHER: Could I have the next slide, please?

11 (Slide.)

12 To date, in connection with the 24-hour reporting  
13 requirement on bulletins, we have received reports of five  
14 different types of components. These reports are significant  
15 in that they are different from those components where the  
16 question is one of adequately documenting its qualification.  
17 In the case of these components, the licensee has declared  
18 that he has reason to believe that these components are not  
19 suitable for function that they are to perform in the LOCA  
20 environment.

21 Specifically, the components are NAMCO stem-mounted  
22 limits, which are the limits we have identified in the  
23 bulletins, and the licensees in turn reported them where they  
24 have them, in accordance with the 24-hour requirement. There  
25 have been some containment isolation valve operators reported,

1 three plants at one station.

2 COMMISSIONER GILINSKY: What is a valve operator?

3 MR. BUTCHER: Excuse me, I didn't hear you.

4 COMMISSIONER GILINSKY: What is that component?

5 What is a valve operator?

6 MR. BUTCHER: In this case, I believe it was an  
7 electric valve, a motor to drive the actual valve disk.

8 There has been two plants at one station that  
9 reported an insulated instrument control cable terminal lugs  
10 where they had some insulation on the --

11 COMMISSIONER GILINSKY: What kind of isolation valves  
12 are these? Are these the large purge valves?

13 MR. BUTCHER: These particular valves, my recollection  
14 is that they were drain valves. They weren't large purge  
15 valves. They were process type valves.

16 In two plants at one three-unit station, aluminum  
17 limit switch housings on containment isolation valves were  
18 found which were subject to degradation in the chemical sprays.  
19 And the ASCO pilot solenoid valves which we spoke about  
20 earlier were also discovered, at ten plants and seven stations.

21 May I have the next slide, please?

22 (Slide.)

23 In summary, there have been 31 plants at 19 stations,  
24 operated by 13 different utilities, that have reported  
25 unqualified equipment.

1           COMMISSIONER BRADFORD: In how many cases is that  
2 unqualified equipment equipment that was called to their  
3 attention by NRC as being unqualified?

4           MR. BUTCHER: The only one -- I believe the limit  
5 switches were the only ones that were called to their  
6 attention by the NRC. Now, after the first ASCO solenoid  
7 valve problem was reported to us by one utility, it would be  
8 immediately turned around and reported to others, and it was  
9 disseminated throughout the industry by word of mouth and by the  
10 manufacturer, and they began to come in.

11           So I guess you might consider that one kind of --  
12 oh, yes, the 14 and 10 plants. In all cases, the licensees  
13 have agreed to replace the equipment where a safety-related  
14 function was involved.

15           COMMISSIONER AHEARNE: Now, I notice that you have  
16 your 31 plants, you add up all these 31. So I conclude that  
17 no one plant had two of these things?

18           MR. BUTCHER: No. In some cases there were plants  
19 that had more than one of these items.

20           COMMISSIONER AHEARNE: Well, is it then that there  
21 are more plants than are listed on this slide, or is it the  
22 31 that's the wrong number?

23           MR. BUTCHER: There are 31 plants that have reported  
24 unqualified equipment. In some cases, they have reported more  
25 than one type of unqualified equipment.

1 MR. EISENHUT: Steve, the numbers don't add up  
2 correctly.

3 COMMISSIONER GILINSKY: What you're saying is, it's  
4 less than 31 plants.

5 COMMISSIONER AHEARNE: It's either less than 31  
6 plants or there are more numbers here.

7 MR. EISENHUT: We'll get you the actual numbers.  
8 I assume the slide before was more accurate. It certainly  
9 delineates the right numbers.

10 COMMISSIONER GILINSKY: Let me ask you how you would  
11 handle a situation where there is unqualified equipment. Say  
12 the licensees have agreed to replace equipment. What happens?  
13 Do you order them to do that or what?

14 MR. BUTCHER: So far, it hasn't been necessary to  
15 do that. With the 24-hour report, the licensee is also  
16 required to report his proposed action to correct the problem  
17 and his basis for continued operation, if in fact he doesn't  
18 elect to shut down immediately and replace it.

19 COMMISSIONER GILINSKY: So he tells you how fast he's  
20 going to replace that piece of equipment?

21 MR. BUTCHER: That's correct, and he tells us why  
22 that doesn't represent a hazard to the health and safety of the  
23 public if he proposes to continue to operate that plant during  
24 that period.

25 COMMISSIONER AHEARNE: And this is what NRR is

1 reviewing?

2 MR. BUTCHER: That's correct.

3 COMMISSIONER AHEARNE: Now, in each of those cases  
4 he has to respond in 24 hours. Does NRR have a similar window  
5 in which they reach a judgment as to whether or not to accept  
6 that?

7 MR. BUTCHER: I would say that our response -- we  
8 are aware of it, we immediately examine it and make a judgment  
9 as to the significance, and that's done immediately, say within  
10 the hour of one receiving or one or the other individuals  
11 working on it. At that point we may make a judgment that there is  
12 not enough here to determine how significant it is, so we  
13 immediately contact the licensee. I would say within 24 hours  
14 we make a pretty firm judgment in our own minds as to how  
15 significant it is.

16 Again, all we're doing is auditing his process,  
17 because he has already made this judgment.

18 COMMISSIONER AHEARNE: But it's not his responsibility  
19 to determine whether it's adequate to protect the health and  
20 safety.

21 MR. BUTCHER: Ultimate judgment, I suspect it's  
22 up to us to verify his judgment. But he has the first respon-  
23 sibility.

24 COMMISSIONER AHEARNE: Now how many times did you  
25 agree with -- I guess what I'm trying to get at is, were there

1 any cases in which he identified a piece of equipment, you  
2 guys thought that's really serious and you disagreed with his --

3 MR. BUTCHER: In some cases we -- we have yet to  
4 disagree with his judgment that the plant can be operated  
5 safely. In some cases we disagreed with the extent of his  
6 actions to be taken in the interim. Then we suggested he  
7 should take some other actions, and we furthermore strongly  
8 suggested if he didn't then we would have to take some appro-  
9 priate action to see that he did.

10 And in all cases we were able to very shortly  
11 implement what we felt was necessary.

12 MR. EISENHUT: I think another reason for these is  
13 most of these -- it turns out most of the items we saw in the  
14 previous chart were rather insignificant. That is, there was  
15 something pretty straightforward to do. If a valve has a  
16 problem where you're not sure that the valves are closed  
17 during an accident environment, you can close it ahead of time  
18 and lock it shut.

19 There were, of course, a number of events over the  
20 last year or so on environmental qualification issues where  
21 we have taken action where we have had a difference of opinion,  
22 starting, I believe with the Cook situation. So there has  
23 been a number, both in connectors -- there's been some on  
24 terminal blocks. So those, I think, are the examples where  
25 there were ones where there's been a difference of agreement



1 between us and the licensee on these. They've been rather  
2 straightforward.

3 So in all of these cases I think we agreed eventually,  
4 after some discussion with the licensee.

5 MR. BUTCHER: On this slide is summarized the  
6 general factors that went into the licensee's determination  
7 and our subsequent evaluations. And in all cases, it was some  
8 combination of these factors, more than one, that led to the  
9 determination that there was a basis for continued operation.

10 If there are no further questions, I will go to the  
11 next slide.

12 (Slide.)

13 The other major activity that NRR has in connection  
14 with response to the bulletins has been to develop the guide-  
15 lines which IE will use in the final reviews of the 120-day  
16 responses.. These guidelines will be developed by the Division  
17 of Operating Reactors in NRR. In conjunction with our  
18 preliminary review, we will undertake a review in parallel and  
19 in concert with I&E of a few selected 120-day responses, and  
20 we will continue with the reviews of the SEP information,  
21 which is very similar in nature to that which we requested in  
22 the 79-01 bulletin.

23 And from these reviews we will develop a set of  
24 guidelines which will identify acceptable methods of qualifica-  
25 tion for plants of this particular vintage, with these

1 particular applications. These general guidelines will be  
2 established with particular emphasis on the following -- the  
3 aspects that we have listed here of IEEE 323 1974. It is not  
4 our intent to attempt to backfit per se the standard. It is  
5 our intent to look at the standard as kind of a benchmark in  
6 establishing the criteria, and where we feel it is not necessary  
7 to come to the letter of the standard, the 1974 version, we  
8 will establish a basis for not having to come to the letter of  
9 that standard.

10 In many cases, it may be impractical or not  
11 desirable to implement the letter of that standard on an  
12 operating reactor.

13 COMMISSIONER AHEARNE: Such as in aging we don't  
14 run --

15 MR. BUTCHER: Aging is probably a fairly good  
16 example, because in our reviews what we will be able to do  
17 with aging is we'll probably be able to identify some particu-  
18 lar components that we will require aging. In fact, we have  
19 already identified one, the ASCO solenoid valve. We have  
20 already established a qualified life for that. And components  
21 of materials of a nature similar to that, where we have iden-  
22 tified those materials as subject to aging degradation, we  
23 can establish that as a requirement.

24 COMMISSIONER BRADFORD: When you say "a qualified  
25 life," am I right in understanding that means it's qualified

1 for a period of time, but then it will have to be tested again  
2 before it can be used any longer than that?

3 MR. BUTCHER: It's qualified such that if a LOCA  
4 were to occur at the end of its qualified life, the component  
5 would still perform in its LOCA environment.

6 COMMISSIONER BRADFORD: If that period were five years,  
7 what would the licensee have to do at the end of five years?

8 MR. BUTCHER: He'd have to perform maintenance to replace  
9 the component. In this case, it would be to replace that  
10 particular internal, if that were the thing; or some other  
11 mitigating action, place it in an enclosure so it won't see  
12 the LOCA environment, something to mitigate the aging problem.

13 I think that's about all we have.

14 COMMISSIONER AHEARNE: On this list of 24 items,  
15 are there any that NRR viewed as being serious?

16 MR. BUTCHER: I think we view the ASCO solenoid  
17 problem as being probably the most significant, in that its  
18 failure mode was a bit tricky. It was difficult to establish  
19 a fail-safe mode. It was difficult to predict which way it  
20 would fail, and therefore that was significant to us. In the  
21 case of the ASCO solenoid valve, there was a whole spectrum  
22 of things that we made the licensees do in order to satisfy  
23 us that they were acceptable.

24 The factors that I have listed here that would  
25 form a basis for continued operation of all those components,

1 we looked at. The ASCO solenoid valves -- I see here in front  
2 of me, it looks like four of those valves played a role in  
3 that decision. So we piled layer upon layer.

4 COMMISSIONER AHEARNE: As far as equipment, those  
5 are the ones on that list that you viewed as being most serious?

6 MR. BUTCHER: Yes, that's correct. It took us the  
7 longest to resolve that one. I won't say that decision was  
8 hard and firm made as easily as the others.

9 COMMISSIONER GILINSKY: I wonder if you can give us  
10 some indication or at least your impression of why there was  
11 equipment out there that isn't -- wasn't qualified? Is it a  
12 failure of quality assurance? Is it lack of attention, or a  
13 failure to understand the requirements, or our not having  
14 stated the requirements precisely?

15 MR. BUTCHER: I think I probably could give you an  
16 example of each one of those, and I suspect all the other  
17 members of the staff here could also cite examples that would  
18 be -- would say that each one of those is a factor. I don't  
19 think I could point to one specific thing that occurred in  
20 every case.

21 Certainly a heightened awareness of the qualification  
22 problem brings these things to our attention in recent years.  
23 I would have to say that perhaps there could have been a QA --  
24 I don't want to use the word "breakdown," but let's just say  
25 at the small individual component level, in the early days of

1 the industry, I think perhaps it was easy to forget those kinds  
 2 of things. There are hundreds of them in the plant and it's  
 3 quite possible that one could have been left out in the design  
 4 specification.

5 COMMISSIONER BRADFORD: Is there a pattern in the  
 6 answers you actually got that in fact indicates the problems  
 7 tend to be greater in the earlier plants, the 11 earliest,  
 8 because they would have responded in this context?

9 MR. BUTCHER: I couldn't answer that question. I  
 10 haven't analyzed the data.

11 There is one aspect that we probably ought not to  
 12 overlook, and that is in the case of the limit switches. It's  
 13 only been in recent years that we have come to recognize the  
 14 importance of post-accident monitoring and things like that,  
 15 at least in the level of detail that we have gone into in  
 16 recent years. And therefore it is not surprising that you would  
 17 find a thing like a limit switch, that provides position  
 18 indication, not having been given a great deal of consideration  
 19 when they were qualifying equipment in the earliest plants.  
 20 I think that accounts for 14 of these different cases, whatever  
 21 is wrong with my arithmetic.

22 (At 2:20 p.m., Chairman Hendrie entered the room.)

23 COMMISSIONER BRADFORD: Did you get responses from  
 24 all the plants?

25 MR. BUTCHER: Yes, there have been responses, at

1 | least 120-day responses. They have at least responded to the  
2 | bulletin. The question of adequacy, I think I can't speak to  
3 | that.

4 |           COMMISSIONER BRADFORD: Well, in cases where the  
5 | responses were inadequate, have they been notified that they  
6 | have more to do and been given a schedule to do it?

7 |           MR. JORDAN: That is what we are doing now with the  
8 | screening. Some of the licensees have been notified, that  
9 | where there was an obvious problem. And we are continuing to  
10 | notify the rest of them. We have a task group meeting tomorrow  
11 | to continue screening. We do it on a regional basis.

12 |           COMMISSIONER BRADFORD: Is there an overall staff  
13 | view on the feasibility and wisdom of taking enforcement action  
14 | against a licensee who has unqualified equipment? Can it be  
15 | done, and if so, should it be done?

16 |           MR. JORDAN: This is on the general case where,  
17 | let's say, the 31 licensees that reported having unqualified  
18 | equipment? Is that the example you are proposing?

19 |           COMMISSIONER BRADFORD: Well, that's a good starting  
20 | place.

21 |           First of all, does the current regulatory structure  
22 | give a basis for action of that sort? Are the FSAR commitments  
23 | clear enough? Is the '71 standard clear enough to enforce  
24 | anything against anyone? And following that, if the answer  
25 | is yes, should we be taking actions of that sort?

1 MR. JORDAN: Well, the later plants that do indeed  
2 have the equivalent of the '71 standard, the answer is yes.  
3 And as far as our plans for some action, that's part of the  
4 review process. We will look at that aspect of it. That's  
5 not foremost in our review process.

6 Foremost is verifying that the components are  
7 qualified.

8 COMMISSIONER BRADFORD: But the issue isn't really  
9 a new one at this point. It's been what, 18 months since the  
10 D.C. Cook connectors --

11 MR. JORDAN: That's right, and that one was a  
12 relatively clear case.

13 MR. SNYDER: You found there that you had no grounds  
14 for strong enforcement action, right, as I recall, at Cook?

15 MR. MOSELEY: In that case we did take the enforce-  
16 ment action.

17 MR. SNYDER: I'm sorry, excuse me.

18 MR. MOSELEY: The response that we have to give is  
19 that it varies by licensee, and we will have to look at them  
20 almost on a case by case basis.

21 COMMISSIONER BRADFORD: Let's see. Can I ask that  
22 one of the things that you do be to try to bring that situation  
23 to an end. Obviously, it is not acceptable to be able to  
24 take enforcement action against a licensee in one place for  
25 a set of events that you couldn't enforce against another

1 licensee in another place.

2 MR. MOSELEY: But we can't retroactively place  
3 requirements that did not exist, either.

4 COMMISSIONER BRADFORD: I understand that, but I  
5 think we would want to have the regulatory framework be such  
6 that regulations, at least as to the future, can be enforced  
7 formally in this area.

8 MR. MOSELEY: Yes, sir. I think we have that. I  
9 think the early answer is certainly true, but for the newer  
10 plants these things are much more uniform and standard, and  
11 we would have a better basis --

12 COMMISSIONER BRADFORD: My point is that if a LOCA  
13 occurred, it isn't going to worry about whether it's occurring  
14 in an older plant or a newer plant, and we've got to have a  
15 way of making sure the equipment is qualified in the oldest  
16 plant as well as the newest.

17 MR. MOSELEY: Yes, sir.

18 COMMISSIONER BRADFORD: It just doesn't make sense  
19 to me to say that we have no way to enforce the requirement  
20 for qualified equipment in an old plant --

21 MR. MOSELEY: I think we are not communicating. I  
22 was talking about enforcement in terms of saying, what are you  
23 going to do, why did you let this happen, and so on. The  
24 bulletin itself is going to result in having qualified  
25 equipment, no question about it.



1 COMMISSIONER BRADFORD: Okay.

2 MR. STELLO: Let there be no question, we are going  
3 to establish that all plants have qualified equipment. Given  
4 that that purpose is accomplished, in the process of accomplish-  
5 ing it you can ask the question whether or not there needs to  
6 be an enforcement action against a particular licensee for  
7 something that's flagrantly omitted, not done. And I think  
8 that has to be done based on the license conditions that were  
9 issued with the plant when it was licensed, and it will have  
10 to be in that context to decide.

11 I don't believe it's appropriate to try to take an  
12 enforcement action for a plant that is very old that doesn't  
13 have clear language as to what was required using today's  
14 views. But I think it is appropriate to make them all meet  
15 the safety requirements, irrespective of time of licensing.

16 COMMISSIONER BRADFORD: Yes, I think I would agree  
17 with that. But what I understand you to have said is that  
18 the bulletin will, in effect, sweep aside the situation as it  
19 exists now, which is that the different commitments in different  
20 FSARs, depending on the time, depending on whether or not they  
21 reference the '71 standards, makes uniform enforcement  
22 difficult, if not impossible, as of today.

23 MR. STELLO: Uniform enforcement to me is a concept  
24 where you enforce the license requirements that were imposed  
25 on the particular licensee and do that uniformly, recognizing  
that the license requirements do indeed vary.

1 COMMISSIONER AHEARNE: I thought I understood it. Now  
2 I don't.

3 (Laughter.)

4 COMMISSIONER BRADFORD: I think I understand it, but  
5 don't like it.

6 (Laughter.)

7 COMMISSIONER AHEARNE: Let me see. I would like to  
8 separate -- I am not asking about penalties against someone, so  
9 if that is what you mean by enforcement action, that's not the  
10 question I am asking. So, you might ask a question: Can you  
11 take enforcement action? And the question really would be: Can  
12 you exact a penalty against someone? That's not my issue.

13 The question, though, is: Can you require all of the  
14 plants, independent of what level of commitment they might have,  
15 whether it is pre-71 standard or '71 standard, can you recall all  
16 the plants to meet some uniform level of qualification of equip-  
17 ment?

18 MR. STELLO: Yes. Now, enforcement, though, covers a  
19 different spectrum of things, up to and including civil penalties.  
20 The way in which you apply that obviously needs to depend --

21 COMMISSIONER AHEARNE: Right. That wasn't my question.  
22 So that you will be requiring the equipment in all of the plants  
23 to meet some minimum standard of operability in the environment  
24 that the plant might be expected to be in in an accident?

25 MR. STELLO: Yes. I thought that was the purpose of

1 Ed's last slide. You might want to put that up again.

2 COMMISSIONER AHEARNE: That's what I thought I under-  
3 stood.

4 (Slide.)

5 MR. STELLO: That's the purpose, as I understood it,  
6 of your last slide, Ed.

7 MR. BUTCHER: The second statement there is: "We  
8 attempted to find the criteria upon which they would be measured."

9 COMMISSIONER AHEARNE: That would be independent of  
10 which plant and when.

11 MR. BUTCHER: Right. And there may in some cases be  
12 some enforcement necessary to bring them up to that level.

13 COMMISSIONER AHEARNE: That's what I thought I under-  
14 stood.

15 MR. JORDAN: That's why we have the interim review and  
16 then the final review, because in a short time frame --

17 COMMISSIONER AHEARNE: Okay.

18 MR. STELLO: Everybody understand it?

19 COMMISSIONER BRADFORD: That's what I understood, as  
20 well. But that looks entirely to the future. We still are in  
21 the situation at present in which it is based on the one that  
22 Vic has described: Consistent enforcement consists of enforcing  
23 inconsistent conditions or inconsistent amendments by different  
24 licensess.

25 COMMISSIONER AHEARNE: Is your point, Peter, as to when

1 will the equipment in the older plants be qualified?

2 COMMISSIONER BRADFORD: That's the next question.

3 I was talking earlier about enforcement action, includ-  
4 ing civil penalties or whatever, in the context of the regula-  
5 tory framework that we have now. And it sounded -- I was think-  
6 ing it would be very difficult to be doing uniformly, and that  
7 hasn't changed. What

8 What about that next question, as to that last slide?  
9 When do you see that program being completed?

10 MR. BUTCHER: We have set a goal of September for  
11 completing the guidelines, and that's not to be a simple task,  
12 it's not to be taken lightly, because we do anticipate there  
13 could be some backfitting involved in that.

14 COMMISSIONER AHEARNE: That's quite likely.

15 MR. BUTCHER: I would say it's quite likely.

16 COMMISSIONER AHEARNE: If there would be backfitting  
17 required, wouldn't that sort of make it more important to get  
18 it done as soon as possible?

19 MR. BUTCHER: We regard September as as early as pos-  
20 sible to do the kind of adequate job we believe is necessary.

21 COMMISSIONER AHEARNE: But you wouldn't want to let it  
22 slip beyond that.

23 MR. BUTCHER: I would say next September; the following  
24 September would probably be too long. I agree with you. That's  
25 the conclusion we have come to also.

1 COMMISSIONER BRADFORD: And then there's a period  
2 beyond September which would be required actually to bring the  
3 plants into compliance with whatever you've done?

4 MR. BUTCHER: That's correct.

5 COMMISSIONER BRADFORD: You propose to be specifying  
6 that time, whatever it was, after September?

7 MR. JORDAN: I estimate that time as being March of  
8 1980 that we would complete the final review process against  
9 this criteria for all those 57 plants, and then by June of next  
10 year we would have resolved the issues that were developed by  
11 imposing that review.

12 (Commissioner Kennedy arrived at 2:32 p.m.)

13 COMMISSIONER BRADFORD: In reviewing responses now,  
14 does the '74 standards play any role in your method of review  
15 to be used informally?

16 MR. BUTCHER: In reviewing the responses to date?

17 COMMISSIONER BRADFORD: Yes.

18 MR. BUTCHER: To date, we didn't make judgments as to  
19 the likelihood of the component failing in its environment. We  
20 concluded that it -- the probability was that it would fail.  
21 Now, what is the consequence of its failing. So, really, there  
22 was no need to apply a standard to determine whether it would  
23 fail or not fail.

24 Maybe I didn't understand the question. In review-  
25 ing the 24-hour responses, we weren't making a judgment as to

1 whether the qualification of the equipment reported in the 24  
2 hours was adequate or not. The licensee declared that he  
3 believed it was not qualified.

4 COMMISSIONER BRADFORD: The question I had in mind:  
5 When you get a response, you have different people working, meet-  
6 ing different responses. They have the licensee's commitments  
7 in front of them; they have the 1971 standards.

8 COMMISSIONER AHEARNE: Are you talking about the  
9 24-hour or 120 days?

10 COMMISSIONER BRADFORD: 120 days. And they have to  
11 make some kind of a judgment as to whether or not these responses  
12 are adequate or not and the equipment is qualified.

13 Now, there isn't necessarily a lot of the '71  
14 standards to go by, and, in some cases, at least, there isn't  
15 very much in the FSAR. What are they using, then, in the situa-  
16 tion in which different reviewers come to different conclusions  
17 on similar information?

18 MR. JORDAN: I think I can answer that. The review  
19 is being done by a task group so that they're going to be hold-  
20 ing hands essentially and doing the review, and the interim  
21 portion of the review is where there will be differences because  
22 they will be using as criteria the licensee's commitments and  
23 the accident environment for that particular plant. And it will  
24 be the final review that this is, you know, all brought together  
25 and the influence of the 1974 standards will be in the criteria

1 for that review. So, there are two parts.

2 COMMISSIONER AHEARNE: Peter, may I?

3 COMMISSIONER BRADFORD: Certainly.

4 COMMISSIONER AHEARNE: More in the sense of clarifi-  
5 cation, in the process you will end up, I guess, finding that  
6 there -- or you have already found -- the 24 hours were those  
7 where the licensee felt the equipment wasn't qualified.

8 MR. BUTCHER: The licensee or his supplier.

9 (Commissioner Gilinsky leaves room at 2:35 p.m.)

10 COMMISSIONER AHEARNE: And the 120 days, possibly  
11 you might find some other components which you conclude where  
12 the licensee didn't, but NRC may conclude, that they aren't  
13 qualified.

14 Now, to some extent, that means the plants are, and  
15 I don't know what the right term is -- out of compliance with  
16 the tech specs or whatever requirements are laid on. Now, does  
17 that require a formal waiver from the director of NRR or the  
18 director of I&E in order for the plant to continue to operate?

19 MR. STELLO: Let me try to answer your question. I  
20 think, if it follows classically, as most reviews do, you look  
21 at something and the licensee thinks it's okay. You argue that  
22 you don't think it's okay. Then the natural thing is to try to  
23 find out a way to resolve it, which means you may have to run a  
24 test which, hopefully, both parties agree to, this is the test  
25 to run. And if it does indeed turn out okay, we both accept it.

1 If it doesn't turn out okay, something needs to be done depend-  
2 ing on the components, such as the examples before you. Then  
3 you decide what the right course of action might be. If it can  
4 be something where you can lock a valve closed or whatever, it  
5 may allow the time to go in and replace the component. If not,  
6 then you may have to go ahead and replace the component reasonably  
7 quickly.

8 As far as whether or not you need to cover at that  
9 point you might have to order them to change it if there's disa-  
10 greement. If he says "No," then you're faced with the need to  
11 order them.

12 COMMISSIONER AHEARNE: But the situation -- I think  
13 what I am at least concluding you are saying is that this doesn't  
14 fall into the category of items which flip a switch and that  
15 switch being either the plant has to automatically because of  
16 the legal requirements shut down, or that some one of the direc-  
17 tors has to have a waiver to stay up.

18 MR. STELLO: You could give it a waiver, if that were  
19 appropriate. I think where I would see most of the issues come,  
20 they come to the point where a licensee thinks it's okay, he has  
21 done something he thinks justifies the qualification of the com-  
22 ponent, and there is going to be a difference in view.

23 If we feel strongly enough, then we have the tools to  
24 take the action we need to require him to do something.

25 COMMISSIONER AHEARNE: I was wondering more of a



1 different situation: You both agree this is something that  
2 must be changed, and the licensee wants to have it continue to  
3 operate. Is there a situation where, in order for that to  
4 happen, there has to be a formal waiver given?

5 MR. STELLO: You could give an exemption to it, if  
6 that's what's appropriate.

7 CHAIRMAN HENDRIE: I think the answer must be, John,  
8 that it certainly is within the realm of possibility that those  
9 circumstances could arise. It may not occur in a great many  
10 cases, or it might not even occur in any. But I think it would  
11 be very hard to say, "No, no, that's just not a configuration  
12 which can possibly arise. "

13 COMMISSIONER BRADFORD: When you described this  
14 earlier as an audit type of review, which it clearly is, but  
15 let me get a feel for the scope of the audit, you will have 57  
16 half-inch thick responses to deal with. A lot of things can  
17 be qualified by analysis and some qualified by testing.

18 Have you any feel for what percentage, if any, of  
19 those analyses and tests you are going to be able to verify  
20 yourselves?

21 MR. JORDAN: What we were asking for was the for the  
22 licensee to provide the documentation for his position of the  
23 qualification so that we have through the Circular 78-08 the  
24 inspection program verified some of those documents already.

25 COMMISSIONER BRADFORD: It's not so much the

1 documents. What I am curious about is actually do we need  
2 somewhere in the research program we have asked for before a  
3 testing program of our so that we indicate we could do some of  
4 these tests ourselves?

5 MR. JORDAN: Yes. And, of course, on connectors, we  
6 did some tests ourselves.

7 COMMISSIONER AHEARNE: We have been attempting --  
8 (INAUDIBLE) --

9 (Laughter.)

10 MR. JORDAN: We'd be in a better position, I think,  
11 to identify additional tests that we ought to be doing inde-  
12 pendently after reviewing these packages. I don't know at  
13 this point.

14 MR. SNYDER: That's still an open item, I think, on  
15 the list for the April Commission decision.

16 MR. STELLO: Yes.

17 MR. EISENHUT: That's still an open item. I think  
18 the response will be coming up shortly. It may entail sort of  
19 a combination; it may entail, after we go through these reviews,  
20 we may come down and say certain of the items should be tested,  
21 and we may go out to an existing lab and suggest that we inde-  
22 pendently test certain typical components in addition to the  
23 Sandia approach that Research is doing.

24 We may also, you will see in this proposal coming  
25 forth, we certainly have several alternatives or options in it.

1 One of the options would be having our own testing facility  
2 where we test a large number of them.

3 I think these reviews will help give us an input into  
4 where we really want to go for that kind of testing program.

5 COMMISSIONER BRADFORD: At the moment, what you get  
6 would be something that's qualified by testing, you would learn  
7 the data of the test and where it had been done?

8 MR. STELLO: Typically, there would be a test report  
9 documenting the results

10 COMMISSIONER BRADFORD: And might the tests have  
11 also been done by the licensee?

12 MR. STELLO: I know, in some cases they have been,  
13 and in other cases they have been in labs.

14 COMMISSIONER BRADFORD: It sounds like a situation  
15 that cries out for some mechanism for independent verification.

16 MR. STELLO: The whole question of independent  
17 verification is a very difficult one of how much of that you do  
18 do, talk about environmental qualification --

19 COMMISSIONER BRADFORD: The first step we have to get  
20 over is the decision to do some.

21 COMMISSIONER KENNEDY: Is it not true we are doing  
22 some?

23 MR. STELLO: We have done the first -- or attempting,  
24 as Commissioner Ahearne says; I don't know what the status is --  
25 to test connectors ourselves, and where some consideration has

1 been given to testing additional components beyond that, which  
2 components are selected and how much of that to do, I think, is  
3 something that is owed to the Commission. I think that will  
4 have to be considered. The Commission will have to decide how  
5 much of that it does want to do. And I guess the appropriate  
6 time to discuss it would be when this paper backup --

7           COMMISSIONER BRADFORD: Could you give me a back-  
8 ground on what the drawbacks are? What are the arguments  
9 against some testing?

10           MR. STELLO: I don't have any against doing some  
11 testing. I think, to me, it's a decision of how much of the  
12 resources you want to put into that particular activity. If it  
13 turns out to be a tenth of a percent, it might be well worth-  
14 while. But I think it needs more thought than I want to be  
15 able to say I have given it sitting here.

16           And there is a paper. It is a particular issue that  
17 I have been giving a great deal of thought to, the whole ques-  
18 tion of independent testing and verification, from an inspection  
19 point of view. And philosophically, I clearly believe more of it  
20 is needed.

21           COMMISSIONER BRADFORD: Lee, do you know offhand  
22 when that paper is scheduled to come up?

23           MR. GOSSICK: That standards paper on qualification  
24 testing?

25           MR. STELLO: I thought Research had the lead on that.

1 MR. EISENHUT: I am not sure exactly what the  
2 detailed schedule is, but I know I read the draft report about  
3 a week ago. So it's getting close, I think.

4 COMMISSIONER AHEARNE: Let me ask a related question.  
5 Is there any money being proposed in the next year's budget for  
6 it?

7 MR. GOSSICK: I can't answer you.

8 MR. STELLO: Inspection and Enforcement has some  
9 money for additional independent verification testing. But it  
10 covers, again, a broader picture. Radiographs of piping systems.  
11 So, we have some staff in that area and have the start of a pro-  
12 gram. I think it is one that deserves more thought and  
13 deliberation than we can give here.

14 COMMISSIONER KENNEDY: Could you sort of outline the  
15 general components of such a program? Wouldn't one have to  
16 determine which items you want to cover, and that would be a  
17 function of their significance to various safety systems, I  
18 suppose?

19 Secondly, I suppose, you would also take into account  
20 -- and I am just thinking out loud at this point -- it would  
21 take into account the likelihood of failure and the consequences  
22 of that failure of that system. If it's not of any consequence,  
23 you could spend a lot of resources on that for not too much  
24 benefit.

25 And thirdly, wouldn't you want to take account of how

1 much testing you would have to do in a statistical sense to give  
2 you any kind of assurance of the quality of a whole batch? 1  
3 mean, are those some of the things you would have to -- there  
4 must be others.

5 MR. STELLO: Oh, yes, but it's even broader. I  
6 include, for example, independent radiography, and the whole  
7 concept of independent verification testing. It's again, how  
8 big is the sample size, or how big does it need to be? How  
9 much of it do you want to do? Do you want to take concrete  
10 samples and bring them to a laboratory independently, measure  
11 concrete strength?

12 COMMISSIONER KENNEDY: Is that what this paper is  
13 addressing?

14 MR. STELLO: This is strictly on the environmental  
15 testing of components. That's a big order.

16 COMMISSIONER AHEARNE: Are you thinking about time  
17 tests?

18 MR. STELLO: Yes.

19 COMMISSIONER AHEARNE: Which is different in the  
20 sense that some of the testing program is more generic, at  
21 least to research.

end#5

T6 mm1  
MELTZER  
5872

1 MR. STELLO: I think the question of environmental  
2 testing has generic implications.

3 There are a large number of plants that use similar  
4 components as indicated on one of those slides. So it does  
5 have the capability to go across many lines.

6 COMMISSIONER BRADFORD: One other question.

7 What will the legal basis for uniform enforcement  
8 ultimately turn out to be? That is, as a result of the  
9 Bulletin process, you will have come up with a requirement and  
10 apply it across the board, backfitting if necessary.

11 But then if a year from now you find unqualified  
12 equipment is still in place, what will you be enforcing against  
13 at that point?

14 Will it be a Bulletin, a Regulation, revisions to  
15 the FSARs?

16 MR. STELLO: Again it goes back to the earlier  
17 question Commissioner Ahearne asked. If we make a formal  
18 backfit requirement proposed as a licensing requirement,  
19 the array of things the Licensee has to do, then they become  
20 part of the license and you enforce them in that context.

21 If he adopts them as part of his license, then they  
22 are again enforceable.

23 If he just agrees to adopt them in some informal  
24 way, then you have covered the whole spectrum of problems I am  
25 sure the attorneys will see in terms of the degree of

mm2

1 enforceability.

2 And I think we are probably going to wind up with  
3 that spectrum of plants.

4 COMMISSIONER BRADFORD: But in the case of someone  
5 who simply agrees to put the equipment in place, what happens  
6 then if that didn't get done, if it hasn't formally been made  
7 part of the licensing?

8 MR. STELLO: I have a feeling that is a legal  
9 question.

10 CHAIRMAN HENDRIE: I presume we can get an order  
11 saying we consider it appropriate to the health and safety  
12 requirements of each plant to do it.

13 COMMISSIONER BRADFORD: You can get it done, but is  
14 that also a situation where penalties can be invoked?

15 MR. LIEBERMAN: No, the Chairman is correct.

16 Obviously you can issue an order, but if it is  
17 only a commitment to do something a civil penalty couldn't  
18 be imposed. A material false statement could not be found  
19 unless the statement is clear in a license application that  
20 a Licensee will, in fact, have a specific component qualified  
21 to some standard.

22 COMMISSIONER BRADFORD: Well, let me just leave  
23 it, for my own part then I feel that whatever comes out of  
24 your effort in September, it ought to include an enforceable  
25 regimen, including the possibility across the board of



mm3

1 penalizing those who, after the time they were supposed to have  
2 qualified equipment, still don't.

3 MR. STELLO: I must tell you I also have the thought  
4 in mind of whether or not you ought to raise that question of  
5 need for a change in Regulations to enhance or elevate the  
6 status of Bulletins and their response.

7 (Commissioner Gilinsky arrived at 2:50.)

8 COMMISSIONER BRADFORD: The final thing, I guess, as  
9 a result of TMI I gather there is some talk of equipment that  
10 didn't used to be considered safety related may now be.

11 Would that process conceivably have an impact on  
12 the work you are doing here as well?

13 MR. BUTCHER: In the initial planning for the  
14 development of these criteria, we proposed a systems approach.  
15 And that certainly would involve things like that.

16 The first thing in the systems approach would be  
17 to make a determination of what ought to be qualified in the  
18 plant, notwithstanding what the license originally required.  
19 That's our thinking at this point. As the criteria develop  
20 we may determine it is not practical to do that. That is quite  
21 a job. So, at least we are thinking in that direction.

22 COMMISSIONER AHEA: I want to make sure I under-  
23 stood that last answer.

24 YOU are saying, your conclusion is it would be a very  
25 big job to decide what equipment ought to be qualified at the

mm4

1 plant?

2 MR. BUTCHER: No, I don't think I meant that.

3 What I meant to say was the first step in determining  
4 whether equipment is adequately qualified or not is to  
5 determine what you need to be qualified.

6 In order to do that, you go about it in a systems  
7 approach. One shortcut has been determined. Everything in  
8 the containment ought to be qualified. That would certainly  
9 be a shortcut to eliminate the need to do that kind of  
10 review.

11 MR. STELLO: I think what comes out of the Three  
12 Mile Island Lessons Learned, the identification of equipment  
13 that will have to be elevated in a safety status, will be  
14 specifically identified. And that equipment would just add  
15 to the list of equipment.

16 And I suspect since it has not now been qualified,  
17 documents would have to be supplied showing how it would be,  
18 or modified so that it would become qualified.

19 But I would think that would be a specific list  
20 of equipment.

21 CHAIRMAN HENDRIE: Anything further?

22 (No response)

23 Let me seize then on the pause and say, thank you  
24 very much, even though I wasn't able to be present at the  
25 front end of this discussion.

mm5

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

COMMISSIONER AHEARNE: Well, having been here throughout all, thank you very much.

CHAIRMAN HENDRIE: I assume the front end was useful.

(Whereupon, at 2:53 p.m., the hearing in the above-entitled matter was adjourned.)

533 059