

9.7

NUCLEAR REGULATORY COMMISSION

IN THE MATTER OF:

PUBLIC MEETING

BRIEFING ON SEISMIC DESIGN CAPABILITY OF OPERATING
REACTORS AND RESPONSES TO OIE BULLETING ON SEISMIC ANALYSIS

Place - Washington, D. C.

Date - Thursday, 28 June 1979

Pages 1-41

338 066

Telephone:
(202) 347-3700

ACE - FEDERAL REPORTERS, INC.

Official Reporters

444 North Capital Street
Washington, D.C. 20001

NATIONWIDE COVERAGE - DAILY

42

7907120-499

DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on Thursday, 28 June 1979 in the Commission's offices at 1717 H Street, N. W., Washington, D. C. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected, or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determinations or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of or addressed to any statement or argument contained herein, except as the Commission may authorize.

POOR ORIGINAL

CR5643

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION

3
4
5 PUBLIC MEETING

6 BRIEFING ON SEISMIC DESIGN CAPABILITY OF OPERATING
7 REACTORS AND RESPONSES TO OIE BULLETIN ON SEISMIC ANALYSIS
8
9

10 Room 1130
11 1717 H Street, N. W.
12 Washington, D. C.

13 Thursday, 28 June 1979

14 The Commission met, pursuant to notice, at 9:45 a.m.

15 BEFORE:

16 DR. JOSEPH M. HENDRIE, Chairman

17 VICTOR GILINSKY, Commissioner

18 ALSO PRESENT:

19 Messrs. Gossick, Case, Rathbun, Russell, Eisenhut, and
20 Rothschild.
21
22
23
24

CR 5643
WHITLOCK
t-1 mte 1

P R O C E E D I N G S

(9:45 a.m.)

CHAIRMAN HENDRIE: Let's go ahead.

I find that our colleagues are ill this morning. I am not sure whether I have infected them with my late illnesses or whether some member of the staff has assaulted them with his or her diseases. But we hope they will be back with us soon. At any rate, they won't make it this morning.

We have this morning a briefing on seismic design capability of operating reactors and responses to OIE bulletin on seismic analysis, which may spread and talk about a number of associated matters.

Lee, go ahead.

MR. GOSSICK: All right, Mr. Chairman.

Darrell Eisenhut will go ahead with the briefing.

MR. EISENHUT: Thank you.

What we would like to do today is summarize all of the different seismic aspects that are going on and give you a status report, where we are and where we are going in the future.

If I could have the first slide.

(Slide.)

This is a graphic illustration to summarize all of the different aspects that are under way that we are going to be talking about. What we would like to do, the six items at

1 the top will be summarizing what we have talked to you about
2 in the past. 79-02, 79-04, we talked about before. These are
3 two of the I&E bulletins that went out. We will briefly sum-
4 marize what they are. We will give you a summary of the status
5 on 79-07, the algebraic summation, a bulletin that resulted
6 also -- that resulted in the five-plant shutdown.

7 You will recall that after we met and discussed
8 Maine Yankee and return to power, there was an open issue
9 hanging where we said we would be continuing to look at Maine
10 Yankee to decide if any future action was necessary. We added
11 the SEP to this list because the SEP represents 11 of the oldest
12 plants in the U.S., and in fact there is a seismic review that
13 has been under way on those plants now for about a year. There
14 is some feedback coming out of those plants that we are trying
15 to factor into our overall, what I call game plan.

16 And you will also recall we had recently a UCS
17 petition on seismic reanalysis that has been sent in. This
18 is about a month old now.

19 Related activities we will also be talking about are
20 two research programs, really, one with NRR that has been sent
21 to Research for managing. These are basically short-term and
22 long-term seismic conservatism programs.

23 Task Action Plan A-40 was a short-term program
24 meant to address certain selected issues. It is basically a
25 program that Operating Reactor Group started two or three years

1 that is being wrapped up. It selected specific issues on
2 seismic conservatims.

3 MR. CASE: It is one of the unresolved safety issues.

4 MR. EISENHUT: Yes, it is one of the unresolved
5 safety issues.

6 The SSMRP is the seismic safety margin review program.
7 That is Research's answer to a request that NRR sent to Research
8 for a broad variety of seismic aspects. It is a program being
9 administered and run out of Research. It is a multi-year
10 program, multi-million dollar program.

11 Then we will generally discuss the seismic game plan,
12 which is sort of conceptual at this point, and different
13 aspects under that program, in summary.

14 Bill Russell, who has been sort of the chief project
15 manager of all of the day-to-day work on the five plant shut-
16 downs, will be summarizing the top six items in this chart.
17 Larry Shao, who is on detail to us from Research to help us out
18 on the overall seismic aspects, a wide variety of aspects, will
19 summarize the seismic game plan and where we are going from
20 there.

21 So, with that, Bill?

22 MR. RUSSELL: May I have the second slide, please?

23 (Slide.)

24 MR. RUSSELL: Back in March, March 8th, we issued
25 I&E Bulletin 79-02. The specific issue we were concerned with

1 was the installation of concrete anchor bolts. We requested
2 they address flexibility concerns, because we found some of the
3 initial assumptions were related to rigid baseplates and were
4 in fact flexible. We requested they do a testing program and
5 verify that the plan had considered seismic loads. The
6 responses are due on July 6th.

7 We do have some preliminary results, however. We
8 are finding some plants that have extensive installation
9 defects. Some plants have very few problems, and some of the
10 problems are such as missing bolts on sleeves, more minor
11 problems, misalignment of the anchor bolts, where they are not
12 perpendicular to the baseplate.

13 COMMISSIONER GILINSKY: Would you identify anchor
14 bolts? Anchor bolts used where?

15 MR. RUSSELL: On the baseplate piping support, to
16 fasten the baseplate to the concrete wall or floor. It is
17 usually a drill hole into the concrete, and they put an
18 expansion type anchor bolt into it to fasten the baseplate
19 in place.

20 COMMISSIONER GILINSKY: You would find these
21 throughout the plant?

22 MR. RUSSELL: Yes, sir.

23 MR. EISENHUT: If you look at the overall picture,
24 if you have a piece of pipe running through a plant, there
25 are two or three things that are quite important from the

1 seismic standpoint. One is you put the support in the right
2 place, so that it doesn't vibrate at the wrong frequencies.
3 Another one is that the support is the right size. And the
4 third is that the support is in fact anchored properly.

5 This is addressing the anchor feature. And a lot
6 of other ones -- for example, the next one is the weight of
7 different components in the system, so that you can see how
8 the piping will wiggle, so to speak, under an earthquake
9 condition.

10 MR. RUSSELL: We have also had some plants report,
11 in looking to find the anchor bolts during testing, that the
12 entire seismic support was missing. We will be addressing
13 that in the as-built problems later on.

14 The third slide, please.

15 (Slide.)

16 The second issue which Darrell has briefly touched
17 on is associated with the weight of the components and piping.
18 The specific issue was the velan swing check valves. The
19 original ones are 4-inch, 6-inch, 8-inch and 10-inch valves.
20 We want them to identify the systems that were affected and
21 reanalyze with correct weights, to correct any necessary
22 modifications, to actually install them.

23 Responses were due May 1st, and we have had 65
24 facilities respond. 5 of them have not yet responded, have
25 been shut down.

1 Of those 65 responses, 48 actually used the velon
2 swing check valves, with the modifications that were required,
3 that were relatively minor. One hanger was overstressed and
4 there were some miscellaneous hanger adjustments. This is
5 consistent with the earlier briefing that we gave the Commission
6 when we did a worst-case evaluation of a 6-inch swing check
7 valve and showed that the piping would not be significantly
8 overstressed.

9 COMMISSIONER GILINSKY: Have you considered the
10 valve weight into the analysis?

11 MR. RUSSELL: The correct weight of the component
12 as it is used in the piping analysis.

13 COMMISSIONER GILINSKY: And the weight is what?

14 MR. RUSSELL: The weight of the valve which is in
15 line --

16 COMMISSIONER GILINSKY: A standard valve, or do they
17 vary in size?

18 MR. RUSSELL: They vary in size from three inches
19 to ten inches.

20 COMMISSIONER GILINSKY: Why weren't the right weights
21 not used?

22 MR. RUSSELL: It appeared to be related to a QA
23 problem. The weights that were on the drawings in some cases
24 were estimates of weights prior to actual fabrication of the
25 valves.

1 MR. EISENHUT: There is another aspect that can
2 enter into here. If the utilities, for example, needs a line
3 and he needs a valve that can withstand a certain pressure, and
4 he puts it on his drawing that, I am going to -- I need a valve
5 that can withstand 500 psi -- so he initially on the seismic
6 design may estimate the weight of that valve. When he orders
7 that valve from the manufacturer, the manufacturer may say,
8 I have a 3-inch valve that can withstand 1,000 psi. I can give
9 you that right away.

10 And he may take delivery on the valve and put it in
11 the system. That is over-designing. There is certainly some of
12 that, where they get an off-the-shelf component that is a
13 larger valve than they thought about in the first place.

14 The second thing is there is certainly some variation
15 on weights of valves, because of minimums -- I mean, some
16 variation on how the valves are manufactured.

17 CHAIRMAN HENDRIE: Generally in those valve body
18 forgings, you are generally looking for minimum wall.

19 MR. EISENHUT: That is exactly right. That was my
20 third --

21 CHAIRMAN HENDRIE: And as a manufacturer takes his
22 error a little bit on the heavy side to make sure he doesn't
23 go under minimum wall and come up against code or spec limits,
24 and if he calculated the weight on a nominal wall basis, his
25 actual weight may come out a little lower.

1 MR. EISENHUT: The third aspect is related. The
2 requirements have changed over the years as to what is the
3 minimum wall.

4 MR. SHAO: Usually, when people get valves stronger
5 than design, the designer thought they would do the job, but
6 they forgot to look back at the piping, the effect on the
7 piping.

8 CHAIRMAN HENDRIE: they thought they were doing a
9 good thing.

10 MR. SHAO: But it would affect the piping on it.

11 COMMISSIONER GILINSKY: There was a check lacking
12 after the valve was procured.

13 MR. SHAO: Right.

14 MR. RUSSELL: We also found that the valve that was
15 provided by Velan, the weight of the valve is not within the
16 scope of their QA program at that time, so that there was not
17 a check back, such as the valve that was provided, that you
18 had good records of what the actual valve weight was. So
19 even if the licensee had attempted to use the correct weight,
20 he might have had wrong weight provided by the valve manufac-
21 turer.

22 It is a combination of things, and what we are finding
23 out is that valve weights which were used were not representa-
24 tive of what was in the field.

25 Next slide, please.

338 076

1 (Slide.)

2 I am jumping in time a little bit. We are discussing
3 I&E Bulletin 79-07, which is the algebraic summation problem.
4 Initially when we issued the show-cause orders to the five
5 plants, we were under the belief that the only plants which
6 were affected with that code were the original five. We found
7 out that Westinghouse had also used a code which used algebraic
8 summation.

9 About mid-April we issued a bulletin to identify all
10 of the plants that may have used algebraic summation. The
11 results of that were that we identified 25 operating plants
12 which have used algebraic summation.

13 I have identified some of the codes involved and
14 some of the firms involved in developing those codes: Shock 2,
15 Stone & Webster, Adlpipe, Arthur D. Little, Westdyn with
16 Westinghouse, Daps, which is a General Electric code, and
17 Pipdyn 2, developed by the Franklin Institute.

18 Of the 25, we completed preliminary review on 16.
19 There are three that are still ongoing. I will cover that a
20 little bit later.

21 COMMISSIONER GILINSKY: Do they all do this inde-
22 pendently or was there some -- were they all guided by some
23 other document that would cause them to --

24 CHAIRMAN HENDRIE: Some mysterious lemming-like force
25 that unconsciously drew them all --

1 COMMISSIONER GILINSKY: I can't find any justification
2 for using this kind of a summation technique. I haven't heard
3 any such justification presented. I find it odd that so many
4 different organizations with a great deal of expertise would
5 all make this error.

6 Is there some standards committee or do they all
7 get together? Do they check the codes against each other?

8 MR. SHAO: Mainly it was at that time the dynamic
9 analysis was a very new state of the art. People really didn't
10 know what to do on the different subjects. About 15 years ago,
11 there was no dynamic analysis. It is a new art, and people
12 tried to use trial methods.

13 And one method was using algebraic summation and the
14 other was absolute sum. In general, algebraic summation will
15 get more results than the absolute, but mainly because of the
16 infancy of the science.

17 COMMISSIONER GILINSKY: But once you use the phase
18 relationships, I don't see how you can possibly use algebraic
19 summation.

20

21

22

23

24

25

gsn 1 MR. SHAO: At that time, NRC didn't have a position.

2 COMMISSIONER GILINSKY: I understand that.

3 MR. SHAO: In '72, we had an absolute sum. But
4 before '72, there was no position.

5 MR. RUSSELL: With respect to the early part of the
6 question as to any relationship between these, the Westdyn
7 code is really evolved from Adlpipe. And Westinghouse did,
8 in fact, contract with Arthur D. Little, and initially used
9 Adlpipe and then made some developments to that and renamed
10 it Westdyn.

11 So that accounts somewhat for it.

12 To the best of my knowledge, the Shock 2 Daps and
13 Pipdyn 2 were all developed independently.

14 MR. SHAO. There is another possibility. And then
15 10 years from now, maybe what we are doing now is wrong,
16 too.

17 (Laughter.)

18 COMMISSIONER GILINSKY: But one may come to a
19 different approach. But that would be better for one either
20 one way or another. But the algebraic summation seems to be
21 dead wrong.

22 MR. SHAO: But 10 years from now, people will know --

23 MR. EISENHUT: There had to be some of this --

24 COMMISSIONER GILINSKY: There must have been one
25 summer student that started this.

gsh 1 MR. EISENHUT: One summer student and people have
2 discussions, the technical people. And I am sure in this
3 field there were certainly discussions of the approach being
4 used. And certainly, there is some cross-fertilization, so
5 to speak.

6 MR. RUSSELL: May I have the next viewgraph, please?

7 (Slide.)

8 I thought I would take the opportunity to also fold
9 in where we stand on the remaining four plants shutdown based
10 on the show-cause order.

11 Surry unit 1, the staff will be meeting with the
12 licensee on the 12th of July to review the results of pipe
13 stress analyses.

14 We did review some in Boston last Thursday and
15 Friday, and we found that 11 of 42 problems which were being
16 done by Stone & Webster in Boston did require hardware fixes
17 to correct pipe overstress problems.

18 Of those 11, we reviewed 9 in detail and determined
19 that 7 of the 9 were related to as-built problems. We can only
20 attribute one to the method of the code that was used, as
21 far as the algebraic summation.

22 The support analysis is still continuing and they
23 expect to complete the analysis in supports inside the
24 containment in August. And I would expect resumption of
25 operation probably in early September.

gsh 1 We still don't have any status on Surry 2. They
2 are in their steam generator replacement outage, and we have
3 no schedule yet.

4 Beaver Valley has completed all but three pipe
5 stress analysis problems and about 50 supports. They have a
6 proposal for interim operation which has been submitted to
7 the staff, which we have under review now.

8 They are making modifications to the plant at this
9 time and expect to have those completed about the 6th of
10 July.

11 They do have questions and we are in the question
12 and answer phase on that review, and I would expect that not
13 before mid-July.

14 Fitzpatrick licensee estimates that they will
15 submit their proposal for interim operation to the staff on
16 July 2nd, at which time we will start that review. Their
17 proposal for interim operation includes completion of all
18 pipe stress analyses and all supports in inaccessible areas.
19 Maine Yankee was approved for start-up on the 24th of May.

20 CHAIRMAN HENDRIE: Let's see. At both Beaver Valley
21 and "Fitz," there are proposals being considered, either
22 submitted and considered or considered for submission. That
23 would say that we have got this much analyzed and fixed, and
24 this much analyzed. And there are certain things we still
25 have to do. But we think a case can be made that operations

gsn 1 for some interim period until those fixes are complete is
2 acceptable.

3 MR. RUSSELL: Yes, sir. That is a very good
4 characterization for Beaver Valley.

5 Fitzpatrick will not have completed about half of
6 the support analysis associated with accessible areas. So we
7 wouldn't know what the extent of modification would be.

8 CHAIRMAN HENDRIE: The "Fitz" situation has a
9 third category. This stuff we haven't analyzed yet and that
10 you will want to consider what all of that means.

11 MR. CASE: We might make some projections about
12 what you might find.

13 CHAIRMAN HENDRIE: And have a good basis, reasonably
14 good basis for thinking, for projecting the kind of situation
15 there might be.

16 Now is there a comparable situation on Surry I?

17 MR. EISENHUT: Let me comment on that one.

18 We had been working on Surry I following that
19 general kind of approach because out of the 69 problems that
20 had been analyzed, so far we have only seen one that required
21 a fix as a result of algebraic summation.

22 And as you know, we had been projecting start-up
23 again in some interim mode similar to the Beaver Valley,
24 Fitzpatrick situations early in July. Very recently,
25 earlier within the last week, Vepco has informed us that these

gsh 1 other problems will, in fact, probably delay their operation
2 for some time. And they are proposing a resumption of
3 operations later this summer.

4 They also asked for a meeting on July the 12th to
5 discuss the situation.

6 CHAIRMAN HENDRIE: I see.

7 MR. EISENHUT: So we don't really know at this point
8 exactly where it is. The significant aspect there, we will
9 be discussing a little bit later in Larry Shaw's part, where
10 we talk about the as-built situation.

11 MR. RUSSELL: May I have the next slide, please?

12 (Slide.)

13 I have a summary slide that identifies the
14 specific plants which used algebraic summation. The computer
15 code which was used and some remarks to indicate whether it
16 was used extensively. And by that I mean essentially all of
17 the safety-related systems in the unit. Or whether it was
18 limited.

19 For instance, one or two lines analyzed with the
20 code. The X indicates those plants which we have resolved
21 on an interim basis, at least.

22 I would like to point out Brunswick units 1 and 2
23 and Indian Point unit 3. Those we have resolved to the
24 extent we concluded it was acceptable to continue operation
25 while remain'ng analysis was complete. And that was based on

gsn 1 an evaluation of the methodologies that were used and how
2 the computer code was using analysis and conservatisms which
3 the licensee could show in the methods they used.

4 We were also able to see the results of the earlier
5 analysis projected to what the stresses would be after
6 re-analysis to give us additional confidence.

7 We have issued safety evaluations on both of those
8 that identify what those conservatisms were. The remaining
9 units, the re-analysis has been completed. Staff has reviewed
10 them. And for those are indicated as resolved. In Point
11 Beach 1 and 2, we have not had the manpower to put the
12 detailed review into it.

13 The licensee has completed the review and its
14 associated system which are of lesser safety significance.
15 It is lower on our priority list.

16 CHAIRMAN HENDRIE: Just radwaste cooling lines?

17 MR. RUSSELL: Cooling lines associated with radwaste
18 modification. Salem is shutdown, Salem 1, and we are actively
19 pursuing that because it is extensive. We hope that we will
20 have that resolved.

21 Cooper —

22 CHAIRMAN HENDRIE: Point Beach is operating?

23 MR. RUSSELL: Yes, sir. Very limited use, and it is
24 not a system associated with safe shutdown or accident
25 mitigation. And it can be isolated.

gsh 1 CHAIRMAN HENDRIE: Tell me again. Brunswick and
2 IP-3 are up or down?

3 MR. RUSSELL: They are operating.

4 MR. CASE: Based on staff review.

5 CHAIRMAN HENDRIE: You 'ust said that and I was
6 drifting some place else. Okay, onward.

7 MR. RUSSELL: I would like the next slide, please.

8 (Slide.)

9 COMMISSIONER GILINSKY: You would require in the
10 case of Salem 1 that these problems be resolved before
11 resumption of operation?

12 MR. RUSSELL: At least to the extent the staff is
13 satisfied that the operation during the remaining re-analysis
14 was acceptable similar to what we have done.

15 MR. EISENHUT: Our philosophy is simple: We have
16 put together this matrix and it had all of the operating
17 plants. And we backed off whether they were operating or
18 not. And if a plant was coming down or was down, we required
19 a justification and an understanding sufficient that we were
20 confident that the plant was safe before restart-up.

21 Plants like Brunswick 1 and 2 and the Pilgrim, the
22 plants themselves voluntarily shut down while we were
23 undergoing this debate discussion to resolve it to the point
24 were we all had confidence that the plant was safe to return
25 to power.

gsn 1 So there was a period of time when the Brunswicks,
2 the Pilgrims, and I think some other plants actually
3 voluntarily shut down while we were having the discussion.

4 MR. CASE: And made some modifications, too.

5 MR. EISENHUT: Yes. There are some — even though as
6 you see on this slide, there is a second group of plants,
7 IP-3 and Brunswick, that have the use of the algebraic
8 summation that was extensive throughout the plant. On both
9 broad variety of systems, there is some significant
10 difference between that set of plants and the previous set of
11 plants that makes them quite different from the five plants
12 that are shut down in the way that they use the algebraic
13 summation first, and in the way their seismic analysis was
14 originally done.

15 There are some major differences.

16 COMMISSIONER GILINSKY: What I am getting at is: Are
17 we using a consistent standard for all of the plants?

18 MR. EISENHUT: I think we are.

19 CHAIRMAN HENDRIE: That was a long way to say yes.

20 MR. EISENHUT: That was a long way to say yes to a
21 question that I didn't quite understand.

22 MR. CASE: It is fair to say that it is a consistent
23 technical standard. Now in the five, the orders were issued
24 in plants that were shut down. We have reached an
25 accommodation of what would be done before they started up

gsh 1 without need for an order. Technically, they were --

2 MR. EISENHUT: I might add to enforce that -- to
3 reinforce that, if we were sitting here today and on a plant
4 that could not give us the justification, such as Pilgrim
5 and Brunswick 1 and 2 did not start up, and in fact, their
6 operation was delayed until we did have the issue resolved.

7 The other plants that are shut down under an order
8 have been unable to resolve it even as of this time.

9 I think that there is even today, in retrospect,
10 a consistent approach being used -- for including the 5
11 shutdown plants.

12 MR. RUSSELL: Next slide, please.

13 (Slide.)

14 At the time that we briefed you on Maine Yankee
15 was the second Maine Yankee briefing. It was identified that
16 there was a significant difference between the original
17 Spectra, which was the basis for the design, which was the
18 Housner Spectra anchored at .1G, and what we would expect if
19 we were to review that site today.

20 We estimated that it would be probably a regulatory
21 guide 1.6G spectra anchored between 1.3G and 1.2G. We
22 looked at this issue for, I guess it was approximately 2 to 3
23 weeks after that period of time and developed the overall
24 seismic conservatism and provided that response to the
25 commission.

gsn 1 And the staff's basis for where we thought it was
2 acceptable for them to operate —

3 We do have some ongoing stat plans on which Larry
4 will be discussing.

5 MR. SHAO: I would like to say something about
6 Maine Yankee here.

7 I wasn't involved in the previous meetings. But in
8 the past, when we used Housner Spectra, which has a lower
9 curve than the 1.60 spectra, the Housner Spectra always
10 coupled with lower damping values.

11 CHAIRMAN HENDRIE: Much lower.

12 MR. SHAO: Much, much lower like the piping is .5
13 percent for OBE and maybe 1 percent for SSE. 1.60 is always
14 coupled with 1.61, which is the damping value for 1.61. The
15 damping value for piping is 2 percent, 3 percent for OPE and
16 SEE. When you couple 1.60 and 1.61 and Housner Spectra with
17 the old — the final answer comes out almost the same. The
18 change is very small.

19 But the G load is a different story.

20 CHAIRMAN HENDRIE: Tell me again where you are going.

21 MR. RUSSELL: Next slide, please.

22 CHAIRMAN HENDRIE: I thought it was settled, or are
23 you still poking around here?

24 (Slide.)

25 MR. EISENHUT: On Maine Yankee?

gsn 1 CHAIRMAN HENDRIE: The Maine Yankee seismic design
2 basis.

3 MR. EISENHUT: On Maine Yankee's, we said that we
4 would look at it and consider whether we needed to, and if
5 so, what kind of additional review needed to be done on Maine
6 Yankee.

7 We felt that we needed to look at and make that
8 decision in the overall scheme of things, which is basically
9 why we are trying to put all of these things together,
10 actually why we asked Larry to come over originally. Since
11 then, he has picked up a few extra duties to help put together
12 this overall package.

13 CHAIRMAN HENDRIE: It is time that he went back to
14 work on the staff.

15 (Laughter.)

16 MR. EISENHUT: My sentiments perfectly.
17 What we are trying to do is to make that decision on
18 Maine Yankee as to the scope of what is needed. Again, in
19 sort of a consistent manner both in the seismic inputs and
20 from the structural response, what needs to be done,
21 recognizing we have these other programs underway, recognizing
22 we have the UCS Petition, et cetera.

23 MR. RUSSELL: I will discuss the systematic
24 evaluation program seismic reviews. First, I would like to
25 give you a little bit of the status of where we stand now.

gsn 1 We have two plants which do not have a specific
2 seismic design basis. The older plants. We have two plants
3 which were designed to uniform building codes.

4 CHAIRMAN HENDRIE: I guess it wouldn't violate
5 anybody's private overriding privacy considerations if I knew
6 which two were in the first category and which two were in the
7 second?

8 MR. SHAO: Yankee Rowe, LaCrosse, first one. Big
9 Rock and Dresden, the second.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 COMMISSIONER GILINSKY: Would you explain what that
2 means?

3 MR. SHAO: Yankee Rowe and Lacrosse didn't have any
4 specific seismic design basis. They were not designed for
5 seismic load. Big Rock and Dresden 1 were designed to the uniform
6 building code which is essentially static analysis.

7 CHAIRMAN HENDRIE: I did a reactor to the uniform
8 building code, and you can save a lot of money on seismic analy-
9 sis doing it that way.

10 MR. SHAO: I appreciate the next question would be
11 (inaudible) .

12 COMMISSIONER GILINSKY: Where did the uniform building
13 code come from?

14 CHAIRMAN HENDRIE: In the absence of -- there is in
15 the uniform building code, and there has been for many years, a
16 seismic design basis for structures that fall under -- that are
17 built to that code, which is a generally accepted public building
18 code by the standards of current nuclear plant seismic analysis
19 and standards.

20 It is a terribly unsophisticated and, in our view,
21 sort of by nuclear standards, unconservative basis.

22 Nevertheless, it is a whale of a lot better than not
23 having any guidance at all on -- in which case, the structural
24 designer simply ignores possible seismic loadings. The uniform
25 building code divided the country up into seismic zones and said

1 in zone 1 you would use this approach, zone 2, and so on. And
2 the approaches were typically to simply add to the design loads
3 of the basic structure static forces.

4 MR. SHAO: They put it at the base of the building and
5 and put (inaudible) on the structure and most of the buildings are
6 designed for the uniform building code.

7 CHAIRMAN HENDRIE: If you didn't have any guidance
8 in the nuclear area and you came along and you said, "Well,
9 what will I use; should I consider earthquakes and it seemed
10 prudent to do so, and what will I use?" Well, I don't know.
11 And there is the uniform building code as one of the few docu-
12 ments around generally recognized and accepted for structural
13 design guidance, and so it was used for a while. As I say, I
14 built one that way.

15 COMMISSIONER GILINSKY: It is still there?

16 CHAIRMAN HENDRIE: It hasn't fallen down yet. Do you
17 want me to make one of those speeches, "I haven't had an earth-
18 quake in a dog's age on Long Island."

19 COMMISSIONER GILINSKY: To what standard were the
20 first two built? There must have been some requirement.

21 MR. SHAO: There was no requirement.

22 COMMISSIONER GILINSKY: No seismic requirement. But
23 what fixed the strength of the structure?

24 MR. SHAO: Even though, like the first two plants
25 were not designed for seismic loads, they were designed for

1 other loads. The reason is: Most power plants are better in
2 seismic loadings than other structures, most are designed for
3 pressure loading. The minute you design for pressure loading,
4 you have inherent seismic resistance. Usually, the pressure load-
5 ing gives you circumference stresses which is equal to π over
6 t , and the longitudinal stress is π over tts . But earthquake
7 stresses lead to the longitudinal stresses, so you have some
8 resistance because you design for pressure stresses.

9 For instance, there are a couple of earthquakes in
10 Nicaragua a few years ago. It was conventional power plants.
11 It wasn't designed for any earthquake. It was hit more than .2
12 g, and the earthquake was a few miles from the plant. The plant
13 was almost intact -- very little damage. Mainly, the power
14 plant, by its nature of the design, is designed for pressure
15 loading and is designed for wind loading and tornado loading.
16 When you design for other loadings, you have inherent resistance
17 to earthquake loading.

18 CHAIRMAN HENDRIE: In spite of all that, he won't
19 buy that condominium in Managua, huh?

20 (Laughter.)

21 CHAIRMAN HENDRIE: He might buy a power plant in
22 Managua, though.

23 MR. EISENHUT: That's right.

24 CHAIRMAN HENDRIE: Piping systems compared to things
25 like masonry, building structures, piping systems are really

1 enormously ductile and tough objects. You can shake them.

2 COMMISSIONER GILINSKY: We are switching from build-
3 ings to piping structures.

4 MR. SHAO: Buildings are designed for wind loadings
5 and tornado loadings. When you design for wind and tornado
6 loadings -- and some of the buildings are designed for pipe
7 break inside or outside containment, so the building is also
8 designed for other loadings.

9 COMMISSIONER GILINSKY: Throughout here we have been
10 talking about, really, piping. And the building only gets into
11 it in that it shakes the pipe.

12 MR. SHAO: Right.

13 COMMISSIONER GILINSKY: What sort of loads will the
14 piping structures be designed to deal with?

15 MR. SHAO: Piping is designed for pressure loading.
16 Piping, the major loading in piping is the pressure loading in
17 pipe plate loading, and also earthquake loading.

18 Also, there are thermal training loading, too.

19 COMMISSIONER GILINSKY: It is all static analysis.

20 MR. SHAO: Right now we do dynamic analysis.

21 COMMISSIONER GILINSKY: I am talking about the older
22 plants.

23 MR. SHAO: The older plants, the pressure loading
24 essentially is a steady loading. It is less like a Mark I type
25 of loading, dynamic loading. But normal pressure loading is a

1 static loading.

2 CHAIRMAN HENDRIE: For plants of the vintage of the
3 Yankee Rowe or for conventional power plant piping for the high-
4 pressure stuff, would they have thrown in some allowance for
5 water hammer, possible water hammer effects? Do you know whether
6 that was a practice? A little impact loading?

7 MR. SHAO: They designed for lower level. I don't
8 think they really addressed the water hammer. But the allowable
9 in the past was very low. The history of design, they used
10 first the so-called "section 1" of the ASME code and section 8,
11 and then they switched to section 3 of the ASME code.

12 CHAIRMAN HENDRIE: These plants antedate Section 3.

13 MR. SHAO: Mostly section 8. The difference between
14 section 8 and section 3 is: Section 8 only used 62 percent of
15 the yield, and section 3 uses 75 percent -- 67 percent.

16 CHAIRMAN HENDRIE: Anyway, let's see, we sort of
17 stopped you after two items. You hardly got your -- this item
18 developed. Why don't you go ahead?

19 MR. RUSSELL: The remaining seven plants were, in
20 general, designed to a G value similar to what we would be doing
21 today. That does not imply, however, that the G value would be
22 that which we would come up with today. The six oldest plants,
23 the licensees are actually conducting the analytical studies.
24 With the newer five, they are being analyzed by the staff and
25 our consultants.

1 The Dresden 2 evaluation is nearing completion.

2 CHAIRMAN HENDRIE: Dresden 2?

3 MR. EISENHUT: It is also one of the SEP plants we
4 picked --

5 CHAIRMAN HENDRIE: Because it has a POL?

6 MR. EISENHUT: Yes. Remember, we had, I believe it
7 was, like the first seven or eight or some of the older plants,
8 and then we added on those plants that had POLs.

9 CHAIRMAN HENDRIE: Yes. There were something like
10 two or three of those.

11 MR. EISENHUT: Yes. We added on two or three of them.
12 We may not have gotten them all. I think there may have -- I
13 think we got most of them.

14 MR. RUSSELL: We have been working on the seismic
15 review of these plants for some time, and there are some lessons
16 which we have learned thus far from reviews.

17 What we are finding is that the structures are gener-
18 ally adequate; however, we must address the torsion effects.
19 Piping is generally adequate if you use a more sophisticated
20 inelastic method of piping analysis.

21 COMMISSIONER GILINSKY: What do you mean, you "have
22 to address"?

23 MR. SHAO: The torsion effect, the earthquake is a
24 torsional mode. The vertical horizontal, and there is a
25 torsional mode. In the past, sometimes we neglect this. That

1 mode should be addressed.

2 MR. CASE: You have to calculate it --

3 MR. SHAO: And see whether it withstands torsion. In
4 some cases, it may be important, so that we have to look at it.

5 MR. EISENHUT: Most are going to sharpening the
6 pencil, doing new calculational methods, like the piping is
7 generally adequate if you go to the more advanced --

8 COMMISSIONER GELINSKY: And, of course, (inaudible)
9 on whether you think they will.

10 MR. EISENHUT: Yes. We have a pretty broad group of
11 -- a large team set up.

12 So far, we have a quite large seismic team set up,
13 which includes a large number of the consultants in the country.
14 For example, New Mark is one of the principal people on it.
15 There must be a half-dozen people on the plant team that
16 is working with the SEP.

17 MR. RUSSELL: Supports generally require a case-by-
18 case review, whether it is equipment support, pipe support, or
19 cable tray support. We will find we have to look at those. And
20 the controlling path of the five plant shutdown, a review of
21 the supports in the areas where we are having difficulties.

22 We are also finding that a few types of equipment,
23 batteries and small lines which have motor-operated valves,
24 require case-by-case reviews. And the questions on operability
25 and functionability of equipment requires a closer examination

1 because the testing was not done earlier.

2 Generally, at that time, the quality assurance
3 requirements were not as rigid as they are today, so that even
4 if they had specified in the procurement document something be
5 provided that is capable of withstanding a .2 G loading, they
6 may not have gotten the testing of the document or documenta-
7 tion to show that it was done to that level. So, it becomes a
8 problem in documenting the adequacy of the equipment after the
9 fact.

10 Can I have the next slide, please.

11 (Slide.)

12 The Union of Concerned Scientists petition, which was
13 dated March 28, '79, requested that the licensee for operating
14 reactors be required to reevaluate the magnitude of the safe-
15 shutdown earthquake and to determine the free-field ground
16 motion effects to determine motion of structures, plant equip-
17 ment, and piping, and compare those loads under appropriate load
18 combinations with allowable loadings, and basically followed
19 what we currently do in identifying the standard review plan
20 today.

21 They also requested that the plants be inspected to
22 determine whether the as-built plant conforms to the design
23 specifications for the plant.

24 This petition is one of the factors which we are
25 folding into our seismic review program.

1 MR. CASE: It appears it is older than a month.

2 MR. EISENHUT: It was submitted on March 28, and had
3 a tendency to -- the action was delayed for a while.

4 MR. RUSSELL: Can we go back to the first slide,
5 please.

6 (Slide.)

7 CHAIRMAN HENDRIE: I will ask you to continue, but
8 to step briskly along.

9 MR. RUSSELL: Yes, sir. This is perfect timing,
10 because I am ready to turn it over to Larry.

11 (Laughter.)

12 CHAIRMAN HENDRIE: Larry, step briskly along.

13 MR. SHAO: I will be very brief.

14 Next slide, please.

15 (Slide.)

16 I think, as Darryl said, the three areas, these are
17 the three areas we should address. The first is: changing
18 criteria. As Bill just said, some of the earliest plants were
19 designed to little or no seismic loading. Sometimes they were
20 designed to uniform building codes. And some plants were
21 designed to the so-called "quality dynamic loadings," dynamic
22 analysis. And the later plants were designed to refine the
23 dynamic analysis in the same way that in seismic criteria there
24 have been great changes over the last 15 years.

25 So, we had to look at different plants, see how does

1 it affect these plants.

2 The second area we should look at is the computer
3 codes. In the past, we only did an audit review. The people
4 asked why didn't we do a detailed review. I think the staff
5 would like to do a detailed review, but it is not very practical
6 to do it. It takes millions and millions of dollars to do the
7 calculation of one plant.

8 When we look at the staff in a year, in I&E or NSSS
9 there are hundreds of people working on seismic analysis. We
10 don't have the resources to do all of this detailed checking.
11 What we are doing is audit checking.

12 Now, we learned a lesson. We asked the licensee to
13 do other work, and, hopefully, they will do a good job. But it
14 looks like they are not doing as good a job as we would like to,
15 so we would like to do more. We would like to develop the
16 capability in computer codes in the structural and mechanical
17 areas. At least, when the staff wants to check some of the
18 computer codes, we would have the capability to do that.

19 The third item is the quality assurance. For some
20 cases, we found the facilities are not constructed as designed.
21 The calculations do not reflect as-built conditions, and the
22 equipment was not procured as specified.

23 Can you flash to backup slide 1, and Bill can address
24 that slide.

25 (Slide.)

1 MR. RUSSELL: This slide identifies 11 operating
2 reactors from which we have identified significant differences --
3 by "significant," I mean the effects on the seismic analysis --
4 between the original design of the facility and the as-built
5 condition. These range from having supports missing and having
6 mislocated supports or the wrong type of supports, difference
7 in pipe geometry where you specify a straight rod and there is
8 a bend that offsets the pipe by six feet in a 13-foot run of
9 pipe. We are finding that supports are undersized.

10 We have had several licensees shut down their facili-
11 ties to correct these problems, and we are finding that on the
12 reanalysis of the plants which were originally shut down where
13 the algebraic summation problem, that the as-built problem is
14 actually the one that is causing the majority of the pipes to
15 overstress conditions, and also the support overstress condi-
16 tions.

end#3

17

18

19

20

21

22

23

24

25

kap

1 MR. RUSSELL: We feel this is a significant problem
2 that has been identified and we are going to be issuing a
3 bulletin this week with the inspection scope of that bulletin
4 to verify that the plant was designed and built in accordance
5 with the application as it was amended. The inspection
6 scope will include safety-related piping systems greater than
7 two inches in diameter, and we would be verifying basically
8 for the seismic analysis input parameters.

9 Our Office of Inspection and Enforcement has a
10 couple of slides to describe this bulletin in more detail.
11 Generally, we will be giving them 60 days to do a portion of
12 the inspection, 90 days to complete the remaining portion of
13 the inspection, and where they find nonconformances to the
14 requirements of existing technical specifications with respect
15 to equipment and system operability.

16 MR. SHAO: Next slide, please.

17 (Slide.)

18 MR. SHAO: This is the proposal to resolve the
19 seismic issues we have planned for the plants. What should we
20 do with the rest of the plants? These are some of the
21 proposals which are very conceptual in nature. The first one
22 I think we should do -- we should make a study of all of the
23 criteria that are used for each operating plant. Based on
24 this study, maybe we can determine priorities of operating
25 facilities which should be analyzed first.

kap 1 We should look at seismic input, response spectra,
2 damping values, load combinations, et cetera. From this study
3 you have some idea that you should look at it this year and
4 some plant can wait a couple of years, and with some plants
5 you don't have to work on it at all.

6 These aren't conceptual studies. The second item
7 we should look at is utilizing the findings from systematic
8 evaluation programs. We should incorporate all of the seismic
9 issues that are generic to this study, and study modifications
10 that should be imposed on other operating facilities, and
11 using finalized SEP results to develop long-range programs.
12 We should continue to quantify seismic conservatism. Right
13 now we have Task Action Plan A-40, which results in showing
14 the issues. But we have the blank research program and we
15 should look at effective G-load against P-acceleration. When
16 you measure acceleration from the instrument, and this is not
17 really the value you should use for design. We should develop
18 capability in verification of computer codes and the major
19 design of systems and equipment components we should develop
20 benchmark problems.

21 Next slide, please.

22 (Slide.)

23 We should review the impact due to the difference
24 between as-built and designed conditions and other quality
25 assurance problems and to make sure proper actions will be

kap

1 taken.

2 We should investigate foreign data, like Japan has
3 a lot of testing data, to better assess and qualify seismic
4 conservatism — to quantify, I'm sorry, it is a typographical
5 error, to quantify seismic —

6 CHAIRMAN HENDRIE: It is a wonderful title. It
7 falls squarely between qualitative and quantitative and leaves
8 it absolutely clear. We would like to store that — right,
9 we might store that away for a suitable use when we are not
10 quite sure which we have got.

11 I'm sorry, go ahead Larry.

12 MR. SHAO: I think that's all I have.

13 MR. EISENHUT: I think those are the items that you
14 can see, the last six items of the areas we are working in.
15 Some of these areas have proceeded further than others. We
16 obviously are working on code verification benchmark problems
17 and some codes. We are obviously going down the road on the
18 SEP program trying to get out of it and see the factors that
19 have been learned there. And on that program, if we find
20 something that needs to be fixed in the short term, we will
21 take the short-term action.

22 We are proposing this I&E Bulletin that is going
23 out this week, which will entail also some verification checks
24 to see if the plants are as built compared to the drawings.
25 There may be some follow-up actions as we go through this

kap 1 program, so it shouldn't really be a surprise if down the road
2 there are additional follow-on bulletins, follow-on letters,
3 et cetera.

4 MR. CASE: It is a dynamic program, to learn as you
5 go along.

6 CHAIRMAN HENDRIE: Is that some kind of a pun?

7 MR. EISENHUT: As opposed to a "static" program.

8 (Laughter.)

9 MR. SHAO: But the program should be formulated on
10 what we learn from the SEP program and also the research
11 programs.

12 CHAIRMAN HENDRIE: And you will keep us informed of
13 the general strategy and thrust of dealing with the whole
14 seismic area, and periodically we will expect to see you
15 and discuss some of these things.

16 MR. EISENHUT: You will be seeing the response to
17 the UCS petition.

18 CHAIRMAN HENDRIE: We will see a response to that
19 fairly soon.

20 MR. EISENHUT: Yes.

21 CHAIRMAN HENDRIE: I assume in configuring this
22 broad staff effort on seismic issues, you talked to the ACRS
23 from time to time?

24 MR. EISENHUT: Yes. Last month, Bill briefed the
25 ACRS on the status of the five-plant shutdown. We will be

kap 1 keeping them informed as we go along. The seismic programs,
2 the research quantification programs are also reported to
3 the ACRS. The SSMRP, there is a standing committee of senior
4 consultants.

5 CHAIRMAN HENDRIE: How much is A-40 and the safety
6 margins research program likely to feed into this effort?

7 MR. EISENHUT: A-40 should very directly. That is
8 the short-term quantification program. The major part of it
9 was started in DOR for this basic purpose. From the management
10 point, it is in research under Larry. Larry is also the
11 principal agency person running the SSMRP.

12 I feel we can ensure that it is well coordinated.

13 CHAIRMAN HENDRIE: How long has that been underway?

14 MR. SHAO: About a year ago, it is a five-year
15 program. Hopefully, we will get some by-products before the
16 end of the program.

17 MR. EISENHUT: It also has on it a committee that
18 has a couple of NRR representatives, of which I am one, that
19 is sort of a steering committee to help ensure that since
20 that program was in response to an NRR user's letter to help
21 ensure that, in fact, what comes out of the program is, in
22 fact, of use to NRR, both in the short term and the long term,
23 and it itself is broken down into, I guess, a short term and
24 long term work.

25 MR. SHAO: In the past for seismic issues we have

kap 1 many branches, geoscience branches, structural branches,
2 looking at the structures, mechanical branch looking at the
3 mechanical components. It was never really integrated. The
4 SSMRP tries to integrate all of the work into different
5 branches and put it into one problem. Maybe you change one
6 variable, it doesn't really affect the final results that
7 much.

8 We want to find out which part is most important
9 to the final results.

10 CHAIRMAN HENDRIE: Any questions?

11 COMMISSIONER GILINSKY: I don't have anything
12 further.

13 CHAIRMAN HENDRIE: All right. Thank you very much.

14 (Whereupon, the meeting was adjourned at 10:42 a.m.)
15
16
17
18
19
20
21
22
23
24
25