

NUCLEAR REGULATORY COMMISSION

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

IN THE MATTER OF:

SUBCOMMITTEE MEETING

on

ADVANCED REACTORS

Place - Washington, D. C.

Date - Wednesday, 11 July 1979

Pages 1 - 110

Telephone:
(202) 347-3700

ACE - FEDERAL REPORTERS, INC.

Official Reporters

444 North Capitol Street
Washington, D.C. 20001

NATIONWIDE COVERAGE - DAILY

584 001

134
7908030382 T

CR5697

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PUBLIC NOTICE BY THE
UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

Wednesday, July 11, 1979

The contents of this stenographic transcript of the proceedings of the United States Nuclear Regulatory Commission's Advisory Committee on Reactor Safeguards (ACRS), as reported herein, is an uncorrected record of the discussions recorded at the meeting held on the above date.

No member of the ACRS Staff and no participant at this meeting accepts any responsibility for errors or inaccuracies of statement or data contained in this transcript.

584-602

CR5697

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION
3 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
4
5
6

7 SUBCOMMITTEE MEETING

8 on

9 ADVANCED REACTORS

10 Room 1167
11 1717 H Street, N. W.
12 Washington, D. C.

13 Wednesday, 11 July 1979

14 The ACRS Subcommittee on Advanced Reactors met, pursuant
15 to notice, at 8:30 a.m., Professor William Kerr, chairman of
16 the subcommittee presiding.

17 PRESENT:

18 PROF. WILLIAM KERR

19 DR. J. CARSON MARK, Member
20
21
22
23
24

P R O C E E D I N G S

1
2 PROF. KERR: The meeting will come to order.

3 This is a meeting of the Advisory Committee on
4 Reactor Safeguards, Subcommittee on Advanced Reactors.

5 My name is William Kerr. On my left is Carson
6 Mark. And we expect at various stages of the meeting Mr. Plesset
7 and Mr. Carbon, I think.

8 We are here to review the NRC research program on
9 advanced reactors. The meeting is being conducted in accordance
10 with the provisions of the Federal Advisory Committee Act and
11 the government a the Sunshine Act.

12 Mr. McCreless is the designated federal employee.
13 Rules for participation were announced in the Federal Register
14 Tuesday, June 26th.

15 A transcript of the meeting is being kept.

16 We have received no written comments or requests to
17 make oral statements from members of the public.

18 We will proceed with the meeting, and I call on
19 Mr. Kelber to begin the presentation.

20 DR. MARK: Could I ask, Mr. Chairman, what is the
21 expectation with respect to the duration of the meeting?

22 PROF. KERR: The scheduled meeting is to end at
23 11:30, but I would expect that we should be finished by then.

24 MR. KELBER: Ready for me now?

25 PROF. KERR: Yes, sir.

RMG 2 1 DR. MARK: Charlie, you are going to tell us
2 about the future. Are you going to tell us what advanced
3 reactors means?

4 MR. KELBER: Advanced reactors in the context of
5 the U.S. program means anything other than a conventional
6 land-based light water reactor, light-water cooled and moderated
7 reactor.

8 DR. MARK: So an FNP is advanced.

9 MR. KELBER: To the extent that it poses unusual
10 problems because of its site and the nature of site.

11 DR. MARK: Some mixed oxides.

12 MR. KELBER: A plutonium recycled -- if thermal reactor
13 plutonium recycled were to be entered into, certain aspects
14 of fuel behavior would presumably be shared between us and
15 the fuel behavior branch and light water reactors.

16 DR. MARK: But primarily we are thinking of LMFBRs?

17 MR. KELBER: That's correct. That is the primary
18 focus.

19 (Slide.)

20 The budget that we have submitted this year is
21 responsive to the recommendations of the ACRS. And it was
22 the ACRS recommendations that were the foundation of our
23 planning for '81.

24 Is that a curve of budgetary prospects, going high
25 up and then down to zero, then?

RMG 3

1 (Laughter.)

2 MR. KELBER: No, let me explain.

3 I interpreted the thrust of the ACRS recommendations
4 to be that we should have a certain amount of program balance
5 that was not perceived to be present in our program.

6 I interpreted the thrust of the ACRS recommendations
7 last year to be that there was too great an emphasis, relatively
8 speaking, on the core melt accident, and rather too little on
9 accident initiation and prevention, and somewhat less than
10 desirable on the containment, the traditional licensing concerns.

11 In response to that, we had hoped to be able to address
12 part of that issue during the fiscal '80 budget, and found that
13 we face perhaps an effective budget cut; we don't know yet.
14 But certainly, the budget in '80 that we were talking about
15 when we dealt with you last year was decreased by OMB and has
16 been further decreased as part of a general budget decrease in
17 the House.

18 We do not know what the Senate action will be, but
19 it is quite likely that we will face actual budget cuts, rather
20 than even keeping up with inflation.

21 DR. MARK: Could you just in one sentence say --
22 last year you had suggested you wanted X million, and in fact --

23 MR. KELBER: Yes. At the time we were discussing
24 with you last year, we were discussing a budget at the level of
25 \$16 million: \$15 million in operational support and \$1 million

RMG 4

1 in equipment.

2 DR. MARK: For '80?

3 MR. KELBER: For FY '80. We are now facing a budget
4 of approximately \$12.5 million in operating, which is what
5 came out of the House Appropriations, and we don't know how
6 much in equipment, but it will be well under \$1 million.

7 We do not know what the Senate action will be.

8 Part of the decrease, I might say, was that though
9 the Commission had requested a minimum level from the President
10 for support of gas-cooled reactors, OMB made a decision to
11 terminate the domestic program and zeroed that item.

12 The House and the Authorization Committees in the
13 Senate have authorized and appropriated \$3.7 for the gas-cooled
14 reactor program, and have made a substantial increase in the
15 DOE program, as well.

16 We have no reason to suspect that the Senate
17 Appropriation Committee will do otherwise, and so part of the
18 problem is that some of our funds are being diverted to the
19 gas-cooled program.

20 PROF. KERR: Now, when you talk about \$12.5 plus \$1,
21 which is what you said you now faced --

22 MR. KELBER: \$12.5 plus something less than \$1.

23 PROF. KERR: Okay. Does that include the \$3.7?

24 MR. KELBER: No, that would be additional. It would
25 be approximately continuing the gas-cooled reactor program at

RMG 5

1 roughly its current level.

2 PROF. KERR: So if that held, you would have something
3 like \$16.2 and something less than \$1 in addition.

4 MR. KELBER: That's correct, for equipment.

5 PROF. KERR: Okay.

6 DR. MARK: Now, in your judgment, could you tell
7 Congress what they should do, how much should go into gas-cooled?

8 MR. KELBER: We have asked that if they wish to
9 continue the gas-cooled program at a sustaining level, they
10 appropriate separately \$3.7 million.

11 DR. MARK: So the amount you are talking of is an
12 amount they can understand, see how to use.

13 MR. KELBER: It is a minimum program, and we will
14 address that in some detail later.

15 I might introduce now, my guess is, with respect
16 to the gas program and then return to that.

17 The Department of Energy has been taking a second
18 look at the gas-cooled reactor program, having initially become
19 disillusioned with it last year, and at least in the minds of
20 key individuals, thinking much more favorably of the direct
21 cycle HTGR as an advanced thermal reactor, on both the grounds
22 of its inherently better conversion of fuel, and inherent
23 safety features.

24 In particular, the direct cycle HTGR does not face
25 the problem of moisture ingress from a steam generator leak.

RMG 6

1 It has other problems, but it doesn't have that one.

2 DR. MARK: What is a rough measure of the advantages
3 in fuel use?

4 MR. KELBER: The conversion ratio, depending upon
5 what type of fuel, whether it is highly enriched uranium or
6 medium enriched uranium, the conversion ratio might be anywhere
7 from the low to the high 80 percent, as compared to 55 percent
8 in an LWR.

9 Now, the amount of good that does you depends upon
10 how much burn-up. Since they are low density machines, you
11 really have to go to very high burn-up to get a great deal of
12 advantage from conversion.

13 But I always -- for years I have been an advocate
14 of high conversion plus burning the plutonium in situ, rather
15 than reprocessing it.

16 DR. MARK: That is a really impressive and useful
17 number, 80 percent instead of 50 or something of that sort.

18 MR. KELBER: It is possible to go into the 90
19 percent region in special cases.

20 DR. MARK: But you can get up into numbers of that
21 sort?

22 MR. KELBER: That's correct.

23 DR. MARK: Then you also mentioned inherent safety
24 advantages. What are they?

25 MR. KELBER: The primary safety advantage which has

RMG 7

1 impressed DOE, and I think impresses everybody, is the large
2 amount of thermal capacity in the core, coupled with the fact
3 that the core is basically a low power density core.

4 And that means that in the event of a low of cooling
5 accident, you do have a considerable amount of time before you
6 face massive amounts of fuel release with the prismatic block
7 and the dispersed fuel structure that the only vendor in the
8 U.S. is considering.

9 There would be some release. There is always a
10 little bit of release, and as the temperature goes up, that
11 release becomes more rapid. But it doesn't get to be really
12 significant for about four hours.

13 This implies that you can use a variety of techniques
14 to put into place emergency core cooling systems, which they
15 like to call core auxiliary coolant systems.

16 I don't know what would be proposed for the direct cycl
17 HTGR, but I think it might resemble the conclusions that
18 General Atomics reached in connection with their gas-cooled
19 fast reactor studies, and that is, that the most reliable source
20 would be a 48-hour battery storage device, that is a battery
21 room good for 46 hours of driving the circulators.

22 I don't want to make any commitments with that.

23 DR. MARK: I'm not asking for any details, either.

24 We are talking of circulating helium, and you are
25 saying they could fend off bad consequences for 48 hours.

Accidental Reporters, Inc.

RMG 8

1 MR. KELDER: Before 4 hours, they would have 4
2 hours before they really got into any serious release within
3 the containment, roughly speaking. And so they would have
4 essentially 4 hours to put emergency core cooling into place.

5 I am not sure of the length of time that would
6 be needed to continue the emergency core cooling, but if they
7 can maintain roughly a 2 atmosphere back pressure within the
8 containment, they can after some fairly short length of time,
9 and I don't happen to remember what it is, but I think it is
10 on the order of 2 or 3 days, go on to natural circulation with
11 the helium-and-air mixture that would be within the secondary
12 containment.

13 This is based on the idea that the loss of cooling
14 accident would arise primarily from an opening in the primary
15 containment. If it arose from a loss of power to the cir-
16 culators, they would probably be in somewhat a better position,
17 because the helium by itself is a better heat transfer agent
18 than the mixture of helium and air. They would have to have
19 emergency core cooling of some sort, however.

20 DR. MARK: But the advantages, then, from the safety
21 point of view, we don't have to discuss or worry about this
22 miserable business of boiling and steam versus water and
23 supplies of water.

24 MR. KELBER: That's right. It is a single-phase
25 coolant.

RMG 9

1 DR. MARK: And the handling of the material is
2 very consistent with what has been going on in the helium.

3 MR. KELBER: That's right.

4 PROF. KERR: Please continue.

5 MR. KELBER: The thrust, as I say, of the recommen-
6 dations made in Chapter 6 of your report, was to restore some
7 balance to our program.

8 We anticipated being able to move in that direction
9 in fiscal '80; it now looks unlikely that we will be able to
10 do very much, and in fact, we may have to make some cuts.

11 We will try, however, in doing that, to see whether
12 there isn't work that can be carried over from the gas program,
13 assuming that it is carried on, so as to help us in '81.

14 In constructing the '81 budget, we first took a
15 look at the current balance that exists in our program, and
16 as you can see as is reflected in the report, the majority of
17 the effort is here under core melt accidents. There is a
18 substantial contribution in the area of containment, and rather
19 little comparatively speaking under accident initiation and
20 prevention.

21 To some extent, this reflects the corresponding
22 distribution of funds within DOE, where there is a very
23 significant concentration of effort in this particular area,
24 and of course, their well-known efforts at Argonne and HEDL
25 aimed at core-melt accidents -- which, however, are not the

RMC 10

1 major proportion of their effort.

2 DR. MARK: Could I ask -- the fact that there is
3 \$3.7 or \$3.9 million mandated by Congress for work in this
4 field --

5 MR. KELBER: The gas-cooled reactor field, yes.

6 DR. MARK: Even though you hadn't originally
7 necessarily proposed, it results from what? Effective lobbying
8 on the part of some vendor, or great understanding on their
9 part that this is a good thing?

10 MR. KELBER: I'm not a political commentator,
11 and I really don't know what drives Congress to make certain
12 decisions.

13 PROF. KERR: That's a good answer.

14 MR. KELBER: But the nature of the questions that
15 we have received --

16 PROF. KERR: I thought you were going to say you
17 didn't know.

18 (Laughter.)

19 MR. KELBER: I was going to say that he had
20 uncovered at least one of the strain of questions in Congress.
21 And all I can add is, there have been several questions related
22 to the question of the relative safety of different systems.

23 DR. MARK: That has caught some enthusiasm, I presume.

24 MR. KELBER: As to what drives Congress to do some
25 things and then not others, I don't know. Few people do, I

RMG 11

1 believe.

2 We hope in '81, at the projected level of \$22.1
3 million, which is a number constructed through this process
4 of meeting the recommendations -- we hope to raise this figure
5 to the order of \$7 million, raise this figure slightly,
6 reflecting the construction of a flowing sodium loop to about
7 \$8 million, and raise this figure to about \$7 million, reflecting
8 a greater emphasis on containment strategies and the actual
9 sources in containment concerned with core melt, with retention
10 of melt, and core within the vessel, as opposed to retention
11 in the secondary containment.

12 The question of possible vented filter containment,
13 as I was mentioning informally earlier, we think that this
14 should be done as a part of a systems-type analysis, rather
15 than study each term individually.

16 And to aid in that, our prime tool will be the
17 new CONTAINER code, which I am happy to report is coming along
18 in a steady, very satisfactory fashion not tied
19 to a particular concept of containment.

20 PROF. KERR: Now, when you say this represents the
21 \$22 million that you asked for for fiscal '80 --

22 MR. KELBER: That would be the division. We then
23 come up with a program which is pretty closely in balance.

end #1

24

Am. General Reporters, Inc.

25

1 MR. MC CRELESS: Charlie, you said 80, but do you mean
2 81?

3 MR. KELBER: I do mean 81. There's no question that
4 in '80 we are going to have severe financial problems. That's
5 been reflected in a slowdown in the last half of '79.

6 If there are no further questions about where we're
7 going fiscally, I would like to turn to, first --

8 (Slide.)

9 PROF. KERR: Tell me what an LOA is?

10 MR. KELBER: LOA stands of "line of assurance." It
11 reflects the way the Department of Energy has chosen to manage
12 its safety program.

13 DR. MARK: It's Jerry Griffiths buzz word.

14 PROF. KERR: They got away from defense and into
15 assurance. Okay.

16 MR. KELBER: During the preparation of the proposed
17 supplemental budget for '80, we received a memorandum from
18 Roger Boyd to Roger Mattson in NRR, giving the summary of their
19 views on our fiscal '80 budget for advanced reactor research,
20 which essentially summarized their views of our program. And
21 I will say that this was a completely unsolicited testimonial.

22 It, in fact, came as somewhat of a surprise to us,
23 but a gratifying surprise. The NRR Division of Project
24 Management endorsed our program and encouraged it.

25 This is in line with Mr. Denton's comments at the

1 time of program endorsement last winter; or early this year,
2 they stated they felt continuation was important in resolving
3 key safety issues. And it was consistent with the Administra-
4 tion's desire -- it's been repeated on a number of occasions --
5 to maintain a sufficient R&D program in this country, not to
6 close out the fast breeder.

7 PROF. KERR: Try and let me see if I understand
8 Roger's comments. His first comment seems to say that if you
9 didn't have any money, you couldn't do any work. Is that
10 profundity of statement, or is there something missing?

11 MR. KELBER: That by the amendment that had been
12 proposed -- and which is not, by the way, going forward in that
13 form -- I suggested a number of alternatives to the Commission
14 for funding the supplemental budget.

15 One of the alternatives was to zero advanced reactors
16 in fiscal '80.

17 PROF. KERR: It seems to say that if you zeroed
18 advanced reactors, you wouldn't do any work on advanced
19 reactors.

20 MR. KELBER: That's absolutely correct, of course.

21 PROF. KERR: That does not strike me as completely
22 profound, so I decided I must be missing something. There must
23 be a subtlety there.

24 MR. KELBER: The only context is that what is being
25 objected to here is an alternative referred to Commission -- NRR

1 is being urged in that memorandum not to concur with that
2 alternative because of the need for continuing this program.
3 They do not consider that alternative there as one that should
4 be placed before the Commission.

5 I don't know that I need to comment on this more,
6 except to say that it is noted in the report -- and it has been
7 noted on the report earlier, and it's no secret -- that we
8 have had our problems over the years of communication with NRR.

9 We have tried very hard to improve that. We have
10 very good technical discussions at the working level. I have
11 -- and Bill Gamble on his side have worked at it hard, and I
12 think that this letter is gratifying evidence of our increased
13 ability to communicate.

14 DR. MARK: Charlie, could I ask, in this letter
15 it says the cut from \$13.7 million to zero, that they think is
16 a bad idea, that's in Roger's letter -- the 13.7.

17 In the graph to which you referred us first, you
18 have a number which read 3.9. In the comments you made on
19 that, you also used the numbers 22.-something or other. What
20 are these different numbers?

21 MR. KELBER: Let me review the budgeted structure.

22 In --

23 DR. MARK: Well, we're talking, I believe, of the
24 research budget.

25 MR. KELBER: The research budget for fiscal '80.

1 DR. MARK: And DOE is spending money separately.

2 MR. KELBER: For fiscal '80, the President's budget
3 requested \$13.7 million for fast breeder reactor safety
4 research in program support and zero dollars for gas-cooled
5 reactors. It requested \$800,000, I believe, roughly for
6 equipment, but I'm not sure whether that was broken out as a
7 separate item. I think it was part of a larger total.

8 The budget that came up to the House and is now before
9 the Senate Appropriations Committee contains a total of 16.2
10 for advanced reactors, divided up as follows:

11 3.7 for gas-cooled thermal reactors; and

12 12.5 for fast reactors.

13 The budget submitted to the Commission by PES this
14 year for fiscal '81, and the budget that you are now reviewing
15 carries 22.1 for fast breeder reactors, and 3.9 for gas-cooled
16 reactors.

17 The BRG, the Budget Review Group, in reviewing the
18 budget, for reasons that appear to me to be completely
19 inexplicable, decided that the fast breeder reactor issue
20 represents a policy issue, and decided to set it aside.

21 Now, why they view it as being a policy issue, I do
22 not know. The NRR and the Commission endorsed our program in
23 February and again in this letter.

24 The President, on a number of occasions, has stated
25 that it is national policy to maintain an active research and

1 development program in fast breeder reactors so as not to
2 forelose that option to this country.

3 The Department of Energy has obviously gone along
4 with this.

5 The Congress agrees, and the principal difference
6 with the President is that the Congress, or certain elements
7 of the Congress, wish to take a more aggressive role. And
8 that is being debated now in the Congress, and the debate may
9 await the President's energy speech before it's concluded.

10 The GAO, the Controller General, has endorsed a
11 healthy program, including the NRC's program; and, in fact,
12 had had several discussions with us before they formulated
13 their report on the breeder reactor.

14 DR. MARK: Now, in using these terms -- "fast
15 breeder reactor" -- what comes to my mind is a sodium-cooled
16 thing.

17 MR. KELBER: That is correct. That is the major
18 focus.

19 DR. MARK: A gas-cooled reactor is not a breeder.

20 MR. KELBER: A gas-cooled, fast reactor will be a
21 breeder, of course, and it is not ruled out in any of the
22 discussions to date.

23 DR. MARK: To what extent are these things separated
24 in the conversations of Congress and the Commission?

25 MR. KELBER: The primary focus is on the

1 sodium-cooled breeder.

2 DR. MARK: That is what is commonly referred as to
3 the fast breeder.

4 MR. KELBER: I think that had it been possible to
5 show a marked nonproliferation advantage to the gas-cooled
6 fast breeder, it might have received very considerable
7 support. But for reasons which I think we discussed to some
8 extent last year, I believe it is now the feeling that that
9 was a chimera; and they are, I think, abandoning that aspect.

10 DR. MARK: In general terms, the gas-cooled reactor
11 is not tied in with the word "breeder." It's a gas-cooled
12 reactor.

13 MR. KELBER: Well, the current support in Congress
14 is aimed at the gas-cooled thermal reactor quite explicitly.
15 I do not know how the Senate feels about that.

16 In the House, the word "thermal reactor" appears,
17 and that is not a breeder, obviously. It is a good converter,
18 but it is not a breeder.

19 DR. MARK: Thank you.

20 MR. KELBER: So as I say, I do not know why the two
21 individuals on the BRG panel who were instrumental in the
22 review of our program decided that this should be a policy
23 issue.

24 Neither one of them has ever spent any time
25 discussing it with us, nor did they discuss with us during

1 their review.

2 On the other hand, we must concede that the full BRG
3 didn't go along with their views. They must see something
4 here that neither the President, the Commission, the Controller
5 General, or the Congress see.

6 And I must say I, too, am completely mystified.

7 This means that in reviewing our budget the only
8 source of advice to the Commission will be RES, on the one
9 hand, and your Committee, on the other.

10 And in that respect, I would say two items -- one
11 is that I feel you should not shrink from putting in numerical
12 recommendations if that's the way you feel. Number 2 is I
13 think you should avoid the view that money not spent in this
14 effort will necessarily be spent elsewhere. The budget
15 process does not work that way at this level.

16 It is sometimes true, at a late stage in budget
17 formulation, for example, in the Appropriation Committees,
18 that once a total is fixed, individuals will then attempt to
19 reapportion the division of that of that total. But that is
20 not the process that happens at this stage.

21 Each line item is reviewed individually and on its
22 own, as well as the total of the budget, so that, for example,
23 cutting out the entire advanced reactor, safety research program
24 would not make any \$22 million available for research connected
25 with Three Mile Island, as an example.

1 Well, I told you that we took your recommendations
2 to heart.

3 (Slide.)

4 As you recall, I asked for them very specifically
5 because of the problems our program faced. So I would like
6 now to address, in roughly the order in your report, -- not
7 precisely that order -- what we would like to do with the
8 \$22 million to meet your recommendations.

9 First, the major recommendation was to make a
10 comprehensive study of safety issues for the commercial LMFBR.
11 We have a small event tree program in place. It has problems
12 staffing up.

13 We have had the advantage of some superb loan
14 employees from England and from the Air Force. I must say that
15 I have recently received a report from the U.K. on their
16 progress in this area. And they have come across some of the
17 same stumbling blocks we have, which are how to organize the
18 event trees associated with core melt accidents because so
19 much of the phenomenology is uncertain.

20 Nevertheless, we are developing slowing -- more
21 slowly than we would like -- a cadre of people to do this,
22 and in connection with the conceptual design studies to be
23 released by DOE in fiscal '81, we would, at that point, focus
24 on the safety issues that we think address the consensus of
25 U.S. vendors as to the direction for commercial LMFBRs in this

1 country.

2 There has been some preliminary work by EPRI in this
3 area, and they have come up with a small but impressive study
4 on a pool-type design. I believe that closes out their effort,
5 but it has addressed the question of accident initiation rather
6 well, reflecting some of our own concerns. And we believe there
7 is an intention with DOE to follow up on some of their work.

8 And we have established a working relationship with
9 those groups. We would staff up considerably in this area and
10 initiate such a study on a grander scale. We at least have
11 the techniques in place. We are carrying out cooperative
12 studies now with the U.K.

13 Again, there is some cooperation from DOE in this
14 area, largely in using their advanced codes.

15 PROF. KERR: Charlie, tell me a little more about
16 what is meant by carrying out a cooperative program with the
17 U.K. How many people are involved, and how are they involved,
18 and what are they doing?

19 MR. KELBER: There is a team of roughly three people
20 at Argonne, Harry Hummel, Phil Pitzika and one other -- plus
21 an unknown number from DOE on our side of the fence.

22 The British have a significant number of people --
23 I believe, about six -- involved in the study of accident
24 initiation in a commercial-sized LMFBR. According to the
25 British conception of a commercial plant, the area of

1 concentration right now is on the reactivity feedback
 2 coefficients, the Doppler coefficient and the sodium void
 3 coefficient, which would lead to "benign shutdown," -- to use a
 4 buzz word phrase -- of an event which might otherwise go into
 5 a whole core accident -- in other words, stop an event from
 6 autocatalytic propagation, an event which involved melting
 7 of fuel in some subassembly.

8 It is premature now to discuss numbers, but Harry
 9 Hummel has been coming to the feeling that there is a band
 10 of reactivity feedback coefficients involving both the Doppler
 11 coefficient and the sodium void coefficient, where it is likely
 12 to be correct to say that an accident, even on the subassembly
 13 scale, will be terminated by inherent reactivity feedback even
 14 if there is no scram before there is an autocatalytic
 15 propagation of melting through the core.

16 PROF. KERR: Let me read -- and I'm reading from the
 17 ACRS recommendation, but I'm actually taking it from an NRC
 18 memo -- "The NRC should undertake a comprehensive study of the
 19 safety questions that are likely to arise from commercial
 20 LMFBRs.

21 "The ACRS believes that there is a high priority
 22 need to review all possible sources of serious accidents --
 23 for example, loss of shutdown, heat removal capability, their
 24 probabilities and their level of seriousness in plants of commer-
 25 cial size.

1 "Considerable use of probabilistic analysis tech-
2 niques should be made. Preliminary conceptual designs should
3 be utilized in the studies as a means for focusing on an integra-
4 ted approach to the solution of problems such as post-accident heat
5 removal." Are you telling me that this cooperative program
6 that you just described is in response to that?

7 MR. KELBER: It's in response to a part of that, but
8 that is a massive effort. The skeleton of that effort will
9 be the event tree stuff.

10 PROF. KERR: I'm not trying to put words in your
11 mouth; but I had thought you were saying that there was a
12 cooperative program between the U.S. and the British, and that
13 it was in response to this.

14 MR. KELBER: Let me repeat that there are three
15 actions that are in direct response to this. There are
16 actions that address shutdown cooling directly, because that
17 is so significant in its own right. And I'll come to that.

18 The vent tree program furnishes the skeleton, the
19 analytical skeleton, as it did in WASH-1400. And we intend
20 to emulate their process.

21 PROF. KERR: It seems to me, if I understood what
22 the ACRS had in mind, and if I understand what I read here --
23 and I may be reading things into it -- that what was being
24 suggested was survey of all -- field of accidents, rather than
25 a concentration, for example, in feedback coefficients in the

1 core.

2 Now, certainly, that's one of the things one would

3 look at. But the emphasis here is on a comprehensive study.

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

end t2

1 MR. KELBER: I am coming to another part of that.
2 But let me go back over these grounds. The events tree study
3 forms the skeleton and directs the comprehensive study. We want
4 to emulate WASH-1400 because of its success in doing this.

5 PROF. KERR: Now, again, what has preceded the event
6 tree? It seems to me, before you draw an event tree, you need
7 to have defined the system. Is it assumed that the system is
8 defined and that one is at a point at which one can start draw-
9 ing event trees? I mean, for example, the language here talks
10 about preliminary conceptual designs. Now, the implication here
11 is that one is still in the stage of exploring various alterna-
12 tives. When you get to the event tree stage, unless you're
13 doing a lot of alternative event trees, you have, in a sense,
14 already defined the system, and now you're looking at a specific
15 system. So, I am not quite sure where we are in this stage of
16 things.

17 MR. KELBER: We have started the event tree work by
18 focusing on the only design we have, which is the CRBR. Pri-
19 marily, this is to isolate certain issues, such as the phenome-
20 nological difficulties I have referred to, the issue of whether
21 or not you go into whole core accidents or not, which is what
22 is being addressed in the cooperative study, and issues associa-
23 ted with shutdown heat removal. And I am going to treat those
24 separately.

25 Now, it has been known for some time that the CRBR

1 design, if it were to start from scratch, would treat shutdown
2 heat removal somewhat differently. But our desire here has been
3 to build up a cadre of people who are skilled in the art and
4 knowledgeable about the general characteristics of these plants
5 and to focus on the product of the conceptual design study that
6 DOE is carrying out, as representing the consensus of U.S.
7 vendors' thoughts on a commercial plant.

8 Now, I think this is going to be an iterative process,
9 both on their part and ours. But we have to get started, and
10 we will use that conceptual design.

11 PROF. KERR: That's not CRVR?

12 MR. KELBER: No, that's a conceptual design study
13 which will be aimed at a plant with at least the characteristics
14 of a commercial plant.

15 PROF. KERR: You had mentioned CRBR earlier.

16 MR. KELBER: CRVP is the tool we are using to build
17 up a cadre of people. They're doing event trees for that CRBR
18 because it's the only design we have.

19 Now, if DOE were not going to develop the conceptual
20 design study, we would then use the EPRI pool system. But with
21 our limited resources, I feel we have to focus on something that
22 has a chance of being a licensed machine at some stage, or at
23 least which has the major characteristics of a machine that will
24 be proposed for licensing.

25 PROF. KERR: I would guess, again, trying to

1 reconstruct, that one of the things that ACRS might have had in
2 mind was that at this stage the licensibility and safety of the
3 final design perhaps could be influenced by studies in safety
4 research which would indicate that one or another design might
5 be safer or more nearly licensed.

6 MR. KELBER: You are getting a little bit ahead of
7 my story here.

8 PROF. KERR: I don't wish to do that, so I apologize.

9 MR. KELBER: It's no problem. We are very conscious
10 of that, and I separated out shutdown heat removal and natural
11 circulation because I wanted to address that separately, where
12 we are making just such considerations.

13 Let me just close out. We have, as you know, been
14 carrying out some joint studies with the FRG because it's by no
15 means clear to us that mixed oxide fuels are necessarily the
16 fuels of commercial plants.

17 I am, however, informed by Wolfgang Barthold, now
18 with Science Applications, Inc. that it is possible to make an
19 optimized mixed oxide fuel design using large pins with a
20 doubling time of approximately 10 years, and that probably would
21 qualify as a full-fledged commercial design.

22 Whether the DOE conceptual design study will focus
23 on such a design or not, I do not know. But I think it should
24 have the element of commercial viability to qualify it.

25 Now, let me explain a little bit here about the

1 question of the recommendation to initiate scoping studies on
2 GCRs, gas-cooled reactors.

3 The statement is: Funding not available. That
4 assumes that the administration decision not to fund the gas-
5 cooled reactor is maintained. If the decision is otherwise, if
6 in fact there is an active gas-cooled reactor program as it now
7 looks and if that continues within '81, then we would seek fund-
8 ing under the gas program and carry out this work under the gas
9 program.

10 Another recommendation was: Initiate studies which
11 place emphasis on CDA prevention.

12 PROF. KERR: That would presumably, from what you
13 said earlier, be confined to the thermal gas-cooled reactors,
14 if the congressional language --

15 MR. KELBER: It depends on the congressional language,
16 which is not complete yet.

17 PROF. KERR: Okay.

18 MR. KELBER: And I think we have to be responsive to
19 Congress in their desires. If they direct the gas reactor
20 program to focus on the thermal reactor, then I think we have
21 to be responsive to that.

22 As part of this rather broader comprehensive study,
23 the recommendation was made that we initiate studies which place
24 emphasis on CDA prevention. I have already mentioned the work
25 that Hummel is doing on the accident initiation: Are there

1 inherent characteristics of a design? And, as you know, by a
2 variety of techniques, one can, to some extent, tailor the feed-
3 back coefficients in a fast reactor. Are there inherent charac-
4 teristics of a design which make whole core accidents involved
5 progressions a great deal less probable, particularly those
6 which might be accompanied by very serious excursions.

7 PROF. KERR: This again is Hummel?

8 MR. KELBER: This is primarily Hummel plus some DOE
9 assistants, as well.

10 PROF. KERR: We're depending pretty heavily on Hummel,
11 then?

12 MR. KELBER: He's a very good man. Otherwise, I
13 think we would have to cover our bets. Yes. If Harry Hummel
14 didn't exist, I guess we'd have to invent him. But he's a key
15 man in this respect.

16 I have, by the way, recently talked with Harry about
17 comments in this area. He indicated that he thought perhaps
18 towards the end of the year he might be prepared to give a
19 seminar on this general topic. And when we arrange that, we
20 will be sure and get invitations to the ACRS.

21 PROF. KERR: This general topic is?

22 MR. KELBER: The question of the role of reactivity
23 feedback coefficients in decreasing the likelihood of whole core
24 accidents.

25 Now, we have been planning some work as a follow-on,

1 the so-called "Phase 2" of the event tree studies we have been
2 carrying on. And the emphasis there is two-fold.

3 And the emphasis there is two-fold: What are the
4 causes of whole core accidents? Of course, we're familiar with
5 the generic topics of loss of flow or some arbitrary reactivity
6 insertion. But these are not the causes in terms of event
7 trees. So, the question is: What are the causes in terms of
8 systems that you find in any reactor plant that might lead to
9 these accidents, and what are the routes of greatest payoff to
10 rendering those causes much less probable?

11 Now, in that same respect, DOE has a very significant
12 effort mounted. They are addressing two parts of this topic:
13 One is component reliability, and the second is ensuring SCRAM
14 reliability through a redundant independent system of control
15 rods. And today and tomorrow, we are having an extensive
16 information meeting with them, with DOE and their contractors,
17 to understand the status of work.

18 Where we would attempt to fill in, I do not yet know.
19 I think a great deal will depend on the information we receive.
20 We don't want to duplicate what they are doing, but I think we
21 want to use this follow-on work from the event tree study in
22 conjunction with the work that DOE is doing, either to provide
23 them with our insights as to where they might be weakest in
24 their approach or may have omitted something or if it is obvious
25 that there is a crucial area to do some confirmatory work of

1 our own. But it is much too early at this stage to try and
2 identify anything specific.

3 PROF. KERR: Let me make sure I understand your use
4 of that chart. The UK-USNRC sort of refers to what Hummel is
5 doing.

6 MR. KELBER: And Paul Moorhead in England.

7 PROF. KERR: The added work to follow event tree is
8 what?

9 MR. KELBER: This is work that we will do at Sandia.

10 PROF. KERR: It's not yet under way?

11 MR. KELBER: It's currently being planned.

12 PROF. KERR: And it will follow what is referred to
13 above as the "event tree program"?

14 MR. KELBER: It is part of the overall event tree
15 program. And that's a specific activity to follow-on.

16 PROF. KERR: It's planned for Sandia at sometime?

17 MR. KELBER: We would hope to get it started next
18 fiscal year at a low level.

19 PROF. KERR: And then information meeting with DOE
20 and contractors.

21 MR. KELBER: They're going on today and tomorrow.

22 PROF. KERR: That's mostly information development,
23 and after you develop the information you will decide what to
24 do?

25 MR. KELBER: We will then follow with some in-house

1 planning over the next several months and depending upon our
2 fiscal '80 resources attempt to do something. If it is obvious
3 what we ought to do in this area in fiscal '80, I think that it
4 will become much clearer as we get a more detailed conceptual
5 design and as DOE focuses its own programs and the conceptual
6 design study.

7 PROF. KERR: Now, suppose -- this presumably is based
8 on the assumption that you would get in fiscal '80 your proposed
9 budget.

10 MR. KELBER: That's correct.

11 PROF. KERR: Does this have associated with it any
12 amount of money? Or you're going to get to that?

13 MR. KELBER: I am coming to that. I have some delta
14 charts.

15 (Slide.)

16 Another recommendation was to study the pros and cons
17 of alternate containment designs. We have three programs in
18 place, and in conjunction with these three programs and planned
19 work associated with the floating nuclear plant, some work that
20 is being done on the probabilistic staff on containment systems.
21 We would like to make a systems analysis of the problems here
22 involving not only the alternate containment designs as filtered
23 and vented versus closed, but also the questions of core reten-
24 tion in case of core melt either partial or total. Is it more
25 advantageous to retain the core in the primary system, even at

1 the threat of adding a great deal of complexity to the lower
2 plenum structure, as opposed to a secondary containment; if you
3 use a secondary containment, ought it be a refractory or a sac-
4 rificial material. What is the extent of threat in sodium-
5 cooled systems from sodium on concrete, sodium reactions on
6 concrete.

7 Let me digress a moment. I know that for Super-
8 phenix 2, which is to be a more economical plant than Super-
9 phenix, there is a purposeful effort to move the lining of the
10 concrete cells outside of the primary sodium system, and there
11 is correspondingly now a reawakening in France of the need to
12 study the problem of the sodium interaction with concrete.

13 As you know, we have found that there is a fairly
14 complex chemistry to this problem, and there is apparently an
15 intermediate band of temperatures where the sodium is hot enough
16 to start a serious gas-producing reaction with the concrete,
17 but not hot enough to produce a protective layer that would
18 inhibit further reaction. When the sodium gets very hot, it
19 apparently may indeed produce such a layer; and when it's very
20 cold, of course, the chemical kinetics themselves are too slow
21 to produce much reaction.

22 Now, a question which is tied in --

23 PROF. KERR: The comment you referred to earlier,
24 "three programs," which three, where?

25 MR. KELSER: CONTAIN is the code being developed at

1 Sandia. It is the --

2 PROF. KERR: So, it doesn't exist yet?

3 MR. KELBER: It exists in major parts. It is not yet
4 available in anything like a test version. But major parts do
5 exist. The basic code structure is defined.

6 PROF. KERR: What is meant, then, by "use CONTAIN
7 code," if it's in a developmental stage?

8 MR. KELBER: By the time fiscal '81 comes around,
9 the version will be ready, and we can address the schedule for
10 containment whenever we're ready to look at that analytical
11 program.

12 PROF. KERR: How is it going to be used in this
13 particular study?

14 MR. KELBER: This is the basic code for systems
15 analysis. Having assumed there is a given threat, we will be
16 able, by means of CONTAIN, to model the entire containment sys-
17 tem, including the degree of reaction of the sodium with con-
18 crete, the question of where the fuel is, what heat loads there
19 are, what radiological sources there are, how they are trans-
20 ported within the containment, and what ultimately is the threat
21 ex-containment. So, it is the basic tool.

22 The structural integrity program is developing the
23 data related to the failure of liners, the interaction of the
24 sodium with concrete; and the ART program is developing the data
25 related to radiological transport.

1 PROF. KERR: Who's doing the structural integrity
2 work?

3 MR. KELBER: Sandia, largely. And the ART program is
4 at Oak Ridge, largely.

5 PROF. KERR: ART program to define containment threat,
6 and that means what?

7 MR. KELBER: Radiological source term.

8 Now, another recommendation which is tied, in our
9 minds at least, to the first recommendation -- that is, a com-
10 prehensive survey of the safety problems of commercial types --
11 is the question: Are new experimental facilities or programs
12 needed to demonstrate the validity of natural convection cooling?

13 SSC and COMMIX are codes which are now in use --

14 PROF. KERR: SSC?

15 MR. KELBER: Is a super-system code developed at
16 Brookhaven and now in use in Germany. Japan is starting to use
17 it. And it's being used by the vendors and DOE as well as our-
18 selves in the U.S. It is being used by us to model the FFTF
19 natural convection tests.

20 PROF. KERR: How does one use that to determine
21 whether new experimental facilities are needed?

22 MR. KELBER: We believe that it has substantial
23 capability of modeling scale effects.

24

25

1 It is not clear. We will attempt to model range
2 of tests in EBR-2, which is of course a very small system;
3 FFTF a roughly 10 times the size -- if we can get data from
4 PFR.

5 And this has been proposed in some detail to us.
6 But there has been no follow-up. If we can get detail from
7 PFR, the English tests, then we will have very useful data
8 from a very sizable demonstration scale plant, and of a pool-type
9 rather than a loop-type.

10 We would propose to do some tests of sensitivity
11 to scale, components design and whether you can do satisfactory
12 work by testing individual loops, as opposed to an entire
13 system.

14 The point is that SSC can model the entire system,
15 or it can be used to model an isolated portion of the system.

16 PROF. KERR: I would guess that SSC is a very
17 powerful code. You are, it seems to me, expecting a lot of
18 it if it will handle not only the operating regime but the
19 natural convection regime as well. Do you think it will?

20 MR. KELBER: Yes.

21 Let me say that we will have a version of SSC for
22 we have a version for loop-type now; a pool-type is underway.
23 A long-term program, that is, for studying long-term natural
24 convection problems is also underway, and the guiding principal
25 there has been John Meyer at MIT.

RMG 2

1 And we are preparing a water-cooled version for
2 Three Mile Island support.

3 PROF. KERR: I am less concerned about the versions
4 than I am the flow regime. This is a tremendous departure
5 from the flow that you get in the operating reactor.

6 MR. KELBER: It is the transition from fully
7 developed turbulence down to laminar; yes, that is correct.
8 And we had a lot of controversy initially over modeling that
9 transition, particularly in the subassembly. And I don't think
10 that that is entirely settled as yet.

11 But we do believe that by analyzing the rather
12 well-instrumented tests in FFTF, we should be able to tell
13 what type of errors are being introduced in modeling that
14 transition.

15 PROF. KERR: Thereby you can determine whether you
16 need the experimental facilities?

17 MR. KELSER: I don't know whether it is going to be
18 a clear-cut answer. I think that there will have to be some
19 engineering judgment. We are not alone in this, of course,
20 and to this end we are sponsoring a meeting at Brookhaven next
21 February on natural convection, the experience with natural
22 convection in demonstration plants, and whether these
23 facilities are needed.

24 So that between the analytical effort and the
25 reflection of worldwide judgment we hope to get from that

RMG 3

1 meeting, we do hope to formulate a view on this question.

2 And I would hope that by next year at this time when
3 we discuss our fiscal '82 budget, or at least I hope we discuss
4 our fiscal '82 budget, we will be able to summarize our views
5 on this question for you.

6 In this connection, we would hope, we would plan in
7 '81 to reactivate at the level of approximately \$700,000 a
8 year the old safety test facility studies. And while there would
9 be some need for attention to facilities aimed at the whole
10 core accident, we anticipate the need to centralize this work
11 in that area, particularly if we do find that some new facilities
12 are need, or that we would, for example, like to take some
13 existing facilities at the Engineering Technology Center at
14 AI and revamp that.

15 PROF. KERR: The Experimental Test Facility, as I
16 remember, was not aimed at experimental convection cooling.

17 MR. KELBER: No, it was not aimed previously.

18 PROF. KERR: What could they tell you about the
19 validity of natural convection cooling?

20 MR. KELBER: We would reactivate this programmatically.
21 That is, we have a line item in our program.

22 PROF. KERR: No, I am trying to relate the material
23 on the right to the material on the left.

24 MR. KELBER: No, no, no. This would be a new STF
25 study, not aimed necessarily at the whole core accident, but

RMG 4

1 aimed specifically at this question:

2 If there is a facility needed, what should its
3 characteristics be, and how might existing facilities be used.

4 PROF. KERR: Okay. You are saying you would piggy-
5 back this on the other STF studies.

6 MR. KELBER: The other STF studies are now zero;
7 they are nonexistent.

8 PROF. KERR: Well, I read up there: "Reactivate
9 STF studies." That means to me that something has been going
10 on and you are going to restart.

11 MR. KELBER: We would get the group of people
12 involved.

13 PROF. KERR: The something that was going on was
14 not aimed at convection cooling. That is what I mean by
15 piggyback.

16 MR. KELBER: Okay. We would get the people involved.
17 We would not necessarily get the same focus.

18 PROF. KERR: Why would you pick out STF to demonstrate
19 convection cooling?

20 MR. KELBER: STF is not a facility. STF is our
21 acronym for this effort, this programmatic effort. It is a
22 generic term.

23 PROF. KERR: It means anything that has to do with
24 safety?

25 MR. KELBER: That's correct.

RMG 5

1 PROF. KERR: Okay. So reactivate might also read,
2 redirect.

3 MR. KELBER: Except that it is not yet, there is
4 nothing to redirect. That is why we chose the term reactivate.

5 Again, there is a recommendation that we evaluate
6 on a continuing basis the need for new, large-scale experimental
7 apparatus. And that would be a charge to the same group. That
8 primarily is what this group does.

9 PROF. KERR: I would have thought that STF was based
10 on the assumption that the facilities were needed, and one was
11 trying to decide what they should be, or design them.

12 MR. KELBER: If you will recall --

13 PROF. KERR: That sort of says to me, let's look and
14 see if we really need them.

15 MR. KELBER: If you recall the thrust of our old
16 STF effort, which was aimed at whole core accidents, was to
17 define the needs and to define the facility requirements.

18 I am, by the way, still of a mind that such
19 facilities are needed. I don't see the need to re-chew that
20 fat unless there are dramatic advances in our understanding.

21 PROF. KERR: It seems to me the response for that
22 should be, I don't see the need for answering that question
23 since I already have the answer to it in my mind.

24 MR. KELBER: That's right. This activity, here,
25 then would be to say: Have there been developments in the past

RMG 6

1 years which change our understanding that should be reflected
2 in our views.

3 PROF. KERR: So your response to that would really
4 be, there is no need to reevaluate or evaluate on a continuing
5 basis, I am already convinced.

6 MR. KELBER: I am convinced personally. I also
7 concede the wisdom of having a group which makes a systematic
8 review to see whether the existing judgment should be changed.

9 (Slide.)

10 PROF. KERR: If you will permit me --

11 I come from an academic background in which lectures
12 generally don't last longer than 50 minutes. I therefore would
13 like to declare a 10-minute break before the next lecture.

14 MR. KELBER: Could I complete this, and then we will
15 be ready to take a break, and then go into the delta charts,
16 which will be the budget?

17 PROF. KERR: Okay, but don't take more than 5 minutes.

18 MR. KELBER: One of the recommendations was continued
19 studies of the CDA and the resolution of problems associated
20 with its postaccident heat removal. This is largely a con-
21 tinuation of the current work reflected in the SIMMER code, the
22 ACRR tests.

23 We are adding something new, and this is what I
24 wanted to -- this ties back in with the first recommendation.

25 We have asked Dave Hetrick and his group, which is

RMG 7

1 essentially an international reactor modeling systems modeling
2 group, to look at the question of are there generic differences
3 between pool-type and loop-type systems, with respect to the
4 reliability of shut-down heat removal.

5 At least one vendor group in this country has
6 identified loss of shut-down heat removal as the greatest
7 likely source of a whole core accident.

8 I have, in a private communication from the United
9 Kingdom, an estimate that the reliability of shut-down heat
10 removal systems must be extremely high, roughly as high as that
11 associated with SCRAM systems.

12 PROF. KERR: How high is that?

13 MR. KFLBER: I hesitate to use the numerical value,
14 because it is so bad, that they assume that their unreliability
15 should be no greater than 10^{-7} per year.

16 And assuming then an average of 10 demands per year,
17 they assert that the unreliability per demand should be no
18 greater than 10^{-8} .

19 Now, I remind you that the only, that the most
20 reliable system now in place in any high-technology area is the
21 U.K. automated landing system for airplanes. And the actual
22 test of that system allows one to place an unreliability of
23 being somewhat less than 10^{-5} .

24 And the ability --

A. deral Reporters, Inc.

25

PROF. KERR: 10^{-5} of what?

584 044

RMG 8

1 MR. KELBER: Per demand. Now, that's projected
2 to have an unreliability by estimate of less than 10^{-7} per
3 demand. But the gap between what is demonstrated and what
4 is estimated is, of course, 2 orders of magnitude.

5 And I don't see any ability on our part to demonstrate
6 by test such low figures.

7 Neither does, I say, one of the vendors in the U.S.

8 Westinghouse has come to somewhat similar sugges-
9 tions.

10 So that we think that this type of approach may be
11 very valuable in tying this type of study, which is the
12 traditional focus of fast reactor work, to the first recommen-
13 dation that the Committee made, which was a much more com-
14 prehensive study of problems associated with conceptual designs.

15 Finally, a recommendation was made that there be
16 an emphasis on developing a planned, methodological program
17 of international work. That is in place. We do have some
18 problems with the negotiation of the broad scope agreement
19 with the CEA.

20 Briefly, in April of this year, we were entering
21 into negotiations leading to a final draft of a broad scope
22 agreement with the French CEA when a decision was made between
23 the DOE and the development side of the CEA to suspend their
24 negotiations in the area of safety.

25 Frankly, they agreed to disagree on the scope of

RMG 9

1 their exchange. When that happened, the CEA suspended
2 negotiations with us.

3 I was informed that DOE is reopening those nego-
4 tiations this summer, and assuming that there is some satisfac-
5 tory resolution, then we anticipate being able to complete that.

6 We are involved now in detailed negotiations for
7 an extensive involvement of Euroatom in a joint program of
8 work with us on cooling of debris beds. The same work, the D
9 series program, which was used, by the way, to project cooling
10 under natural convection circumstances in TMI-2.

11 Well, that ends my review of your recommendations.
12 And after the break, I would like to go rapidly through our
13 actual number charts, the so-called delta charts. And that
14 would conclude my presentation.

15 PROF. KERR: Fine. I now declare a 10-minute break.

16 (Brief recess.)

17 PROF. KERR: Charlie, please continue.

18 MR. KELBER: Well, let me continue now with a
19 very rapid run-through of our proposed fiscal '81 budget.

20 (Slide.)

21 DR. MARK: It won't take long, because it is so
22 small.

23 (Laughter.)

24 MR. KELBER: As against our presidential submission
25 for fiscal '80, you can see that the increases come in three

RMG 10

1 places:

2 In analysis, these are the major increases;

3 In materials interaction, which reflects the sodium
4 loop;5 And in system integrity, which reflects the emphasis
6 on containment, and this corresponds to the balancing action
7 I referred to.8 The codes that we are discussing are a family of
9 codes that Dr. Curtis will discuss with you at your pleasure,
10 related to details of accident analysis and system analysis.11 SIMMER is at this stage in a kind of steady state.
12 That is to say, we aren't going to do a great deal more code
13 development other than the sort of technical code development
14 involved with making it run more efficiently, or exporting it
15 to different machines.16 We do have to make some serious decisions as to
17 whether to attempt to make a special version of the codes to
18 handle heterogeneous cores, and this depends to a large extent
19 on DOE and vendor decisions, as well as to some of the insights
20 that we have developed. Right now we do not think that we will
21 have to do that.22 If CRBR actually is restarted, and licensing procedures
23 for CRBR reactivated, then we might indeed have to for that
24 particular heterogeneous core have to have a special version
25 of SIMMER.

RMG 11

1 PROF. KERR: Okay. FY '81 is based on the assumption
2 of \$2.4 million increase over FY '80 for analysis, and that's
3 code development.

4 MR. KELBER: That's code development in the area of
5 accident details.

6 PROF. KERR: The codes involved are SIMMER --

7 MR. KELBER: No other codes than SIMMER.

8 PROF. KERR: SIMMER is at the same level of support?

9 MR. KELBER: The level of effort on SIMMER has been
10 decreasing, and will decrease to about 75 percent of its '78
11 level, I think. That is about as low as it should go.

12 PROF. KERR: What about the percent of its FY '80?

13 MR. KELBER: In FY '80, SIMMER is about 25 or 30
14 percent of this, and it will be at roughly the same dollar
15 level, plus some allowance for inflation, in '81.

16 PROF. KERR: Okay. What is the \$2.4 increase
17 portion?

18 MR. KELBER: It is a family of codes called BIFLOW,
19 FRAM, and some others. Bob Curtis can address that question
20 in detail. He is much more knowledgeable than I am. We can
21 do it now or we can wait.

22 PROF. KERR: Are there 25 codes or three?

23 MR. KELBER: About 7.

24 PROF. KERR: Okay. I don't need a lot of detail.

25 I was just curious as to what -- is there some new start-up?

RMG 12

1 (Slide.)

2 MR. KELBER: These are all in various degrees of
3 progress right now.

4 BODYFIT is a special code for the detailed analysis
5 of sodium boiling experiments involving 7 and 9 fits. It is
6 an extremely accurate code which enables us to actually track
7 the experiment in detail so that we can predict the response
8 of a given thermocouple.

9 PROF. KERR: Is this already developed?

10 MR. KELBER: It is in development, and some initial
11 tests have been made.

12 PROF. KERR: They will do things that various
13 versions of SASS won't do?

14 DR. CURTIS: Yes. It is metadimensional, a very
15 exciting breakthrough.

16 Bill Shaw has found a way to map irregular boundaries
17 into a rectangular Cartesian form to solve the continuity
18 equations, and then map the answers back to the irregular
19 geometry. And it looks very exciting.

20 PROF. KERR: It will run in real time?

21 DR. CURTIS: If the problem is of experimental size,
22 it certainly would not work for reactors.

nd #4

1 MR. KELBER: Let me add one thing here. Our primary
2 use here is to help on experiments being conducted by Kepler
3 at KFK. In testing the body fit version, we have in some tests
4 intended to match his results, but we have a rather good
5 working relationship between Bill Shaw and Poeppler's group
6 at KFK.

7 COMMIX is the 3-D, time-dependent, sodium-mixing code,
8 that enables us to study the mixing of sodium in the various
9 components -- either a subassembly, all but plenum of pipe
10 elbow, pipe transport run during the transition from turbulence
11 to laminar flow. And it's being used in conjunction with some
12 of the FFTF tests to determine the types of temperature
13 gradients that exist in these components.

14 Particularly, there are components where mixing
15 may be poor and temperature thermal stresses may be signifi-
16 cant.

17 We do information that the water modeling is not as
18 reliable as people had earlier supposed, and that in conjunc-
19 tion with Superphenix we understand that the French have put
20 in place at Catareche full full-sized sodium test rigs to
21 study this problem.

22 CONTAIN is, as I have mentioned, a master containment
23 code, not tied to any particular concept, but capable of
24 handling a wide range of containment concepts, including all
25 the effects necessary for systems study.

1 FRAM is the tentative name for fast reactor accident
 2 models. It's to be a code linked to SASS, the new version of
 3 SASS, SASS 4-A. However, FRAM is designed -- we use a lot
 4 of SASS 4-A in it, but it is designed to do two things:

5 A, contain specific models, developed either by
 6 Licensing or ourselves in response to their concerns of what
 7 happens in a subassembly. An example of that is BIFLOW, which
 8 is an outgrowth of Theofanis' work, for licensing on two-
 9 dimensional voiding patterns in the CRBR.

10 And an example of our own work is EPIC, which is the
 11 modeling of the fuel motion when it becomes molten. These
 12 will be linked to SASS within the framework of FRAM. But,
 13 more important, we intend to be able to do a wider range of
 14 parametric investigations of the type that Licensing Staff
 15 tends to run to understand the sensitivity of codes like SASS.

16 We experienced great difficulties in doing problems
 17 with SASS with way because of its focus on a particular model.
 18 And so we attempt to incorporate in FRAM the ability to test
 19 sensitivities of specific models more readily.

20 SSC we have discussed. SIMMER is well known to you.
 21 The cooperative studies we have discussed. We will be
 22 extending these we hope in several areas related to fuel
 23 failure through the CABRI program.

24 If we get a broad program going with the French, we
 25 intend to enlarge our cooperative studies with respect to

1 sodium fires, with respect to transport of sodium vapor and
2 fuel gases through the sodium pool, the so-called EXCOPUL
3 experiments.

4 PROF. KEER: Does "cooperaitve studies" imply
5 analytical -- development of analytical tools or the use of
6 analytical tools to study problems?

7 MR. KELBER: Either one. It depends upon the
8 particular case. Mostly up to now it's been comparison of
9 the analytical tools applied to a particular problem in an
10 attempt to understand why there are differences.

11 And an expansion of the probabilistic analysis --

12 PROF. KERR: And who's doing the cooperative studies?

13 MR. KELBER: Argonne in particular for us. That's
14 the Hummel work. Sandia is doing work on fuel failure.

15 PROF. KERR: I hope Hummel knows how much of this
16 depends on him.

17 (Laughter.)

18 MR. KELBER: Sandia is doing the work on fuel failure,
19 and LASL -- Jim Scott at LASL, and Bill Kemp at Sandia. We
20 have done some work in the aerosol field, largely at Oak Ridge
21 and Battelle -- and there, largely, with the U.K., and to a
22 lesser extent with the Germans.

23 MR. SILBERBERG: We're just starting to get into
24 dealing with the Germans.

25 MR. KELBER: We do hope to explore the sodium fire

1 area with the French, who are probably the leaders in this
2 area.

3 (Slide.)

4 Coming back to the remainder of the Delta charts,
5 materials interaction -- we badly need a flowing sodium loop.
6 If we could put flowing sodium loop into the ACRR, we can do
7 a range of tests that go well beyond the kinetics of TREAT by
8 an order of magnitude -- cover roughly the same energy
9 deposition range in TREAT, and significantly extend the CABRI
10 work. And we can accommodate the same size pin as in CABRI.

11 Now, I don't want to, in saying this, indicate that
12 in any way the work in TREAT is not good work. I think it is
13 necessary work.

14 DOE is doing a substantial program there. I wish it
15 were moving faster, but it does not cover a range of energy
16 input and rates of energy input that commonly are the focus
17 of attention in the licensing reviews. And in particular, for
18 example, last year, if you may recall, Jerry Griffiths spent
19 some time discussing the potential for an element with a hole
20 in the fuel whereby if that fuel were driven to melting, the
21 molten fuel would then go upward through this hole and freeze
22 in the upper blanket.

23 This has considerable potential for shutting down
24 accidents by fuel removal without ever getting outside
25 the clad.

1 An English analysis, which by the way was carried
2 out in the scope of our cooperative calculations, shows that
3 this would probably work best in the very high ramp rate
4 excursions. These are precisely the excursions which cannot
5 be tested in TREAT, which can be tested in ACRR and nowhere
6 else, and which, if it can be demonstrated, would indeed be
7 a forward step in our view of safety problems for LMFBRs; so
8 we need that loop.

9 The other big increment --

10 PROF. KERR: Now, what dictates whether you should
11 be doing this or DOE should be doing it?

12 MR. KELBER: First of all, the machine is our
13 machine. We view this as being responsive to licensing
14 concerns directly. Licensing has, since at least 1970,
15 together with the ACRS, made these concerns known to DOE. They
16 have not responded to them.

17 PROF. KERR: In effect, you're saying that since DOE
18 won't do it, you should.

19 MR. KELBER: We feel that we have to do it, yes,
20 because it is a key licensing concern and there's no way to
21 resolve it other than by doing the tests.

22 I don't think anyone believes an argument in which
23 the primary technical tool is waving your hands.

24 DR. MARK: I resent that as theorist.

25 MR. KELBER: I'm a theorist, too, Carson.

1 (Laughter.)

2 DR. MARK: Charlie, you -- in your first phrasing of
3 this, you made a comparison with CABRI. It did not come
4 clearly through to me in what way this goes beyond what could
5 have been done or could still be done after CABRI.

6 MR. KELBER: CABRI is limited, in its energy deposi-
7 tion, to approximately 1.3 kiljoules per gram. This will
8 carry the fuel to melting and perhaps to the brink of clad
9 failure. It is doubtful that it will carry it any further than
10 that.

11 The rates are comparable to those in the ACRP. By
12 putting in a new loop, a zircaloy loop instead of a stainless
13 steel loop, they may be able to raise their energy deposition
14 to something like 1.9 kilojoules per gram.

15 MR. SILBERBERG: 40 percent more.

16 MR. KELBER: And that's about the maximum, 1.8 to
17 1.9.

18 PROF. MARK: On this scale, CABRI is limited in what
19 respect?

20 MR. KELBER: CABRI is limited by the nature of their
21 driver fuel, which is uranium dioxide. And they have a
22 temperature limit on it which is, I believe, of 2300 degrees
23 Centigrade. And that means that the energy deposited in the
24 tests made with the stainless steel loop is limited to the
25 1.3 kilojoules per gram.

1 PROF. MARK: So you're going 50 percent beyond that?

2 MR. KELBER: CABRI can extend that by about 40 per-
3 cent by going to a zircaloy loop, according to their current
4 calculations. We don't know how it will turn out in practice.

5 We can go approximately four times that, which
6 enables us then to model the type of scenarios that have
7 proved of interest to licensing, because in those scenarios
8 a interest is in duplicating a large amount of fuel motion,
9 fuel melting and fuel motion, and expulsion into the coolant
10 stream prior to the peak of the power curve.

11 PROF. MARK: Mr. Chairman, I think Mr. Silverberg
12 had a remark.

13 MR. SILVERBERG: Excuse me, Dr. Kelber, I wanted
14 to add one point, CABRI is also limited only to a single pin,
15 whereas the projections for the ACRP with the loop is seven
16 pins are assured and 19 appears to be possible at this point.

17 PROF. MARK: That helps make the comparison.

18 MR. KELBER: I might say that I think CABRI is also
19 a valuable tool.

20 PROF. MARK: I was merely asking, having made clear
21 the extents in the ways you which beyond it.

22 MR. KELBER: I'm glad I had the opportunity.

23 We've mentioned the CONTAIN code, and we do want to
24 test some of its vital issues. We will, of course, be doing
25 the sensitivity studies as part of the systems analysis of

1 containment alternatives, and we will want to be able to test
2 some of the key parts of that. We also will be doing large
3 core melt retention tests with a new facility, and these atoms
4 then correspond to the three major shifts in our program.

5 We have mentioned the need to reactivate a group to
6 look at various safety test facilities, and we anticipate
7 changing the direction of the art program from its current
8 focus on the radiological source term from the whole core
9 accident.

10 We believe that we will be closing most of that
11 work.

12 And now, looking at the radiological source from
13 other types of accidents involving core melting or fuel
14 failure — we hope, by the way, although they're obviously
15 different systems, to get some insight in that from the TMI
16 to recovery.

17 There clearly are very significant technical
18 differences between the systems. Nevertheless, some of the
19 data should be indicative of the magnitudes we should be look-
20 ing for.

21 DR. MARK: There are five tagged items on this list.

22 MR. KELBER: This corresponds the plans in our
23 program.

24 DR. MARK: Each goes up. Is there any prospect that
25 some of them might sometime go down?

1 MR. KELBER: The art program, as I say, is really
2 changing. The short answer to that is no, not in the near
3 term.

4 (Laughter)

5 MR. KELBER: Give us five years; yes, I would
6 anticipate that the art program which is now in the next few
7 years, if we can get sufficient funding, going to close out
8 most of the work on the ACDA-related source term -- should,
9 in a relatively short time -- I'm not at this time going to
10 hazard how short that might be.

11 Mel Silberberg can give you a better view of that,
12 but that program probably will be among the earlier ones to
13 terminate.

14 So far as fuel failure tests go, if our current
15 judgment that we need large-scale tests does, in fact, change
16 as the result of developments, either as the result of
17 developments in SIMMER and tests of special types of fuels
18 and other studies or as the combined result of a wide range
19 of probabilistic studies, that should change.

20 Then I would guess that the fuel failure studies
21 terminate after perhaps several years work with a loop, and
22 there the pace is the question of handling irradiated fuel
23 -- obtaining and handling of irradiated fuel -- because
24 experiments with irradiated fuel bundles are time-consuming.

25 DR. MARK: Perhaps it's clear to you, Bill. It's

1 not fully clear to me. These numbers for FY '81 are ones
2 which you recommend, or which have been accepted.

3 MR. KELBER: We recommend them. RES recommends them
4 as the minimum to maintain a program which is, A, viable, and.
5 B, responsive to the ACRS recommendations.

6 DR. MARK: So as far as you know, these are also
7 things one expects?

8 MR. KELBER: No, sir, I don't know what to expect
9 until we get through with the Commissioner and then the
10 Chairman gets through with the OMB.

11 PROF. KERR: The Budget Review Group has put the
12 22.1 as a setaside.

13 MR. KELBER: That's right.

14 PROF. KERR: But it has not looked -- it has not
15 made recommendations on any individual items.

16 MR. KELBER: No, sir. It has set the number as
17 either zero or 22.1. And that is the view of RES.

18 Now --

19 PROF. KERR: I don't understand that last statement.
20 You mean you're unwilling to take anything inbetween zero and
21 22.1?

22 MR. KELBER: If we are to make a program which is
23 responsive to your recommendations and which retains viability
24 -- and I will return to what I mean by "viability" -- we think
25 22.1 is the minimum.

1 Now, if you were to choose to weaken the force of
2 some of your recommendations, we could come back and say, well,
3 if we want to deemphasize, let's say, the system studies, we
4 could then foresee removing \$2 million worth of work.

5 However, I don't see any large readjustments. Our
6 program has lost viability. It is a dying program. Key
7 people are leaving the contractor staffs at all of our
8 contractors now.

9 DR. MARK: The 13.7 for FY '80 is a solid and
10 established number?

11 MR. KELBER: No, sir. The House Appropriations
12 allocated 12.5. We have appealed to the Senate to restore --

13 DR. MARK: But you're at least not tangling with
14 the idea of having zero instead?

15 MR. KELBER: No, except as a possible recommendation
16 to the Commission on support of the supplement. I don't think
17 that the Commission will take that alternative. That was the
18 focus of Mr. Boyd's letter.

19 PROF. KERR: Now the FY '79 was 16-something.

20 MR. KELBER: By '79 was -

21 PROF. KERR: You got to the 22.1 according to your
22 letter by adding 25 percent roughly to, as you put it, respond
23 to ACRS recommendations and then put in some escalations.

24 MR. KELBER: That's right. The FY '79 was 12.5.
25 We had, at the time we discussed our program with you last

end t5

1 year, our budget -- our proposed budget was \$16 million. That
2 got successfully cut back, because it went up a lot.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CP5697.06

RMG 1

1 Your recommendations were based on your understanding
2 of our FY '80 proposal. And we took that as the basis, and went
3 through the various elements of our program.

4 Now, would the program retain viability at a lesser
5 number? Possibly.

6 One way of retaining viability is to remove parti-
7 cular areas of concentration and simply say that we are going
8 to concentrate all our forces elsewhere, or simply ignore a
9 question. That is, for example, why we removed the safety
10 test facility work early on. We just didn't have the resources
11 to keep it going, there was no real focus for it, and it
12 represented a drag on the program.

13 But we have now reached the stage where key people
14 are leaving at all of our contractors. Morale of our own
15 staff is abysmal. I might say that morale among the entire
16 Reactor Safety Research staff is very, very low.

17 I think this is generally known.

18 The rest of the agency seems to view us as gluttons,
19 and we kind of resent this.

20 The safe, bureaucratic course would be to come in
21 with a budget which doesn't change from year to year, and
22 doesn't really accomplish anything, that doesn't represent
23 anything very negative, either.

24 That would be a very safe, bureaucratic course.
25 That is not the one that is favored by either the research

RMG2

1 management nor, as far as I know, any of the lower level
2 management within Reactor Safety Research.

3 I think that in your report to the Commission
4 you should feel free to indicate, if you so desire, alternative
5 numerical levels. But I must say, that at the current levels
6 of \$13.7 -- if we get that, or even the \$16 million that we
7 originally proposed in the light of escalating costs and
8 what is actually happening -- the program will simply continue
9 to die. It will just continue to die -- a little bit more
10 slowly.

11 But it is extremely disheartening to me to see a
12 well-conceived series of tests endlessly delayed simply because
13 we cannot afford the staff to keep them going, and this is
14 what we face in all aspects of our program.

15 DR. MARK: What is the breakdown, roughly, because
16 work on codes, pencil and paper and stuff like that, and
17 expenses for tests?

18 MR. KELBER: Roughly it is as represented here,
19 the \$7.8 in analysis, as opposed to \$22 in the total. In other
20 words, about 1/3 is pencil and paper, and the rest is tests.

21 PROF. KERR: Now, wait a minute, Charlie.

22 Systems integrity says CONTAIN qualification.

23 MR. KELBER: Well, the CONTAIN code itself is
24 developed. The CONTAIN qualification is special tests. This
25 is to pay for tests done.

RMG 3

1 DR. MARK: Like half is on mechanical exercise.

2 MR. KELBER: Somewhat more than half.

3 DR. MARK: You said 2/3, really. But as Bill points
4 out, some of the other numbers are really also pencil and
5 paper.

6 MR. KELBER: Aerosol release and transport bill
7 about \$300,000 as code development. It is really a small part
8 of the total. It is the tests that are expensive.

9 DR. MARK: So 60 percent, then.

10 MR. KELBER: One can choose a number, but it is a
11 very significant portion that goes for tests. And it is my
12 view, I was brought up as a theorist, and I have done as much
13 as anyone, I believe, in the nuclear community to promote the
14 use of large codes, and am a firm believer in their employment.

15 I am also a firm believer in licensing on the basis
16 of actual knowledge. And having had plenty of opportunities,
17 as I know everyone else, to match code predictions with facts,
18 I think this split is, if anything, too heavily pencil and
19 paper oriented.

20 I would like to see more money in tests and less
21 in code work, proportionately. But I think that the code work
22 is necessary to provide guidance as to what tests are crucial,
23 what tests aid our understanding most, and where we should go.

24 These codes are key management tools, as well as
25 tools for developing insight, and eventually for predicting the

RMG 4

1 outcome of accidents.

2 DR. MARK: Okay. So if you don't get \$22 million --
3 I'm not suggesting that is my recommendation -- but only \$14,
4 which is 2/3 of that, which is also a number a little similar
5 to the 1980 number, there is \$7 million missing. Do they come
6 out of tests?

7 MR. KELBER: We would start to terminate the program.
8 That is effectively what we are doing now, and we would just
9 terminate it with a certain amount of grace.

10 I can give you the bottom line. With \$8 million
11 we terminate in one year. With \$14 million, we terminate in
12 two years.

13 PROF. KERR: Well, Charlie, you mentioned the need
14 for analysis in order to do experiments. And what little I
15 know about would certainly lead me to believe that one does
16 need to both think and analyze before doing experiments.

17 On the other hand, I am not altogether convinced
18 that the only way to do analysis is through the development
19 of large codes. One can sometimes do analysis from small
20 codes, and it is even possible to do some analysis with very
21 small codes. One can even think about things --

22 MR. KELBER: You know, Bill --

23 PROF. KEPR: You know, too, you didn't quite imply
24 it, but one could get that impression, that you have to develop
25 all these large codes in order to do experiments.

RMG 5

1 It seems to me --

2 MR. KELBER: Let's look at this. What are the
3 large codes? Really, the largest code that we are developing
4 is SIMMER. That is truly a large code by anybody's standards,
5 with the possible exception of the Weather Bureau and the
6 weapons codes. But it is truly a large code, anyhow.

7 It is providing us with some valuable insights as
8 to what is important, insights that we do not have through
9 any of these small, analytical efforts at modeling, freezing,
10 and plugging -- any of these efforts to say that if you have
11 a melted down core it will boil up.

12 Finally, we have found out this year with SIMMER
13 that it won't do that. That type of argument is not really
14 tenable.

15 What we are finding is that if you do have a
16 so-called transition phase developed, a likely behavior is
17 very similar to that observed in reprocessing plant accidents.

18 Now, let me go back in my own history. As you may
19 recall, in the late fifties -- I think it was '57 -- I published
20 a report called The Physics of the Argonaut Reactor. That
21 report was used, as a matter of fact, as a text in a large
22 number of nuclear engineering courses in this country and the
23 world. It went through, I think, three printings at Argonne,
24 and something like 7500 copies were sent out.

25 Almost all of that was rather simple, hand methods;

RMG 6

1 two group calculations on various configurations of the Argonaut
2 reactor.

3 A great deal of judgment went into how one approxi-
4 mated the actual shape by what could be calculated by hand.

5 There was a new method developed by Bob Avery, a
6 modification of the old Nordheim method for calculating one
7 of the configurations. A key part of that was deciding how
8 to represent a trapezoidal fuel box by a circular element.

9 Now, when we wanted a really accurate answer, however,
10 what we did was we used the best tool available in those days,
11 and that was the MUG-2 code. That at that time could only
12 be run at the Courant Institute in New York.

13 It has been my experience that when you really want
14 the right answer, you use the best computational tool available.

15 Now, I don't think that we are doing wrong by
16 continuing the development of SIMMER. It is a key tool in our
17 management of the program.

18 For example, are all these various experiments that
19 we and others are doing on all these various models on fuel
20 freezing and plugging really that necessary? I am coming to
21 the conclusion, as the result of SIMMER calculations, detailed
22 SIMMER calculations, that to the extent that the fuel freezes
23 within a short distance, freezes and plugs within a short
24 distance of its entrance into the plenum, lower or upper, the
25 details of the model make no difference. A simple energy

RMG 7

1 balance model is good enough.

2 That only under those cases where the fuel really
3 penetrates a significant distance over the order of 30
4 centimeters or more is it important.

5 Now, without SIMMER, I think we could spend endless
6 years discussing the details of different models.

7 Now, if my judgment is backed up by further work
8 with SIMMER, and by the technical community, I think we will
9 be able to save money far in excess of the cost of development
10 of SIMMER. SIMMER itself costs only about \$1 million a year.
11 The analytical program is very cheap for the amount of
12 guidance it gives you.

13 It gives you far more guidance than you would get
14 from an equivalent amount of work involving simulant fluids
15 boiling in microwave ovens, which we are doing.

16 PROF. KERR: I recognize your viewpoint on this, and
17 I did not mean to cast aspersions generally on SIMMER; it is
18 a very powerful code developed by an extremely competent group
19 of people. And I don't need to reread necessarily, although
20 I do note that in response to ACRS comments, which among other
21 things indicate a view that it may be doubtful that the code
22 can ever be validated in the sense of precise calculations.
23 Somebody writes: "It is premature to place limits on the
24 degree that SIMMER can be validated."

25 And we agree that primary values and increased

RMG 8

1 understanding -- in fact, I'm not quite sure what the paragraph
2 says, except that it seems to say that it is the view of
3 Advanced Reactors that SIMMER probably can be validated and
4 that this is a desirable long-range goal.

5 MR. KELBER: Well, let me amplify your remark a
6 a little bit.

7 It is our view that it can be validated to some
8 extent. The extent to which it needs to be validated and can
9 be validated is yet to be decided. We don't want to close the
10 question that it can never be validated.

11 PROF. KEPR: I go back to my probably misunderstanding
12 of the history of this, which is that the original motivation
13 for SIMMER was that one needed a better representation than one
14 had of the transition phase. And in an effort to develop this,
15 it was discovered that indeed it is difficult to model the
16 transition phase, but that one can model other parts of at
17 least the beginning of CDA rather better by SIMMER than one
18 can by other methods.

19 It still seems to me that a key part of the process
20 is the transition phase. You said something earlier which
21 seems to imply that SIMMER now permits one to make rather
22 unequivocal predictions about the transition phase.

23 That's interesting, and I would be interested in
24 seeing some of the details of such a prediction.

25 MR. KELBER: It is a little premature to say that

MG 9

1 it is unequivocal, but it can make some predictions.

2 PROF. KERR: What I heard was that we now know that
3 this can't happen. To me that's pretty unequivocal.

4 MR. KELBER: We now know that the boiling up is
5 not a technically feasible representation of the transition
6 phase; that's correct.

7 You could force such a representation if you so
8 chose, but it is not one which corresponds to reality.

9 PROF. KERR: You see, I think the feeling on the
10 part of some of the ACRS people and its consultants was perhaps
11 to go even as far as wondering if even in experiments, the
12 transition phase is reproducible?

13 Now, if you have something which is not reproducible
14 from one experiment to the other, to have a code which reproduces
15 those experiments means that somehow you have to build into
16 the code a lack of determinism. Maybe SIMMER has this. I
17 haven't seen the most recent version.

18 MR. KELBER: SIMMER is clearly a deterministic code.
19 But I think --

20 PROF. KERR: You see, it seems to me that this is
21 an extremely important part of the behavior of a melting core:
22 what happens when it melts?

23 MR. KELBER: Now, the problem is, Bill --

24 PROF. KERR: It isn't altogether certain that that
25 is deterministic from one experiment to the next.

RMG 10

1 MR. KELBER: Well, the question is, what are you
2 sensitive to when you are looking at the question of where does
3 the core end up, and what is its final state?

4 PROF. KERR: That's right. If you can do bounding
5 calculations, go ahead.

6 MR. KELBER: If SIMMER tells you, as I believe it
7 probably will -- we haven't done very many calculations, you
8 understand; we haven't really scoped the entire space -- but
9 if as my judgment now indicates SIMMER tells you that you
10 really don't have to worry too much about the details of
11 whether Subassembly A plugs 5 centimeters in and Subassembly B
12 plugs 3 centimeters in and so on, that doesn't really matter.

13 If SIMMER tells you that, no, you are not going to
14 get frothing, you are going to get behavior similar to the
15 behavior of aqueous solutions in a barrel, as was observed in
16 reprocessing plant accidents, then these gross details are
17 what are important and the fine details become unimportant.

18 The reason for all the confusion in organizing or
19 thinking about the transition phase is that there are an
20 innumerable of fine details which, if there is no way of
21 organizing your knowledge and setting priorities on the order
22 of magnitudes of effects, all have to be weighted equally.

23 If we know that we don't have to worry about liquid-
24 liquid ablation as opposed to dissolution of steel in UO₂,
25 then we don't have to worry about that whole class of

RMG 11

1 individual variations, and that is what I hope will be the
2 outcome of SIMMER.

3 So far what we have been finding out about the
4 transition phase bears out that judgment.

5 I agree that if SIMMER says that if every detail
6 is as important as every other detail, that we are immensely
7 sensitive to these individual variations, then it is going to
8 be very hard to handle the problem other than by the very
9 grossest bounding methods. But so far things aren't going
10 that way.

11 DR. CURTIS: We have done some early transition
12 phase studies, and I have some very preliminary -- and you
13 will probably regard them as not detailed results.

14 (Slide.)

15 But so far the lessons that I see from the early
16 transition phase is here, is blockages are not complete. There
17 is neutronic shutdown of rather small energies.

18 Complete blockage assures that you are going to
19 melt to a recritical configuration.

20 The secondary excursions we see are nontrivial,
21 but generally seem to be within the capability of the system
22 to contain.

23 But if you are nonmechanistic and insist on doing
24 it, you could build an arbitrarily large excursion with your
25 nonreal initial state.

RMG 12

1 PROF. KERR: I would very much like to see more
2 detail on this, but I don't think this is the time for it.

3 I was simply trying to get over to Charlie what
4 I think is the flavor of some of the ACRS concerns about the
5 ultimate capability of SIMMER or any other code to describe
6 something that is as difficult to describe as I believe we
7 all agree the transition phase is likely to be.

8 MR. KELBER: Bill, I think there is a question
9 of relative optimism on how we approach this problem.

10 And I guess I have to put myself in the camp of
11 being relatively optimistic that with the use of a tool like
12 SIMMER, we can gain sufficient organization in our thinking
13 and understanding of what phenomena are significant and which
14 are not, that we can decide whether this can be handled.

15 PROF. KERR: I'm with Carson. I believe in being
16 optimistic and doing hand-waving. And if it takes SIMMER
17 to make that valid, okay.

end #6

18

19

20

21

22

23

24

25

1 DR. MARK: You said, Charley, that SIMMER had been
2 costing roughly a million a year.

3 MR. KELBER: A million a year for the code development
4 and testing and roughly the same amount on some supporting
5 experimental work to get some basic parameters and checks, some
6 basic models.

7 DR. MARK: So then we'll say two to three million was
8 in this.

9 MR. KELBER: About two million total was in this
10 package, and keeping it at this dollar level is what accounts
11 for that attrition.

12 DR. MARK: Being both a believer in codes and skeptical
13 about codes, I rather think that that is one of the last things
14 on which you should hang -- you know, if they strip you of
15 everything else, you should hang onto that.

16 MR. KELBER: If it comes down to that, and this is
17 what I mean by program viability, we have an integrated program,
18 and eliminating a small part like the STF hurt, but not too bad.
19 But we're getting to the point now where we eliminate one part
20 and everything else suffers. That's why the program is just no
21 longer viable at this level. It is an integrated, systematic
22 program, and we would like to follow your recommendations and
23 focus such a program on a plant that's likely to be typical of
24 commercial designs and make a systematic attack. And we can't
25 do that, crippled as we are.

1 Bill, I would like with your indulgence to skip the
2 detailed slides that are in your package on the individual
3 program elements and, so that there will be time within your
4 time frame for the branch chiefs to discuss these matters with
5 you. They're much more knowledgeable than I am anyhow.

6 PROF. KERR: Are we going to be anywhere within the
7 projected 11:30 --

8 MR. KELBER: If I stop talking, yes.

9 PROF. KERR: If that's the condition, then I agree
10 with you that we should skip the details.

11 MR. KELBER: I would like to, however, spend a little
12 time with the advanced converters and then introduce the branch
13 chiefs and let you discuss the specific program elements with
14 them.

15 (Slide.)

16 The advanced converter line element looks like this.
17 We expect \$3.7 million to be mandated by Congress. It's not
18 clear. We don't know what the Senate Appropriations will do.
19 I understand that they're marking up the DOE appropriation this
20 afternoon. Again, the final decision may yet depend upon the
21 President's energy speech. But, we expect to see a \$3.7 figure
22 here. If we do not, then we will simply terminate the program
23 with carryover funds in fiscal '80.

24 If -- we have requested \$3.9 million to continue a
25 minimum program in fiscal '81. We fully expect that a decision

can 3

1 on the timing of the program and the nature of the plant to be
2 built will be made in the fiscal '81 - '82 time frame. Unlike
3 the LMFBR, the issues here are more related to economics than
4 they are to technology, although there are some technological
5 questions on gas turbines and high temperature technology. They
6 are at least conceptually more directly addressed in the R
7 issues of proliferation and plutonium use and so on.

8 (Slide.)

9 Now, the way we would handle this is as follows: In
10 '79 we had a program addressing a variety of generic issues,
11 graphites as structural materials, the core seismic response.
12 These are roughly in the order of the priority we gave them, but
13 that's really not the intention of listing it this way.

14 In '79 we have concentrated on just these three issues
15 largely because of the nature of the programs in place. And we
16 will be terminating this program in '79, and we will be using
17 carryover funds to terminate these programs in fiscal '80 if
18 there is no further support. If we get support, we will keep
19 these programs going, and we will reactivate small programs in
20 inservice inspection and in containment requirements. Both of
21 these are directed at Fort St. Vrain support. We believe, by
22 the way, that Fort St. Vrain support requires, by itself, of the
23 order of a million dollars a year. And it really doesn't matter
24 very much whether that's technical assistance or research, but
25 NRR has requested nothing in this area. We do not think -- we

1 think there should be some level of support, and that is within
2 the scope of the program request we have made.

3 PROF. KERR: Excuse me. A million dollars a year,
4 inevitably?

5 MR. KELBER: No. But then again the type of progress
6 we make, we would hope that in '80 or '81 these issues should
7 be resolved. It's a little difficult to project, because we
8 really have not done a lot of work here, so as to be able to
9 project more definitely when the end is in sight.

10 In '81, we would add experiments on fuel transient
11 response and we would do some work related to the emergency core
12 cooling provision.

13 Now, the branch chiefs are here.

14 DR. MARK: Excuse me, Charley. You referred to
15 technical support. Zero, which has been put down for '80,
16 applies to research.

17 MR. KELBER. That's correct.

18 DR. MARK: Technical support is not necessarily zero.

19 MR. KELBER: I believe it is.

20 DR. MARK: That's also.

21 MR. KELBER: I believe so.

22 PROF. KERR: What you said was technical assistance?

23 MR. KELBER: Which is the term NRR uses. Yes.

24 MR. FOULDS: In the Congressional markup where they
25 added \$3.7 for '80 in research, they also added \$1 million--

can 5

1 they didn't add it -- they identified \$1 million out of NRR funds
2 for licensing work on preapplication review of HTGRs, which
3 would tend to eliminate incidentally spending that fund on Fort
4 St. Vrain. But there is a \$1 million figure there as well in
5 that same bill.

6 MR. KELBER: As I say, we have no idea what the fate
7 of that will be.

8 PROF. KERR: Any further questions?

9 (No response.)

10 PROF. KERR: Thank you, Charley.

11 MR. KELBER: I don't know what order you would like to
12 go.

13 PROF. KERR: I'll leave it up to you.

14 MR. KELBER: Let me suggest then, because we have
15 already discussed some parts of it, that you continue with Dr.
16 Curtis on the analysis program, on the safety test facilities
17 program. And then we might spend a little time with Mel
18 Silberberg on the experimental programs within the fast reactor
19 area and close with Ron Foulds on the gas.

20 PROF. KERR: Let's do that.

21 DR. CURTIS: I have an awful lot more material here
22 than I'll obviously have a chance to address, and so, I would
23 like, if there are areas of specific interest, to identify them
24 now, and I'll concentrate on the things that you'd like to talk
25 about.

1 PROF. KERR: Why don't you pick out the things that
2 you think we should give particular attention to? And if we
3 have --

4 DR. CURTIS: Well, one idea that I think we should
5 suggest first of all --

6 (Slide.)

7 DR. CURTIS: -- there has always been a considerable
8 interest in validation, verification, or testing of codes.
9 And, here is my understanding of some of the concerns of the
10 committee, and I wanted to reaffirm that we are pursuing this
11 line of work with our validation.

12 The first is fairly straightforward. It means that
13 when you are formulating your models, that you base them on
14 physical laws and that the parameters which are used have a
15 relationship to the physical aspects of the system. In trying
16 to convince external users that the code is worthwhile -- that
17 we identify new experiments and do analysis of these experiments,
18 and these experiments are not ones that are used during the
19 development -- that with each best estimate it is an obligation
20 to try to characterize the uncertainties that are associated
21 with such an estimate, and finally, that we solicit your
22 continued input into this process as we go along.

23 DR. MARK: Some of these items cost money. Does the
24 last one?

25 (Laughter.)

cah 7

1 MR. KELBER: I think this year we'll find out whether
2 it costs us money or makes money.

3 (Laughter.)

4 DR. CURTIS: We were hoping perhaps it would make us
5 money.

6 (Slide.)

7 DR. CURTIS: You've already seen this, but this is a
8 list of the major activities in the analysis branch.

9 PROF. KERR: In code development, how do you decide
10 when you're finished, especially a large code like SSC or SIMMER
11 or whatever.

12 DR. CURTIS: The code can be finished -- it needs
13 finishing in two different ways. One is in the quality of the
14 predictions that it makes. And secondly in terms of the
15 convenience and cost to the user. As long as there are
16 improvements, particularly in the latter, we will probably
17 continue to do what we call maintain a code, which is to update
18 it, to take advantage of machines and --

19 PROF. KERR: So the answer is that other things being
20 equal you don't like to decide the codes are finished. A code
21 should be a living thing.

22 DR. MARK: I would add a comment here. You've got a
23 code which took X manyears to put together, and it was two years
24 per man, and so it's X/2 men who are involved, or something of
25 this sort. In order to keep it alive, that thing requires some,

1 perhaps small fraction, but not a terribly small fraction, of a
 2 group of that size, maybe it's only half as many or a quarter as
 3 many, to simply keep the miserable thing viable. The cross-
 4 sections change, machines change, errors get perceived, or neat
 5 alternatives show up. And you've got a code that takes 10 hours
 6 to run. You've got to have at least one man, better two, living
 7 indefinitely, looking at that code, and seeing that it should be
 8 used right.

9 DR. CURTIS: It has been my experience also that new
 10 applications seem to suggest themselves, and that each successive
 11 user finds some modification to better fit his application.

12 DR. MARK: Even without modifications, the thing needs
 13 maintenance. Somebody has to know pretty much everything that's
 14 in there and not be asked to do something else, but to do that.

15 MR. KELBER: An example that comes to my mind is PDQ,
 16 the wellknown diffusion theory code, which has now come out in
 17 its eighth version, a PDQ-8. I guess the answer is, if it's
 18 economically justified to continue development, as evidently
 19 the naval reactors division felt in the case of PDQ-8, people
 20 will do it. Not necessarily always with the same group, but
 21 that has been true.

22 DR. MARK: I was trying to speak to a different thing.
 23 I know that people will do it, and they'll improve things and
 24 work at it, as long as you like. What I'm saying is if you've
 25 got a code, you've got to have a maintenance man who has got to

cah 9

1 be not some nobody in order to keep the code on the top of the
2 table; otherwise it becomes a disaster.

3 DR. CURTIS: If a code is not getting regular use,
4 maybe it deserves to die.

5 DR. MARK: True.

6 DR. CURTIS: And a part of this regular use is having
7 a very well qualified computer system expert as part of the user
8 group to do just what you say.

9 DR. MARK: So expenses will continue indefinitely as
10 long as the code is good?

11 DR. CURTIS: Very good.

12 (Slide.)

13 PROF. KERR: SIMMER is a little bit different, it seems
14 to me. The purpose of building SIMMER is to demonstrate that
15 something can't happen. If you demonstrate that, then you don't
16 need it anymore.

17 DR. MARK: I agree if you come to the point where we
18 don't need it anymore. On the other hand, SIMMER is also a
19 means of discussing what might happen.

20 PROF. KERR: That's a point.

21 DR. CURTIS: Since we last talked to you, these are
22 the principal achievements in the SIMMER program. I think we've
23 made some significant progress. To verify the energetics part of
24 the problem, we have run transition phase analyses and certain
25 generic features have been defined.

cah 10

1 PROF. KERR: Successful means that it ran?

2 DR. CURTIS: Successful means that it ran and appears
3 to be reasonable, at least as we perceive the problem. And, as
4 a means to identify future code development requirements, we've
5 been doing some accident analysis on a 1,000-megawatt electric
6 sized plant to see if there are futures in some of the concep-
7 tual designs which are different than Clinch River, which would
8 negate some of the understanding we think we have based on our
9 Clinch River studies.

10 (Slide.)

11 DR. CURTIS: I thought we might take a look at the
12 1,000-megawatt electric study. Obviously this is our goal. We
13 admit the possibility of significantly different behavior in
14 the conceptual designs and in the plants that we have studied in
15 great detail.

16 The relationship between detailed modeling and code
17 development is pretty clearly established in our minds. They
18 have to proceed in parallel, and we're going to be looking at
19 both homogeneous and heterogeneous designs

20 DR. MARK: What's a homogeneous design?

21 DR. CURTIS: This is one in which you have the core
22 surrounded by blanket. The heterogeneous design is one in which
23 core elements and blanket elements are interspersed.

24 DR. MARK: This core still has rods. It's not fuel
25 mixed in the coolant?

1 (Laughter.)

2 DR. CURTIS: It is not. Homogeneous is only relative.

3 DR. MARK. All right.

4 DR. CURTIS: Unless there are some questions, I'll
5 pass from the SIMMER program and take a look at some of the
6 other things we've done.

7 PROF. KERR: Please do.

8 DR. CURTIS: Here are a few of the ideas on SSC.

9 (Slide.)

10 DR. CURTIS: This is the status of the SSC code. The
11 loop version is complete. We are now using it. We have
12 detailed plant models for Clinch River plant and FFTF. We have
13 a visiting staff member from the GRS visiting at Brookhaven.

14 PROF. KERR: What is the GRS?

15 DR. CURTIS: Gesellschaft für Reaktor Sicherheit. It's
16 the technical support --

17 DR. MARK: I'm glad you asked that.

18 (Laughter.)

19 DR. CURTIS: It's the technical support for the German
20 licensing authority. It's located in Cologne. He's modeling
21 SNR3 and the German licensing authorities plan to use SSC
22 in their review of the interatom application. The SSC-L has
23 been exported to the groups that are indicated there. I was
24 talking yesterday to the representative from B and W, and they
25 have been using SSC on a regular basis in support of the DOE

cah 12

1 conceptual design study that they're doing for DOE.

2 A pot version under development and we're looking at
3 the term of longterm heat removal and what modifications need to
4 be made to treat that problem properly.

end tape #7 5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

Ace General Reporters, Inc.

CR 5697
Hoffman #8
was 1

1 PROFESSOR KERR: "L" means loop, and "P" means pot,
2 and "C" means -- I thought I saw an SSS-C in the very last
3 one. I'm sorry, SSC-S.

4 And what does the "S" mean?

5 DR. CURTIS: Shutdown.

6 (Slide.)

7 Some results that we are projecting that we are going
8 to be depending heavily -- well, let me give you the results
9 before I tell you the other one.

10 We see that the Coal's River design, at least if we
11 can believe our results, provides natural convective flow for
12 core coolability.

13 One of the particular parametric studies that we
14 did was to investigate the importance of the timing of pony
15 motor failure. The thought was if the pony motor had come
16 into operation at shutdown, and it operated until the system
17 became on its isothermal, that it might be more dangerous to
18 lose the pony motor at that time than it would be when
19 significant temperature gradients exists right after shutdown.
20 And it does not appear to be a problem.

21 Now, I'm a little puzzled by your item 1, in the
22 bottom paragraph. How can you think of anything running at
23 100 percent power and still be just about at 80 degrees
24 ambient?

25 DR. CURTIS: It's the air temperature. The FFTF

ros 2

1 rejects its heat through air-blast heat exchangers to the
2 atmosphere.

3 DR. MARK: Okay. It's not that all that's sodium?

4 DR. CURTIS: No, that pottery, at that temperature.

5 (Laughter.)

6 DR. CURTIS: At least if we have what we believe are
7 the performance data for the testing of that system, it looks
8 to us like they're going to have problems on a hot day.

9 PROFESSOR KERR: Nobody else had calculated this
10 before?

11 DR. CURTIS: I suspect there are others who are
12 aware of it. But as part of our preparation for pre-calculating
13 the natural circulation tests for FFTF which are coming up
14 this winter, we have modeled the system and are running it.
15 This just happens to be one of our conclusions.

16 (Slide.)

17 Some of our plans -- we are trying to build a
18 matrix of operational transients and calculate them. We
19 concur that we have not looked at a good many interesting
20 upset conditions, and we need to do that.

21 As I said, the startup tests on FFTF will be
22 pre-calculated, and we are looking at the multi-dimension
23 effects on natural circulation.

24 PROFESSOR KERR: What is the purpose of the first
25 one? Is that to simply see if SSC can do it, or to get some

ros 3

1 information about CRBR?

2 DR. CURTIS: The only plant models that we have in
3 sufficient detail to exercise SSC are Clinch River and FFTF.
4 They have been modeled.

5 The answer to your question is: the primary purpose
6 is to exercise the code.

7 PROFESSOR KERR: What is meant by "exercising the
8 code"? To see what it predicts?

9 DR. CURTIS: Partly, to study the system performance
10 and to identify potential problem areas. Secondly, to insure
11 that the many paths in this transient performance are
12 exercised, if we are going to do calculations which make
13 different requirements on the codes so that it follows
14 different paths.

15 PROFESSOR KERR: Do you have anything to compare
16 the results with by the methods of calculation?

17 DR. CURTIS: The best we can do here is there is a
18 simpler model, which was called DEMO, which was developed by
19 the applicant, and which was used in preparing the SAR that
20 was submitted. And what we intend to do is to prepare our
21 more detailed calculations with the cases that were presented
22 in the SAR.

23 DR. MARK: You could learn something, Bill, with
24 respect running a code even when you don't know the physics
25 of the answer at all, just by observing whether the miserable

ros 4

1 arithmetic is stable. But it isn't -- you know, you have some
2 problems.

3 DR. CURTIS: Perhaps that's enough of SSC; unless
4 there are some questions?

5 There was some discussion of our accident deliniation
6 study.

7 (Slide.)

8 The event tree work. I thought I would briefly
9 give you the status of the work.

10 An interim report was issued for review in September
11 of '78. There was an extensive review group meeting, and we
12 have comments that are being considered on that now.

13 The accident deliniation trees are to be issued in
14 October of '79, and we want a status report from the people
15 who are working on it, on the problems that they are reading
16 in attempting to find a basis for quantification of some of
17 these. We really don't expect to get any quantification, but
18 we would like to know how it stands.

19 PROFESSOR KERR: Remind me who's doing that work.

20 DR. CURTIS: Sandia.

21 Another Sandia project --

22 (Slide.)

23 -- is the containment code. Here's why we're doing
24 it. It is a fairly low-level effort only because the
25 CONTAIN 189 project is doing the systems integration aspect

ros 5

1 of building this code. The detailed model-building and
2 correlations are coming out of the rather more extensive
3 Sandia experimental program.

4 PROFESSOR KERR: I thought I had a budget number
5 somewhere that contained that.

6 Okay, this is part of the analytical package?

7 DR. CURTIS: Yes.

8 PROFESSOR KERR: The 7.8?

9 DR. CURTIS: It's one of the line items in this
10 report.

11 PROFESSOR KERR: Okay. Thank you.

12 DR. CURTIS: It's in the neighborhood of about
13 four and a half man-years.

14 The other codes that we're working on include the
15 work of Bill Shaw at Argonne; and his work that we've briefly
16 discussed -- the component mixing code FLOWMIX, and the
17 small experimental model, which is BODYFIT. And it's a very
18 interesting application, and we are quite excited about it.

19 Harry Hummel's group is conducting our comparative
20 studies; and we have heard quite a bit about that already.
21 And they are also working of improvements to models which are
22 to be integrated into the new SASS code, which RAS and
23 Argonne will soon be coming out with.

24 I think that I've pretty well covered our major
25 activities.

ros 6

1 PROFESSOR KERR: Okay.

2 DR. CURTIS: Unless there are specific questions?

3 (No response.)

4 PROFESSOR KERR: Thank you.

5 Who is next?

6 MR. SILBERBERG: RSR. Mr. Chairman, are we working
7 towards the 11:30?

8 PROFESSOR KERR: As Bureaucratese puts it, that's
9 a goal.

10 MR. SILBERBERG: Okay.

11 PROFESSOR KERR: I'm willing to run over some, but
12 not indefinitely.

13 MR. SILBERBERG: I understand.

14 . Let me help you achieve that goal by trying to focus
15 my presentation on some of the experimental highlights in
16 our program, let's say, through '79, certainly in Fiscal '79;
17 and some of the key facilities that have come on since we last
18 met with you; and use that as a point of departure.

19 To do that I think it would be simpler to refer you
20 to page 2 of the updated program status that you all have.
21 And you don't have to look at it now; but I am, in effect,
22 going to highlight from that. And I think that does a fairly
23 good job of focussing in these areas.

24 For example, during Fiscal '79 the performance
25 upgrading of any ACRR at Sandia was completed; and now the

ros 7

1 test program has just been initiated in the upgraded reactor.
2 And the highlights there are that the pulse fluents and the
3 steady state flux capability of the reactor has been increased
4 by more than a factor of 3. And, along with that, we have
5 installed the coated aperture imaging system, which has
6 been developed over the past several years.

7 (Slide.)

8 And having been installed in the system here -- I
9 think the key point we want to make, which really addresses
10 what Dr. Kelber said, was that any combination of the upgraded
11 performance of the reactor, as well as the availability of the
12 coated aperture imaging system, together I think gives the
13 machine a capability that should be expedited, and can be used
14 a lot faster.

15 PROFESSOR KERR: What answers do you expect to get
16 from this machine?

17 MR. SILBERBERG: The question in the area of initial
18 and extended fuel motion -- that is, under proper conditions,
19 the failure threshold, failure location, and the movement of
20 the fuel out into the channel beyond after failure, in terms of
21 what its dynamics are -- its fuel dynamics are -- within
22 the channel, and certain other conditions -- fuel disruption,
23 such as the higher reactivity ramp late regime that Dr. Kelber
24 referred to, in terms of rapid inherent shutdown mechanisms,
25 if indeed they exist -- this type of information put in the

ros 8

1 direction of seven pins, or more.

2 Now, to get to the full scope of what I just mentioned,
3 that, of course, assumes a flowing sodium loop. In the
4 meantime, we'll continue the capsule experiments of the type
5 that we have done going from single tin oxides to irradiated
6 oxide shield, prompt burst energetics, and then on to seven
7 pin stagnate capsule; to look at the effects of seven pins in
8 terms of all heat losses.

9 A VOICE: I think the uniqueness of this program is
10 instead of waiting for the capsules to come out and then
11 interpret what happened, they are looking for the capability of
12 seeing in place at the time of failure where the movements
13 are occurring.

14 PROFESSOR KERR: Do you look at this as sort of a
15 general exploratory expedition of fuel behavior under
16 accident conditions, or are there specific questions for
17 whose answers you look?

18 MR. SILBERBERG: Yes. It's both. It's certainly
19 phenomenological, in terms of the supporting development of
20 phenomenological models. But there are specific questions
21 like --

22 PROFESSOR KERR: I don't understand what you mean
23 by "phenomenological."

24 MR. SILBERBERG: In other words, there are various
25 models that people are depicting if you will, that describe

ros 9

1 how fuel might move in the channel and how fuel fails.

2 So, one would try to observe experimentally whether
3 some of the notions in some of these processes that have been
4 described and stated are, indeed, that way.

5 I think the other point is that there are some
6 specific questions like, let's say, the question of fuel
7 coolant interaction under the dynamic conditions of short periods.

8 PROF. KERR: Do you feel that you know which regimes are
9 critical in exploring fuel coolant interaction? Are there
10 specific areas of temperature, radiation flow, whatever, is
11 crucial?

12 MR. SILBERBERG: Some of these have been identified. For example,
13 the question of what is the contribution. In other words,
14 is it only fuel vapor pressure that gives you the pressure
15 flow, in terms of work potential in the system?

16 And how does one separate the separate effects
17 experiments?

18 MR. KELBER: Could I get directly to the heart of
19 the matter?

20 A brief answer to your question is no, we thought
21 we did. We've changed our minds as a result of the PBE tests.
22 Before we went into the PBE tests it was our judgment that we
23 would observe no fuel coolant interaction. The first few
24 PBE tests seems to verify that judgment.

25 Then, as we looked at the fine scale -- it's the PBE

ros 10

1 tests -- the fine time scale the PBE tests are apparently
2 capable of. We discerned that indeed, there were fuel coolant
3 interactions occurring later on it time, that never have been
4 seen in the TREAT tests.

5 I think the answer is, the issue is open as to where
6 fuel coolant interactions will be observed and what their
7 efficiency is. We are learning a great deal more about them
8 and we are developing a better way to model things
9 phenomenologically.

10 PROFESSOR KERR: Do you think you know the right
11 questions to ask, in order to get answers?

12 You have to design the experiments on some basis.
13 How do you know what to look for?

14 MR. KELBER: One of the PBE tests -- we were going
15 to separate out the sodium contribution by using tin instead
16 of sodium, for example, to help us do this.

17 The answer to your question, Bill, no. We don't
18 know all the right answers yet. Nor all the right questions
19 yet. We're still groping.

20 PROFESSOR KERR: How do you design your experiments
21 under those circumstances, if you don't know what questions
22 to ask?

23 MR. KELBER: One of the things that disappointed me
24 is the absence of a good analytic theory in this field.

25 Theofanous is coming close, and if some of the work that Theo

ros 11

1 has done at Purdue -- we are trying to develop some experiments
2 at Sandia.

3 PROFESSOR KERR: Should you be doing experiments
4 if you don't know what questions to ask?

5 MR. KELBER: I have profound difficulties with this.
6 Bill Camp, who is the theorist at Sandia --

7 PROFESSOR KERR: Does that mean yes or no?

8 MR. KELBER: The answer is we are going very slow,
9 until we know better what we are doing. Where we know that we
10 have a unique effect that we want to test, we'll do an
11 experiment. But I am very unhappy with our present state of
12 knowledge, and we hope to develop a better approach in this
13 coming year.

14 PROFESSOR KERR: Thank you.

15 MR. KELBER: I might say that I was not nearly so
16 unhappy before we started the PBE tests. They have upset
17 our view as to how things go.

18 MR. SILBERBERG: Let me just add to what Dr. Kelber
19 has added, that there has been this preponderance of
20 uncertainty in the international technical community on FCI.
21 And, over the past several years, there has been some of this
22 refocussing that Dr. Kelber has mentioned, in the work that's
23 been going on not only in this country but in other countries
24 as to what are the key questions, in terms of fragmentation
25 breakup complication.

ros 12

1 PROFESSOR KERR: The PBE results are reproducible?

2 MR. KELBER: Yes, sir. You can take 13-S and 12-S.

3 12-S was the last test run on the old reactor. 13-S was run

4 on the new reactor. And put the results right on top of one

5 another.

6 PROFESSOR KERR: So they have been reproduced once?

7 MR. SILBERBERG: Once, yes.

8 MR. KELBER: Unfortunately, they contradict 5-S,

9 which was the same test, but the fuel was different. So there

CR 5697

10 are a host of questions here.

11 PROFESSOR KERR: So it is two out of three.

12 MR. KELBER: But there were differences between

13 12 and 13 on the one hand, and 5 on the other. But they

end #8

14 shouldn't have mattered.

15

16

17

18

19

20

21

22

23

24

25

2 The differences should not have mattered, and they
3 do. We don't understand that. We do not have an adequate
4 theory to guide the experiments. We are going to have to
5 develop it. Until we develop it we are going very slow.

6 DR. MARK: Two questions. PBE is what I used to
7 know as PBF?

8 MR. SILBERBERG: No, it's not. It's the prompt
9 burst energetics, and it's one of a series of tests that are
10 run.

11 DR. MARK: PBF?

12 MR. SILBERBERG: Is the prompt burst --

13 DR. MARK: An entirely different thing.

14 MR. SILBERBERG: Different thing, yes. In the
15 machine, in the experiment, in a capsule.

16 DR. MARK: The other question is, they used to
17 sound like marvelous experiments, but it would surprise the
18 heck out of you if you don't know how to explain them. They
19 are obviously very good.

20 MR. SILBERBERG: I understand what you are saying.

21 Let me go to another item, in terms of where research
22 information has been releases in what we call -- and let me
23 refer to two items there, which have been released in this
24 fiscal year. One on the results of the first three tests,
25 on in-pile tests, in the old ACPR on core debris retention.

If you recall, this is the capsule experiment.

ros 14

(Slide.)

1
2 Fuel debris with sodium, cooled by an external
3 helium coolant loop. We are now resuming the series into
4 the next test in the test matrix. And we are also under
5 detailed discussions, at this point, technical and otherwise,
6 with the European Economic Community Laboratory Joint Research
7 Center, on how they may wish to participate in the program in
8 a collaborative effort to augment the test matrix; and
9 participate financially, as well as with people, which will
10 allow us to move this program along much faster and get us
11 into areas -- some of the more difficult questions that one
12 has to address on core debris behavior. In other words,
13 coolability, and the various conditions that surround
14 coolability of debris following post-accident.

15 Now, let me also refer to one of the items: namely,
16 a generic program and scoping experiments that we initiated
17 in the core retention -- core melt retention area.

18 As you know, we have described for the committee
19 in the past, our core melt technology program which was
20 focused on concrete, interactions of core-melt with concrete.
21 In '79 we initiated the program to look at alternate materials
22 to concrete, such as might be used in retention system
23 concepts. We have been looking at materials like magnesium-
24 oxide, of crucible type sacrificial materials of a concept
25 such as borax.

ros 15

1 This work is just getting started. This work is
2 now of much interest in the Floating nuclear plant evaluation.
3 And our expertise here, in terms of the state of the art, is
4 now being factored into the NRR review of the Floating
5 nuclear plant.

6 We are, in fact, looking at ways of augmenting the
7 program in response to a user request from NRR for support
8 that goes first on Floating Nuclear Plant, and second on a
9 more generic matter. I believe Dr. Kelber mentioned this.

10 A key aspect of that program, which is the core
11 melt technology program, which includes not only the sodium-
12 concrete interaction and the fuel-concrete interaction
13 program --

14 (Slide.)

15 -- is part of the contained qualification.

16 This facility -- in '79, the facility was started
17 under construction, in earnest, and with somewhere like
18 50 percent through it, the construction will be completed in
19 '79. And initial ckeck-out and the first test will be
20 conducted in '80.

21 DR. MARK: Does the red indicate what isn't done
22 yet?

23 MR. SILBERBEG: No. The red happens to be the
24 furnace area, the furnace proper, the induction furnace --
25 cabability of up to 500 kilograms of UO_2 . And the low portion

ros 16

1 is the -- where the experiment itself is contained in the
2 experiment chamber. And with the ability to separate and
3 remove the experiment chamber out along on rails, and reload it,
4 and put another experiment underneath.

5 But this is the type of facility and the type of
6 technology and program that's very demanding on the program
7 in terms of funding, in terms of its budgetary constraints.

8 PROFESSOR KERR: That's at Sandia?

9 MR. SILBERBERG: That's at Sandia, yes. I believe
10 you have seen the area where this work is going on. We have
11 a complex which also includes the sodium-concrete interaction
12 work, which is also noted as a highlight in the information
13 paper that we sent to you.

14 The highlight on the sodium-concrete interactions
15 work is that in a rather short period of time, the program
16 was briefly redirected to help NRR in their review of the
17 FFTF SER.

18 (Slide.)

19 And their preparation of the SER, and in the information
20 from the series of special tests that was run for them was
21 quite beneficial to the NRR staff. In it it confirmed the
22 position that they took in another SER, relative to containment
23 margins; and the types of assumptions that they were making
24 in their analyses were not inconsistent with the kinds of
25 results that we were getting.

ros 17

1 As Dr. Kelber noted before, this is an area where
2 we are not -- we understand some of the mechanisms, but many
3 of them are not clear. In support of this, at the same
4 facility we have a separate effects intermediate scale work
5 going on looking specifically at thermal effects, chemical
6 effects where you can turn parameters around rather quickly,
7 a lot more quickly here. And a lot cheaper, well, in the large
8 scale tests like this, which involves 200 kilograms of sodium
9 in crucibles of the size shown here.

10 Another area that I'd like to point out is the
11 FAST facility at Oakridge, which stands for Fuel Aerosol
12 Simulance Test, which, if I could recall for you, is this
13 facility --

14 . (Slide.)

15 -- which has been under design for several years
16 of development. Previously the work involves the condenser
17 discharge vaporization of UO_2 samples ultimately under sodium.

18 And, up 'til now, the program has moved in the
19 direction in a different facility before this, just looking
20 at vaporization in argon. Understanding that, and also the
21 development of the CDVD -- Condenser Discharge Vaporization
22 Device.

23 The facility has now been constructed and tests
24 are now being performed in a water pool. And what we are
25 doing is we are calibrating the apparatus. We are looking

ros 18 1 at the instrumentation, comparing instruments with some of
2 the preliminary models that we have on ACDA bubble phenomena
3 right up to the source term. That is, how much aerosol might
4 one expect from an ACDA after having come through a pool of
5 sodium, with or without a structure being there.

6 We will carefully look at the calibrations and the
7 data and how the facility operates before, and set criteria
8 before we go on to sodium. We will very carefully want to
9 understand what we have done with water; and to see that
10 everything is working as best as we can, before moving on to
11 sodium.

12 And, in the case of water, of course, one is using,
13 or has the advantage of looking in at bubble sizes that thing
14 like that, which is a little more difficult than sodium.

15 DR. MARK: One point. Maybe I don't remember this
16 correctly.

17 One is interested, of course, in the number of
18 particles in aerosol.

19 MR. SILBERBERG: Certainly a concentration on
20 number, sure -- and size.

21 DR. MARK: And their size, how much any measurements
22 are made. One is also necessarily interested in the mass
23 that is carried in those, and at one time there was no clear
24 relationship between the size and the mass, because the shapes
25 were little hollow bubbles or solid chunks. It had to be

ros 19 1 assumed. Is that getting cleared up?

2 MR. SILBERBERG: Okay. I think I know what you
3 are referring to.

4 In this area we are talking about initial sizes.
5 There you are pretty much down to spherical sizes. If you
6 look under the microscope, the primary particles are spherical
7 and they have not grown, they have not had a time to age.

8 What you are referring to, Dr. Mark, is when the
9 aerosol particles have aged, and their shape departs seriously
10 from spherical. In those cases --

11 DR. MARK: They look like genes, or something.

12 MR. SILBERBERG: In those cases, what Dr. Giese King
13 at Battelle-Columbus has been doing is separate effects
14 measurements on the aerodynamic properties of aerosol particles
15 to characterize what shape corrections and what density
16 correction you put into to get at the correlation of mass
17 and shape.

18 That work is proceeding along, and we expect to
19 complete that work in Fiscal '80.

20 DR. MARK: This, I am sure, is of some importance,
21 because you have to correlate all of this with radioactivity
22 carried around. And the mass isn't there. And then the
23 agglomeration, and the effect on the shape and size --

24 MR. SILBERBERG: That's right.

25 I think, in the interest of time, that gives you a

ros 20 1 capsule version of what I would like to tell you.

2 PROFESSOR KERR: Thank you, sir. Thank you for
3 capsulizing also.

4 Who is next?

5 MR. FOULDS: I'm Ron Foulds, and I'm Assistant
6 Chief of the Gas Reactor Safety Research Branch. You may recall
7 that Bob Schamberger has been handling that in the past.
8 He is on a special task force, now associated with Three Mile
9 Island.

10 I have very little to say, maybe mostly because the
11 budget -- I guess Reactor Safety Research is zero in 1980,
12 Fiscal '80. And a lot of the effort that we've been carrying
13 on in this program has been directed, most lately, to how do
14 we terminate the program orderly and with meaningful results.

15 (Slide.)

16 For example, this is what we're doing now in
17 Los Alamos Scientific Laboratory. During the first half of '79
18 we concentrated on what you see there. In the second half of
19 '79 cut it way back to only those items that you see listed,
20 so that we could stretch some of the work into Fiscal '80,
21 in the event that there might somehow be some funds added back
22 into the program for '80 by Congress.

23 As it appears now, as you know, there is funding
24 identified. Of course, we won't know whether we will be
25 doing any work in '80, until later on this year. But we have,

ros 21 1 by this route, been able to stretch out the program a bit, in
2 spite of some of the cancellations of work being done in '79,
3 and maintain that cadre of dedicated people. And we are
4 quite fortunate to have people who feel that the Gas Reactor
5 Business is really a sleeping giant, I guess, for the nation;
6 and are dedicated to it, and they want to stay with it.

7 Luckily we haven't lost everyone in the laboratories.
8 We have some very good, key people.

9 And so, that's what's happened in LASL. And in
10 Brookhaven --

11 (Slide.)

12 we have been working on this kind of a program
13 at the beginning of the year. This is the first half of '79,
14 and we've cut that drastically.

15 DR. MARK: You didn't have any numbers on those
16 tables. You've cut back from what to what, and you are
17 carrying on with what? Roughly.

18 MR. FOULDS: All right.

19 We've cut back, okay, from roughly \$2 million to
20 say, about a third of that, so that we can stretch another
21 quarter into say, the following year.

22 DR. MARK: So you are able to carry on with something
23 in the neighborhood of half a million, which indeed amounts
24 to possibly supporting five people?

25 MR. FOULDS: That's right. And, of course, what

ros 22 1 happens if once you terminate you have to use some of those
2 dollars to terminate the program.

3 MR. KEBLER: Part of this stretch-out was dictated
4 by balancing the question of termination costs, as opposed
5 to allowing the laboratory time to place them elsewhere. Part
6 of it was dictated by the utility of the equipment, when
7 some of the experiments are very long-term.

8 And we could, by running a few more months, we could
9 have an identifiable block of data.

10 (Slide.)

11 MR. FOULDS: Again, the other two laboratories that
12 are principally involved, which are a much smaller part of the
13 program, are Oak Ridge and Battelle-Northwest.

14 .Again, we have cut down, but here you notice in
15 what is written on the viewgraphs here, that a lot of the
16 work that's being done and that what we have been continuing
17 is associated with Fort St. Vrain. Principally because that
18 is an operating reactor, and we have a high degree of interest
19 on the part of the NRR in doing this work; although they
20 haven't been able to give us the coveted user need requests
21 that we'd like to have.

22 This is an advanced reactor area, and they don't
23 have that much focus on advanced reactors I am afraid, at the
24 top of the organizational structure.

25 (Slide.)

ros 23

1 This is what we would do to phase back up again at
2 the four laboratories.

3 I'm sorry, the fourth one is off on the right. This
4 expands slightly on what we had on another visual.

5 What you see at the top is the primary work that
6 would be going on in those laboratories, carried over from
7 the beginning of Fiscal '80; and then assuming we do get the
8 funds that Congress has now identified, which would have to
9 come somewhere out of the budget. They haven't increased the
10 budget, you know. They just said, "Take this somewhere from
11 your reactor safety research budget."

12 Then we would do these jobs that are indicated there
13 in Fiscal '80. And in Fiscal '81 we have proposed the
14 additional work that's shown below, and that would be with the
15 \$3.9 million which has been identified.

16 PROFESSOR KERR: These questions, these programs
17 are designed to answer questions raised by whom? By RES?
18 By the licensing? By NRR? By whom?

19 MR. FOULDS: Let me just say yes to all of those,
20 okay.

21 PROFESSOR KERR: I prefer you not say yes to all of
22 those.

23 MR. FOULDS: What I would like to say is that this
24 covers the program which was defined. Well, we had two
25 five-year plans, all right? It's a continuation of the first

ros 24 1 five-year plan, which was further developed into a second
2 five-year plan that really wasn't ever bought by the
3 Commission, because of the termination of the program. But
4 we have a fairly well thought out program that follows work
5 that was developed in connection with NRR.

6 PROFESSOR KERR: The questions were raised internally?

7 MR. FOULDS: Absolutely.

8 For example, we have --

9 (Slide.),

10 -- a program that looks like this, that was
11 explained to the ACRS last year; where we went through some
12 detailed explanation of the programs, all of the programs
13 in advanced reactor safety research. This is the kind of thing
14 we would do per year, say in the materials interaction area.
15 Graphite and primary system containment metals, and so on.

16 end #9 This is just one of four principal areas.

17 start #10 So, the plan on what to do has been laid out and
18 endorsed before.

19 MR. KELBER: The major source of questions is
20 twofold. Of the greatest urgency are questions related
21 specifically at Fort St. Vrain. These are primarily in-service
22 inspection of the support graphite. That's probably
23 peculiar to Fort St. Vrain, and may not, in fact, be general.

24 We have had a great deal of cooperation on that
25 from General Atomics, I might say.

ros 25

1 Secondly, there have been questions raised, and
2 these go back quite some time to a more sizable response.
3 The remainder of the work has grown out of the reviews which
4 were carried very close to the CP stage on the large commercial
5 sized HTGR plants for Delmarva.

6 I think that was primarily the summit and the fulcrum
7 plants. And those reviews did, as you may recall, roll
8 fairly far along. So we have a body of licensing concerns,
9 that I hear they do not include specifically the direct-cycle
10 plants. They include all the issues we think are generic to
11 the HTGR concept as it has been developed here.

12 PROFESSOR KERR: Thank you.

13 MR. FOULDS: I have been advised by people in NRR
14 that they are developing user need requests, that we would
15 like to see for background for the gas program. But it hasn't
16 gotten here yet.

17 MR. KELBER: We've been promised that for two years.

18 MR. FOULDS: Are there any specific questions?

19 (No response.)

20 PROFESSOR KERR: Thank you.

21 MR. KELBER: That concludes out part of the morning.
22 If there are any leftover questions, I'd be happy to respond
23 now, or I think there is a tentative date on the calendar
24 for next month.

25 PROFESSOR KERR: There is a tentative date for me

ros 26 1 to decide fairly surely that we want to hold another meeting.
2 I think we will let you know, certainly shortly after the
3 meeting of the full committee, whether we do need an additional
4 meeting.

5 MR. KELBER: When is the meeting of the full
6 committee?

7 PROFESSOR KERR: Tomorrow.

8 MR. KELBER: Is that tomorrow?

9 PROFESSOR KERR: Yes.

10 MR. KELBER: So we could expect, perhaps, by the
11 end of this week?

12 PROFESSOR KERR: Yes.

13 MR. KELBER: I appreciate that very much.

14 PROFESSOR KERR: Thank you again.

CR 5697 15 The meeting is adjourned.

16 (Whereupon, at 11:55 a.m., the meeting was
end #10 17 adjourned.)

18

19

20

21

22

23

24

25

584 111

PROGRAM BALANCE ADVANCED REACTOR SAFETY RESEARCH

ACCIDENT CONTAINMENT, MITIGATION

FY 79:
\$3,900,000

CONTAIN
SODIUM CONTAINMENT
MOLTEN CORE INTERACTIONS
AEROSOL RELEASE AND TRANSPORT
(FIVE PROJECTS)

DOE: LOA 1, 2

CHAP
GRAPHITE NDT
COMMIX
SUPER SYSTEM CODE
ELEVATED TEMPERATURE DESIGN ASSESSMENT
CREEP FATIGUE INTERACTION
STRAIN RANGE PARTITIONING
FRAM
EVENT TREES
LMFBR SAFETY-COMMERCIAL PLANTS

DOE: LOA 3, 4

SIMMEH
ACCIDENT ENERGETICS
THERMOHYDRAULICS OF LMFBR ACCIDENTS
CABRI/ACRR COOPERATION
CORE DEBRIS BEHAVIOR

ACCIDENT
INITIATION,
PREVENTION
FY 79:
\$2,900,000

CORE
MELT
ACCIDENTS
FY 79:
\$5,700,000

0256711

584

112

1

NRR COMMENTS ON ARSR FY. 80 PROGRAM*

- PROGRAM ENDORSED AND ENCOURAGED
- CONTINUATION IMPORTANT IN RESOLVING KEY SAFETY ISSUES
- CONTINUATION CONSISTANT WITH ADMINISTRATION'S DESIRE
- IDENTIFIED 4 USER REQUESTS BEING ADDRESSED
- LACK OF THIS PROGRAM WOULD BE MAJOR SETBACK FOR EVENTUAL LICENSING OF ADVANCED REACTORS.

*LETTER, R. S. BOYD TO R. J. MATTSON, "COMMENTS ON FY 1980 BUDGET AMENDMENT, 6/7/79.

584 113

ACRS RECOMMENDATIONS - ARSR PROGRAM (NUREG-0496)

RECOMMENDATION

COMMENT

- COMPREHENSIVE STUDY OF SAFETY ISSUES FOR COMMERCIAL LMFBR--USE PROBABILISTIC ANALYSIS TECHNIQUES

- EVENT TREE PROGRAM DEVELOPS CADRE FOR STUDY OF DOE'S - CDS EFFORT (1981).
 - COOPERATIVE STUDIES WITH UK.
 - JOINT FUEL TESTS WITH FRG.

- INITIATE SCOPING STUDIES ON GCRs SIMILAR TO LMFBRs (DIRECT CYCLE HTGR & GCFR).

- FUNDING NOT AVAILABLE.

- INITIATE STUDIES WHICH PLACE EMPHASIS ON CDA PREVENTION.

- UK-USNRC ACCIDENT INITIATION STUDIES.

- ADDED WORK TO FOLLOW EVENT TREE STUDY.

- INFORMATION MEETINGS WITH DOE & CONTRACTORS (NEXT MEETING ON LOA-1, 7/11 & 12).

584 114

ACRS RECOMMENDATIONS - ARSR PROGRAM (NUREG-0496)

RECOMMENDATION

COMMENT

- STUDY PRO AND CON OF ALTERNATE CONTAINMENT DESIGNS (E.G., FILTERED & VENTED DESIGNS).
- USE CONTAIN CODE, STRUCTURAL INTEGRITY TESTS AND ART PROGRAM TO DEFINE CONTAINMENT THREAT.
- DETERMINE WHETHER NEW EXPERIMENTAL FACILITIES OR PROGRAMS ARE NEEDED TO DEMONSTRATE VALIDITY OF NATURAL CONVECTION COOLING FOR COMMERCIAL-SIZED LMFBRs (POOL AND LOOP TYPES).
- REACTIVATE SIF STUDIES AND USE SSC, COMMIX.
- EVALUATE ON CONTINUING BASIS NEED FOR NEW LARGE-SCALE EXPERIMENTAL APPARATUS.
- REACTIVATE SIF STUDIES.

584 115

ACRS RECOMMENDATIONS - ARSR PROGRAM (NUREG-0496)

RECOMMENDATION

- CONTINUED STUDY OF THE CDA AND THE RESOLUTION OF PROBLEMS ASSOCIATED WITH IT, E.G., POST-ACCIDENT HEAT REMOVAL.
- GREATER EMPHASIS BE PLACED ON DEVELOPING A PLANNED, METHODOLOGICAL PROGRAM TO KEEP ABREAST AND PROFIT FROM SAFETY RESEARCH PERFORMED IN OTHER NATIONS.

COMMENT

- APPROXIMATELY 40% OF THE BUDGET DEVOTED TO SUPPORT WORK IN THIS AREA. THE SIMMER CODE AND ACRR TESTS MAKE MAJOR CONTRIBUTIONS.
- SPECIFIC COLLABORATIONS IN PROGRESS UNDER EXISTING EXCHANGE AGREEMENTS WITH FRG, JAPAN, UK & CEA-KfK (CABRI); BROAD AGREEMENT WITH CEA (LATE 1979) WILL PERMIT FULL EXCHANGE WITH INT'L LEADERS IN FBR TECHNOLOGY.

584 116

LMFBR PROGRAM
(IN MILLIONS)

ACTIVITY	EY 80	EY 81	Δ	COMMENT
ANALYSIS	5.4	7.8	2.4	• COMPLETE & RELEASE ACCIDENT CODES
SAFETY TEST FACILITY STUDIES	0	0.7	0.7	• REACTIVATE ARSR PROGRAM
MATERIALS INTERACTION	2.8	4.6	1.8	• DESIGN/FABRICATE ACRR SODIUM LOOP
AEROSOL RELEASE & TRANSPORT	2.2	3.0	0.8	• CORE MELT AEROSOL SOURCE AND TRANSPORT
SYSTEM INTEGRITY	3.3	6.0	2.7	• CONTAIN QUALIFICATION • LARGE CORE MELT RETENTION TESTS
TOTAL	13.7	22.1	8.4	

584 117

FY 81 LMFBR PROGRAM

ANALYSIS

\$ 7.8 M

- ISSUE CONTAIN-11, BIFLO AND SSC-S CODES
- COMPLETE 2-PHASE COMMIX-2 AND BODYFIT CODES
- COMPLETE PHASE-2 OF ACCIDENT DELINEATION STUDY
- CONTINUE CODE QUALIFICATION PROGRAMS

SAFETY TEST FACILITY STUDIES

\$ 0.7 M

- REACTIVATE NRC PROGRAM

584
118

FY 81 LMEBR PROGRAM

MATERIALS INTERACTION

\$ 4.6 M

- ACRR LOOP DESIGN / FABRICATION
- ACRR 7-PIH ACCIDENT ENERGETICS CAPSULE TESTS
- ACRR FUEL DISPERSAL TESTS -- IRRADIATED FUEL
- ACRR TRANSITION PHASE TESTS

584 119

FY 81 LMEBR PROGRAM

AEROSOL RELEASE & TRANSPORT

- CORE MELT AEROSOL SOURCE TERM
- NSPP CORE MELT AEROSOL TRANSPORT
- FAST NA TESTS -- HCDA SOURCE
- HAARM-3 EXTENSION TO CORE MELT

584 120

FY 81 LMFBR PROGRAM

SYSTEM INTEGRITY

\$ 6.0 M

- CONTAIN QUALIFICATION
- LARGE CORE MELT RETENTION TESTS
- ACRR CORE DEBRIS COOLABILITY TESTS
- TESTS ON CELL LINER RESPONSE TO ACCIDENT LOADS

584
121

ADVANCED CONVERTERS

ACTIVITY	FY 80 (PRES.)	FY 81 (REQ.)	COMMENT
GCR	0*	3.9	CONTINUE MIN. MAINTENANCE PROGRAM

* EXPECT \$3.7M TO BE MANDATED BY CONGRESS

584 122

//

FY 81 ADVANCED CONVERTERS PROGRAM

GCR \$3.9 M

- COMPLETE CORE SUPPORT BLOCK (PGX) TESTS
- QUALIFY FSV TRANSIENT ANALYSIS CODES
- COMPLETE FSV CONVECTIVE PLUME
HEAT TRANSFER TESTS

584
123

81 80 79
↓ ↓ ↓

HTGR SAFETY ISSUES

- X + ● Graphites as Structural Materials
- X + ● Core Seismic Response
- ● Fuel Transient Response
- X ● In-Service Inspection
- ● Low Probability Accidents
- X ● Containment Requirements
- X + ● Primary System Integrity
- ● Emergency Core Cooling Provisions

584 123