

9.74.

1 encl.

NUCLEAR REGULATORY COMMISSION

---

IN THE MATTER OF:

PUBLIC MEETING

DISCUSSION OF SECY-79-187A/B - Upgrade Rule

POOR ORIGINAL

Place - Washington, D. C.

Date - Tuesday, 24 July 1979

Pages 1-49

Telephone:  
(202) 347-3700

ACE - FEDERAL REPORTERS, INC.

*Official Reporters*

444 North Capitol Street  
Washington, D.C. 20001

NATIONWIDE COVERAGE - DAILY

841 100  
2908210101

DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on Tuesday, 24 July 1979 in the Commission's offices at 1717 H Street, N. W., Washington, D. C. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected, or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determinations or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of or addressed to any statement or argument contained herein, except as the Commission may authorize.

**POOR ORIGINAL**

841 101

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

PUBLIC MEETING

DISCUSSION OF SECY-79-187A/B - Upgrade Rule

- - -

Room 1130  
1717 H Street, N. W.  
Washington, D. C.

Tuesday, 24 July 1979

The Commission met, pursuant to notice, at 2:40 p.m.,

BEFORE:

- DR. JOSEPH M. HENDRIE, Chairman
- VICTOR GILINSKY, Commissioner
- RICHARD T. KENNEDY, Commissioner
- PETER A. BRADFORD, Commissioner
- JOHN F. AHEARNE, Commissioner

PRESENT:

Messrs. Burnett, Snyder, Shapar, Gossick, Evans, Case, and Nordlinger.

**POOR ORIGINAL**

841 102

PROCEEDINGS

(2:40 p.m.)

1  
2  
3 CHAIRMAN HENDRIE: Now I formally rap the gavel and  
4 ask us to come to order.

5 The Commission meets this afternoon on a subject  
6 which, if not one of our favorite ones, at least must be  
7 ranked high among a number of those which we see frequently.  
8 At a long meeting a few weeks ago on the subject of the  
9 upgrade rule and associated matters, we agonized back and  
10 forth at considerable length over some of the language for  
11 both the upgrade rule, which applies across the board, and the  
12 related portion of the Commission's regulations, Part 7355,  
13 which applies to security measures required at reactors. And  
14 we came out of that long discussion with a Commission consensus  
15 that we would adopt the language for these safeguards matters  
16 that -- let's see if I can find the particular words back in  
17 here -- "these facilities" and so on "should establish,  
18 maintain or make arrangements for a physical protection system  
19 which will have as its objective to provide high assurance  
20 that activities involving special nuclear material are not  
21 inimical to the common defense and security" and so forth,  
22 and the corresponding language to make it uniform across the  
23 safeguards area in 7355.

24 We asked the staff to please go and do the necessary,  
25 hopefully final, redrafting for the upgrade rule and for a

841 103

1 companion language change in 7355.

2           And the second item which was discussed was how the  
3 nonpower reactors then fitted under the regime which would be  
4 promulgated by the upgrade rule. There was recognition of  
5 special difficulties there, and we asked the staff to think about  
6 those and how they might reasonably be dealt with on an interim  
7 basis, so that we could go ahead with the upgrade rule and still  
8 not shut down all the research reactors.

9           On the other hand, we didn't want to hold up the  
10 upgrade rule until we worked out what finally should be done  
11 with the research reactors.

12           So we have before us today two papers, 187-A and  
13 187-B. One of them deals with the matter of the language to  
14 be used with regard to assurance in the regulation, the upgrade  
15 rule and the conforming language of 7355; and the B paper has  
16 to do with the impact of the upgrade rule on non-power reactors,  
17 notably the research reactors.

18           I will call the Commissioners' attention to the fact  
19 that there is an enclosure to the B paper which contains infor-  
20 mation protected under 10 CFR 2.19(d) from public disclosure,  
21 and that if it becomes useful or necessary to discuss matters,  
22 we may want to stop and close that portion of the meeting.

23           (At 2:45 p.m., Commissioner Kennedy entered the room.)

24           CHAIRMAN HENDRIE: I think, however, there is a good  
25 chance that we will be able to go through without having to

1 deal with those specific .790 matters.

2 Lee, why don't you go ahead.

3 MR. GOSSICK: Mr. Chairman, I don't know that we  
4 really have much to add to what you have just given in the way  
5 of the status of this thing. We've seen the memo from  
6 Mr. Kenneky to the Commission. There were some questions. I  
7 think we're prepared to address any questions or comments the  
8 Commissioners may have about the 187-A and B papers that are  
9 before you.

10 Bob, do you have anything else?

11 MR. BURNETT: No, I was geared up to just say what  
12 the Commission had asked us for, and I think the Chairman has  
13 covered all of that.

14 One other thing you all had asked for was a report  
15 on the self-protecting level or the 100-rem rule. That, of  
16 course, is in 187-B. That status has been reported to you. I  
17 believe that using high as the objective, that paper was  
18 concurred in by all the Offices, including ELD. I think that  
19 does satisfy what the Commission wanted. I think that portion  
20 is essentially complete, and any questions really, even coming  
21 from OPE, were directed toward the non-power solution that we  
22 had recommended.

23 CHAIRMAN HENDRIE: Why don't, for purposes of starting  
24 the discussion out--the Commissioners will obviously generate  
25 questions as it suits them. But why don't we start out and

1 take a look at the OPE comments on the A paper. Bernie, I  
2 guess you will act as the responsible officer for that, for  
3 that publication.

4 What do you mean, the text of 7320, et cetera, et  
5 cetera?

6 MR. SNYDER: The point there is just that the A paper  
7 differs from the B paper, obviously. If you were to go with the  
8 B paper, there would be some minor changes, but important ones,  
9 necessary to be made in 7320 on the B paper. In other words,  
10 I just want to raise the point that there is a minor but very  
11 important change.

12 MR. BURNETT: Bernie is exactly correct on that  
13 problem there, and Mr. Evans, who will be performing the  
14 actual manipulations --

15 MR. EVANS: We'll make sure that that gets worked in.  
16 So that's no problem.

17 MR. SNYDER: We don't need to dwell on that one,  
18 really.

19 The second point might have been written a little  
20 differently on reflection. There's a footnote in the changes  
21 to 7355 as part of the A paper that seemed to us to be a little  
22 unusual, and it's going to be in the body of the regulation  
23 itself. Perhaps it might be better if it were in the statement  
24 of considerations. We would offer that as a suggestion. It's  
25 sort of an explanation of the regulation.

1 CHAIRMAN HENDRIE: Yes. I must say I do agree that  
 2 it sounds more to me like a statement of consideration of  
 3 material than a direct part of the regulation.

4 COMMISSIONER KENNEDY: This is the one that's at the  
 5 bottom of page 2? Yes.

6 MR. SHAPAR: I think it could be deleted.

7 MR. BURNETT: NRR requested that it specifically be  
 8 included. NMSS' position would be that it would be better in  
 9 the statement of considerations. But NRR was very concerned about  
 10 that footnote.

11 MR. CASE: It sounds to me if it's in the statement  
 12 of consideration or in the rules, it doesn't matter.

13 CHAIRMAN HENDRIE: There was a feeling there that,  
 14 where in all of the other places in the regulation one talks  
 15 about reasonable assurance of this and that, in the safeguards  
 16 area we have this different language, the feeling that it was  
 17 useful to point out that these attempted comparable --

18 MR. CASE: Specifically, the concern is fission  
 19 products from sabotage. These are the same fission products.

20 CHAIRMAN HENDRIE: Howard?

21 MR. SHAPAR: I'm not sure I understand it, particularly  
 22 the first sentence or what support there is for that sentence.  
 23 The rules say reasonable assurance.

24 COMMISSIONER KENNEDY: Stop me if I'm wrong, but  
 25 this results from our discussion last time in which, depending

POOR ORIGINAL 841 107



1 on which page you're on, reasonable assurance and high assurance  
2 were deemed to be the same thing. And since the words certainly  
3 imply to most people who look in the dictionary something  
4 different, the attempt was being made here -- and I agree with  
5 you, I think perhaps a little bit of word changing ought to be  
6 done -- the attempt was being made to explain why the two  
7 different words were being used, even though the result was  
8 supposed to be the same.

9 I think that's a laudable objective. But as with so  
10 many objectives, it remains an objective.

11 MR. SHAPAR: I think that explains the motivation and  
12 I do understand that.

13 COMMISSIONER KENNEDY: But the result doesn't quite --

14 MR. SHAPAR: The first sentence, if I may use a  
15 legalism, looks like a plain ipse dixit to me.

16 COMMISSIONER AHEARNE: Could you explain what that  
17 means?

18 CHAIRMAN HENDRIE: Thank you, John.

19 (Laughter.)

20 CHAIRMAN HENDRIE: I owe you one.

21 COMMISSIONER KENNEDY: Those of us who have listened  
22 to Howard long enough understand these things.

23 MR. SHAPAR: It's a bald assertion, without any  
24 demonstrable support.

25 CHAIRMAN HENDRIE: That sounds like the best kind of

**POOR ORIGINAL**

841 108

1 rule.

2 (Laughter.)

3 CHAIRMAN HENDRIE: If you start explaining things, you  
4 get into trouble.

5 MR. SHAPAR: I don't know of any support for that  
6 first sentence.

7 CHAIRMAN HENDRIE: But it is in fact the tentative  
8 practice that's come out. The fact that you say reasonable  
9 assurance on other safety issues is the objective of high  
10 assurance on physical protection, say, for the reactor, you  
11 don't have in the back of your mind a probability of severe  
12 consequences of, I don't know, one in a million for safeguards  
13 and one in 100,000 for the other. To the extent you can, you're  
14 shooting for --

15 MR. CASE: The safeguards regulation is designed to  
16 protect against the consequence of exceeding Part 100. That's  
17 the definition of radiological sabotage, off-site consequences  
18 above Part 100.

19 What this is trying to say is the assurance against  
20 that possibility would be the same as the assurance of an  
21 accident, assurance against the probability of an accident  
22 having a consequence that's that high.

23 COMMISSIONER GILINSKY: It's going to increase the  
24 chance of it happening.

25 MR. CASE: As you would the chance of an accident

**POOR ORIGINAL**

841 109

1 with comparable consequences.

2 COMMISSIONER GILINSKY: It's pretty clear what it  
3 means.

4 MR. SHAPAR: I think I've made my point. I don't  
5 want to pursue it.

6 COMMISSIONER KENNEDY: Could we offer you the  
7 opportunity, given your perception and acceptance of the basic  
8 motivation, to perhaps do a trifle redrafting here so that the  
9 motivation and the result will be more in tune?

10 MR. SHAPAR: Of course. But you realize, this is an  
11 inhibiting feature.

12 (Laughter.)

13 CHAIRMAN HENDRIE: That may be a useful product.

14 COMMISSIONER KENNEDY: Let me just suggest we'll worry  
15 about that next time.

16 (Laughter.)

**POOR ORIGINAL**

17 COMMISSIONER GILINSKY: Can I ask you, why did you  
18 think it wasn't clear what it meant?

19 MR. SHAPAR: Because the rule says reasonable  
20 assurance as far as safety is concerned. Here you're saying  
21 the upper end of the spectrum, what we mean by reasonable is  
22 high.

23 COMMISSIONER GILINSKY: No, he's saying high  
24 assurance in the safeguards context.

25 COMMISSIONER KENNEDY: Is the same as reasonable.

1 COMMISSIONER GILINSKY: In a safety context.

2 CHAIRMAN HENDRIE: For a comparable consequence event.

3 MR. BURNETT: Could you say it that way?

4 COMMISSIONER KENNEDY: I don't know why not.

5 CHAIRMAN HENDRIE: It's worth giving a try. And I  
6 think, furthermore, if we agree that this kind of explanation  
7 is more appropriate to the statement of considerations than a  
8 footnote that is not crammed to the fewest number of words you  
9 could cram down the bottom of the page --

10 COMMISSIONER KENNEDY: I didn't get the impression  
11 that they were suffering from that problem.

12 (Laughter.)

13 COMMISSIONER GILINSKY: The problem is that they at  
14 least claim to calculate the accident probabilities on the basis  
15 of the laws of nature.

16 MR. SHAPAR: I understand the motivation and I think  
17 it's noble. But I think the logic is being stretched a bit.  
18 But I think it's in a worthy cause.

19 CHAIRMAN HENDRIE: Would you please exercise that  
20 ingenuity and help the language.

21 MR. SHAPAR: Yes.

22 CHAIRMAN HENDRIE: I think that's fair, rather than a  
23 footnote.

24 Okay. We'll want a statement of considerations and  
25 some redrafting. Any other points, Bernie?

841 111

1 MR. SNYDER: Item 3 is pretty self-evident. It  
2 concerned us that making a statement -- you see, there is  
3 another change here involved, and that's labeling it as an  
4 objective, which wasn't there before, I believe. It just said  
5 that it will provide reasonable assurance in one version. I  
6 could go back and dig the various versions up.

7 CHAIRMAN HENDRIE: The regulation says high assurance.

8 MR. SNYDER: The regulation says high assurance.

9 CHAIRMAN HENDRIE: But we struggled last time at very  
10 great length with the shades of meaning here and whether and  
11 how that all balanced out. In many ways, the objective of  
12 high assurance represents an, in effect, compromise position.  
13 I would have preferred reasonable assurance right across the  
14 board and that the language be the same in all these provisions.  
15 But there were other views and we came here, and phrasing it  
16 this way has the useful, in my mind the very useful, practical  
17 effect that it allows the staff to establish in its practices  
18 and other guidance that it uses for itself and applicants a  
19 set of categories.

20 You go and inspect a facility or you examine the  
21 security plan and so on, and categorize it to three categories,  
22 namely: it meets the objective; B, it doesn't but isn't all  
23 that bad, and there are short-term things you can do, so while  
24 they're being done your situation is acceptable; or C, it just  
25 ain't good enough and it can't get there in a hurry, and you

POOR ORIGINAL

841 112

1 shut it down.

2           And my concern is that without that degree of  
3 flexibility being reflected in some fashion in the words of  
4 the regulation, you come to the point where any deviation  
5 from high assurance on the report card of things you're looking  
6 at -- the fence, the lights, the guards, the pistols, the  
7 training and so on -- you fall out of high assurance in any  
8 one category and you find yourself in apparent violation of  
9 your own regulations, and you have no choice but to shut it  
10 down.

11           I think that's not reasonable. It's not the way  
12 we've been working on the reactor side or had intended to work  
13 on the fuel cycle side.

14           So I think, like all language and regulations, each  
15 of us might have a preferred version that would be a little  
16 different than this one. But I think that this was found to  
17 be an agreeable consensus of the four Commissioners. I hope  
18 that Commissioner Ahearne will be with us that afternoon, so  
19 he'll have his chance.

**POOR ORIGINAL**

20           COMMISSIONER AHEARNE: I have no problem.

21           CHAIRMAN HENDRIE: Unless anybody else wants to cover  
22 the subject again or another aspect or whatever, I'd be  
23 inclined to suggest that we move on to the rather more complex  
24 subject of the non-power reactors.

25           COMMISSIONER KENNEDY: How shall we leave the rule,

1 now? Can we go ahead and vote on it, subject to the editorial  
2 change in the footnote, or what?

3 COMMISSIONER AHEARNE: The non-power reactors are  
4 at issue with the rule.

5 CHAIRMAN HENDRIE: One of the things which is  
6 proposed as part of the upgrade rule is to take the non-power  
7 reactors out of it on an interim basis. So I thought, why  
8 don't we leave the A paper discussion here, learn what we can  
9 and see what we can decide about the non-power reactors and  
10 see how we can reflect that.

11 I will say that I will attempt, toward the latter  
12 part of this discussion, to gather up both on the upgrade rule  
13 in one form or another --

14 COMMISSIONER KENNEDY: I was looking for perhaps a  
15 milestone on that chart which has been so long open.

16 CHAIRMAN HENDRIE: I thought we got over a lot of the  
17 final barrier last time. But I think we need to try and  
18 straighten out among ourselves.

19 COMMISSIONER KENNEDY: It's not that I don't like to  
20 see these fellows down here.

21 CHAIRMAN HENDRIE: Well, they can come for other  
22 subjects.

23 COMMISSIONER KENNEDY: I would hope it would be for  
24 other subjects.

**POOR ORIGINAL**

841 114

gsn

1 CHAIRMAN HENDRIE: Okay. With your permission, then,  
2 unless anybody wants more discussion of the A paper matters,  
3 why don't we turn to the B paper.

4 Here I think it would be useful to have someone  
5 walk us through the paper in a rather summary fashion, please,  
6 to bring up fresh in our minds these things that we have  
7 heard about before, and also indicate where you think we ought  
8 to go with regard to the provisions of the upgrade rule and  
9 what to do about the non-power reactors and so on.

10 MR. BURNETT: Okay. Well, as the commission  
11 remembers, it was always felt from the very beginning that  
12 non-power reactors would be exempt under the 100 rem self-  
13 protecting level, that they would keep irradiating to that  
14 level.

15 NRR in the past six months has completed a study  
16 on the non-power reactors and has said that, indeed, they are  
17 not being able to keep that radiation level, or will have  
18 a significant amount of difficulty in doing so.

19 That was brought to the commission's attention during  
20 the last meeting. The commission asked us to go back and  
21 assess the impacts and make some recommendations. It was  
22 impossible one month from the last meeting to this month to  
23 really assess the total impact of could more reactors reduce  
24 their holdings? Could they change the form of their material?  
25 In other words, go to a denser material.

POOR ORIGINAL

841 115



gsn

1 CHAIRMAN HENDRIE: Get it down to 20 percent material.

2 MR. BURNETT: Or even, as you know, there's a  
3 complicating issues.

4 We have before the commission another paper where  
5 credit is given for the enrichment of the material.

6 So that holds some hope in being able to aid the  
7 non-power reactors and giving some incentive for going to a  
8 lower enrichment material.

9 COMMISSIONER GILINSKY: We'r studying the question  
10 with our 100 R per hour.

11 MR. BURNETT: Is ample. That's correct. So it was  
12 impossible to really sum all of these up and give you a clear  
13 picture of the total impact.

14 So the staff made a recommendation to the commission  
15 to defer this rule at the non-power reactors until the staff  
16 could formulate an opinion on those subjects.

17 Now I think it's fair to point out at this place  
18 and time that OPE, in their paper, kind of jumping to the  
19 bottom line of the OPE paper here --

20 COMMISSIONER KENNEDY: The staff's recommendation.

21 MR. BURNETT: -- was --

22 COMMISSIONER KENNEDY: Was to exempt.

23 MR. BURNETT: -- defer them on an interim basis.

24 Legalistically, that does result in the exemption.

25 So both are right. But defer. The staff opinion

**POOR ORIGINAL**

841 · 116

gsn

1 was --

2 COMMISSIONER GILINSKY: You would defer them en masse,  
3 so to speak?

4 MR. BURNETT: Yes, sir.

5 MR. EVANS: It boils down to 15 reactors that turn  
6 out to be in contention here as to whether they'd be in  
7 Category 1 or in some other level of safeguard protection.

8 CHAIRMAN HENDRIE: Let's see, Category 1.

9 MR. EVANS: Is the upgrade rule.

10 CHAIRMAN HENDRIE: 5 kilograms of highly enriched  
11 material, or equivalent.

12 COMMISSIONER AHEARNE: Would all 15 of those still  
13 be in that category if we were to accept the revisions in  
14 the categorizations?

15 MR. BURNETT: No, sir. But it's not totally clear.

16 MR. EVANS: To the formula quantity, there is the  
17 paper before the commission recommending a revision of how  
18 you determine the formula. And if that were done, it appears  
19 quite likely that some of these would drop out of the  
20 category.

21 MR. BURNETT: But not all. You must keep that in  
22 mind.

23 COMMISSIONER AHEARNE: Are you talking about new  
24 3s still in, or 12 or 13s still in?

25 MR. EVANS: That's uncertain. That's really why the

POOR ORIGINAL

841 117

gsn

1 staff is asking for this period of time to look at it.

2 CHAIRMAN HENDRIE: As a matter of curiosity, what's  
3 the direction on the formula quantity? I guess that I haven't  
4 read the paper is what I'm trying to say.

5 If you could give me a 30-second idea of where we're  
6 headed.

7 MR. BURNETT: In some ways, that's a classified  
8 paper.

9 CHAIRMAN HENDRIE: Never mind, then.

10 MR. BURNETT: I think that the commission should  
11 know that my personal opinion is that no more than maybe 2,  
12 or at most, 3, non-power reactors would be alleviated at  
13 the present time if you went to that new criterion. But it  
14 would provide an incentive for the future, and I think that's  
15 the greatest goal of that paper.

16 COMMISSIONER GILINSKY: Could you give us a breakdown  
17 of these 15?

18 MR. BURNETT: Yes, sir.

19 MR. EVANS: There's a paper in back.

20 CHAIRMAN HENDRIE: There you are.

21 MR. BURNETT: We have a list here.

22 CHAIRMAN HENDRIE: Where in the paper?

23 MR. BURNETT: 8 enclosure.

24 COMMISSIONER AHEARNE: If you work with Bernie's  
25 numbers, you don't get into the proprietary information.

PGOR ORIGINAL

841-110

gsh

1 MR. CASE: I don't think Bernie's numbers are quite  
2 right.

3 MR. BURNETT: We can stay out of proprietary and  
4 just talk by facility, I believe, without numbers. Is that  
5 what's proprietary? And we have such a listing.

6 Bud, I see, has passed it over.

7 COMMISSIONER GILINSKY: There's nothing classified  
8 about this piece of paper.

9 MR. BURNETT: No.

10 COMMISSIONER GILINSKY: So we're talking about mostly  
11 university reactors.

12 MR. SNYDER: These are the larger university reactors

13 COMMISSIONER GILINSKY: And one government reactor.

14 And a couple — the Westinghouse reactor — what does the  
15 II mean?

16 MR. BURNETT: Category 2.

17 MR. EVANS: It means that we think that they can go  
18 down 2.

19 COMMISSIONER GILINSKY: So they would not be involved  
20 here.

21 MR. EVANS: It means that right now they're a 1, but  
22 we think that they could slide over to 2.

23 MR. BURNETT: He can list with help. There's nothing  
24 classified in it.

25 MR. EVANS: You can't get them through maneuvering

POOR ORIGINAL

841 119

gsh 1 amounts of material or rem levels, or something. Somehow we  
2 can bring them to 2 is what that figure is.

3 MR. SYNDER: Could I suggest that maybe if you tell  
4 us where the errors are on our list — everybody else has  
5 that list.

6 MR. EVANS: I think I'm going to have to see what  
7 Commissioner Gilinsky has there.

8 COMMISSIONER GILINSKY: What are all these university  
9 reactors doing?

10 MR. BURNETT: Performing research. And I think in  
11 some cases, making isotopes.

12 Would you like to fill in on that a little bit?

13 VOICE: Most of the university reactors are  
14 providing training. Most of the power plants, I should say.

15 COMMISSIONER GILINSKY: Say that again.

16 VOICE: They're providing training. Those that aren't  
17 providing detailed training are providing isotopes. For  
18 example, the University of Missouri, Columbia, along with  
19 Union Carbide, which is a commercial activity, have picked up  
20 most of the load from the shutdown of Jeter.

21 The University of Michigan does provide some medical  
22 isotopes plus training.

23 COMMISSIONER AHEARNE: When you say training, do you  
24 mean of their students?

25 VOICE: Students, new power plant operators.

POOR ORIGINAL

841 120

\_gsn

1 COMMISSIONER AHEARNE: Not only nuclear engineering  
2 students, but also for operators as sort of an adjunct.

3 VOICE: That's right.

4 COMMISSIONER GILINSKY: You mean the universities?

5 VOICE: For example, Commonwealth Edison supports  
6 Northwestern in the new reactor that they're attempting to  
7 get right now for training for their future operators.

8 Duke Power does it with two universities in the  
9 South.

10 COMMISSIONER GILINSKY: Then why can't they keep the  
11 fuel above this \$100 per hour?

12 VOICE: Those that are below 2 megawatts don't  
13 operate in cycles sufficient enough to keep the radioactive  
14 level high. Those that are above 2 megawatts have an operating  
15 cycle that they can stay above 100 R.

16 CHAIRMAN HENDRIE: The smaller machines will often  
17 operate for only several hours a day at power.

18 VOICE: That's right.

19 CHAIRMAN HENDRIE: They have enough reactivity to  
20 ride out xenon, if necessary. Down over the weekends,  
21 typically, and for the perimeter elements on the core, you,  
22 just aren't driving them hard enough.

23 COMMISSIONER GILINSKY: You can't reshuffle them?

24 CHAIRMAN HENDRIE: Reshuffle the elements? Not  
25 frequently enough to do any good. It's really just the

POOR ORIGINAL

841 121

gsn 1 operating time.

2 MR. BURNETT: It's just these questions that we  
3 couldn't answer in the period from the last meeting to this.  
4 And that was the reason.

5 CHAIRMAN HENDRIE: On a detailed basis.

6 MR. BURNETT: Yes, sir. That was the reason the  
7 recommendation was deferred.

8 VOICE: We have scanned a few of the facilities and  
9 the triggers here that have 70 percent enriched fuel, if  
10 they could operate a long period of time during the week,  
11 they might be able to maintain 100 R per hour. But they  
12 can't do it over the weekend.

13 COMMISSIONER KENNEDY: It's not clear that 100 R  
14 is enough.

15 VOICE: That's right.

16 CHAIRMAN HENDRIE: If we jack that standard, everybody  
17 just may go back and —

18 MR. BURNETT: If you'll notice, one of the enclosures  
19 says just that, that the 100 rem is not really adequate. They  
20 have not at this time recommended another number. But it  
21 is assured that it is something higher.

22 COMMISSIONER GILINSKY: If 100 R per hour is not  
23 enough, that doesn't sound like an argument for exempting.

24 MR. BURNETT: No, sir. But we would like to look at  
25 the power reactors to see if other safeguard credits could be

POOR ORIGINAL

241 122

gsn

1 given for the form and other types of existing.

2 MR. EVANS: Possible revision of the enrichment levels  
3 which could well lead to the decreased requirements in terms  
4 of safeguards. It may well be that we should go to some kind  
5 of additional grading for safeguarding non-power reactors.  
6 And in addition to the rating we've presently established,  
7 Category 1, 2, and 3, there may be a hybrid between Category  
8 1 and 2 that makes sense from a technical safeguards point  
9 of view, given the form and type of material and the location  
10 of the material of non-power reactors.

11 COMMISSIONER GILINSKY: Let me understand. Were  
12 these reactors not subject to the upgrade rule when we  
13 started talking about it?

14 MR. BURNETT: They were subject, but they were  
15 always thought to be exempt by the self-protecting.

16 MR. EVANS: With the exception of 6.

17 COMMISSIONER GILINSKY: Why were they thought to be  
18 exempt?

19 MR. EVANS: Because we thought that we could get them  
20 above the 100 rem.

21 COMMISSIONER GILINSKY: When did we discover that  
22 we couldn't get them over the 100 R per hour?

23 MR. EVANS: In the last few months.

24 MR. BURNETT: About 4 months.

25 MR. EVANS: NRR came in. They have done additional

POOR ORIGINAL

841 123



gsh

1 studies since the initial paper came out which said that they  
2 felt they could get to the 100 rem, and they decided that  
3 they couldn't.

4 COMMISSIONER GILINSKY: We've been doing this upgrade  
5 rule for I don't know how long. And I think I pointed out at  
6 least once, here we've had several months that we've been  
7 thinking about these reactors and we don't seem to know the  
8 facts.

9 I find it troubling.

10 MR. BURNETT: It is very troublesome. All the way  
11 along we were of the opinion that there were six that would  
12 stay into the Cat 1. And there was an attempt being made to  
13 reduce their holdings.

14 Then when the reactor people went out to see the  
15 status of the reactors as it pertains to Categories 2 and 3,  
16 that's when my office was informed that they were having  
17 extreme difficulties maintaining the 100 rem level.

18 And that was very, very late into the game,  
19 approximately three or four months ago.

20 CHAIRMAN HENDRIE: You need a spiked fuel.

21 MR. EVANS: The bottom line, I think, Bob, is that  
22 we can within a reasonably short period of time make a  
23 determination as to whether or not they should or should not  
24 be protected in Category 1.

25 We can do that within a relatively short period.

POOR ORIGINAL

841 124.

gsn

1 MR. BURNETT: That gets me to where I was going when  
2 Mr. Kennedy brought up a question. In the OPE, they had  
3 suggested —

4 COMMISSIONER AHEARNE: Before you get to that, could  
5 I just have the revision to this list?

6 MR. BURNETT: Could you give him the revision? Could  
7 you modify those?

8 We're worry.

9 COMMISSIONER GILINSKY: I guess I find it pretty  
10 hard to understand why universities ought to be treated any  
11 differently than anyone else.

12 MR. CASE: I think what we're trying to say, Mr.  
13 Gilinsky, we haven't possibly taken into account some of the  
14 factors that should be taken into account in a non-power  
15 reactor fuel.

16 It is not as easy to fabricate, to take it and make  
17 it into a weapon, as fuel that is being protected basically  
18 under the upgrade rule in the fuel fabrication facility.

19 It is a horse of a different color. And we would  
20 like to take some time to give them proper credit for this  
21 difference.

22 That's the proposal.

23 COMMISSIONER GILINSKY: What are we doing with Fort  
24 St. Vrain?

25 MR. BURNETT: That stays in Cat 1.

POOR ORIGINAL

841 125

gsn

1 COMMISSIONER GILISKY: Do you regard the research  
2 reactor fuel as more difficult to misuse than Fort St. Vrain  
3 fuel?

4 MR. CASE: Yes.

5 COMMISSIONER GILINSKY: You do?

6 VOICE: Given the MTR plates, yes.

7 COMMISSIONER GILINSKY: I'm not an expert on that.

8 MR. SNYDER: We're talking about lots of different  
9 forms of research with non-power reactor fuel, one of which  
10 is the trigger, which is a matrix of zirconium hydride, which  
11 is a pretty tough thing to work with.

12 On the other hand, you're talking about something  
13 we could probably do with a blowtorch and a hacksaw, the  
14 aluminum plates.

15 CHAIRMAN HENDRIE: Steady now. All you get out of  
16 that is an aluminum alloy. And let me tell you, I've worked  
17 with that a lot. You won't make much of a bomb out of that.  
18 You might drop it on your foot, but you've got to do it, at  
19 least the chemical process, which is not the most difficult  
20 thing in the world, but it's not exactly hacksaw grade.

21 COMMISSIONER AHEARNE: Bob, what I'm having difficulty  
22 with is understanding whether you believe that research  
23 reactors are in the category that ought to be separate because  
24 they have other features about them, that there's not much of  
25 a danger, or is it that they ought to be in another category

POOR ORIGINAL

841 126

gsh

1 because we're not really sure what their features are and we  
2 are reluctant to impose the requirement because the economics  
3 may be very severe upon the owners of those research  
4 reactors.

5 CHAIRMAN HENDRIE: John, if I may, I think that there  
6 may be a third category on a sort of first principles basis.  
7 If they have formula amounts of highly enriched material, you  
8 want to protect it.

9 What we're faced with here is just going forward  
10 with the upgrade rule will shut down, what is it, 16, 22, or  
11 28, or whatever it is, university, commercial, government  
12 research reactors, which are doing very useful things in  
13 terms of education and training and research. Isotope  
14 production.

15 Those activities have been going on for, I don't  
16 know, two or three decades. And the question here is can't  
17 we find a way to provide reasonable interim measures and  
18 several years to see how many of those machines can go over  
19 to a fuel material which is in a number of cases, I would hope,  
20 at the 20 percent level, and take it out of the SSNM category,  
21 and in other cases at least pull the enrichment well down so  
22 that you can provide some sort of intermediate measure for  
23 it, together with other measures.

24 There's no question that the stuff ought to be  
25 protected. And I think it's pretty hard to make an argument,

POOR ORIGINAL

841 127

gsh 1 sort of a first principles argument, that there's something  
2 intrinsic about a university climate which makes it less  
3 likely to mischief than other facilities.

4 COMMISSIONER AHEARNE: The reverse may be true.

5 CHAIRMAN HENDRIE: You might argue the reverse, but  
6 just to implement the upgrade rule as we now understand its  
7 effects is to shut down what are to my mind a set of very  
8 useful facilities at very substantial cost to the program,  
9 and so on, dollar costs, program costs, to the owners and  
10 operators, after their having gone along safely and  
11 theft-free for a quarter of a century.

12 And it does seem to me that we have a responsibility  
13 to try to find a way out, to try to find a way to do something  
14 other than just a plant shutdown.

15 But I think for the long term, you know, locking  
16 down the line, allowing some reasonable time for the  
17 perfection of these higher density fuel materials which do  
18 offer, for not all but a number of these machines, the chance  
19 of running on a lower enrichment load.

20 I think we ought to try to find ways to provide  
21 them that time.

22 COMMISSIONER GILINSKY: How long do you think it  
23 would take to get them over to another fuel?

24 CHAIRMAN HENDRIE: I think it's going to take  
25 several years.

POOR ORIGINAL

841 . 128

1 COMMISSIONER GILINSKY: Why would it lead to a shut-  
2 down? Why can't some of these facilities provide the protection  
3 that's required?

4 CHAIRMAN HENDRIE: It's possible somebody like the  
5 Bureau of Standards can do it.

6 COMMISSIONER GILINSKY: Westinghouse?

7 CHAIRMAN HENDRIE: Maybe Westinghouse can or would.  
8 University reactors, I see no way that universities can bear the  
9 cost of very extensive measures that are required of the upgrade  
10 rule.

11 MR. BURNETT: It might be possible, however As you  
12 know, the DOE program is looking at the possibility of reducing  
13 the enrichment going overseas. This is one aspect the staff  
14 thought could be applied, possibly.

15 CHAIRMAN HENDRIE: Just so.

16 MR. BURNETT: And that we need time to ascertain  
17 those possibilities.

18 COMMISSIONER AHEARNE: Are most of these treated?

19 MR. BURNETT: A lot of them are. I don't think most  
20 of them are. But if that was possible by raising densities and  
21 lowering percentages, if we went to the other criteria off of  
22 the five-kilogram rule, then they would not be.

23 COMMISSIONER GILINSKY: You would simply exempt them  
24 and not require any additional security over and above?

25 MR. BURNETT: No, sir.

1 MR. SNYDER: They already have a significant amount  
2 on them.

3 MR. BURNETT: Part 60 would still say, in effect --

4 MR. EVANS: Two things: Part 60 and 47.

5 MR. BURNETT: They would not be without protection,  
6 Mr. Commissioner.

7 COMMISSIONER GILINSKY: But it is the level of pro-  
8 tection which is required now?

9 MR. BURNETT: It's slightly above, because Category  
10 23 has been passed, and they would be forced to meet 60 as well  
11 23.

12 (At 3:25, Commissioner Bradford enters room.)

13 MR. BURNETT: One thing is that they must have a  
14 contingency plan, which they don't now have. We have a list  
15 here.

16 COMMISSIONER GILINSKY: Contingency plan for what?

17 MR. BURNETT: In the event of an emergency, safe-  
18 guards, emergency plan. That was required in the CAT 2 and 3,  
19 which heretofore has not been required. I think he has got it  
20 all right here.

21 MR. EVANS: I will go down the list. There will be  
22 requirements for material access areas, so there will be  
23 restricted access into the area. There will be barriers. There  
24 will be guards that will be on call. There --

25 COMMISSIONER GILINSKY: What do you mean "on call"?

1 MR. EVANS: You could have a university with its  
2 security system; you know, its campus police.

3 COMMISSIONER GILINSKY: There is no guard, dedicated  
4 guard?

5 MR. EVANS: Not dedicated to the reactor site, but  
6 dedicated to the licensee, such as the campus police, which  
7 will periodically check by the site where the reactor is. That  
8 is required.

9 MR. BURNETT: We just don't stop it there. I think  
10 Category 2 facilities, there will also be space alarm systems,  
11 intrusion alarms that will read out at the campus police loca-  
12 tion, and then instructions will be generated where he responds  
13 there first. So, it isn't just an unprotected site.

14 MR. EVANS: Any material that's not in the reactor  
15 will have to be stored in a vault much like a safe. There are a  
16 number of requirements: They have to have an ID in order to get  
17 into the reactor area. There has to be someone who is authorized  
18 to be there.

19 COMMISSIONER GILINSKY: Let's focus on the fuel.  
20 It's fabricated by a fabricator somewhere else at some other  
21 location. When that fuel is stored at the fabricator's factory,  
22 what sort of protection is required?

23 MR. BURNETT: If it's over five kilograms, it falls  
24 into Category 1.

25 COMMISSIONER GILINSKY: And you would currently



1 require the upgrade rule, I mean, if this went into effect, to  
2 apply to that material?

3 MR. BURNETT: Yes, sir. I don't think anybody is  
4 saying, Mr. Commissioner, that these interim measures would end  
5 the discussion. It would simply be an adequate solution during  
6 the interim period for us to present to you a defensible, techni-  
7 cal, logical argument for either a graded safeguard system --  
8 we've used that word here -- but that is not by any means a  
9 foregone conclusion. It's a possible conclusion. It could be  
10 that the study would say that this is highly usable material;  
11 therefore, if they're going to continue to use it, they have to  
12 apply adequate safeguards.

13 COMMISSIONER GILINSKY: You must have come to that  
14 conclusion, because you're applying a higher level of safeguards,  
15 or at least intending to at other locations.

16 MR. BURNETT: Yes, sir, but what the staff is also  
17 trying to say is that all the way through the generation of this  
18 rule it was always felt that these facilities were going to be  
19 exempted, and now we find out in the latter phases of it that  
20 they are not going to be exempted. And the staff has not ade-  
21 quately looked at what alternativesshould be presented to the  
22 Commission.

23 COMMISSIONER GILINSKY: Well, exempted, because you  
24 thought that they were less radioactive.

25 MR. BURNETT: And that was the only reason to exempt

1 them at that time. We are not trying to say that an exemption  
2 will automatically fall out of this additional time.

3 COMMISSIONER AHEARNE: What kind of additional time  
4 are you talking about?

5 MR. BURNETT: We did not identify that in the paper.  
6 OPE pointed out that some additional time should be put down in  
7 hard writing. There is some disagreement between the staffs.

8 COMMISSIONER KENNEDY: What are the ranges?

9 MR. BURNETT: NMSS' position is that nine months to  
10 12 months, in our opinion, would be adequate to present a paper  
11 to the Commission on what are the problems.

12 COMMISSIONER GILINSKY: Why would it take nine months?

13 COMMISSIONER AHEARNE: Let's hear what NRR says.

14 MR. BURNETT: This would give you some alternatives  
15 on which way to go. It would employ the use of DOE and some of  
16 the data they're developing in the international arena, and  
17 also, hopefully, this other paper that's before the Commission  
18 will have been acted on, and we could give you, in my opinion,  
19 a hard alternative.

20 NRR is of the opinion that it is more like 18 to 24  
21 months.

22 (Laughter.)

23 MR. BURNETT: And they could discuss that.

24 VOICE: A year to 18 months.

25 MR. BURNETT: So, the range is from nine to 18 months,

1 to answer Mr. Kennedy's question.

2 I personally believe that a year would be more than  
3 ample. But that's a personal opinion.

4 I think that the Commission should face up to this  
5 ambiguity and do it.

6 COMMISSIONER AHEARNE: In a year to 18 months, is  
7 that focused upon trying to redesign the reactors, put fuel in  
8 the reactors to see whether or not you're going to get that?

9 VOICE: The DOE program on the low-enriched uranium  
10 program is just really getting started now. I represent NRR on  
11 that. We will be doing the first demonstration model around the  
12 first of next year, and that's supposed to be for the nuclear  
13 reactor at the University of Michigan. That will be all less  
14 than 20 percent enriched fuel.

15 If that works and provides the operating character-  
16 istics that we expect it to, then all the two megawatts should  
17 be able to shift over to the less-than-20-percent.

18 COMMISSIONER AHEARNE: So, the pacing item, as far  
19 as you could see, would be the DOE program?

20 VOICE: That's right. That's about 18 months.

21 COMMISSIONER AHEARNE: But it is then a revision of  
22 the fuel?

23 VOICE: That's right.

24 COMMISSIONER AHEARNE: Bob, is your nine to 12 months  
25 focused upon other changes?

1 MR. BURNETT: It's more in line with our paper that  
2 we've presented to you. That solution holds out going below 20  
3 percent, which I think would be the ideal solution.

4 The other paper before the Commission establishes an  
5 intermediate zone, just increasing the densities while lowering --

6 CHAIRMAN HENDRIE: Gives it some credit for being  
7 less than fully enriched.

8 MR. BURNETT: Yes, sir. And I think that that has a  
9 shorter wick on it.

10 VOICE: DOE's short-term program calls for all the  
11 high-enriched to go down to about 45 percent enriched, and they  
12 expect that to have basically the same characteristics as they  
13 do now with the highly enriched.

14 Now, the long-term goal is to have all of them below  
15 20 percent. But that's a three-year program.

16 CHAIRMAN HENDRIE: I think we should recognize that  
17 that may be a time when you know how the technology goes, but  
18 it's going to take more time than that to get them to elements  
19 in with all the research reactors. So, it is a several-year  
20 proposition here.

21 MR. BURNETT: Oh, definitely.

**POOR ORIGINAL**

22 CHAIRMAN HENDRIE: Before one could say, "Well, we've  
23 gone the full distance here, and everything is fine."

24 COMMISSIONER AHEARNE: In your interim, Bob, would  
25 you have in mind, in addition to these credits, would you also

1 have in mind some interim-level protection?

2 MR. BURNETT: That would fall out of what I hope we  
3 could look at to see how easily this material could be used to  
4 fabricate a CFE. If that falls out easily, I would feel that I  
5 would have to come to the Commission and suggest the things that  
6 we've done for spent fuel, more or less.

7 I just personally feel that we could give the Com-  
8 mission a pretty good reading in 12 months, of cognizant of the  
9 long range, and that this intermediate level -- let's face it,  
10 it's been working out there.

11 COMMISSIONER AHEARNE: Bernie, OPE has proposed to go  
12 ahead with including them in.

13 MR. SNYDER: Yes, sir. I guess we weren't taking  
14 into account the DOE program because it was our judgment that  
15 there would be a radiation testing on that fuel and it was  
16 really a very long-term thing, especially if you're talking  
17 about 20 percent for a larger reactor.

18 COMMISSIONER AHEARNE: But your proposal to go ahead  
19 within the rule, given that either --

20 MR. SNYDER: We hope in a 120-day period we might be  
21 able to get a better handle on where we stand.

22 COMMISSIONER AHEARNE: Where we stand would only  
23 clarify which reactors would need it.

24 MR. SNYDER: We could talk about individual exemp-  
25 tions, perhaps, if there were a reasonable number, rather than

1 just a blanket.

2 COMMISSIONER AHEARNE: It wasn't that you saw some  
3 other --

4 MR. SNYDER: We don't have any magic solutions. It's  
5 a tough problem.

6 MR. BURNETT: In all honesty, both NRR and I looked  
7 at the 120. I just don't think we'll have anything real hard  
8 to come back and tell the Commission within 120 days. I do  
9 understand that they think there should be a time limit. We  
10 totally agree with that.

11 MR. SNYDER: I think we all agree that it shouldn't  
12 be open-ended.

13 COMMISSIONER GILINSKY: How many of these are trig-  
14 gers? Some fair number of them

15 VOICE: Without looking at the list in detail, it's  
16 either five or six.

17 MR. SNYDER: The triggers are mostly 20 percent;  
18 right?

19 VOICE: These are 70 percent.

20 MR. SNYDER: This is the converted fuel. The triggers  
21 went a few years ago to a higher burnup of fuel, 70 percent.

22 VOICE: We gave them a long-life fuel.

23 COMMISSIONER GILINSKY: So why can't they go back to  
24 20 percent?

25 VOICE: They can, if we direct them to. They won't,

**POOR ORIGINAL**

1 probably.

2 COMMISSIONER GILINSKY: They won't?

3 VOICE: I don't know.

4 CHAIRMAN HENDRIE: Most university reactor budgets  
5 need a year and a half's notice if they're going to change fuel  
6 because they're going to have to fire a couple of assistant  
7 professors and buy some equipment and so on in order to make  
8 that change.

9 VOICE: In response to your question, all the flip  
10 fuel has ceased to be produced. General Atomics is producing  
11 no more.

12 COMMISSIONER GILINSKY: That's what I understand.  
13 That's why I was asking the question.

14 VOICE: And they expect to eventually go to 20 per-  
15 cent. But you're talking about roughly 10 years from now.

16 COMMISSIONER GILINSKY: I am not talking about 10  
17 years from now.

18 VOICE: They are. The flip fuel will last for 10  
19 years. So, the question is: DOE has purchased that fuel; we  
20 would have to go to DOE to work out some arrangements to convert  
21 it back.

22 COMMISSIONER GILINSKY: Have we talked to DOE about  
23 this?

24 VOICE: Currently, they are not planning to fund any  
25 conversions.

1 COMMISSIONER GILINSKY: Who is "they"?

2 VOICE: DOE.

3 COMMISSIONER GILINSKY: I mean who.

4 VOICE: The RER/QR program, which is the low- to mid-  
5 range program. Deutsch.

6 COMMISSIONER GILINSKY: That's what John Deutsch said?

7 CHAIRMAN HENDRIE: Let's see. I guess we may not  
8 learn very much more of a fundamental nature from further dis-  
9 cussion, at least at this time. For myself, I would not want to  
10 go ahead with the upgrade rule, if it's going to mean shutting  
11 down the nonpower reactor category machines. And it is my con-  
12 clusion that without the exemption that's what it will amount to.

13 COMMISSIONER KENNEDY: I agree with that.

14 CHAIRMAN HENDRIE: Peter?

15 COMMISSIONER BRADFORD: I would go ahead with the  
16 upgrade rule, and there may be something short of a blanket  
17 exemption that could be worked out. But in any case, I would  
18 vote to go ahead with the upgrade rule.

19 CHAIRMAN HENDRIE: John?

20 COMMISSIONER AHEARNE: I guess I would have a problem  
21 with the upgrade rule, going ahead with it. I would like to  
22 pin a little bit more tightly when someone is going to come back  
23 to us and tell us something. A year just seems like an awfully  
24 long time to wait. Now, it may well take a year to do it,  
25 to come up with anything useful. But I guess I would want in

**POOR ORIGINAL**



1 three months to have the staff back and explain by then at least  
2 we ought to have definite information as to which of these  
3 reactors can or cannot sit.

4 MR. BURNETT: I guess the staff, you know, supports  
5 heavily moving ahead with the upgrade rule.

6 COMMISSIONER AHEARNE: That's what I said.

7 MR. BURNETT: And we could also present to  
8 the Commission within a 90-day period a more comprehensive  
9 briefing on the subject.

10 COMMISSIONER AHEARNE: I would prefer, I guess, that  
11 we go ahead with the upgrade rule. You'd have to then waive for  
12 the nonpower reactors, but at the same time, then, go to each  
13 one of these owners of the nonpower reactors and get a little  
14 bit more specific from them on what is the impact.

15 MR. BURNETT: What's the total picture; could you  
16 drive down your holdings.

17 COMMISSIONER AHEARNE: That's right.

18 CHAIRMAN HENDRIE: And how long would it take?

19 MR. CASE: To get that report, Mr. Chairman, how long  
20 would it take us to get that report? I think we ought to put  
21 down 120 days, and then we'll come in with what we've got.

22 MR. SNYDER: There is only 22 involved; right? The  
23 controversy only exists -- isn't all --

24 VOICE: 22 authorized.

25 MR. CASE: 22 facilities.

1 COMMISSIONER KENNEDY: 120 days is all right with me.

2 CHAIRMAN HENDRIE: How do we leave what we do in 120  
3 days?

4 COMMISSIONER KENNEDY: We will see what we know.

5 COMMISSIONER AHEARNE: I am accepting the staff's  
6 position, the publication of the upgrade route, but defer all  
7 of the nonpower reactor question. But then, I am saying at 120  
8 days --

9 CHAIRMAN HENDRIE: And as per reported within 120  
10 days?

11 COMMISSIONER KENNEDY: Depending on what we know, we  
12 can take further action.

13 COMMISSIONER AHEARNE: I just don't have a good  
14 enough sense, myself.

15 CHAIRMAN HENDRIE: In your version, John, would the  
16 upgrade rule then get the nonpower reactors?

17 COMMISSIONER AHEARNE: The word I would prefer to  
18 have in is "defer."

19 CHAIRMAN HENDRIE: Defer until further order.

20 COMMISSIONER AHEARNE: That's right.

21 MR. SHAPAR: A rule is either applicable or not.  
22 You can place it in a state of consideration.

23 COMMISSIONER AHEARNE: Yes.

24 COMMISSIONER GILINSKY: When would the rule go  
25 effect?

1 MR. BURNETT: Strangely enough, the effect is 120 days  
2 in the nonpower reactors.

3 MR. EVANS: 120 days after.

4 MR. BURNETT: This would be dovetailing, so the Com-  
5 mission could make a final decision.

6 CHAIRMAN HENDRIE: Well, we'll get a report in 120  
7 days; then take our customary upgrade rule sort of time for  
8 deliberation over it. Those reactors will be down in the hole  
9 for a long, long time before anything is done. The kind of  
10 basis that you have said is that we defer it until further order,  
11 but I indicate that our intent here is not a permanent exemp-  
12 tion but a temporary conferral, that the staff is requested  
13 to work on the status of the individual reactor within 120 days,  
14 and we are committed to further action of some kind in that  
15 regard. Now, that's a proposition that I will support.

16 COMMISSIONER GILINSKY: When does the rule go into  
17 effect for other sorts of installations?

18 MR. BURNETT: Everything is 120 days. Roughly speak-  
19 ing, it takes generally 30 days after approval by the Commission  
20 to get it out on the street. This is what we have been running.  
21 Then, 120 days from that. So, you're talking 150, if it was to  
22 pass.

23 COMMISSIONER GILINSKY: Now, what is it that you  
24 plan to come back with in 120 days?

MR. BURNETT: There is additional paperwork --

841 142

**POOR ORIGINAL**

1 CHAIRMAN HENDRIE: Why don't you let him answer?

2 MR. CASE: I will supplement. The only point I want  
3 to make is: We will give you the status of where they are, what  
4 their plans are in terms of trying to comply with the upgrade  
5 rule, whether they're going to close down, what are the safe-  
6 guards requirements at the facilities now, and --

7 COMMISSIONER KENNEDY: The question is not whether  
8 they will close down, but what can be done. This imposes some  
9 obligation on us, it seems to me, to give them some help and  
10 advice in this regard, what might be done to obviate the need  
11 to close down.

12 MR. CASE: But I think, Mr. Kenned, that's not the  
13 120 days. We do intend to do that.

14 COMMISSIONER AHEARNE: The status.

15 MR. CASE: Right. The status. And I would like to  
16 add to the status, what protection they have, because I don't  
17 think the Commissioners nor I have a clear appreciation of what  
18 safeguards they presently have. I think that will alleviate  
19 some of the concerns that you now have.

20 COMMISSIONER AHEARNE: It might exacerbate them.

21 MR. CASE: It might exacerbate.

end#3

22

23

24

25

POOR ORIGINAL

841 143

1 COMMISSIONER GILINSKY: I realize you have a lot of  
2 things to do, but you have to talk to them.

3 CHAIRMAN HENDRIE: You have some serious policy  
4 questions. One of the questions is, if the upgrade rule is  
5 implemented, what will you do? Shut your machine down or give  
6 it up and fill it all in? Shut it down for two years while  
7 you try to get the budget for it and for new fuel? What would  
8 you do?

9 COMMISSIONER GILINSKY: It wasn't clear to me.

10 CHAIRMAN HENDRIE: That's one of the critical  
11 questions, it seems to me. And if we're going to ask a  
12 reactor operator that, we ought to give him a chance to think  
13 a little bit about it. You do your best and you come in with  
14 what you've got.

15 MR. CASE: I don't have any reluctance to give the  
16 information. That's while I'll give you whatever I can possibly  
17 get.

18 CHAIRMAN HENDRIE: Along with those questions--what  
19 could you do, what would you do, et cetera -- the more detailed  
20 status report on what the safeguards provisions are on each of  
21 these sites and so on. I expect all of these machines have  
22 got fuel in them that's good for some years, so that, as an  
23 irreducible minimum outcome here, there has got to be a  
24 substantial financial loss, because I suspect even though it  
25 will take several years for fuels to be available that will

1 take these machines down to a better class in terms of safeguards,  
2 they will still have lots of core life left in almost all of them  
3 at that time. And they might turn those things in. I think  
4 that will be a fairly severe -- the elements have gotten very  
5 expensive.

6 I can remember when we use to buy MDR elements at  
7 \$179 a whack, and --

8 VOICE: Mr. Chairman, they currently run between  
9 \$16,000 and \$18,000.

10 COMMISSIONER AHEARNE: And you didn't stockpile them.

11 CHAIRMAN HENDRIE: It shows what quality assurance will  
12 do for you.

13 COMMISSIONER GILINSKY: Of course, gas was 50 cents a  
14 gallon.

15 CHAIRMAN HENDRIE: But they didn't pay for the  
16 enriched uranium, anyway.

17 MR. SNYDER: You also have to take into account the  
18 fact that there are a very limited number of suppliers in the  
19 world today that can provide that. I think there are probably  
20 none in this country. Is that right or wrong?

21 VOICE: Atomics International right now is providing  
22 the research reactor fuel through a DOE contract. But that  
23 expires in a year and a half because Admiral Rickover's contract  
24 will then expire.

25 COMMISSIONER GILINSKY: Is the amount of fuel that's

1 available at these locations classified?

2 VOICE: Yes.

3 CHAIRMAN HENDRIE: That's part of the proprietary  
4 information.

5 COMMISSIONER AHEARNE: It's on your list.

6 CHAIRMAN HENDRIE: You've got the paper.

7 COMMISSIONER GILINSKY: And none of these -- that  
8 kind of protection, is that also proprietary? So whether or  
9 not there is a dedicated guard, questions like that?

10 VOICE: All the details in the physical security  
11 plant are 2.7. So it's not releasable to the public.

12 MR. BURNETT: But the criteria that the rule will  
13 apply certainly is not. We can discuss what each facility will  
14 have to have.

15 MR. EVANS: We can discuss it in generic terms.

16 MR. BURNETT: I think that would answer your question.

17 MR. EVANS: In a closed session.

18 COMMISSIONER GILINSKY: I guess we have other things  
19 to do.

20 COMMISSIONER AHEARNE: I don't think they have the  
21 details of that precisely. That is part of what --

22 MR. EVANS: That part is easy to get.

23 CHAIRMAN HENDRIE: Let me see if I can state the  
24 proposition that has sort of edged over into the center of the  
25 forum. The proposition is to go forward with 7320, is that it,

841 146

POOR ORIGINAL

1 with the objective of high assurance language, the change to  
2 7335 with the objective of high assurance language. There is  
3 in the statement of considerations a suitable perfected version  
4 of a footnote which some present took exception to and will  
5 now be permitted to improve.

6 The upgrade rule as published will not apply to  
7 non-power reactors, but the statement of consideration will  
8 note that it is the intent of the Commission to bring the  
9 non-power reactors under a further safeguards regime, and that  
10 the staff is reporting in 120 days the status.

11 What else? Does that cover it?

12 Well, okay. Let me see.

13 MR. BURNETT: Just one point clarified on the state-  
14 ment of consideration. Is it sufficient to say that we can  
15 modify that without coming back to the Commission?

16 MR. SHAPAR: The statement of considerations?

17 MR. BURNETT: Yes, sir.

18 CHAIRMAN HENDRIE: I think the Commissioners would  
19 like the chance to scan, if they so choose, the final language.

20 COMMISSIONER KENNEDY: As with all editorial boards.

21 CHAIRMAN HENDRIE: You know, who knows. In his  
22 diligence, Howard may commit some indiscretion or typographical  
23 error or something terrible like that.

24 How does that strike you? Let me see if I can poll  
25 the table on the state of the proposition.



1                   COMMISSIONER GILINSKY: Obviously there are a majority  
 2 of Commissioners for it. I think I would have gone for some  
 3 regime involving case by case exemptions to look at the legal  
 4 circumstances, pushing hard to upgrade.

5                   CHAIRMAN HENDRIE: We may end up at the next stage  
 6 on a case by case.

7                   COMMISSIONER BRADFORD: That's not ruled out.

8                   CHAIRMAN HENDRIE: That's not ruled out here. It's  
 9 kind of hard to do right at the moment. And again, the alter-  
 10 native of holding the upgrade rule is not one that seems to  
 11 be met with much enthusiasm.

12                   Peter? John? Dick?

13                   I declare it so ordered. But I think it should be  
 14 noted that all the Commissioners are glad to see the upgrade  
 15 rule progressing.

16                   COMMISSIONER AHEARNE: Before they disappear, can I  
 17 ask a question for future reference?

18                   CHAIRMAN HENDRIE: I would think so.

19                   COMMISSIONER AHEARNE: At some point -- I guess, see,  
 20 it's appropriate I should ask you -- I would appreciate having  
 21 the appropriate people together to discuss why the threats to  
 22 fuel cycle facilities and reactors are different.

23                   MR. GOSSICK: Why the threats are different.

24                   CHAIRMAN HENDRIE: You should have been here last  
 25 time.

POOR ORIGINAL

1 MR. GOSSICK: We can arrange it.

2 COMMISSIONER AHEARNE: Thank you.

3 MR. GOSSICK: I might just mention --

4 COMMISSIONER KENNEDY: The last eight times.

5 MR. GOSSICK: I might just mention it --

6 COMMISSIONER AHEARNE: I've read a lot of the  
7 transcripts and I'm still not clear.

8 (Laughter.)

9 CHAIRMAN HENDRIE: We discussed it until there wasn't  
10 a chin left above the table.

11 MR. GOSSICK: Another matter dealing with Part 73,  
12 the extension is about to expire. We'll have a paper down to  
13 you tomorrow, I think, asking for another extension. It's  
14 going to be necessary, because it expires on 1 August.

15 CHAIRMAN HENDRIE: All right, duly noted.

16 Thank you very much, and I think we ought to go  
17 forthwith and continue the discussion we had going on TMI-1.

18 (Whereupon, at 3:55 p.m., the meeting was adjourned.)  
19  
20  
21  
22  
23  
24  
25

e-4

**POOR ORIGINAL**

841 149