

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

1 In the Matter of:
2 IE TMI INVESTIGATION INTERVIEW
3 of
4 Sydney W. Porter, Jr.
5 Porter-Gertz Consultants, Inc.
6
7
8

9 Trailer #203
10 NRC Investigation Site
11 TMI Nuclear Power Plant
12 Middletown, Pennsylvania

13 May 24, 1979
14 (Date of Interview)

15 July 5, 1979
16 (Date Transcript Typed)

17 267 and 268
18 (Tape Number(s))

19
20
21
22
23
24
25
7908290264

21 NRC PERSONNEL:
22 Thomas H. Essig
23 Gregory P. Yuhas
24 Owen C. Shackleton
25

000 071

1 SHACKLETON: This is Owen C. Shackleton speaking. The time is now 11:47
2 a.m. Eastern Daylight Time, May 24, 1979. This is an interview of
3 Mr. Sydney W. Porter, Jr. Mr. Porter is the owner and chief executive
4 of the firm known as Porter-Gertz Consultants, Incorporated, headquarters
5 at Ardmore, PA. Present to conduct this interview from the U. S.
6 Nuclear Regulatory Commission is Mr. Thomas H. Essig. Mr. Essig is a
7 Chief, Environmental and Special Project Section, Region III, also
8 present is Mr. Gregory P. Yuhas. Mr. Yuhas is a Radiation Specialist
9 assigned to Region I. My name is Owen C. Shackleton. I am an Investigator
10 assigned to Region V. Mr. Porter has been interviewed by the NRC
11 Investigative Team on two prior occasions, on April 24, 1979 and April 26,
12 1979, at that time Mr. Porter was presented on initial interview on the
13 24th of April a two-page document to you which advised you of your
14 rights and the scope and purpose of this investigation and that you had
15 a right to refuse to be interviewed and did not have to furnish anything
16 to the U. S. Nuclear Regulatory Commission in writing. I wish to make
17 it clear that the circumstances set forth in that document still prevail
18 and it also identify that you have the right to have someone present of
19 your choice at this interview and you have chosen to have present
20 Mr. Behrle from the Metropolitan Edison Company. Do you understand
21 Mr. Porter that these conditions still prevail?
22
23
24
25

800 072

1 PORTER: Yes I do.

2
3 SHACKLETON: Do we have your permission to tape this interview?

4
5 PORTER: Yes you do.

6
7 SHACKLETON: And would you like a copy of the tape?

8
9 PORTER: Yes, as well as a copy of the earlier ones that was promised.

10
11 SHACKLETON: Alright sir, we'll provide those to you at the close of
12 the interview and now I will turn the interview over to the interviewing
13 team, beginning, the first speaker would be Mr. Yuhas.

14
15 YUHAS: Mr. Porter as a result of reviewing your transcripts of your
16 previous tapes, I learned that part of your responsibility as assigned
17 by Mr. Herbein was to assist in the in-plant Health Physics program.
18 Is that correct?

19
20 PORTER: Yes, this was an overview kind of assistance that was given
21 very early in the game before there were many more health physicist
22 that were available for work in that program.

23
24 800 073

25

1 YUHAS: Can you describe to us specifically how you accomplished this
2 assignment?
3

4 PORTER: Well first of all can we talk about what time periods are
5 involved, because the job change with time?
6

7 YUHAS: The time period involvement as far as I'm concerned for in-plant
8 Health Physics is from your arrival onsite to midnight Friday, 3/30/79.
9

10 PORTER: Okay, so this is 3/28 to 3/30?
11

12 YUHAS: That's correct.
13

14 PORTER: Let me see now, that was what, seven weeks ago, I have to
15 think back on this now. This has been some time since those dates have
16 come and gone. Now you say in-plant Health Physics, is that correct?
17

18 YUHAS: That's correct?
19

20 PORTER: Well one of the first things that I did was to make sure that
21 we had a whole body counter available for counting people, by contacting
22 on the 28th of March, Radiation Management Corp. and telling them that
23 even though they have a whole body counter onsite that there was nobody
24 here to operate it and no keys to move it, it was downwind of the plume
25

1 and it had to be moved, offsite so it could be used, so that it could
2 be utilized. Also, concurrently with this I notified them that I
3 needed their mobile van set up with a lifting and drifting Ge(Li)
4 detector, with the associate electronics and computer equipment and
5 that I needed this man around the clock once it was set up, calibrated
6 and I needed this immediately because of the fact that the noble gasses
7 where so high in the Unit 1 counting laboratory that the TMI Unit 1
8 Ge(Li) system unusable where it was located. Concurrently with this I
9 made a mental note that as soon as we could get the people together I
10 wanted to move the Unit 1 Ge(Li) detector out of the station buildings
11 and put it somewhere that would be close enough so that the plant HP
12 chemistry group yet it would be less influenced by the large amounts of
13 noble gasses that existed. These are the, all these things obviously
14 ran through my mind immediately when I came onsite early that evening
15 or late that afternoon and so I set about making the initial contacts
16 to get these things accomplished. I also talked to several people
17 about getting more Ge(Li) detectors onboard. I also found out that the
18 NRC was sending down their van, I just asked, this is all verbal by the
19 way. I also asked, there was half a dozen NRC people in the Watch
20 Engineering office there off the Unit 1 Control Room and I said is your
21 system coming down and then here they stated that it was down or it was
22 on its way, I don't remember at this point which it was, but it was one
23 or the other so that point was taking care of too. I also talked to
24 Maggie Reilly over the telephone I said Maggie we have a number of air
25

000 075

1 samples here that I think we might have some false/positive on, not
2 many a few, false/positive air samples that were in the environment as
3 a matter of fact, not ones inhouse and that I wanted to have those
4 checked and if we did not, in a reasonable amount of time get these
5 other Ge(Li) systems up and running, I wanted to know if on a limited
6 basis we could use their Ge(Li) system just to count certain important
7 samples that I thought needed to be counted right away. This, its hard
8 to separate inhouse and outhouse samples, in other words, we needed
9 both counted in order to completely assess the situation and to reverify
10 the data that we already have. We were using SAM-2 both inhouse and
11 outhouse at that point and we were having troubles with resolving
12 times, high dead times, so to speak because of all the noble gasses
13 involved and the use of those. So I knew that any positive iodines
14 that we had on charcoal that were evaluated by SAM-2 were suspect and
15 had to be recounted on a Ge(Li) system, so I put out the word right
16 away that in the field that we just shouldn't use them at all and that
17 if we were going to use them in the plant we had to try to find a low
18 background place which was hard to come by, in order to use those and
19 this word was put out very early in the game that the SAM-2 were suspect
20 because of the high dead time problems we had because of the noble
21 gasses. That is suspect for evaluating iodine on charcoal.

22
23 YUHAS: Before we get too far down let me ask you to try to be more
24 specific about the time of the day which you contacted RMC corporation.

25
PORTER: Ah boy.

000 076

1 YUHAS: Do you remember when you arrived onsite when you came ..?
2

3 PORTER: Yeah I remember, I arrived onsite in the neighborhood of ah
4 boy, we are going to have to look it up, my earlier testimony somebody
5 asked me that and that was back in April and I remember that a lot
6 better then than now. But I remember arriving onsite in the neighborhood
7 of about 7:00 in the evening 7 to 8 p.m. it seems to me about the
8 general time frame that I arrived, and one of the first things I did
9 when I saw it was to make a quick call to RMC then I called them again,
10 I remember their calling me in the morning about 6 or 7 a.m. calling
11 back again in the morning and giving me times when the Ge(Li) counter
12 would be here and when they would move the whole body counter.
13

14 YUHAS: You called RMC after hours, did you call Roger Linnemenn directly?
15

16 PORTER: No I didn't, I tried to but he was in Europe so therefore I
17 wasn't able to talk to him and so when he was in Europe I think, as,
18 the problem is your really asking me for times and I cannot accurately
19 give them to you ..
20

21 YUHAS: At this point I'm just asking you do you remember who you
22 talked to?
23
24
25

000 077

1 PORTER: Well I remember leaving some messages early on because I
2 couldn't get a hold of Linnemenn and asking somebody to call be back.
3 Now seems to me vaguely that somebody call me back and we talked very
4 briefly or maybe they called and talked to someone else, in other
5 words, I'm trying to think what happen there. There was just a lot
6 going on in those early moments and the first thing I remember clearly,
7 I remember being satisfy that they had gotten a message that they had
8 to do these things. And the first contact that I actually remember was
9 Fred Rocko and Jim Brune calling me early in the morning 6 a.m. maybe
10 something like that, 7 a.m. in the morning of the 29th and I remember
11 rattling cages about the fact, that hey, I need that whole body counter,
12 I want that counter here just to back up what were doing here, even so
13 I didn't have any specific knowledge, I know which I talked to the aux
14 operators what they had done on Saturday night and I did not suspect
15 any great internal body burdens, and the fact that we didn't have any,
16 but I wanted that as backup and I also had to have the Ge(Li) detector
17 for obvious reasons, and I wanted that. And I remember, I can remember
18 just saying where is the Ge(Li) detector I need that, in a way I need
19 that more than I need the whole body counter, but I need both, its just
20 that the whole body counter is here onsite, lets get the cotton picking
21 thing moved, because it useless to you under the plume. It was sitting
22 almost abutting Unit 1 there in one of the major downwind directions
23 and it was just obviously, I didn't have to look at any data, I knew
24 that if I was reading 10 mR per hour on a survey meter that that whole
25

000 078

1 body counter was useless. Just from experience 1 mR knocks it out so
2 10 mR, its just silly to turn it on at that point, except to warm it
3 up.
4

5 YUHAS: As part of your functional responsibilities as a consultant were
6 you involved in the emergency plan statements that eludes to the availa-
7 bility of backup counting labs? Are you familiar with that part of the
8 emergency plan?
9

10 PORTER: Yes, we all ... when was I involved.
11

12 YUHAS: When the plan was revised and worked on were you a party to
13 incorporating within that plant its statements as to letters of agreement
14 for individuals to provide backup counting systems?
15

16 PORTER: We I know that we had some general statements in the plan that
17 say, that backup counting, that backup instrumentation is available
18 from RMC, for instance, because thats one of their major functions is
19 to have this available and I know those statements are in the plan. I
20 do know that the actual statement about what was available was actually
21 furnished to us from RMC and I remember having that incorporated into
22 the plan as they wrote it so I would not misrepresent anything they
23 could provide. There was a possibility of a conflict of interest
24 there, since I use to, I was one of the originators of RMC and help
25

1 them, set them up, etc. and so I wanted to make sure that I didn't make
2 any, since I was no longer associated with RMC, I wanted to be very
3 sure that I made no statements about what they could or could not
4 provide and therefore, we used they written statement they sent to us
5 to put in the plan and that way I could not be accused of trying to
6 speak for someone that I couldn't speak for. Does that answer your
7 question?

8
9 YUHAS: Yes. In the interim from the time that you made the request
10 the evening of the 28th til the time that those facilities arrived
11 sometime on the 29th did you utilize the analytical capabilities of the
12 NRC mobile van for isotopic identification?

13
14 PORTER: Yeah, we sent, as I remember, I trying to think back now, we
15 sent several charcoals over there as a minimal probably more samples
16 then that, I think that their sample logs will bear out the fact that
17 they were pretty busy counting samples for us and of course, one of the
18 problems was, that some of the samples we sent over was some of the
19 early charcoals from the Unit 2 RMS System. Now we you say inhouse
20 Health Physics are you including the evaluation of what was leaving the
21 plant at the time, in other words, am I getting in an area that you are
22 not questioning about?

1 YUHAS: Let me be more specific and we'll do it on the point that you
2 just brought up, did you direct that the HPR 219 charcoal cartridge be
3 changed when you came in?
4

5 PORTER: Yes. I asked that that be changed and that we get that over
6 to the NRC counting lab, it was the only one that was available very
7 early to count.
8

9 YUHAS: Now, to clarify my point, the method that you implemented your
10 desire, was this you directly telling HP technicians for letting job of
11 counting HPR 219 or did you specifically call Dubiel?
12

13 PORTER: I called over, well I trying to think, it seems to me that I,
14 I'm not sure about this, I do know that I called over and talked to
15 someone over in Unit 2, on the hotline and I'm not sure whether it was
16 Dick directly or whether if, in other words, I can remember asking for
17 Dick, because thats how it ordinarily should have been done, that the
18 normal command pathway for this type of mission, and I remember calling
19 over, I cannot remember whether Dick was there at the time and whether
20 I can get him on the hotline to talk to him to say this needed to be
21 done, but if I did not talk to Dick then I talked to the Shift Super.,
22 in other words, I talked to one of the two responsible people there
23 that could get it accomplished and its just to many weeks, Greg, I
24 can't remember who I talked to at that point, but I do know I did call
25 over.

000 081

1 SHACKLETON: Gentlemen, I just like to caution you to help us in making
2 the transcript to please try not to talk over each other. It makes it
3 very difficult to try to transcribe.
4

5 PORTER: Excuse me.
6

7 YUHAS: When you called over to express your request that this charcoal
8 filter be changed, were you told of the whole body radiation dose rates
9 or the airborne radioactive materials present in the area of the filter
10 at that time?
11

12 PORTER: I was aware of them because I think I asked about them to
13 begin with. Because thats the first question, what kind of exposure
14 are me going to have to receive in order to get this information? Was
15 the first question, and they had a couple of very rough numbers, and so
16 I said, well I only want to change this maybe once a day but I feel
17 that because of the massive amounts of noble gasses thats gone out that
18 I want to get this thing changed so that we have useful data in the
19 future. And I said that I uiddn't want to do this very often but I felt
20 that, I tried to set out once a day, I said lets try to do it once a
21 day and I did say the work try and I said lets try to combine this with
22 something else to somebody else whose going to be doing in there. So
23 with the guy goes in he's got to be up on the 328 elevation anyway
24 then he can change this thing out and look a couple more gages or do a
25

1 couple more things that operations needs to be done in any case. Cause
2 I knew that there were things that operations wanted accomplished in
3 the aux building at the time. So we had a very fast discussion about
4 the fact, that yeah, its going to be costly, and I also remember saying
5 hey fellows, I'm a virgin as far as exposure concerned, I have nothing
6 for the quarter whatsoever I'll be glad to go in myself if you feel
7 that your fellows are getting too much exposure performing this operation.
8 And later on I did go in, they didn't ask me to go in for the first
9 couple of days I might add.

10
11 YUHAS: When did you first go on the Island?

12
13 PORTER: On the Island itself, on the 28th of March somewhere in the
14 vicinity of 7 to 8 p.m.

15
16 YUHAS: Did you proceed to the Unit 2 Control Room at that time?

17
18 PORTER: No. I proceeded to the Unit 1 Control Room where I was directed
19 to go to.

20
21 YUHAS: Your actions in the first time that you went in to the Unit 1
22 Control Room were they primarily effluent release related?
23
24
25

000 083

1 PORTER: I guess primarily they were but not completely because one of
2 the things I did was to think about the whole body counter, the other
3 thing I did was to go over very early, that day I went over and I
4 questioned the aux operators and the operations people from Unit 2 to
5 find out who had been in Unit 2 aux building. Cause I wanted them
6 whole body counted.

7
8 YUFAS: When you say that you are referring that you did go to Unit 2?
9

10 PORTER: Oh yeah. I was back and forth, for the first two weeks, I was
11 back and forth for at least three or four times a day, sometimes a
12 dozen times depending upon what was going on because I would ask for
13 information and then there be a long pause and a guy would come back
14 and say hey, we just can't get it for you now. And I would say okay, I
15 don't want to hassle you I'll come over a get it myself if thats the
16 case. They were busy and sometimes they could give me the information
17 and then sometimes I got answers that I would say hey, I wonder if
18 thats correct, and I better go over and look at the script chart myself
19 and so I would go over and I would pull out the scrip chart and I would
20 look at it myself kind of thing. This was constantly doing the first
21 week of going back and forth, although my desk, I had actually an
22 assigned desk in Unit 1 because I felt that I could be of more help to
23 these people, you know kind of overseeing what the offsite teams was
24 doing Oh, the other thing I did when I first arrived was to make sure
25

1 that the, in fact, before I even left to come up here I made sure that
2 their was a group of Salems of Salems five best HP people, their supervisor
3 of HP and their HP foreman, I made sure that the supervisor of HP and
4 four HP foreman all experienced and all knowing this emergency plan
5 almost as well as they knew their own because they were trained in the
6 same, I made sure that they were on the way up here with their van,
7 with all their equipment and with the procedural thing identical, so
8 that all we had to do was to show them where to go to and they could
9 relieve people, cause I knew the guys were tired, because they just
10 came out of a five-week outage to begin and then they had been going
11 for twelve hours or so. And we you: twelve hours on top of a five-week
12 outage its rough, and so another thing I did was to relieve these
13 people and I talked to the people up at Susquehanna that had roughly
14 the same training and I got them down here from the Berwick plant at
15 SSCS in order to relieve these guys and that help to implant HP because
16 it relieved some of these people that were around in the environment
17 that could turn their attention back to implant Health Physics again.
18 All these, see Greg, its hard to answer your questions because their
19 was so many things that I was trying to just track for a little while
20 til we had more people onboard that we could use for implant Health
21 Physics. But I did personally, each day I'd spent a little bit of time
22 over in the observation center just telling Herbein what was going on
23 and just relating to different people information to different people
24 there. And so, on my way out, I would stop you know, in the early days
25

000 085

1 what they did was to take their dosimeter readings the first few days
2 that you were talking about, they took their dosimeter readings at the
3 guard points and both bridges, mainly at the north bridge for the first
4 couple of days as a matter of fact, then it was switched to the south
5 bridge. And what I did is I reviewed those dosimeter readings just
6 four of five pages and just quickly went through them and anybody that
7 look fairly high, I forgot, I picked a number, I would pick a number
8 that would give me the top twenty of exposures from pocket dosimeters
9 and I would put them down unless we whole body counted and the reasons
10 was that I knew that we did not have, we could not expend the man rem
11 to take a whole lot of air sample where these people were going and so
12 the reason that I did this was not being able to air sample in all
13 these places that I would have like to in ordinary, nonemergency con-
14 ditions, air sample what I wanted to do was to get them whole body
15 counted to make sure there was no surprises as far as halogen intakes
16 were concerned. And so that's why I set that up by questioning the
17 Unit 2 people, the aux operators are the people that were most likely
18 going into the aux building and, you know, each of them I questioned
19 them, for the first three days, I personally questioned them each shift
20 to make sure I caught everybody, it was essentially two shifts in those
21 days and then went out and got hit parade from the pocket dosimeters
22 exposures and from that I just personally made up a list of people I
23 wanted whole body counted to make sure that we weren't missing some
24 significant internal intake.

000 086

1 YUHAS: When did you first go to the Unit 2 Control Room?
2

3 PORTER: When did I physically walk over there? I can't remember now,
4 Greg, I really can't, it was sometime during that long night now whether
5 it happened to be on the 28th or the 29th, I don't know, but sometime I
6 was just in there for a little while because they were giving me some
7 numbers on some flowrates that I really wondered about. And I was just
8 there for a short while and then came right back again to my desk.
9

10 YUHAS: Did you make contact with Dubiel while you were over there?
11

12 PORTER: No. He wasn't there when I was there. Not the first time I
13 was there, Dick wasn't there.
14

15 YUHAS: Did you review the methodology that the licensee was using to
16 control entry into the aux building?
17

18 PORTER: No I did not.
19

20 YUHAS: Were you aware when you first talked to these auxiliary operators
21 on day 1 and day 2 of the exposure they were receiving was not logged
22 on the dosimetry sheets at the gates?
23
24
25

000 087

1 PORTER: I wasn't aware of that immediately, I became aware of that
2 later on after they were, everything was being logged. I did, who did
3 I talk to, I talked to several people and I found out that the, all the
4 exposure logged at the gate didn't cover the whole story, I found that
5 out right away. The first time I looked at those and then from thinking
6 about the guys I had talked to, hey all these exposure aren't here so
7 either (a) they didn't log them at the gate, (b) they didn't go home,
8 which I think was the case in some cases, or (c) there was just a foul
9 up, in other words it was given to the guard and the guard didn't put
10 it down or something like that. And that's why I continued to talk to
11 these people just to quickly, just to go and talk to them and say whose
12 been in the aux building today and how much exposure did you receive,
13 because the guys knew, they themselves were all trained to watch their
14 own exposure and they pretty well knew what was happening.

15
16 YUHAS: In the first twelve hours, did you review to determine the
17 licensees was actually operating his Health Physics department in
18 accordance with the emergency plan?

19
20 PORTER: Well thats a big statement Greg, I certainly did some of this,
21 your talking about a yea thick emergency plan. I, what I did was to
22 try to, let me tell you what I did do, I did review to see what the
23 exposure were, I did assure myself that the only people, people were
24 only being sent in for very important functions into the aux building,
25

1 they weren't just people going in there cause they were interested in
2 something that was not very important, the only people being sent in
3 there were people that were happening to get information that was vital
4 to trying to bring this to an orderly shutdown of the plant and there
5 was some vital information that they did have to get in those early
6 days, and it was understood by everybody, that hey, no, people, only a
7 person, a person would only go in there if it was very important that
8 he went in there and that again that we would try to send people in
9 that had fairly low exposures so we would not have any high exposures.
10 As a matter of fact, if one think about the severity of the accident
11 and the amount of exposure received as you yourself know, there were
12 many many higher exposures received in normal outages when there was no
13 emergency involved then were received during this entire emergency.
14 And so I think that speaks for itself as to the control that excercised,
15 the bottom line speak to what the control really was. Now I didn't
16 finish answering your question, I reviewed a lot of portions of the
17 plan as far as the Health Physics, now my first thing was, the first
18 thing that one think of is, okay, exposure control, the second thing is
19 internal, external exposure control then internal exposure control,
20 then breathing air. We made a lot of dæcision that were extremely
21 conservative as far as breathing air is concern, as you know, we had a
22 number of instances where we had very high levels of noble gasses 'n
23 both Units and in all areas including the Control Room and when we
24 would have a sudden, I'll use the word burp, of noble gasses the question
25

1 that needed to be resolved was do we have any significant halogen with
2 these noble gasses? And so we went on respirators a number of times
3 until we were able to reasonably answer this question. When we were
4 like 99% sure there wasn't halogens because we seen none in the past
5 and we had no reason to think that the source term had changed, however,
6 we still went on put people on respirators until we did resolve this
7 point each and every time.
8

9 YUHAS: How was the point resolved?
10

11 PORTER: The point resolved by either getting a SAM-2 in a stable
12 background area to count the charcoal over the SAM-2, well first of all
13 it was resolved by taking a charcoal sample and that take a certain
14 amount of time, so you can get a significant amount of air on it so you
15 have reasonable statistics. Then we would either count in on a SAM-2
16 and get it to a jelly later or get it right to a jelly if there was a
17 jelly was available.
18

19 YUHAS: Did you utilize the instrumentation installed in the air monitoring
20 systems?
21

22 PORTER: We did to the extent that we could, I remember we had some
23 problems with that, I don't remember what they were right now, but on
24 Unit 2 there was some problem with that instrumentation, I don't remember
25

1 what the problem was, but there was a problem with that instrumentation.
2 And so therefore, I knew that we had to take samples. It just been to
3 many weeks to remember what that problem was, you know what the problem
4 was, did you ..

5
6 YUHAS: I think you may be slightly confused, for the records indicates
7 that Unit 1 control tower area monitor may have been out of commission,
8 Unit 2 appears to have been operating properly according to the records.
9

10 PORTER: Maybe thats it, I knew there was a reason we had to take
11 those, I'm just trying to remember back to that point. Its a shame we
12 didn't have this interview six weeks ago, something like that, so that
13 my memory would be better, I just been under a, I don't want to make
14 any excuses, its been a long time. I'm trying to remember back and I
15 certainly would not have been taking all these samples if there was an
16 easier way around, I certainly looked for that easier way immediately,
17 I started looking for that easier way and one of the easier ways, of
18 course, is to simply use the Control Room data and for some reasons we
19 couldn't use the Control Room data that why we had to keep using this,
20 I can't remember what it is, the strip chart recorder will tell us
21 that.
22

23 820 091
24
25

1 YUHAS: Lets go on to another point, did you provide guidance to the
2 emergency director as far as how to handled single acute exposures in
3 excess of 5 rem that might result as a result of the need to operate
4 vital equipment?
5

6 PORTER: Well, first of all, there is guidance in our emergency plan in
7 general terms, and secondly we didn't have anybody up there, at 5 rem,
8 as I remember, we had a guy that exceeded 3 but we didn't have any 5
9 rem exposures.
10

11 YUHAS: Were there instances where individuals were sent into the
12 auxiliary building were they likely could receive exposures in excess
13 of 5 rem?
14

15 PORTER: This is conjecture, like could have, I don't know how to take
16 that. In other words, I think what the maximum guy was about 3.2, 3.3,
17 something like that if I remember, isn't that correct?
18

19 YUHAS: Individuals however were sent into fields of greater than 750
20 R/hr to perform valve operations and check various equipment.
21

22 PORTER: I realize that, but the point is, that I don't think anybody
23 get significantly above 3 rem, so that the 5 rem question is conjecture.
24
25

000 092

1 YUHAS: My question relates to the guidance that you provided operations
2 as to what measures and precautions to take in those instances where an
3 individual might have?
4

5 PORTER: Well the guidance was to try to keep the guys below the 3 rem
6 per quarter if as all possible, if thats what you mean by guidance.
7 Now there a few instances where we weren't able to stay below that, but
8 I don't think the term, the number 5 rem I can't remember that coming
9 up, because I don't think we ever got close to it. Thats my whole
10 point, in other words, what we were trying to do is to balance out the
11 exposures of the people, so we kept everybody within the legal limits
12 if at all possible, trying to stay to ALARA principal if you will.
13

14 YUHAS: What instrument was used primarily to provide radiation monitoring
15 for entry into the auxiliary building?
16

17 PORTER: I believe, the one I remember most often being quoted was the
18 teletector, thats the one that I think was used more often, thats the
19 telescoping high-range GM instrument.
20

21 YUHAS: Did you advise the licensee representatives as to limitations
22 of that instrument in xenon-133, when xenon-133 hits the predominant
23 isotope present?
24
25

800 093

1 PORTER: No, I remember discussing it later briefly, but not during the
2 period 3/28 to 3/30. However, I think that the HP people were fairly
3 familiar with the fact that, you know, none of the GM tubes have great
4 response characteristics, and therefore one has to be aware of the
5 limitations of the GM tube instruments. The guidance that I've always
6 tried to give the plant is, where possible, use an ion chamber, so that
7 you don't have to think about these response characteristics, but as
8 you know, its not practicle to have ion chamber on the end of a 16 foot
9 telescope kind of thing. At least I'm still waiting to the first one,
10 I haven't seen it yet commercially available. And so therefore you
11 have to use what you have at the time and, of course, there are energy
12 response, there is a fairly significant response characteristic with
13 the GM tubes.

14
15 YUHAS: Are you aware of the upper range limits on the pocket dosimeters
16 that were available to individuals in the first three days?

17
18 PORTER: Well let me see now, I certainly saw a lot of 50 R dosimeters
19 at the Control points, personally, because they were given to me as I
20 would go in. I didn't ask them to break into the emergency kit and get
21 out some of the 200 R ones.

22
23 YUHAS: Your fairly confident that you saw 0 to 50 R dosimeters?
24
25

900 094

1 PORTER: I had a couple in my pocket during one of my earlier entries.
2

3 YUHAS: Where would those have come from, the licensee has stated that
4 the only thing he had available was 0 to 5 R?
5

6 PORTER: I just remember being handed one, it might have come from the
7 emergency kit, in other words, I didn't ask where it came from, I just
8 remember being given a 0 to 50 R at one point, and I can't remember
9 which day it was either. It might have been as late as a week after
10 the incident begin now that I think about. I just remember looking at
11 the thing and just noting that, hey theres a big gap between 200 mR and
12 where this one really starts to be reasonably accurate and thinking to
13 myself that well I have to be careful, your better off with the 5 R one
14 in a way if you keep watching it, because the gap between the end of
15 200 mR and the 5 R one is easy to bridge. the gap when you have a 50 R
16 one is hard to bridge and I can remember thinking to myself that I
17 might be better off with a lower range one, as a matter of fact. If
18 what your telling me is that they only have 5 R ones available when
19 they were just starting out and since no one went over 3 R then probably
20 it was a very reasonable thing for them to have. And it was better
21 than that one instance where I remember being given a 50 R one and just
22 being thinking it out to the fact hey I have to watch it if I go to my
23 200 mR which probably why I didn't go over.
24
25

000 095

1 YUHAS: When were you first aware of the need to take a reactor coolant
2 letdown sample?
3

4 PORTER: Let me think. I'm sorry, I can remember writing procedures,
5 an outline for a procedure to take a sample but this was after the
6 first sample was taken, I wrote an outline and showed it to John Collins,
7 and he said, great lets use that as much as possible.
8

9 YUHAS: Is that referring to the sample that was taken on the evening
10 of the 29th?
11

12 PORTER: I don't think that I had anything to do with the planning and
13 taking of that sample. To the best of my memory.
14

15 YUHAS: Did you direct two chem HP technicians to go down and split
16 that sample for distribution to various agencies for analysis?
17

18 PORTER: Did I direct them.
19

20 YUHAS: That's correct.
21

22 PORTER: The first sample?
23

24 YUHAS: The sample that was taken on the evening of the 29th?
25

1 PORTER: Boy, not that I can remember directing anybody to go take, to
2 split the sample. I remember wondering how it was going to be split
3 but I certainly was not the person who made the decision as to how it
4 ought to be split. All I do is remember that it was going to be split
5 among a number of groups but I can't remember directly the chemist to
6 do anything directly. Point 1, I can remember directing to other
7 people that hey this is how we ought to do something, but I trying to
8 think, in other words, I don't even know the chemist that took that,
9 yes I do to, it was Ed Houser, I don't remember having any discussion
10 with Ed whatsoever before he took that first sample. I can remember
11 that when he came up with a high exposure after having taken the sample
12 I wanted to make sure that Ed had a whole body count, because I was
13 told about the exposure. Thinking back on those early days, you got to
14 remember that my memory is not that clear on those early days because I
15 was tired a lot of the time, because I didn't have that much sleep.
16 But, my first recollection about that sample was that Ed Houser had a
17 possible overexposure and that I wanted to get him whole body counted
18 and that, I was told that he had some surface contamination and I said
19 okay thats could trick your whole body count, I'd like to go in there,
20 I'd like to be there when they whole body counted, which I was. And
21 Fraser Bronsen and I discussed it and we even brought Dr. James T.
22 Brennan in, to review this.

800 097

1 YUHAS: Let me interrrupt, when did you accompany Mr. Houser on his
2 whole body count, what day?
3

4 PORTER: I sorry I can't remember the day now, I can go back and look
5 it up, but the point is I cannot remember right now specifically what
6 the date was I accompany him. But I think this might have been three
7 or four days later after his first count that I was told that he had
8 some surface contamination there that couldn't come off and I though
9 okay, the surface contamination interferes with the results of the
10 whole body count significantly and that I just would like to review
11 have him whole body counted again and make sure that Fraser Bronsen
12 himself personally does it and that I have a chance to discuss the
13 results with Fraser Bronsen and I was told that Ed Houser was a little
14 anxious about his surface contamination, so I asked for Dr. Brennan.
15 Talk to him, without me there and to discuss the significance of this
16 surface contamination after we had determine how much was on the surface
17 of his body and how much was internally deposited in his body as far as
18 iodine was concerned. Now all this might have taken place as late as a
19 week after the beginning of the event.
20

21 YUHAS: You were aware that Houser had surface contamination on his
22 body the night of the 29th?
23
24
25

000 098

1 PORTER: Night of the 29th, I don't know...I'm sorry to be so vague
2 Greg, but I just cannot remember.
3

4 SHACKLETON: Gentlemen at this point we'll turn the cassette the time
5 is now 12:31 p.m. eastern daylight time, May 24, 1979.
6

7 SHACKLETON: This is a continuation of the interview of Mr. Sydney
8 W. Porter, the time now is 12:35 p.m. eastern daylight time.
9

10 YUHAS: We are still discussing Mr. Housers' exposure, did you read the
11 ECS log from time to time on the night of the 29? This would be the
12 log in the Control Room.
13

14 PORTER: In the Unit 1 Control Room then. Yeah, from time to time,
15 well, wait a minute now, did I read the log or did I discuss it with
16 them. I can remember discussing a number of things with the Emergency
17 Director there or Emergency Coordinator, I think we call him. I not
18 sure, I can remember later on talking about a log but thats a few days
19 later as far as a log was concerned. I remember just when I went in I
20 sat down with him, and I said, okay whats happened and just verbally
21 he's giving me a update on the thing. I don't remember spending time
22 in that early day with a log. I might have, but I can't remember it.
23 So I can't be sure again.
24
25

000 099

1 YUHAS: Were you aware that Mr. Velez also had substantial skin contam-
2 ination as a result of drawing that reactor cooling sample?
3

4 PORTER: I think I was told that he had some skin contamination but
5 that his whole body count showed that the total activity that he had
6 was not that high. In other words, the skin contamination plus whats
7 in the thyroid and in the circulating blood, the total thing was not
8 that high. I vaguely remember questioning well what the total that he
9 has, skin and thyroid and circulating blood and the number came back
10 that it was less than investigation level, everything put together and
11 so I don't know what you mean by substantial, I remember being satisfied
12 that it was not substantial.
13

14 YUHAS: Can you describe to me what you consider to be the dose signi-
15 ficance of having 1 microcuries per square centimeter of iodine on the
16 skin?
17

18 PORTER: Well, I can't calculate it out right this second, but what I
19 could say is, that I would say that if it was 1 microcurie per square
20 centimeter that there would be there certainly would be a significant
21 amount of dose involved with that and thats something that one should
22 certainly try to scrub off. Once you try to just leave that kind of
23 activity on the ..
24
25

800 100

1 YUHAS: Did you advise anyone to perform either a detail assessment of
2 the distribution of skin contamination on individuals during this
3 incident and that records be maintained and dose calculations be made
4 for skin contamination?
5

6 PORTER: I remember thinking that what we needed to do was get off the
7 easily removable iodine, point 1, so that we kept the exposure low and
8 I remember telling people yeah, lets get off, lets take off what we
9 can, I don't remember being told my anyone that we had one microcure
10 per square centimeter of contamination.
11

12 YUHAS: I didn't say that, I just asked you the significance of one
13 microcurie per square centimeter.
14

15 PORTER: Well its certain is a significant contributor to dose when you
16 have levels that high. Thats obviously a problem that have to be
17 looked into quite carefully. Now, as far as your earlier question, I
18 can remember being told that the skin contamination is a total activity
19 on everyone but Ed Houser was less then investigation level. Skin plus
20 thyroid which makes it a fairly low level and I can remember making the
21 discussion, alright, I have time now to go back and look at these
22 things later because we have less than the total investigation level
23 for everything. Now, Ed Hauser, I think, one early count was greater
24 than the investigation level and we had him, we knew that some of that
25

1 was due to the skin contamination and they reworked his skin again it
2 any number of times, you know, he scrubbed, he was asked to scrub, take
3 baths, to soak, to get his skin contamination down and I remember the
4 next count that we got from him, the skin contamination was in fact way
5 down and he was well below investigation level and so therefore, I
6 thought, well, there's so much to be done here I'm not going to go back
7 and do those kinds of sophisticated kinds of assessments now. We'll go
8 back, since we have the whole body count data which is much more accurate
9 then just running a survey meter. Its hard to calibrate survey meters
10 for skin contamination, I think you'll agree.

11
12 YUHAS: Did you suggest to the licensee that he collect bioassay samples
13 from Houser or that he analyze those samples which had been collected
14 shortly after the incident?

15
16 PORTER: I suggested that, let me think now, there was somebody I asked
17 for some bioassay samples from and if my memory is correct is probably
18 both Houser and Gary Reed. But then after the subsequent whole body
19 count I told them, when we saw they was below an investigation level, I
20 said, look we have a million samples to count, we don't need to count
21 samples of people that are below investigation level because the lab
22 was backed up for half a day worth of counting anyway at that point, at
23 least a half a day. So I said, alright at this point its now longer
24 necessary to collect the urines, and I used the criteria of the investi-

1 gation level as to whether or not the urines were necessary. Actually
2 that is not a, how can I say, just because you go above an investigation
3 level does not mean that you have to take urine, it depends upon how
4 far above it you are really, but what I said was, lets take a few, lets
5 take some. I can remember having the conversation with Gary Reed and I
6 don't think I had it directly with Houser, I think I had it with someone
7 else, but I can remember people coming back and saying do we need to
8 save these and my saying, no we don't need to save them because they
9 are, I looked at the records, I discussed them with Fraser Bronsen
10 personally and I was satisfy that they were below investigation and
11 that there was no reason to continue to take urines or to count them.
12 But they were very conservative cause somebody just called me the last
13 few days and wanted to know if there was some urines that was still
14 there and wanted to know if we needed to save them and I said well make
15 one more check, go back and have Radiation Management Corporation give
16 you the answer because I have not reviewed in the last couple of weeks
17 all of the internal dose data but as far as I know there is no reason
18 to keep it, but in fact I said, as long as I have time now, lets just
19 go back and re-review it one more time to make sure me don't need to
20 get rid of these, but there are some that did exist as of about yesterday,
21 I believe, some urines. They still had them back there. Trying to
22 remember who called me. I can't remember who called me.

800 103

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

YUHAS: The call probably extends from the fact that I was personally concerned, Houser had supplied a urine analysis first catch probably eighteen hours after the incident. That sample sat there in the lab until today. Which counting it today is probably irrelevant. Counting of the sample would have been shortly after it was collected and I'm at a loss to explain why you having people collect samples and then just let sit for 45 days.

PORTER: Well I think, the word that I gave, they asked me a reasonable time, two or three days after the sample was collected I remember getting a call about this and I remember saying, hey I just finished looking at those records, there's no reason to collect samples any longer and looking at the whole body count results I see, since we still backed up in the lab this is just, it will be an interesting thing to write a paper about but we don't have time for that kind of luxury now.

YUHAS: Yes, let me ask you, was there any more significant whole body count than Houser's or Reed's?

PORTER: I remember too..maybe they were but I can't remember what they were. They were below the investigation level, I know that.

820 104

1 YUHAS: I believe Houser had something like 6600 nanocuries of iodine
2 total body?
3

4 PORTER: Right, but when they counted his total body with a thyroid,
5 blocked, shielded, I believe that he was well below an investigation
6 level. When I was there, that Monday I believe it was, that Ed Houser
7 was recounted I was physically present when he was recounted.
8

9 YUHAS: This must have been an subsequent Monday to the initial Monday
10 count that he received, the initial count values were very high.
11

12 PORTER: Well maybe it wasn't Monday. Okay what I'm saying is, that
13 when he was counted I was present there, I was satisfied that he was
14 well, it wasn't even close, in other words, he was really well below an
15 investigation level there was not many percent of the investigation
16 level, or something like that, the numbers came out significantly lower
17 than I had been lead to believe that they were.
18

19 YUHAS: Do you remember off the top of your head was an investigation
20 level for iodine is?
21

22 800 105
23
24
25

1 PORTER: I should remember, 360 nanocuries maybe, something like that,
2 I'm trying to hone in on a number and I'm not sure about the number
3 now. No, I can't I'm just trying to think about it. Have you looked
4 it up lately?

5
6 YUHAS: No. Let me ask you, have you maintained any sets of notes that
7 would assist you in remembering specifically your involvement in in-plant
8 Health Physics activities?

9
10 PORTER: Yeah, I have some sets of notes that would help me remember
11 this.

12
13 YUHAS: Have you provided these notes to Mr. Behrle?

14
15 PORTER: No, I have not, he hasn't asked for them.

16
17 YUHAS: At this point, consider it as a formal request that you provide
18 copies of your notes dealing with in-plant Health Physics for the
19 period of the 28th through the 30th be provided to the NRC via whatever
20 vehicle you see fit. And would like those provided within one week if
21 at all possible.

22
23 PORTER: Okay. (taking notes) Provide to William Behrle. Okay.
24
25

880 106

1
2 YUHAS: I have no further questions at this time, I'll turn it over to
3 Mr. Essig.

4 ESSIG: Sid, what I'll like to do is to, since I've interviewed you on
5 two previous occasions and I've reviewed a number of records since that
6 time and I've interviewed a number of people, in the process of sort of
7 drawing together a picture of what was going on environmentally during
8 the first three days following the event. And it seems pretty clear to
9 me and I think you had stated this previously, was that first of all
10 there were not during the first three days a particularly significant
11 iodine-31 levels measured offsite in air samples.

12
13 PORTER: That's correct, I think that what happened was that we did
14 have a few what I call false/positive caused we measured them with the
15 SAM-2 but then when we put them on Ge(Li's) we found out that there was
16 nothing there at all and it was resolving time problem.

17
18 ESSIG: And I think it was also established previously that the routine
19 environmental monitoring program data the so call REMP were available
20 at 8:30 Friday morning the 30th from Dr. Steven Gertz of your office,
21 available to you.

22
23 PORTER: Yes, and I believe there also, they were available pretty
24 early in that day to Bob Bores cause he made a record.

1 ESSIG: Yes, we established they were made available to Dr. Bores
2 about 11:00 that morning, at least Dr. Gertz had indicated that he had
3 called you.
4

5 PORTER: I think that I had walked over with these results and discussed
6 them briefly with somebody that was in the Watch Engineer's office at
7 that time, and I don't remember who it is anymore. But I remember
8 getting these and saying hey we look like were in pretty good shape
9 here and I remember just briefly discussing it with some NRC people and
10 I can't remember who was there. Even you might even had been there
11 then, I don't think you were there that early. I think you were there
12 the next day, something like that.
13

14 ESSIG: Okay, what I'm leading up to is that if there were I think if
15 you looked at the first couple of days, the first two days, the Wednesday
16 and Thursday, 28th and 29. Is there anything of significant at all it
17 was probably the offsite consequences of noble gas releases?
18

19 PORTER: Yes sir.
20
21
22
23
24
25

000 108

1 ESSIG: There was a lot of measurements being made with portable survey
2 instruments, I believe you had stated previously that the source term
3 estimates, noble gas releases probably weren't very reliable and because
4 of that you were relying mainly on portable survey instruments really
5 being a good indicator of what was going on in the environments.
6

7 PORTER: That's correct, we were relying on that before we got our REMP
8 data which we knew would take a little while to get.
9

10 ESSIG: Right, and looking at some of the data which had been collected,
11 there are a couple of points which I'd like to discuss with you, a
12 couple of measurements and if I believe you were here, you were onsite
13 at the time but it was one of the times when you happened to go home,
14 go offsite and get a little rest let me know. The two times in particular
15 are both Thursday morning, very early in the morning, one of them was
16 at 0425 hours on the 29th and the other one was probably 0600 hours and
17 several hours prior to that also on the 29th. And at those two times
18 there were two of the more significant offsite radiation levels were
19 measured. Those were two of the highest, I won't make a comment as to
20 their significance, I'll just say they were higher than a lot of the
21 other measurements that was made. One of them was barely offsite of
22 the north gate which I'm considering for the evaluation purposes here
23 is essentially number the public could be right adjacent to the north
24 gate since it is on the Highway 441 side of the bridge.
25

1 PORTER: I believe it was onsite the measurement though.

2
3 ESSIG: The measurement was made on the dark station or on the Island
4 side of the bridge?

5
6 PORTER: Well, the site is defined as outside perimeter security fence.

7
8 ESSIG: Okay, but the north gate...

9
10 PORTER: Oh thats right, your right, the north gate is yeah, I think of
11 that being on site because its controlled by Met Ed and so it is part,
12 in other words, I think if the land where the gate if I am not mistaken
13 is, is Met Ed land. That's not, that land doesn't belong to an indi-
14 vidual per se, so it is on the Met Ed site, if you will, and so I was
15 using the site from that point of view.

16
17 ESSIG: Okay. The specific question I wanted to ask you about it, 0425
18 hours the survey records showed that a exposure rate of 27 mR/h was
19 measured at that point and previously about 4 hours or so it was at
20 0050 hours was the last measurement made at that point was 3-1/2 mR/hr,
21 as near as I can tell there weren't any measurements made between the
22 two points and there didn't appear to be much if anything in the way of
23 followup, that is the next measurement at that point was made at 0900
24 hours so that 27 mR/hr could have persisted for some time or it could
25

1 have been just an instantaneous measurement, I guess I really don't
2 know, but first of all, were you aware of, I was going to ask you if
3 you were aware of that measurement, but I recognized that you looked at
4 a lot of numbers since that time, does that at all stand out in your
5 memory?

6
7 PORTER: A couple of things stand out, number one, I remember there
8 being several high measurements during the morning, I can remember
9 saying that I wanted to go back and recheck those again and I can
10 remember the wind was moving around so that no place had much data for
11 much of the time because of the wind swinging, it seems to me that the
12 wind was really meandering that early and I could be wrong on that and
13 I have to go back and look at the meteorological data, but I remember
14 the wind meandering from the majority of that day from very early to
15 very late it was a very poor day meteorologically is the thing that
16 remain in my mind. Have you some data there on the wind?

17
18 ESSIG: Yes, I do. I have the wind speed and direction.

19
20 PORTER: I thought that you might have done your homework Thomas. (ha
21 ha) And it happens that that period of time is the main reason that
22 prompted the question. During that, at that time of the day, at 0425
23 hours, the winds were reasonable steady, that is they were on the order
24 of 5 to 10 miles per hour from about midnight on the 29th to, it gradually
25

1 drop down to about 2 to 4 mile per hour at around 0900 hours, so all
2 during that night the winds were fairly steady and they were blowing,
3 well initially at midnight they were blowing from 144° and then it
4 shifted to 198 and then it shift to 108.
5

6 PORTER: During what time period?
7

8 ESSIG: This would be between midnight and 0340 hours. Between 0340
9 and 0910 hours the winds were reasonable steady from about 108 to 90,
10 in other words, they were blowing toward to 270 to 288, roughly towards
11 the west to just slightly north of that.
12

13 PORTER: Towards the west, to the west northwest?
14

15 ESSIG: Right.
16

17 PORTER: So what your telling me is that this is not downwind, is that
18 what your telling me?
19

20 000 112
21
22
23
24
25

1 ESSIG: That's exactly right and that was why I'm wondering if that
2 would, I'm trying to explain this one to myself why it was that we seem
3 to be measuring apparently 27 mR/hr at the north gate and its not
4 downwind, the winds were fairly steady, it wasn't really a question of
5 plume meandering at all.
6

7 PORTER: And the winds were 5 to 10 miles per hour?
8

9 ESSIG: Yes.
10

11 PORTER: And so therefore there should not be that much eddying at
12 winds that speed the plume tends to go offsite without being stuck
13 onsite for any long length of time, we know that from you know just
14 years of experience of looking at local meteorology, we also knew it
15 from just following the plume, now there, I believe that there was also
16 downwind measurements made at that time, during those periods of time
17 from 0340 to 0910 hours there was, most of the time there was at least
18 one team and maybe even two that was downwind, one onsite, one offsite.
19

20 SHACKLETON: The time now is 12:57 p.m. and Mr. Behrle has a request.
21

22 BEHRLE: I'll like to take a break.
23
24
25

000 113

1 SHACKLETON: Okay we'll stop the interview at this time.

2
3 BEHRLE: Thanks.

4
5 RESNER: The time now is 1:01 p.m., Mr. Behrle has rejoined us, also
6 note for the record that I relieved Mr. Shackleton as moderator for
7 this interview at 12:35 p.m. and we'll pick up where we left off.

8
9 PORTER: I'd just like to make a note hear that the measurement 27
10 mR/hr is one that I can remember rather vaguely and asking that it be
11 rechecked again and boy, my memory is bad here, to the best of my
12 memory they went back and rechecked it and could not reverify the
13 number so that I felt to myself, well it was a one time kind of thing
14 and if what you say is correct the wind had shifted away from then,
15 since they couldn't reverify and the wind had shifted. Its hard for me
16 to remember to be very truthful back here, but I remember that it was
17 not just one of these, there was 3 or 4 of these were there would be a
18 single high number then they'd go back again and they recheck it and
19 they come back and say, hey the numbers were significantly lower. So
20 from that point of view I really can't answer your question except to
21 say that I can remember a number of high numbers during that day,
22 especially that early morning that I asked to be rechecked because they
23 did not look reasonable, so to speak. And I also remember thinking
24 well we had to pick of these TLDs soon and that would really tell us
25

1 the whole story, because there is a TLD fairly close to that point, as
2 a matter of fact, in fact there's one on the bridge and then there's
3 one just off the bridge which is representative of where maximum individual
4 might be. I think that that TLD, as a matter of fact, was probably the
5 uncorrected number about 80 millirem that is uncorrected for energy
6 response that was used in the interagency Task Force Report on exposures.
7 However, I must state for the record, that that number was gathered
8 with a calcium-sulfate dosimeter which did not have energy compensation
9 shields around it and that it not a final number, that is a raw data
10 number which has to be corrected for energy response yet. And were in
11 the process now of putting together a story on what the total cloud
12 composition was in the way of radionuclides so that we can do the full
13 investigation and resolve once and for all what the energy response
14 should be. What that response correction should be. Does this answer
15 you question Tom?

16
17 ESSIG: Yes, I think so Sid. What I'll like to do now is to briefly
18 discuss the other measurement offsite that caught my eye, the one I
19 mentioned earlier at 0600 hours, the measurement that was recorded was
20 30 mR/h beta-gamma window open, 20 mR/hr window closed. And it was at
21 0600 hours in Goldsboro, approximately Goldsboro, and Wayne, I should
22 state for the record that I have lying on the cable in front of us here
23 a xerox copy of the Unit 1 wind speed and direction recorder and I have
24 it unrolled so that were not looking at March 29th 1979, were looking
25

1 at the period time in question here and what I'd like to point out,
2 Sid, is that at the period from well to back up here to even 0140 hours
3 or so we have one anomaly here which I'm at a loss to explain but that
4 is an anomaly of the wind direction indication which occurred perhaps
5 less than the 5 minutes or so, but what this chart generally shows is
6 that the wind was on the order of 5 to 10 miles per hour and gradually
7 decrease in the later morning hours to somewhere around 4 miles per
8 hour less. But during those early morning hours it appears that from
9 about 0130 hours or so that the wind was coming out of roughly, these
10 are 18° increments on this charts, so were talking about 2 increments
11 above 90 that would make it 130° or so, so its blowing toward the
12 northwest roughly, north, yeah I would say that a fair statement,
13 toward the northwest and then it gradually decrease or changes slowly
14 in direction to come in out of 90 blowing toward the west and during
15 that period of time there were surveys made up in the north/northwest
16 to northwest sectors at about 1:30 and then there weren't any surveys
17 made at all until 0600 hours at that was the survey in Goldsboro and
18 thats the one that showed roughly 20 to 30 mR/hr.

19
20 PORTER: Tom I have a hard time with that, because we had a helicopter
21 running back and forth since that time as I remember, that morning, he
22 was running back and forth and he was bri.. have you checked the charcoal
23 data to see that the charcoal wasn't taking over there. Because there
24
25

000 116

1 were survey meters readings made at every point that we took charcoal
2 readings still. And I remember the helicopter survey running samples
3 back and forth early that morning.
4

5 ESSIG: I have a summation of those here, let me just quickly look and
6 see what kind of data we did have. The charcoal samples, the record
7 shows that those that were analyzed on a SAM-2, we had one collected at
8 0050 hours at the north gate and then the next one that was analyzed
9 with the SAM-2 was collected at 0600 hours at W 11 at the same time as
10 this exposure rate measurement was taken and let me look and see if we
11 have, we have a couple taken on the Island in the early morning hours
12 and lets see if we have any that was analyzed by RMC at that time. We
13 have a 329 at 0945 hours from location W 11.
14

15 PORTER: Okay, what was your statement earlier that you thought they
16 were... you didn't find any beta-gamma measurements?
17

18 ESSIG: The statement was.. let me tell whats of some concern here to
19 me. That we appear from the radiation survey record, its the record
20 that I have which is the summary that was put together in the ECS as
21 the results were radioed in. I requested the original survey sheets
22 but have copies of those, but haven't yet received them. But according
23 to that summary the surveys made in that general direction that is,
24 between west and north/northwest, let say, during that hour in the
25

1 morning it appears that the surveys made in that direction the last one
2 had been made about 0130 hours, as I recall I don't think any significant
3 breeze levels were detected at that time and that was in the north/northwest
4 to northwest and then there seems to be a gap from about 0130 to 0600
5 hours at which time were in Goldsboro and were measuring 20 to 30 mR/hr
6 the question I have, based on the wind data the wind appears to be
7 barely steadily blowing in the west to northwest direction all during
8 the night and we have a fairly large gap in the surveys that were done
9 and then all of a sudden we come up with a significant at least one of
10 the more significant offsite measurements that was made, and the question
11 that I have to ask is, do we know how long that may have persisted?
12

13 PORTER: No, two thoughts immediately come to mind, number one, I know
14 I was up during that time, point one, and I know that there was great
15 deal more data generated, now the question is was it properly, do we
16 still have copies of it. That team didn't disappear that team was
17 essentially downwind the whole time. Now they took a break, they might
18 have changed at 0700 hours and they might have left at 0600 hours to go
19 in to be relieved at 0700 hours but then somebody should have been out
20 there at very shortly after 0700 hours there was another team downwind
21 again.
22

23 ESSIG: The record show there was another survey made in Goldsboro at
24 0715 hours.
25

000 118

1 PORTER: Okay, there was a 0715 record...
2

3 ESSIG: In fact it only showed 1 mR/hr in Goldsboro.
4

5 PORTER: Thats west 11 isn't it?
6

7 ESSIG: Yes, West 11.
8

9 PORTER: Right, that confirms that part of my memory which I do not
10 vouch for very well at this point. I think that there were other
11 measurements made and we are going to have to find out who was there
12 and if you want to pursue this I think you we will have to try to find
13 out who was on the team at the time when that measurement was made in
14 order to back this up. But there was an offsite team downwind during
15 those hours. Because we had four teams out there at that point, not on
16 the west shore, but the point is I know there was one team on the west
17 shore almost continuously during all that time. Now the question is,
18 did we get sloppy and not make records because they were all quite low,
19 which shouldn't been done, but the point is in other words, the records
20 was made but the question was it preserved because as you know we had
21 the little sheet and the sheet was all as the recorder, as the data
22 came over the radio phone the radio talker wrote these sheets and
23 handed them to the nuclear engineer and thats the system that we had
24
25

1 going from hour 1 essentially and the question I have is we need to go
2 through carefully and look for the sheet, it sound like you done that
3 though, you actually looked at the sheets themselves.
4

5 ESSIG: I looked at some of the sheets there are small sheets, I think
6 the ones to which you referred are approximately 8-1/2 inches wide by
7 perhaps 5 inches long or so.
8

9 PORTER: Handwritten xerox form, so to speak.
10

11 ESSIG: Unfortunately, not one of those sheets has a date on it, it has
12 a time, location and radiation level and these are present, were located
13 in plastic bags, in white plastic bags, with drawstrings on them and I
14 looked at those in trying to piece together and that's why I requested
15 the original survey records which I've been told, I think by Mr. Mulleavy,
16 he seems to think that they might very well still be in notebooks,
17 loose-leaf notebooks in the emergency kits themselves and so the other
18 day I requested Mr. Behrle if he would make available those, look for
19 those records and make them available.
20

21 PORTER: My only recollection there, boy, I don't have that many rec...
22 my recollection was that we were... certain high numbers were popping
23 up and as soon as I heard a certain high number I would turn around to
24 the radio recorder or to the Nuclear Engineer whoever is handiest at
25

1 the time and say lets try that one again. Lets reverify and I don't
2 remember that I ever reacted any differently except to say that when it
3 was a high number, I say, hey lets reverify that, lets see if they get
4 the same number again. And I remember this happening not at just these
5 two points but a number of other times, when there be high numbers and
6 then they go and reverify this. Sounds to me as if we were missing
7 some sheets or the sheets aren't dated or something like in there, but
8 I do not remember for any extended of time for having any high numbers.
9 I remember that they were, my original statement was before we talked
10 about specific data there was a number of isolated high numbers and we
11 went back and reverified them and by that point the wind had changed or
12 something and that there was... or they just simply could not get the
13 number again.

14
15 ESSIG: Okay, the point is this particular questioning is as I said
16 earlier I'm focusing right now on the first two days, that is the
17 period of time before the intended TLD results were available to you,
18 and just to see if we in a... if there was any times situations where
19 perhaps a recommendation could have been made to the state, I think
20 you'd established that your own perco level was on the order of, what
21 you got your accumulated dose of about a 100 mR or so or 100 millirem
22 and so I just looking if there were situations that were approaching
23 that which may have gone unnoticed is what I was doing and this one of
24 course sort of begged the question being that it could have been only
25

1 persistent for a few minutes or it could have been since the wind was
2 going in that direction for some time it could have persisted for
3 several hours.
4

5 PORTER: What my memory is that wind the wind persisted for all those
6 hours the instruction that that team had was to stay in the downwind
7 direction and to continue to take measurements. And they.. during that
8 period of time I can not imagine they didn't call in a measurement at
9 least once an hour and most of them was much more frequent than that,
10 as a matter of fact, so I think were missing some data or we have some
11 data that is in fact not dated properly, is what it sounds like, but I
12 can only tell you what my general recollection was that there was a
13 number of spotting numbers that we were not able to reverify when the
14 team went back to that actual location. But if the wind was staying
15 there, then probably the team stayed there, they might go out of the
16 plume a little bit but then within an hour they were back in the plume
17 again. And I don't think there was any exceptions to that, that was
18 one of the ground rules that we had very early on in the game that we
19 would have one team onsite and one team offsite downwind at all times
20 with no exceptions to that. The other thing that I can remember doing
21 occasionally was since the people were standing there in the plume the
22 whole time, often, I would just simply ask what exposure do the team
23 members have. Which is the other thing, since their there all the
24 time, and see that was the other check that we had I don't think that
25

1 we recorded the answer to those questions in the Control Room when they
2 came through but since the guy was standing there downwind of the plume
3 the whole time, I figured well if there ever was a maximum individual,
4 its that person and when he would call back and say, well I got 15 mR
5 something like that, and I ask how long you've been there, six hours,
6 that kind of thing, then I say alright, I would think of that something
7 else that needed to be thought about kind of thing. That was other
8 check that I would have to admit was not written down but I was also, I
9 had some concern for the team members and their exposures and I wanted
10 to make sure that those team members were not exposed. And as far as I
11 know we didn't have any exposure that got up for these team members,
12 even so they were sort of downwind of the plume we did not have any
13 numbers for those guys that reach a 100 mR.

14
15 ESSIG: I think that

16
17 PORTER: That gave me, I think a reasonable feel for the data.

18
19 ESSIG: Okay, Sid what I'd like to do now is to move on to a couple
20 other areas and hopefully these areas will not result in very long
21 question and answer period. Amongst the records we were provided by
22 Met Ed I have in my hand now something that appears to be a log and
23 that it has time recorded in the events so on. Now one of the these
24 was actually started before you arrived onsite, and another one was
25

1 started later on, just ask you to look at these, do they look familiar
2 with you. Now I have done some scribbling of my own on here, I've
3 added a date for example, and anything that's in there in any color
4 pink is something that I added. I'm trying to determine whether or not
5 this was a log that was maintained at the ECS or if it was a log that
6 was maintained at the observation center or in Emergency Control Center
7 or just exactly where it was maintained? The second and third days, by
8 the way, is considerably thicker and I don't even know if these are in
9 fact the same log, the same point of origin.

10
11 PORTER: The guy keeping the log, I can reme.. lets see Lexy Garry did
12 not come on the first couple of days.

13
14 ESSIG: He came on on the 30th.

15
16 PORTER: Yeah, he came on the 30th, I remember Lex keeping a log very
17 specifically. We did have a lot of information being written down as
18 it was being telephone to the BRH over the hotline to the State, over
19 the State hotline and so its possible this was information that we felt
20 was significant and we were telephoning to the BRH, I would question
21 the operators, the hotline operators to see if this was what they were
22 writing down. Cause the operators were also keeping a log as I remember.

23
24 000 124
25

1 ESSIG: These were in the ECCS then?

2
3 PORTER: What I'm saying is this could have been what the hotline
4 operators were writing.

5
6 RESNER: This time we changed the tape, the time is now 1:23 p.m.
7 eastern daylight time.

8
9 PORTER: However, this looks like an observation...

10
11 RESNER: This is a continuation of Mr. Sydney W. Porter. The time now
12 is 1:27p.m. EDT.

13
14 ESSIG: I'd like to move on to another area, briefly Sid. I have in my
15 hand Procedure 1670.4, which is the radiological dose calculation
16 procedure.

17
18 PORTER: The Emergency Plan.

19
20 ESSIG: Yes. And I think you had previously stated that you had reviewed
21 all or part of, most or all the procedures that implement the Emergency
22 Plan. There is a specific point on here that I wanted to clarify, and
23 it's back in the Enclosure 3 to this Procedure, and it involves the
24 calculation of...where one takes the source term, the atmospheric
25

1 dispersion primer of the X/Q, multiplies the two and then divides by
2 the wind speed. Now in the process of dividing by the wind speed, is
3 that done because the X/Q values have been normalized to...or based on
4 a wind speed of 1 mile/hr or something.
5

6 PORTER: A wind speed... It's either 1 mile/hr or 1 meter/sec., whatever
7 the units are there. That's correct.
8

9 ESSIG: These are in units of miles per hour.
10

11 PORTER: Alright, so if it's miles per hour then they're normalized.
12 The overlays that we have are normalized to that. That's why we do
13 that.
14

15 ESSIG: Okay. Very good. That takes care of that point. I was able
16 to I think to clarify a question which I had asked you on one of the
17 previous two times we had interviewed, concerning management verses
18 direction of the teams, and I think your statement that the team direction
19 never left the ECS is probably the true one as near as I can tell.
20 That is, there are a number of people that I had asked who seemed to
21 be, who were giving the answers, but they were a little fuzzy. And,
22 like if you recall, we had mentioned Mr. Graver and as near as I can
23 tell, the statement that you had made earlier that Mr. Graver had never
24 directed any of the surveys is true, that is, that they were always
25

1 directed out of the ECS. The ECS was telling the teams where to go.
2 Mr. Potts indicated that there were a couple of times and he nipped it
3 in the bud right away, when the observation center had indicated ap-
4 parently, Mr. Herbein was there, and he wanted a couple of surveys
5 made, so the observation center was directing that these be done.
6 Potts got on contact with them right away and assured them that those
7 surveys were to be directed from the ECS. So that was taken care of;
8 and that's the only instance that I was able to find that the direction
9 was other than from the ECS. So I just wanted to clarify that point.
10 Another question that came up was: you had made some estimates of
11 radioiodine of these effluent releases. The question, and this is not
12 a question that I have, it's one of the other individuals on our in-
13 vestigation team who was unable to be here for this interview; he
14 wanted to know what the sources of information were that you used in
15 determining the flow rates, the ventilation system flow rates.

16
17 PORTER: The ventilation system flow rates for what monitors...

18
19 ESSIG: That were used in the radioiodine release calculations from the
20 facility.

21 000 127
22
23
24
25

1 PORTER: We used the strip chart recorders from the Unit 2 control
2 room, and when you use those, you have to be careful that you do not
3 use the printed numbers on the strips, themselves, but you have to use
4 the vernier above the strip in order to interpret the line on the strip
5 chart recorder.
6

7 ESSIG: Okay. And I think there were references made to a so-called
8 corrected flow and some of the correspondence, I think, in your data
9 center file, that Mr. Jackson was able to find. Does that sound familiar--a
10 corrected flow--what specifically was being referred to?
11

12 PORTER: Okay. We were mostly referring to, well first of all, some of
13 the data we had gotten over the phone and we wanted to go back and
14 verify it. We got it over the phone during a period when people were
15 very busy, and we went back and verified the flow with the strip chart
16 recorder, and we also, during the early days, had not added in the
17 service building flow. The service building flow is estimated to be at
18 approximately 7000 cfm. I think I probably should state for the record
19 that it might have been less than that, so if there is an error, the
20 error was, after we corrected it, we erred in the conservative air mode
21 and if we see that this 7000 cfm was too high, which it very well might
22 have been it looks like now, we're to have to recorrect again, but it
23 will be in the conservative area. However, it was not conservative to
24 leave that out, and we knew that we had to put something in for that
25

1 and we just had to go get the data. We, subsequently, went and got the
2 data, which is 7000 cfm, and we are having that system recalibrated in
3 the next few days. It's been on the agenda for a week to be recalibrated
4 now, and when it's recalibrated, it probably will be not a significant
5 change; but if it is, we'll go back and correct the record.
6

7 ESSIG: Okay. I'll move on to another area then, Sid. There was an
8 entry in one of the logs and I'm not sure if it's the one I have in my
9 hand right now, which I think we've considered an ECS log.* It may have
10 been another log, but the entry was that, and I know this was before
11 you arrived on the plant--I'm not going to ask you to verify that this
12 was done, but I just want a little information about it if you could--that
13 at 0737 on 3/28, that an instruction or request was made to turn on the
14 Yorkhaven monitor, and that's about all it was. I just would like, for
15 my information, could you tell me what the Yorkhaven monitor is--is it
16 a liquid monitor at the dam, or is it merely a sampler and not a monitor
17 at all?
18

19 PORTER: Well there are two things there: a) we have a, they take
20 samples for us at Yorkhaven and they composite for us, and they might
21 have been referring to taking water samples; but I believe also that
22 there's a survey meter over there, and they might have been referring
23 to the fact that these guys should turn on the survey meters to see if
24 there is anything detectable coming their way.
25

1 ESSIG: When you refer to survey meter are you just talking about...

2
3 PORTER: A beta-gamma survey meter. Right, a beta-gamma survey meter
4 and both are over there, and since I wasn't here or I was not onsite at
5 the time, I have no way of knowing what they were referring to. It
6 could have been either one since there is such vague wording.
7

8 ESSIG: Or both.
9

10 PORTER: Or both.
11

12 ESSIG: Okay. When you say they, to whom would that instruction been
13 addressed?
14

15 PORTER: There are not that many people at Yorkhaven. So (laughter),
16 so that probably would have been whoever was in charge of the shift, I
17 would imagine.
18

19 ESSIG: It would either be Yorkhaven city or village employees or ...
20

21 PORTER: Oh no. Yorkhaven is a, I believe it's owned by Met Ed. It's
22 a power plant, see, it's a power plant and so therefore they're Met Ed
23 employees, and they have been pretrained to use survey meters, I know
24 that. They also for years have been taking water samples for us, and
25

1 therefore, we have the ongoing sampling program, the water sampling
2 program, so it could have been either/or, and at this point I have no
3 idea.

4
5 ESSIG: Okay. In one of the other logs that are referred to, I think,
6 this one is the observation center log. On page 47 of that log, there
7 is an entry, at 1559 which I have circled red, and I ask you, the entry
8 question says probe may be contaminated again. Was that a frequent
9 occurrence? Were you aware that that kind of thing was happening?
10 Can you shed any light on the basis for that statement?
11

12 PORTER: Alright. This is from the helicopter and they had been taking
13 a number of samples over, right over the vent. When you take samples
14 right over the vent, you know, you can have a fair amount of rubidium
15 that can be formed when you have very high levels, and you can have a
16 rubidium daughter product contamination. It's the only thing I can
17 think of, as far as how do you contaminate a survey meter detector in
18 the air. The thing is, if you have high enough levels of noble gasses
19 that some of them--the xenons are going to be decaying to rubidiums,
20 remember, or the kryptons to rubidiums; but anyway, some of noble
21 gasses decayed to rubidium-88 and rubidium-88 is a particulate, and
22 especially, if you have a survey meter which has a charge on it, which
23 they all do, of course, it's how they work the GM probes; then we have
24 a situation where you can contaminate them. Normally, they're very
25

1 easy to decontaminate--you can just wipe them off with a soft cloth--and
2 that, a dry soft cloth, will be often a very effective decontaminating
3 process for these things. They are easy to decontaminate, or with a
4 15 min. half life, you just wait around for awhile.
5

6 ESSIG: When we speak of contamination, were you aware of any instances
7 where use of an ionization chamber, that there was any xenon which
8 either fused through or around the mylar window, and actually was, at
9 present, inside the ionization chamber itself. I am just wondering if
10 that might have been the thing that was referred to.
11

12 PORTER: That's possible, too. That's certainly possible, especially
13 with plastic. For some reason, we really see this on the installed
14 monitors; we see this phenomenon happen again and again, so therefore,
15 that's possible that this happened. We had mostly experienced teams
16 out there and the guys were used to checking their backgrounds often,
17 and they had enough extra survey meters so they would just switch off.
18 Will have to ask them about that. I had asked the people that came up
19 from other sites to be aware of the fact that they could contaminate
20 their probes, and to every once in awhile, put it in a low background
21 area. Because see the truck had bricks in it, they could have stuck it
22 under a few bricks.
23

24 000 132
25

1 PORTER: Yeah. During that time, we were having high levels onsite as
2 I think you know, and therefore, my continual question which didn't get
3 written down anywhere probably was: what are the highest offsite
4 levels--let's make sure they are documented. I kept asking again and
5 again and again. Either I would ask or the radio-talker would ask:
6 what are the highest levels offsite in the middle of the plume. And so
7 when we had high onsite levels, the natural reaction of the person
8 running things is, what are the highest offsite levels, so I think this
9 might reflect my concern because I was there at this point. I was
10 physically there and physically asking questions, and so, I just asked
11 that again and again for days, what's the highest offsite level. As
12 soon as we'd get a high onsite level, what it did was to trigger us to
13 say, let's make sure we have an offsite measurement that corresponds
14 with the high onsite measurement, so we know what the situation is in
15 the environment.

16
17 ESSIG: Okay. I think that's all the questions I have.

18
19 RESNER: Okay. Mr. Porter, thank you very much for coming over here
20 today, and this concludes the interview. The time now is 1:42p.m. EDT.
21
22
23
24
25

000 134