

Accession Unit (0)
P-050

NUCLEAR REGULATORY COMMISSION

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

IN THE MATTER OF:

SUBCOMMITTEE MEETING

on

RELIABILITY AND PROBABILISTIC ASSESSMENT

Place - Los Angeles, California

Date - Wednesday, 12 September 1979

Pages 299 - 398

Telephone:
(202) 347-3700

ACE - FEDERAL REPORTERS, INC.

Official Reporters

444 North Capitol Street
Washington, D.C. 20001

NATIONWIDE COVERAGE - DAILY

1004 254

7909264312

CR6838

PUBLIC NOTICE BY THE

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

Wednesday, 12 September 1979

The contents of this stenographic transcript of the proceedings of the United States Nuclear Regulatory Commission's Advisory Committee on Reactor Safeguards (ACRS), as reported herein, is an uncorrected record of the discussions recorded at the meeting held on the above date.

No member of the ACRS Staff and no participant at this meeting accepts any responsibility for errors or inaccuracies of statement or data contained in this transcript.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

SUBCOMMITTEE MEETING

on

RELIABILITY AND PROBABILISTIC ASSESSMENT

Century IV Room
Airport Quality Inn
Los Angeles, California

Wednesday, 12 September 1979

The ACRS Subcommittee on Reliability and Probabilistic Assessment met, pursuant to adjournment, at 8:30 a.m., Dr. David Okrent, chairman of the subcommittee, presiding.

PRESENT:

DR. DAVID OKRENT, Chairman of the Subcommittee

PROF. WILLIAM KERR, Member

DR. HAROLD LEWIS, Member

DR. J. CARSON MARK, Member

P R O C E E D I N G S

Dr. 6838
-1
sls

1
2 DR. OKRENT: This is a continuation of the sub-
3 committee meeting on reliability and probablistic assessment.
4 This morning, I suppose we start out continuing the discussion
5 of how do you try to develop criterion with regard to acceptable
6 risks or nonacceptable risks, aas the case may be. And also, at
7 some point during the morning come back to the topic of the
8 priorities and the probablistic analysis staff program. At
9 least talk a little bit and see what we want to do and when we
10 can talk about it again, and so forth. I guess our status is
11 with regard to the first topic is yesterday we heard what the
12 staff contemplates doing during the next 12 months. And I
13 suppose one thing we should consider doing this morning is
14 seeing whether we have any comments we want to offer on what
15 they are planning to do.

16 I think we should also think about how the ACRS
17 meeting, this subcommittee in particular, should proceed both
18 independently and cooperatively, let's say, with the staff and
19 perhaps out of such thinking we may arrive at some areas in
20 which we would like to see the staff develop some information
21 since they have large financial resources.

22 (Laughter.)

23 And we are such a small office -- we are just a
24 small office.

25 I wonder first if the subcommittee members here want

sls-2

1 to provide any general or specific thoughts.

2 DR. MARK: I am sorry Hal isn't here, because I
3 wish to disagree with him.

4 DR. OKRENT: He will be here. I assume the smog or
5 fog or haze, as the case may be, at the airport is once again
6 delaying his arrival.

7 DR. MARK: This still might be the place to express
8 an opinion, and that is that the work that was referred to not
9 described on obtaining of what one might hope as near as
10 possible a similar basis, the risk features for coal generation
11 of energy. It seems to me of great importance in connection
12 with the general objective here. And perhaps coal is enough.
13 It is not necessary to bring in the rights, nor to bring in
14 tidal tower or something which doesn't exist. Coal does
15 exist and is being used.

16 The only other thing would perhaps be oil, if one
17 wanted to wonder about it. But coal is a must, and that is
18 absolutely necessary from the point of view of attempting to
19 discuss and proceed onto what might be acceptable for nuclear
20 energy, because if coal is zero in all respects and nuclear
21 energy is something, then there is no acceptable level for
22 nuclear energy if that were true. But, it isn't true. If
23 they were equal one might say coal has to be given priority
24 spot, number one, because it is understandable if they are
25 exactly equal. I don't believe they are equal, and I don't

sls-3

1 suppose coal is as well known. But it seems to me there is --
2 there isn't a trap in this instance Hal referred to it. Just
3 because you write the numbers down and one is bigger than the
4 other, that settles everything, and that certainly is not the
5 case. But the number must really be in hand and be developed
6 on a basis that can be defended as being comparable. That is
7 certainly how I feel about that item. It is a necessary part
8 of the general plan here.

9 DR. OKRENT: Well, I guess I would support that
10 point of view and, in fact, urge that the NRC staff and whatever
11 studies they are having done, look at some aspects of coal
12 which when you think about them resembles kinds of things that
13 have been or are being looked at for nuclear. But at least
14 in some of these analyses I have seen have been left out.

15 For example, it is not clear to me whether for coal
16 if you have clean-up processes taking the SO₂ out and so forth,
17 whether people have looked very hard about the long-term
18 storage of the wastes and what their effects might be over the
19 same time periods that you are looking at for nuclear.

20 There are certainly lots of waste. They are not
21 necessarily harmless. The EPA hasn't developed equivalent
22 standards for their disposal as it is trying to develop for
23 high-level waste and so forth. Similarly, there certainly are
24 other things emitted into the atmosphere from coal besides
25 sulfate, radioactivity and estimates should be made albeit and

sls-4

1 certainly for their potential effects.

2 And, of course, we talked about the CO₂ problem.
3 Coal is not the only contributor, but it will be an important
4 contributor. So, you need to find a way of factoring this
5 in. And, things of this sort.

6 The other thing that wasn't clear to me, I guess
7 from what Dr. Vesely was saying yesterday was whether SAI is
8 putting kind of a risk aversion into its analysis of effects.
9 I think, myself, if you are going to include risk aversion, by
10 that I mean you pay more if you have accidents killing many
11 people at one time than you would for the body count, per se,
12 that you do it only after you have computed an expected value
13 of whatever it is and then you say if there is the following
14 risk aversion I would get an additional result.

15 I guess, as I have indicated elsewhere in writing
16 I myself don't think society really practices strong risk
17 aversions for large accidents in many activities. And if you
18 are going to do this for nuclear, you had better go back and
19 look at all kinds of activities in the United States that I
20 think would be ruled out out of hand if you applied risk
21 aversion.

22 A simple example is if you have a dam that can kill
23 100,000 people, the probability that you would need if you use a
24 square or cube volume, the probability of nonfailure is
25 achievable, I would say.

sls-5

1 PROF. KERR: I hate for this to develop into a
2 commentary, by an ACRS subcommittee on what other ACRS
3 subcommittee members have been saying, but I do want to comment
4 on the coal and the risk aversion.

5 It seems to me that there isn't any question that
6 some additional work on coal cycle risk is needed because the
7 results of the Inhaber study are being used by the people in
8 licensing, and they feel that they are likely to be under
9 attack and that they need better data. It seems to me that
10 it's the reason this study ought to be done. I don't
11 think personally that it ought to be done in connection with an
12 effort to determine what is an acceptable risk for nuclear
13 because I think it has some relevance, if only peripheral
14 relevance, and it seems to me that it has direct application,
15 however, in a licensing process. And one can justify work on
16 it on that basis. And that is the way it ought to be justified.
17 That is the emphasis that I'd like to be given to it.

18 As far as the risk aversion is concerned, Dave,
19 it seems to me that what you said about the dam decision is
20 quite logical. But it isn't the way the public makes a
21 decision. And it seems to me at some point in this study one
22 needs also to try to determine the way in which people view
23 risk aversion. And I think -- I don't understand why they do,
24 but I think there are certain situations in which there is an
25 aversion to large accidents in practice, and in other cases,

sls-6

1 the other one is an example in which there is not. So, it is
2 not going to be a matter of just calculating by mathematics.
3 I think probably we have to try to understand why people make
4 decisions consciously or unconsciously the way they do.

5 I have some additional comments on what we heard
6 yesterday, if I may. It seems to me that the start toward what
7 I would define as an effort to define in quantitative risk
8 criterion or set of criteria is starting at a new reasonable
9 way. And one seems to be making use on big system information
10 and previous work, and certainly this ought to be done.

11 It also seems to me from what I saw that the
12 effort and exploring some sort of definition of acceptable risk
13 as contrasted with efforts to tidy up the method of calculating
14 insistent risk, I think that it's reasonable and probably the
15 writing of what I perceive to be some sort of handbook is a
16 reasonable wrap-up of the first phase. It isn't clear to me,
17 though, what the audience for the handbook is expected to be.

18 I think if I were PAS, unless you have already given
19 this careful thought, I would want to give it some thought.
20 If it were being written, for example, for NRR or for RES or
21 PAS or Congress or the Commissions.

22 I think it is important because it seems to me, as
23 I read the handbook, it does not bear on the ultimate question
24 which I interpret to be acceptable risk for a nuclear fuel
25 cycle. It rather is an effort to collect and perhaps explain

1004 262

sls-7

1 the conventional wisdom that already exists in the field. And
2 if, for example, when deciding that the ultimate user of the
3 handbook is only RES, I am not sure how useful it is to RES
4 in the outlying --

5 And maybe -- I am a little reluctant to use the
6 word -- overkill, because ultimately you have to decide what to
7 do next. And the way this outline looks, it strikes me that
8 the product may be of more use to the other citizens that they
9 can, once it is published, can use it to impress future
10 clients. Look, this is what we have turned out, and we are
11 experts in this field, and here is proof that it is to RES in
12 deciding what to do next.

13 Now, admittedly I have only looked at an outline, so
14 this is clearly a superficial or an observation based on a
15 superficial examination. I also would think that what I
16 perceive to be a juxtaposition or a lumping of a method for
17 using quantitative risk criteria which are already with some
18 uncertainties calculable with existing techniques. In the
19 licensing process, ACRS and other groups have urged that efforts
20 be made to do this. But the lumping of that task with the
21 task of trying to determine what an acceptable risk is, perhaps
22 that lumping is desirable and inevitable. But, I think if one
23 is going to do it that way, one has to be very careful that the
24 acceptability part of the task doesn't get lost, and there are
25 lots of reasons that it could get lost.

1004 263

sls-8

1 In the first place, it is very difficult. And in
2 the second place, nobody probably knows how to do it. Or as the
3 other parts of the test, the people do sort of know how to do
4 it and people do have background, and so there is going to be a
5 tendency to put emphasis on that. And that emphasis is
6 deserved. But I think the acceptability part deserves emphasis,
7 too.

8 I would urge -- as you go along you continually
9 emphasize that both of these are important. I think there is a
10 considerable linkage that has to be there, but one also has to
11 be very careful that one doesn't completely submerge the other.
12 And now, I am going to engage in politics or semantics or
13 whatever, but I think we are forced to here.

14 I would urge, plead, exhort the staff not to continue
15 talking about what I heard them talking about yesterday, which
16 was using WASH-1400 as a criteria for several reasons:

17 In the first place, I think what we are really
18 talking about is developing quantitative risk criteria. That is
19 what we ought to say we are trying to do or what you are trying
20 to do. I don't really think we are talking about using WASH-
21 1400. WASH-1400 is a historical document. It is extremely
22 important. It is a pioneering effort, and it is great, but
23 it is already obsolete in terms of results. We talked about
24 some of the reasons that it is obsolete. That doesn't mean it
25 is bad, it just means we now know more than we did then.

sls-9

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

And I am sure the developers, which there are some here, hoped that it wouldn't stop with that document. That is going forward the way which one hoped it would.

So, I think we mislead ourselves. But I think we particularly mislead a considerable segment of the public if we keep talking about using WASH-1400 as a criteria. And since it is discredited in the minds of some people, albeit unjustly, it nevertheless is. I think if you don't talk about it, you don't really need, you make it easier to communicate with people what you are trying to do.

On another, but related topic, I am puzzled when one looks for a particular risk number as being an appropriate one to use for licensing, and indeed, perhaps I misunderstood that the only justification of it is that it was calculated for the Surry plant, which is a pretty good plant. I would think one would certainly look at that and it would be an important contributor to the final decision. But it seems to me one needs for justification than that. And indeed, I would guess that one might find it desirable to look at something like a sliding scale of risk.

It might well be for example that for a given class of plants, based on historical considerations or others, that one risk number is appropriate, where for plants being -- coming on line today, a different number is appropriate. And if one looks to the future, perhaps even a different number is

sls-10

1 appropriate. It isn't that all clear to me that one number,
2 and particularly a number based on one plant is a good way
3 even to start. But that is pretty subjective.

4 Now, in the acceptability work, I was struck by the
5 absence of any mention with the possible exception of sort of an
6 offhand reference to geographics of any specific investigation
7 of acceptability of nuclear power to the female fraction of the
8 population. I mention this because many of the polls I have
9 seen indicate that the perception of the hazard of nuclear
10 power is more serious to the female fraction, and significantly
11 more serious to the female fraction of the population than it
12 is to the male. I don't know that this is so, but I have
13 seen enough evidence that I think there is certainly considerable
14 evidence. And I have also had personal contact with people
15 that would convince me that this well could be the case.

16 Now, if one looks at why it might be the case, I
17 could think of at least a couple of reasons. In the first
18 place, there is a perception of a possible -- of genetic
19 damage. And, it is the nature of the species, I guess, that
20 women are maybe more concerned about this than men. I think it
21 is interesting that this perception exists, because as far as
22 I know, there isn't any evidence of any genetic damage to
23 humans. We certainly would have to be aware of the possibility,
24 and I guess it is likely that you see all sorts of statements
25 about this horrible genetic damage, but yet none is observed.

sls-11

1 That is a parenthetical. There also, I think, is another
2 reason for this concern, and that is because of the again
3 perceived linkage of nuclear power with weapons. I think
4 there is also a considerable concern about -- on the part of
5 women about their sons and their daughters and what nuclear
6 weapons may do. There may be other reasons. Even I think these
7 are real reasons or perceived reasons.

8 But the point I am going to make is that if one is
9 looking at acceptability of nuclear power risks, one can't
10 ignore this, because I personally think it is significant
11 and it is different from the coal cycle. If there is any bias
12 in the coal cycle, it probably ought to be on the part of
13 males. because most miners nowadays are males. There are a
14 few females. And that is probably where the damage lies.
15 But it seems to me that there ought to be somebody in the
16 acceptability business looking at this. Those are the
17 comments I have at this point.

18 Now, one other vague point, Dave, when we use the
19 phrase, "very easily acceptable risk," we think in terms of a
20 risk which if sufficient fraction of the population will
21 accept it, otherwise the project isn't acceptable.

22 Or, do we think of something that they ought to
23 accept in the view of a smaller group of the population, like
24 the NAS, EPA, HEW, plus the agencies directly involved, plus
25 the peer groups of those. That is a particularly conceivable

31s-12

1 definition of acceptable. It would, of course, aim for
2 another step not mentioned, and that is bringing in such a way
3 the facts that bear that the population would look at these and
4 come to accept them.

5 If you just take a poll and heaven knows what
6 sort of answer you will get, and you will get the answer first
7 off that nuclear power isn't acceptable. So, there is another
8 step involved here besides collecting data. And that is how it
9 is to be made use of.

10 I think this is already vague, and I understand
11 that, but I believe it is there. Congress might be the proper
12 target. If Congress accepts it, then by definition, it is
13 acceptable. They declare war, and everybody agrees that war
14 is properly declared, for instance.

15 DR. OKRENT: Well, in fact, I am going to agree that
16 Congress is the proper target mark. That, I think, is another
17 thing that needs to be somewhere in mind. I don't know what
18 you do about it with this program at this point.

19 PROF. KERR: Congress, it seems, is inevitably the
20 target. From a number of quarters they are a target in this
21 instance. Congressmen themselves make decisions. But they
22 also are a pressure point for what the public -- however it
23 communicates with Congress perceives to be acceptable or
24 desirable.

25 DR. OKRENT: Well, I guess I am certainly conscious

sls-13

1 of the fact that the reaction of large sectors of the public
2 to what seems to be the same risks from an engineering point of
3 view is different. I think there are probably quite a few
4 reasons why these reactions are different. And among these is
5 an abstinence of better or more information on how these risks
6 are estimated or what they are estimated to be. I don't think
7 the public necessarily has the same concept of the magnitude and
8 so forth, as you would get from let's say independent objective
9 estimates of these. Now, I think that is a real situation.
10 In other words, I think there is a considerable difference on
11 what the public reception is and what these things are estimated
12 to be or where you have statistics of what they are.
13 And, of course, there are surveys where they have looked at how
14 the public views things for which it has statistics, and they
15 come out wrong frequently.

16 Like there should be a bigger death rate for
17 botulism than there is because it receives more play in the
18 media.

19 The second thing is if you don't pose a question in
20 terms of alternatives and the alternatives are real alternatives,
21 I think you can get a rather different response to a poll.
22 And I would urge that if there is any sampling of opinion via
23 the NRC programs, that this is kept in mind. I think it is a
24 very important aspect of decision making. I frequently go to
25 the polls in November with the feeling I don't like either

1004 269

sls-14

1 candidate, so if somebody asked me, do you like Candidate A,
2 I would say no. If he asked me only, do you like Candidate B,
3 I would say no. But when I get there I have to vote, unless I
4 decide to have a no vote for some reason, so you end up faced
5 with a choice of alternatives in real life. And I think that
6 should be the case in assessing preferences.

7 DR. SAUNDEKS: It is demonstrated again and again
8 that science has taken simple surveys that are so precise that
9 if you don't have the results you want, you can formulate the
10 question in such a manner as to receive approval for your
11 program. That has been demonstrated time and time again.
12 I do not really favor letting people poll their ignorance to
13 decide the course of this country, or taking a consensus of
14 ignorance. I think we ought to talk to people in Congress, as
15 you suggest, and present the alternatives.

End t-1

16
17
18
19
20
21
22
23
24
25

Ace-Federal Reporters, Inc.

1004 270

kapBWH

1 PROF. KERR: I agree with you but I think in order
2 to remove some of the ignorance, one needs to know where it
3 is, what are the perceptions that exist, and insofar as one
4 can, why they exist.

5 DR. SAUNDERS: All right. I think that's right.

6 DR. OKRENT: I certainly would like to support
7 Dr. Kerr's suggestions that you not let the question of what
8 constitutes acceptable risk be submerged in your efforts
9 during the next year as well as for the long term. I
10 understand your interest in having something that, to the
11 licensing staff, looks workable.

12 But looking workable is certainly not sufficient
13 and at this stage it may or may not be necessary in the
14 sense that what one might try to do as part of one's effort
15 is to try to look at what constitutes a definition of
16 acceptable risk that one thinks society might provide
17 general agreement to, and one could then go back and see, is
18 it workable, can you meet it, in fact, and you might decide
19 that it doesn't match up on either of those two counts or
20 you may find that with modifications or whatever, it can
21 somehow be compatible with workability and so forth.

22 Again, you are not saying you divorce the
23 consideration of workability, but again, we come back to the
24 single failure criterion. It is workable, although even
25 there the staff has had to make special definitions for

pBWH

1 special cases, as you well know. But it was not necessarily
2 sufficient. Maybe I should turn the discussion for a little
3 bit to what the subcommittee members think the ACRS should
4 try to do of its own initiative, aside from what the staff
5 and other groups are doing.

6 DR. VESELY: Could I interject at this point? I
7 certainly agree with Dr. Kerr's comment that -- I don't see
8 the final criteria or even the unacceptability criteria as
9 being a WASH-1400 criteria. We were certainly going to use
10 it as a bases and modify and extend but I don't see us
11 proposing WASH-1400 as a criteria. If that came through,
12 that is my mistake. That is my fault. I want to use that
13 as a source of information along with a lot of other
14 information.

15 I see the criteria as being different. I would
16 see it as being quite different from WASH-1400.

17 PROF. KERR: I agree with you, Bill.

18 DR. VESELY: It is a good point.

19 DR. OKRENT: Let's see. If we try to think as to
20 how the ACRS itself might try to develop approaches to
21 acceptable risk there are different possibilities that come
22 to mind. One is of course that we would have subcommittee
23 meetings at appropriate times. The second is that we might
24 try to have what you would call a symposia, where we try to
25 invite people from outside our immediate community to offer

kapBWH

1 thought on this.
2 We can try to get a few or many consultants in the
3 area working more closely with us, in addition to
4 Dr. Saunders, and I think Dr. Wilson will probably serve
5 with us. He is out of the country now. We have two ACRS
6 fellows who are, I think, going to be working in the area, I
7 believe. We can try to approach in some way other agencies,
8 if we wanted to. For example, the National Science
9 Foundation or the National Academy are doing certain things
10 now in the area.

11 So there are various kinds of steps that we can
12 try to do. We don't need to have symposia or so forth. I
13 think it would be useful to try to get participation from a
14 range of bodies if we could do it in meaningful ways, if
15 they are interested. I made a list of possible groups to
16 whom one might look for either comments or contributions or
17 whatever, and without trying to make it a complete list and
18 thinking only in the U.S. for the moment, let me just read.
19 For example --

20 DR. MARK: Could I ask, it is not really off the
21 track, I hope -- are people on the staff or are any of the
22 rest of us aware of scheduled meetings which under some
23 auspices or other are going to have discussions that bear on
24 this field? Or maybe AIF would have a symposium on the
25 field. That would be worth knowing if it were the case.

kapBWH

1 DR. OKRENT: I know of one which is by
2 invitation. It is called Societal Risk Assessment, How
3 Safe is Safe Enough?, being held at the General Motors
4 Technical Center, October 8-9, 1979.

5 DR. MARK: Under the auspices of —

6 DR. OKRENT: General Motors. They have four
7 sessions, morning and afternoon of each of the two days.
8 They don't have on their agenda the specific topic, what are
9 quantitative risk acceptance criteria and how should we
10 approach them.

11 DR. MARK: Would there be a point if someone
12 involved in the general effort in the agency should, in
13 fact, attend?

14 DR. OKRENT: I plan to attend this one.

15 DR. MARK: Okay. That covers my point.

16 DR. VESELY: The staff has been working with the
17 National Science Foundation and National Academy of
18 Engineering to hold a workshop on the use of probabilistic
19 techniques in decision-making, of which one of the topics
20 will be the acceptability criteria. The specific date for
21 that has not been established, but it is scheduled for near
22 the end of the year, December or January, and we have
23 contributed money to help with the administration of that
24 workshop. This is a part of this project, our acceptability
25 risk project which is due for completion, as I said, in

kapBWH

1 January.

2 We will keep the ACRS informed of the date when we
3 get that, as soon as that is established. That is supposed
4 to be pretty big in the Washington area. We are looking at
5 several days to a week symposia with various speakers and
6 workshops on the use of these techniques in attempting to
7 make decisions.

8 DR. SAUNDERS: When will this be?

9 DR. VESELY: It has not been established, the
10 specific dates, but tentatively January or February.

11 DR. SAUNDERS: Of this next year?

12 DR. VESELY: Yes, I think that is appropriate.

13 DR. OKRENT: Is that the workshop alluded to in
14 the announcement of what was for 1979 by division of policy
15 research and analysis of the National Science Foundation?

16 DR. VESELY: Yes.

17 DR. OKRENT: That would be the first in the
18 series?

19 DR. VESELY: Yes.

20 DR. OKRENT: They talk about the National Academy
21 of Sciences contracting to conduct one or more workshops.

22 DR. VESELY: Yes. Right now there is one. There
23 may be a possibility of two.

24 DR. OKRENT: I think we would be interested in
25 knowing not only when but what the detailed structure of the

BWH

1 workshop is, as soon as it is convenient, because we
2 certainly wouldn't want them to sponsor another one like it
3 covering the same areas.

4 The only other question I have at the moment is
5 you indicated the emphasis would be on the tools that one
6 uses in making these decisions, rather than how you develop
7 risk acceptance criteria and what should be the risk
8 acceptance criteria, if I understood you correctly.

9 DR. VESELY: Yes.

10 DR. OKRENT: And that is, in fact, the same flavor
11 as this one in Detroit and it is the same flavor as the last
12 one I went to, the Mitre Corporation held it about February
13 or something like that of last year. So maybe if we were
14 going to hold one it would try to address the specific
15 question of what our acceptance criteria and why as distinct
16 from talking about the tools again, unless, in fact, that
17 becomes an important part of the workshop the NAS is
18 planning.

19 DR. VESELY: That was a part. I believe one day
20 was to be spent on that, but I will get you more information
21 on that. I think we still have some input on attempting to
22 expand that area, if you would want it in this workshop.

23 DR. MARK: I thought it was also mentioned that
24 this might be the first of more than one.

25 DR. VESELY: Yes.

kapBWH

1 DR. MARK: Clearly, the thing you mentioned would
2 follow a discussion of the tools. The discussion we heard
3 yesterday, the staff, this particular project isn't awfully
4 close to the point of being able to go to that second step.

5 DR. VESELY: I think that is a good point, because
6 having this symposium or the second workshop on
7 acceptability, acceptable risk criteria, having that in six
8 months or seven or eight months would allow us and our
9 project to propose criteria along with the others to be
10 reviewed and criticized and critiqued in this symposia. I
11 think that is a good suggestion, if you do have one, to hold
12 it six months to eight months --

13 DR. MARK: It could be held under broader auspices
14 than just the ACRS or NRC. There is a value to that, to
15 have it fit in a general context, than to have it seem to be
16 fomenting on only one point.

17 DR. OKRENT: Let's see. When do you think the
18 IEEE would have their sets of criteria? They are beginning
19 October 1? Six months from that would be --

20 DR. VESELY: That is our scheduled date.

21 DR. OKRENT: That would be April 1.

22 DR. VESELY: Yes. In the spring.

23 DR. OKRENT: So possibly a meeting in April would
24 be something we should plan for. You do have to plan
25 somewhat ahead and that would be reasonable timing,

pBWH

1 following on something in January or February. I like the
2 idea you have of something broader. I think it would be
3 good if the ACRS were somehow involved in arranging, helping
4 to arrange — not the full arrangement, but helping to
5 arrange the program for a — or a section of — for one in
6 April.

7 If the NSF-National Academy group would like to
8 think about possibly scheduling a second one in that area,
9 that topic, in April — not the week of the ACRS meeting. I
10 think it would be worth knowing soon. You have a way of
11 following up on that?

12 DR. VESELY: Yes. I can let you know next week on
13 that matter, and contact NSF.

14 DR. OKRENT: Fine. A reason for suggesting April
15 is May may be a bad month for the ACRS members. There may
16 be a visit to talk with other regulatory groups and other
17 things. In any event, April would fit in with the general
18 timing that we are talking about, it seems.

19 DR. MARK: Something not more than six months
20 after the first would fit in and you mentioned May as being
21 not a first choice, by far, but April is perhaps unduly
22 specific. June — if this thing doesn't happen until
23 February, then April is very close.

24 DR. OKRENT: Yes.

25 DR. VESELY: I will get back to you on that.

1 PROF. KERR: I personally like June.

2 DR. OKRENT: You like June better than April?

3 PROF. KERR: Yes.

4 DR. MARK: Within six months of the other is a way
5 of describing it.

6 DR. OKRENT: All right. June is, then, another
7 time to look at and I guess in June you have two weeks that
8 are probably not good weeks because the ACRS meeting, and
9 there is an American Nuclear Society meeting that some
10 people would be going to. I don't know what other meetings
11 there are.

12 DR. VESELY: We can get those dates from Gary.

13 DR. OKRENT: Yes. May may turn out to be
14 available for other reasons but right now I think if May is
15 preferably left out from the timing, I think that would be
16 useful to try to develop some preliminary ideas on. In
17 other words, is there interest in some kind of a meeting and
18 could it be done in some way under the NSF, NAS, NRC
19 arrangement and if not we might try to go ahead and do it in
20 another way. I think we certainly would want rather as
21 broad input — but focused, if we could, towards the
22 questions of risk acceptance criteria and I guess not only
23 for the nuclear fuel cycle, in my opinion, but certainly
24 including the nuclear fuel cycle in reactors.

25 PROF. KERR: Dave, it seems to me that it would

pBWH

1 be worthwhile for ACRS or some segment thereof to try to
2 assemble information that would be useful. A symposium may
3 be the best way to collect information but it also would be
4 helpful if we knew what information we think might be
5 available out there and what it is that would be useful to
6 us.

7 I have jotted down a few things and this may all
8 exist in pockets, but for example, how do physicians decide
9 on treatments. That certainly has to be a risk benefit
10 evaluation there. Has anyone looked at this? Probably
11 somebody has. I don't mean individual physicians do it,
12 necessarily, but collectively there must be some empirical
13 basis for decisions that are made.

14 DR. OKRENT: There are some papers in the
15 literature, the medical profession, but what I sometimes
16 call medical technology or whatever, where they have looked
17 at the risks and benefits of specific procedures and --

18 PROF. KERR: It seems to me in spite of minor
19 disagreements, in general there is public acceptance of the
20 way in which physicians make decisions, generally. I don't
21 know why; maybe I am even wrong, but I think there is. It
22 would be interesting to know if this is so and if so, can
23 one see why it is and on what basis are these decisions
24 made.

25 In a related but different area, how does the Food

KopBWi

1 and Drug Administration make its decisions? There is a
2 stylized basis, and indeed, maybe all of this information is
3 readily available. Is there a formal risk-benefit balancing
4 methodology now used or is one under development?

5 Again in a somewhat related area, there are
6 standards for microwave radiation. How were they arrived
7 at? I know work has been done on this, I am just not
8 familiar with the details of it.

9 And there are, of course, standards for nuclear
10 radiation and one does now see in some discussions the way
11 in which these are arrived at and effort to equalize or make
12 similar the risks from nuclear radiation with other
13 comparable risks. We may have as much information on that
14 as we need, but it is an important part of the picture in
15 reactor risks. Not necessarily the whole picture. I don't
16 know.

17 But if there is enough history there that it would
18 be useful, it would be well, perhaps, to collect it.

19 DR. OKRENT: We have other examples. Are there
20 other examples that come to your mind?

21 PROF. KERR: Those are the things that I have,
22 right now.

23 DR. OKRENT: I agree that we should have, in some
24 relatively readable form, but in some detail, information of
25 this sort. I don't know to what extent the staff expects to

PBWH

1 have this from the report that is to be written by January
2 or the extent to which they think this will be available, on
3 what time scale from the work Brookhaven is going to do.

4 DR. VESELY: I believe the handbook will contain
5 special chapters on case studies, collecting as much
6 information as the author has found available. I know they
7 will specifically be looking at the Food and Drug
8 Administration and the kinds of techniques and decisions
9 made there, if only attempting to categorize it into these
10 various -- for decision types of categories.

11 We expect the handbooks to contain many case
12 histories and documentations of past decisions. And we will
13 send that to the ACRS, again, when that comes out. Whether
14 that is directly pertinent to quantitative and risk criteria
15 for the nuclear industry is something else, because they are
16 doing a broader search of qualitative -- many kinds of
17 decision-making, attempting to categorize and examine these
18 criteria. I don't think the emphasis is on quantitative
19 balancing of risk versus benefits per se.

20 I should say, though --

21 PROF. KERR: Physicians have to do this all the
22 time, consciously or unconsciously. And indeed, the medical
23 profession is perhaps less exempt -- or more exempt from
24 scrutiny. And they insist that they have a good bit of
25 flexibility and freedom to do things that if the benefit is

kapBWH

1 deemed appropriate, that one would avoid in another
2 profession. Whether it is systematic or logical, the risk
3 benefit balancing is done daily by physicians.

4 DR. EDISON: There could be a mitigating factor
5 here in the case of physicians, in that we rely on them, we
6 depend on them almost like a father image to heal us. I
7 have a dog who will do nearly anything I say because I feed
8 him and make him happy and he knows where that food comes
9 from and we also know who makes us well. So when it comes
10 time for them to make a decision, we look to the physicians,
11 I think, and trust them. We have to. We have no choice
12 with something very personally important to us, our own
13 personal health. I do know of instances, though, where this
14 kind of statistical decision-making is made.

15 PROF. KERR: I would say that many people do, but
16 it is not universal that physicians are trusted. There are
17 people who won't have anything to do with physicians, for
18 religious or other convictions. So it is not universal.

19 DR. EDISON: I recall an instance where I heard a
20 physician quote a statistic as a basis for treatment.
21 Something like when you have strep throat, you take
22 penicillin for nine days, or in 80 percent or some of the
23 cases you get rheumatic fever, so they do have in some
24 instances those kinds of criteria.

25 DR. VESELY: I would like to make the suggestion

1 that this may be one area where the ACRS fellows might
2 perhaps work, because — work with us or cooperate. Those
3 case documents that are not covered by the handbook, we are
4 planning to have Brookhaven help collate and collect this
5 information, but because of manpower limitations and other
6 tasks, I think that would be helpful.

7 PROF. KERR: My comments were meant to contribute
8 to what I mentioned earlier, which was sort of an assembly
9 of information that we thought we might find useful before
10 we embark on the ways of collecting the information. I
11 wasn't suggesting that necessarily you —

12 DR. VESELY: Yes, but I think it is important,
13 too, to collect information on these kinds of activities and
14 just how to do this in the time frame we are talking
15 about —

16 DR. OKRENT: Presumably you can make a fairly good
17 guess on which agencies or which case studies will be in the
18 handbook; is that right?

19 DR. VESELY: Right.

20 DR. OKRENT: So we can ascertain that at some time
21 in the near future and think about how to proceed.

22 DR. VESELY: We can give that to you within
23 several weeks, as a matter of fact, not until January — we
24 don't have to wait until January. I think several weeks, we
25 could have that information.

WOBWH

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

DR. OKRENT: All right, fine. I think that would
be helpful.

cc2

BWH

1 DR. VESELY: I have a question with regard to the
2 new U.S. involvement, particularly the Europeans. There
3 have been groups set up such as -- which we have been
4 interacting with, and particularly, the CSNI group, which is
5 the task force on world events in nuclear power plants, and
6 they have several working groups. Several inputs address
7 the acceptability criteria question in a very general
8 manner. This may be a means of getting their input, since
9 these groups, the European Common Market inputs. The
10 Japanese are also involved in this, in these workshops, in
11 this task force.

12 I think there is a structure already set up
13 examining risk and nuclear risk in particularly the
14 quantitative aspects of it that we might call upon and ask
15 them to help us in this area.

16 DR. OKRENT: Does the CSNI group have a working
17 group that is trying to develop quantitative risk acceptance
18 criteria now?

19 DR. VESELY: No, not per se. They have working
20 groups on decision theoretic approaches, models to use. But
21 a group could be -- I believe a group could be assembled
22 from the working groups already in existence. That would
23 not take that much time.

24 DR. OKRENT: You are a member of the CSNI?

25 DR. VESELY: Yes. We could request them to

BWH

1 address this question and see how they could help us.

2 DR. OKRENT: It seems worthwhile having you advise
3 them of the effort that we are trying to undertake and see
4 whether they wish to participate on the planning scale that
5 we are thinking about.

6 DR. VESELY: We will probably try to meet with
7 representatives of some of the regulatory groups in Europe
8 and see whether they have specific thoughts in this area. I
9 think that we don't take the place of the CSNI working
10 group. That would be something different.

11 DR. OKRENT: To advise you of what is transpiring
12 at the moment, we are looking at steps the ACRS should take
13 with regard to the development of acceptance criteria, risk
14 acceptance criteria.

15 One of the developments that has evolved this
16 morning is the following: The NSF, NRC, and National
17 Academy of Sciences are in the process of developing a
18 workshop or symposium for January or February, which I think
19 will relate to decision analysis and its relation to the
20 risk acceptance criteria, or something like this. It is not
21 now focused on quantitative risk acceptance criteria, but
22 they might include that as part of the meeting. And we
23 talked about the possibility of trying to arrange a later
24 meeting, and April and June were mentioned, which would
25 focus specifically on potential criteria for quantitative

BWH

1 risk acceptance.

2 Vesely, who is working with the NSF NAS group, is
3 going to look into whether they would be favorable toward a
4 second symposium, and, if so, we might try to work jointly
5 in trying to arrange a second one. If they decide that is
6 not in their planning scale or whatever, we may try to
7 arrange one in some other way. But it looks April through
8 June would be a time when people would have developed some
9 specific possible criteria.

10 DR. LEWIS: What is the objective of the
11 NAS-NSF-NRC thing? Maybe I am asking something that has
12 already been answered, in which case I shouldn't.

13 DR. VESELY: The objective of the present workshop
14 is kind of general. It is to just present methods of using
15 probabilistic techniques in decisionmaking kinds of things
16 that you can do with various approaches, a workshop
17 surveying state-of-the-art.

18 DR. LEWIS: But outside of the energy area, just
19 in general?

20 DR. VESELY: In general. Now, the specific
21 implications will tend to be focused on the energy nuclear
22 problems. It is not going to address specifically
23 acceptable risk criteria, numerical criteria. That was
24 talked about as coming up, being discussed for a day. We
25 are still in formulations.

p. BWH

1 NSF has sent out brochures asking for inputs.

2 DR. LEWIS: I see.

3 DR. VESELY: We may still have time to formulate
4 even the first workshop, and to focus it on specific issues
5 that may be of interest, maybe of even more interest in this
6 risk criteria area.

7 DR. MARK: In this connection, there has been a
8 suggestion of this being the first of several workshops.

9 DR. VESELY: That's right. The first workshop
10 covering the tools and models, and being the approaches,
11 kinds of approaches you do use in attempting to use these
12 tools in decisionmaking. And perhaps the second workshop
13 would now focus on the acceptable risk criteria, per se.

14 DR. LEWIS: Which group at the Academy is
15 involved?

16 DR. VESELY: I don't know.

17 DR. LEWIS: That is the National Academy of
18 Sciences or Engineering?

19 DR. VESELY: Engineering.

20 DR. OKRENT: The announcement that came out of the
21 NSF, dated August 1, 1979, says that the NSF has contracted
22 with the National Academy of Sciences to conduct one or more
23 workshops on risks in decisionmaking.

24 DR. VESELY: We are going to have -- if we are
25 going to have a second workshop, we will have to go back and

BWH

1 identify funding for that. It is about \$50,000, on that
2 order per workshop. The administrative costs. I don't see
3 us having a problem with that if they would do that.

4 DR. OKRENT: I feel I have been through too many
5 of these on the methods. I wish people would start trying
6 to talk about possible answers. That's my own reaction.

7 DR. VESELY: The workshop is going to take some
8 specific problems, questions of — some very practical
9 questions, test intervals, how do you incorporate
10 uncertainties, and what do you do with uncertainties
11 actually calculated. It certainly isn't focusing on the
12 risk criteria, per se.

13 DR. LEWIS: I guess I sort of share the
14 uneasiness that Dave expressed. We are not, I hope,
15 thinking of just waiting for the clear answers to our
16 problems to come out of this series of symposia, I hope.

17 DR. VESELY: I hope not, either.

18 DR. OKRENT: Again, the application you mentioned
19 is a nice tidy one. I don't think you need a big workshop
20 for it. That's my own reaction.

21 If you still have a chance to modify the first
22 one, I would suggest you think about the possibility of
23 having more time on exploratory trial balloon, or whatever
24 you want to say, approaches to the hard problem. We were
25 trying to discuss things that the ACRS should be doing, and

pv BWH

1 one of the things we had been thinking about is should we
2 hold a symposium or make sure that there was one which
3 focused on the heart of the matter.

4 I guess Vesely has said he would let us know
5 within a relatively short time whether either this one —
6 and I think that is unlikely — or a next one in April
7 through June under the NSF-NAS auspices could do that.
8 Because, if they were set up to do that, we could try to
9 cooperate; if not, we might want to proceed in some other
10 way.

11 DR. VESELY: We will contact NSF next week and let
12 you know next week.

13 DR. LEWIS: It is just if the symposia are
14 essentially friendly conventions on that decision theoretic
15 times, that will not help us do our job. It may be fun, but
16 it won't help us do our job.

17 DR. VESELY: In this specific area.

18 DR. LEWIS: That's right. Which is our job.

19 PROF. KERR: You missed Dr. Saunder's comment
20 earlier, and I would urge that he give it to you in private,
21 about decision theory. It was quite relevant to what you
22 said.

23 (Laughter.)

24 DR. OKRENT: It seems to me, in fact, if we had a
25 symposium and people were presenting trial-balloon criteria,

BWH

1 we ought to have some governors there and some congressmen
2 and so forth, who might not be prepared to advance their own
3 proposals but they might be willing to react to other
4 proposals.

5 To me, that would be a way of getting meaningful
6 public input, if you could so arrange. And it seems that
7 there are quite a few congressmen and senators interested in
8 this area, and, I suspect, more and more governors.

9 DR. MARK: As long as it is held in their state.

10 DR. LEWIS: We might even have a few people who
11 have made decisions.

12 (Laughter.)

13 DR. OKRENT: One of the things the subcommittee
14 should think on is what other groups or individuals would be
15 likely to gain access to or get input from or however you
16 want to state it, and in what context.

17 Let me give an example. There may be questions
18 like the following: Is there some relationship, as some
19 people have said, between economic factors and what risk
20 acceptance criteria are reasonable from a national point of
21 view? In other words, is there some optimum amount of money
22 that the nation should spend to adduce risk directly when —
23 and when you proceed you may be increasing risk by an
24 unstable economy or whatever it is?

25 If we think that is a potentially relevant piece

pv BWH

1 of information, is there some way we want to get such input
2 and how? Another kind of question is: Are there legal
3 constraints on how one could develop quantitative risk
4 acceptance criteria or try to apply them, recognizing how
5 the courts work and so forth? And that gets back to the
6 workability, but one could try to think about that in a
7 somewhat general way.

8 These are just kinds of things that come to mind.
9 I think they, at least in my mind, relate to the overall
10 question. I am not quite sure how we would get meaningful
11 input from these things unless we have a way of inspiring
12 it.

13 DR. LEWIS: I agree with you that those are the
14 hard questions. In the inverse order, the legality is not
15 clear in my mind. If you were to set criterion which
16 essentially — think in terms of cars specified that there
17 shall be no more than a certain number of head-on collisions
18 killing no more than a certain number of people as a
19 criterion for automotive safety. It is not at all clear how
20 that would fare in the cars when the few people who do get
21 killed — forgive me — their relatives come in and claim
22 that an essentially administrative-legal decision has been
23 made to deprive them of life.

24 I am speaking as an ignoramus on these things. I
25 don't know how they stand. It is closely related to the

BWH

1 first issue, the question of economics. And, again, the
2 professional decisionmakers just differ entirely from the
3 governors and the general public on the question of whether
4 human life is invaluable and where we make societal
5 decisions that do doom people, as we do all the time by
6 setting the speed limit at 55 instead of 25, for example.
7 We never do it overtly; we don't do it on the basis of
8 rational decision theory; we do it by default, essentially
9 sweeping the subject into the taboo arena in talking about
10 it.

11 PROF. KERR: We do have at least a minor example
12 of such a criterion already in Appendix I of 10 CFR 50, in
13 which we relate the reduction of calculated dose to cost.
14 And if one relates that dose to the potential for
15 fatalities, then there is a direct linkage. And nobody has
16 taken it to court yet. And you are quite right: It might
17 be attacked.

18 DR. LEWIS: I am not so much concerned in that
19 case about court. I am concerned that where we do thing
20 like that, we tend to put extremely high value --
21 inconscionable high value -- on human life. The standard
22 example I always use is the amount you are allowed to spend
23 to reduce the exposure to the public per man-rem. I forget
24 what the number is. But if one extrapolates it to the
25 prevention of cancer, it means we should be spending -- and

BWH 1 again I forget the exact numbers —

2 DR. OKRENT: Five to 10 million dollars.

3 DR. LEWIS: Per life. And since 400,000 people
4 in the United States die of cancer every year, then we
5 should be spending many times the gross national product on
6 the prevention of cancer, if we were serious about it.

7 It is an example of something we do without
8 actually discussing it, because the only way we can discuss
9 the value of human life is either in court where the
10 decisions set a value in the end, or at cocktail parties.

11 DR. MARSH: Or in church.

12 DR. LEWIS: Or in church. Where the value is easy
13 to set. These are terribly important issues that we are
14 going to point toward a quantitative criterion, because a
15 quantitative criterion will be tantamount to saying you are
16 going to let a certain amount of people get damaged.

17 PROF. KERR: Indeed, though, it seems to me that
18 one might consider something analogous to Appendix I in
19 which one either achieves a risk as low as reasonably
20 achievable or reliability as high as reasonably achievable.
21 I don't know which is better to talk about, either ALARA or
22 AHARA.

23 DR. OKRENT: My guess, in fact, is, assume if one
24 developed quantitative risk acceptance criteria, there would
25 still be an ALARA principle over and above the minimum

BWH

1 acceptance standards.

2 DR. LEWIS: The key word in ALARA is the last
3 "on."

4 DR. OKRENT: Yes. How would we go about getting
5 input on the legal or economic aspects. It won't occur
6 automatically on a time scale that we are interested in. I
7 suspect —

8 PROF. KERR: Are you talking specifically about
9 nuclear power? At least one of the people, the man from
10 Clark University you had on your list, certainly has been
11 doing this kind of work. Whether it will appear as part of
12 the handbook, I don't know.

13 DR. OKRENT: There was an economist from Harvard
14 on the group, and a geographer from Clark. I don't know
15 what we will get in the economics area, and I don't think
16 there are any lawyers in the handbook preparation work.

17 DR. LEWIS: I think it would be very interesting
18 to — and I say that only because I don't know how it would
19 turn out — to pose a question, heaven help us, to the NRC
20 general counsel, with a straw man, perhaps of the type that
21 Bill was talking about yesterday: If one were to set
22 nondeterministic but probabilistic acceptance criteria for
23 reactors of the form "thou shalt demonstrate within the
24 current state-of-the-art, which will be defined in this area
25 as a regulation as time goes by, that your reactor will not

BWH

1 kill more than 75 people in the next century," how do they
2 think that would stand up, legally?

3 I would be very interested in the answer to that.

4 PROF. KERR: That is a very good suggestion,
5 because it might keep a significant number of lawyers
6 occupied for some significant time.

7 DR. LEWIS: And keep them out of other mischief,
8 you mean?

9 PROF. KERR: I would not go that far, but
10 "gainfully or usefully occupied."

11 (Laughter.)

12 DR. VESELY: We are planning to ask our counsel
13 those kinds of questions. So, we are in the process of
14 doing that anyhow.

15 DR. LEWIS: I am not being whimsical. I would be
16 interested in the answer.

17 DR. VESELY: Yes.

18 MR. ROWSOME: I am getting an increasingly clear
19 perception that what we need to do here is to draft verbally
20 a set of rather abstract criteria, perhaps almost an ideal
21 code of law, a proposed bill that might go through Congress,
22 or a policy statement that might be issued by the White
23 House that sets available ground rules but not quantitative
24 criteria, that address issues such as the ALARA issue, a
25 hard-and-fast criterion that nuclear risks will not be among

BWH

1 the principal contributors to human mortality, plus an ALARA
2 term, plus a bound on the ALARA, and interpretation of the
3 "reasonable," together with perhaps a statement that we
4 ought not to be leaving a particularly hazardous legacy to
5 future generations; perhaps even touching on the
6 proliferation dimension and so forth.

7 Then, if we can circulate a draft of that and
8 start getting feedback from congressmen, from governors,
9 from lawyers, we can start working on appendices that turn
10 these into quantitative criteria.

11 But I think we have to get some concurrence on the
12 ground rules, the conceptual framework within which we are
13 working on quantitative criteria, so that we might try to
14 draft a few pages of words that are really rather abstract
15 and rather general policy statements which will serve as
16 guidelines for quantitative work and also as points for
17 broad public-political-legal policy review.

18 DR. LEWIS: There are examples in other arenas
19 other than safety which people do use quantitative failure
20 rate criteria. Lots of electronics or computers are
21 qualified in terms of the NPDF, the mean time between
22 failures, which is specified as to having to be larger than
23 a certain amount, because failures normally accepted in some
24 military equipment don't threaten human life. We find that
25 a completely acceptable way to make specifications on these

p. BWH

1 things.

2 On the other hand, in the safety arena, for
3 example — I always use airplane wings — you have a
4 deterministic criterion on the design of the wing, and just
5 as in nuclear power, you make the deterministic criterion
6 sufficiently stiff so that deep in your heart you know wings
7 won't fall off too often. But you never quantify this
8 latter point; you just go to the place at which you can't
9 stand the traffic, and then you go on. And that is what we
10 do in the nuclear industry.

11 So, we are talking about a major deviation, and I
12 don't know other counter examples, all safety-related
13 things.

14 DR. SAUNDERS: Since the early '70s, the fatigue
15 calculations for wing strength have exceeded the
16 deterministic strength by a factor of — the 747 had a
17 strength documentation that was seven feet high, and we had
18 a fatigue-life demonstration that was a nine-foot-high
19 document. So, what — that was all probabilistic — so I
20 don't think your last statement was totally correct.

21 DR. LEWIS: The documentation on fatigue may have
22 been thicker. It doesn't necessarily mean it was wiser.
23 And, in particular, the fatigue research was probabilistic,
24 but in the end, one was defined in deterministic fatigue
25 lives for members, and we are rescheming airplanes because

by BWH

1 they have exceeded their fatigue life. So, in the end, it
2 ended with a deterministic criteria.

3 DR. SAUNDERS: I think that is not quite correct,
4 either.

5 DR. OKRENT: I would suggest you figure it out in
6 the next 10 minutes while we have a break.

7 (Brief recess.)

- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

e3

CR 6838
WHITLOCK
t-4 mte 1

1 DR. OKRENT: If we could reconvene.

2 I think there is some interest in looking a little
3 bit further at the planned symposium that the National Academy
4 will run under the auspices of NSF and NRC.

5 DR. LEWIS: It looks as if, from reading this letter,
6 which I have never read before, that the initiative came from
7 the House Committee on Science and Technology, and is -- who
8 is the Chairman of that?

9 DR. OKRENT: George Brown is the Chairman of a
10 Subcommittee, and he may also be Chairman of the full
11 Committee.

12 DR. LEWIS: In any case, the motivation came from
13 Science & Technology, and there is a reference to a report
14 which you must have of this, which presumably was based on
15 some hearings, of which there is probably also a transcript.
16 It would certainly be very interesting to me to get a better
17 view of the legislative intent here from the House report and
18 from their hearings, see who they heard from, and find out,
19 perhaps hope to bend this a little bit to be more useful to us.

20 Certainly, from the NSF letter, one reads all of the
21 right concerns. So I would be very interested to see the
22 House report on whatever the hearings were on which it was
23 based.

24 DR. OKRENT: I would, too.

25 One of the members of the Subcommittee on Science,

1 Technology and Research, or whatever is the order,
2 Congressman Ritter, I believe was his name, introduced a bill
3 which, if it were to pass, would authorize the Office of
4 Science and Technology, I believe, to undertake a program of
5 comparative risk studies. This, of course, is in that vein.
6 I don't know where the bill stands. It was introduced, I
7 believe, in late July, and probably not very far along the
8 Congressional path.

9 But it was referred to a Committee of which
10 Congressman Ritter is a member.

11 DR. LEWIS: In addition, yesterday the House
12 Committee on Science and Technology was holding hearings on the
13 NSF budget, and I know the subject of yesterday's hearings
14 was whether the NSF was doing enough to promote innovation and
15 clear original thinking in the United States. I don't know
16 how the hearings went.

17 DR. OKRENT: I guess there is some interest in
18 knowing to what extent the symposium that the Academy is
19 planning to hold in either January or February can still be
20 modified, or whether the structure and the people who are
21 going to give the papers and so forth is pretty well established.

22 DR. VESELY: We are going to have to talk to them
23 and get back to you. We will do that next week, as I said.

24 DR. LEWIS: In addition, I guess, is it May, there
25 will be a symposium on Three Mile Island, which is being run

1 by the New York Academy of Sciences, and there is some linkage.
2 I guess the guy who is running it is an aide to Brown, who is
3 either Chairman or on the Committee on Science and Technology.
4 There is a Congressional linkage to that symposium, which will
5 be entirely devoted to the implications of Three Mile Island.

6 There are things happening. It would be nice to
7 link them and make them as productive as possible.

8 DR. OKRENT: I don't know about the one in May. I
9 think I heard that the AAAS is having a session --I don't know
10 whether it is a panel or what -- on Three Mile Island in its
11 meeting in San Francisco in early January. But that is probably
12 something different.

13 DR. LEWIS: Yes.

14 DR. OKRENT: I guess the sense of the Subcommittee's
15 thinking, Dr. Vesely, is that if it is practical to take this
16 first symposium and not leave it all on methods or on what I
17 will call easier applications, and make it a forerunner of
18 maybe a second symposium aiming toward what are the problems
19 and what are the possibilities and what are the suggestions
20 for risk acceptance criteria, there is interest in that
21 direction from the ACRS. And --

22 DR. VESELY: We will see if we can modify the first
23 symposium to focus on those questions.

24 DR. LEWIS: As I read the list of things in the NSF
25 letter, they are certainly the kinds of things that we are

1 interested in. So if the symposium is directed toward answering
2 those, I would be happy.

3 DR. OKRENT: Except as stated in this letter dated
4 August 1, 1979, it talks about setting up an agenda for future
5 research. I guess we are interested in trying to see if we
6 can set up an agenda to address the problem this year. This
7 is the difference.

8 DR. LEWIS: Right.

9 DR. OKRENT: Maybe they need two days on the first
10 and two days on the second, or something to meet their needs.

11 Are there other comments with regard to that meeting?

12 PROF. KERR: Let me see the letter.

13 DR. OKRENT: One thing I have been wondering about
14 myself is, should we consciously try to bring in groups, for
15 example, like the Council on Environmental Quality to see if
16 they have proposals on risk acceptance criteria; and if so,
17 how?

18 DR. LEWIS: Who is the Chairman now?

19 DR. OKRENT: I'm not sure who the Chairman is. The
20 previous Chairman was Mr. Warren, I think. I was under the
21 impression he had -- Speth, Gus Speth. They seem to have
22 broad interests in various technological systems, and I think
23 it would be perhaps interesting to see what they might propose,
24 and not strictly within the nuclear reactor framework or even
25 necessarily in energy systems alone, since they have rather

1 broad interests.

2 One could ask whether they have some kind of a broad
3 approach here. I don't know whether that is practical or how
4 they would respond. Again, another speculative question: Are
5 there -- I will use the word "public interest groups" -- that
6 either have developed proposals in this area or would be
7 interested in developing proposals, from the Environmental
8 Defense Fund, for example, or others. Again, if I were to
9 approach them, I think I would ask, do they have approaches
10 within some broad context which would include nuclear reactors.
11 At least initially, I would put the question to somebody
12 limited to nuclear reactors. At least that would be my own
13 attitude.

14 I don't know whether you think that is a potentially
15 useful area to explore, and if so, how.

16 DR. VESELY: I think it is worth contacting the
17 Council of Environmental Quality. Whether we will get anything
18 from public interest groups in the time frame we are talking
19 about, I don't know. I would have to see.

20 Perhaps a symposium might be the best method for
21 getting their views. I think we will pursue that idea and
22 see how -- see where it leads us.

23 DR. OKRENT: I would think the Sierra Club ought to
24 be asked, myself. They are active in various matters that
25 relate to public health and safety. Again, I have myself a

1 two-track sort of thought. I think it is quite possible that
2 they will have opinions in this area. I think if they haven't
3 developed opinions in this area, it would be appropriate for
4 them to try to develop opinions in this area on some kind of
5 broad scale, and not be making sort of recommendations in
6 isolation of this aspect.

7 DR. VESELY: We were planning on asking the
8 Sierra Club or certainly contacting them in the review stage.
9 In the formulation stage we weren't planning to, but we certainly
10 will contact them and see if they have any ideas.

11 I am very concerned that when you start asking all
12 of these groups in the formulation stage, you really don't come
13 up with anything. You spend all of your time talking to people
14 and not formulating. I would like to split the formulation
15 stage, where we actually can get as much input as possible in
16 that time frame, but come up with some strong criteria, and
17 then have these various groups focus on specific criteria and
18 critique and review and give their opinions.

19 PROF. KERR: But if there is some mechanism that you
20 can let people know what you are doing, so they can begin to
21 give some thought -- if a group is hit cold with a formulation,
22 eventually they can give enough thought to it to make intelli-
23 gent comments. If they are hit cold with a week to respond,
24 it is almost impossible.

25 DR. VESELY: We weren't planning on that time frame.

1 But what you are talking about or suggesting is perhaps getting
2 out letters or contacting them of our intent. I think that
3 is a very good idea. We will do that quite soon.

4 We are preparing a list of institutions and
5 individuals and groups, and we would like to have your input
6 on individuals, groups, that you see would be interested or
7 might contribute, in order to further complete our list.

8 DR. LEWIS: Did the House Science and Technology
9 approach OTA on the subject?

10 DR. VESELY: I don't know.

11 DR. LEWIS: That would seem to be a natural route.

12 DR. OKRENT: Getting back to this question of whether,
13 in the formulation, it is useful to at least invite participa-
14 tion on a fairly broad base, I must say my own inclination is
15 very much favorable toward trying to at least invite partici-
16 pation on a formulation.

17 In the first place, we may get some rather interest-
18 ing suggestions. Secondly, I think people who have tried to
19 formulate criteria that they might have to defend before their
20 peers find themselves, I think, in a different position
21 critiquing other people's formulations than if they have never
22 tried to do it themselves.

23 So I think I can see a double kind of merit.

24 DR. VESELY: We will certainly consider that.

25 The intent of the handbook that we have been

1 developing, the general considerations on acceptable risk
2 criteria, were to get inputs from various groups. So that was
3 done to some extent.

4 I think with the time frame we are talking about,
5 we will certainly try to get as much input as we can. But
6 we are going to have to work that question as time goes on.

7 I am more concerned on getting the groups and task
8 forces established first, and then bring these people into --
9 at some scheduled manner, with the convenience of the task
10 force, to hear their views while they are formulating or if
11 they choose.

12 I personally don't think that we can do as much in
13 the formulation stage as we could in the review stage. But I
14 think we will hear from several groups, several individuals,
15 as many as we can in this formulation stage. But if we are
16 talking six to eight months, it is going to be tight, and I
17 see the review stage after that taking one, one and a half
18 years, where again it isn't -- we will get their views and
19 comments in, and then modify or update even the unacceptability
20 criteria, the very simple criteria that we would be investigat-
21 ing.

22 I don't see this formulation stage as being, by no
23 means attempting to get the final criteria to be used. I do
24 want straw man criteria out, with all due respect to the word
25 "straw" and its importance, to allow the critiques -- to allow

1 these individual groups to focus on proposed criteria.

2 We really are pushing, for this first six months, to
3 get something specific out. You can spend two years hearing
4 all of these people and their comments, and they are very
5 important. And we have to focus them. We have to formulate
6 some actual criteria, and that is going to depend on some
7 people getting together and knocking their heads and saying --
8 and iterating and getting as much input as they can and coming
9 up with some criteria to be reviewed, to be put to the public,
10 to be put to Congressmen, to be iterated several times. But
11 you have got to start to see -- we have been spending the past
12 two years on getting all of these comments, and -- in this
13 general program we have of this acceptability criteria, we
14 have attempted to describe in that work the various concerns
15 and proposals and considerations in a very general manner.

16 What we are trying to do now is to focus the question
17 on specific criteria.

18 DR. MARK: A question concerning the OTA: Does
19 anyone know if they have already conducted a study, not of
20 nuclear acceptable risks, but of a closely analogous kind of
21 question? I don't think they are worth asking unless they
22 have done this study, because they are not really a strong
23 technical group at all.

24 But if they have had a study, they have drawn in
25 some other people and put together a document, and it usually

1 is respectable. And one could check and see if they have done
2 anything which would seem to help put some of them in a position
3 to have useful comments.

4 The same thing applies to the research arm of the
5 Library of Congress, which does very nice work when they do it.
6 If they have done anything of this sort, I don't know. But
7 they do do a surprisingly wide range of things.

8 DR. OKRENT: I think Dr. Whipple may have a comment
9 on part of this.

10 DR. WHIPPLE: I know a little bit of the recent
11 history of what has happened at OTA. Several months ago they
12 had an RFP out for, I guess, a half a million dollar study and
13 five or six tasks on this. And in about a week or within the
14 week that they were to announce the contracts, the whole
15 project was cancelled because of budget miscalculations, as
16 they put it.

17 And the project manager, who was Paul Brown, and
18 I guess the department manager are both no longer with OTA.
19 So they are presumably available.

20 But whatever knowledge there is on risk in OTA, I
21 think, has vanished.

22 DR. OKRENT: That reminds me, Bill, I think the NRC
23 might try to see whether Coates is interested in going with
24 the NRC, if you are interested in looking at risk matters,
25 because he has been thinking in the area off and on for quite

mte 11

1 a while.

2 DR. VESELY: We can get his telephone number and
3 address from Chris.

4 DR. WHIPPLE: I have his number at OTA. I am not
5 sure when he left. It was some time in September.

6 DR. OKRENT: He was a pretty sharp critic of studies,
7 in my experience.

8 Let me ask the Subcommittee: Do you think we should
9 consider putting a notice in "Science" of some kind that we are
10 undertaking something?

11 DR. LEWIS: Sure. Let's put a notice or alert
12 somebody to interview you and write a damaging report. That
13 will attract attention.

14 DR. OKRENT: That would be even better.

15 (Laughter.)

16 DR. LEWIS: That's not a bad idea.

17 DR. SAUNDERS: I think that is very good.

18 DR. OKRENT: I suppose if we said you were going to
19 second-guess the National Academy, that would be more --

20 (Laughter.)

21 DR. LEWIS: Quite seriously, we could certainly call
22 somebody there and ask if they have any interest in this
23 trend toward thinking about quantitative risk assessment. It
24 is an interesting question. I don't remember "Science" having
25 had an article of any kind on the general question of

1 quantitative risk or risk, and it might not hurt to suggest
2 that they do that and let them decide whether they want to
3 talk to you about it or not.

4 DR. OKRENT: Another kind of group that I have been
5 wondering about how we could bring them in, if we could or
6 should, are the institutions, Resources for the Future or the
7 Brookings Institution or others like this. I don't know
8 whether they only do things when they have contracts or whether
9 they have free funds within their institutes, so that they
10 can take on studies.

11 Since this is becoming a matter of public policy
12 interest, in view of the Committee on Science and Technology
13 asking NSF to get into it, it is not just now in fact an NFC
14 question, nor was it ever. Again, I am not quite sure how
15 one would approach such groups. But it seems to me it is
16 something that might be worth thinking about.

17 DR. LEWIS: The Resources for the Future, of course,
18 just published this big thick thing about energy risk.

19 DR. OKRENT: In fact, I wanted to get a copy of that.
20 If you could look into that, Gary. I haven't seen it. Have
21 you?

22 DR. LEWIS: Yes. It is that thick (Indicating). I
23 have skimmed through it. It is not an unreasonable thing. It
24 is superficial on a lot of things. I have devoted approxi-
25 mately ten minutes to rippling through it, so I can't give

1 you a definitive review yet.

2 The general trend of things we are talking about
3 here, which are essentially to broaden the interest in the
4 relevant groups in the general point of quantitative risk
5 assessment, I think makes a lot of sense. If you let a lot
6 of people know that you are pushing in this direction and
7 thinking in these terms, you will get inputs automatically
8 from people who are concerned. And so, the more people in the
9 media and in the Congress that one can involve, even in a
10 peripheral way, I think the better off we will be.

11 I don't think anything can happen in the White House
12 until after October 25th, if then.

13 DR. MARK: This year or next?

14 DR. LEWIS: This year.

15 (Laughter.)

16 DR. LEWIS: I said "if then".

17 (Laughter.)

18 DR. LEWIS: But OSTP would be a natural place to
19 generate some interest in these matters, and it would be worth
20 doing.

21 DR. OKRENT: I guess we will have to think about
22 how one could make these groups aware of what we are trying
23 to do and find out their potential interest. Maybe we will
24 think on it and Vesely will think on it, and we will get
25 together on this sort of thing.

mte 14

1 Now, I am assuming that within the ACRS Subcommittee,
2 its fellows, consultants, will be trying to develop our own
3 whatever you want to call it, frameworks for quantitative
4 risk acceptance criteria or ideas, and so forth, and not
5 depend only on the IEEE to come in with a set and so forth.

- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

e-4

gsh 1 (Pause.)

2 DR. LEWIS: Do you have any impression that when you
3 speak to people outside our own narrow little world and use
4 the term, "quantitative risk acceptance criteria," they have
5 any idea what you are talking about?

6 DR. OKRENT: It probably depends on how narrow your
7 world is.

8 DR. LEWIS: You're right. I used an ill-defined,
9 non-quantitative term.

10 DR. OKRENT: There are people in the FDA using
11 quantitative criteria, for example.

12 DR. LEWIS: Yes.

13 DR. OKRENT: And elsewhere in the government.

14 PROF. KERR: I think the terminology and interest
15 is growing, so that the population of people is not as small
16 as it was three or four years ago.

17 DR. LEWIS: Even within FDA, the criteria that go
18 with carcinogenesis in food additives are not quantitative
19 criteria. They have this, if I understand it correctly,
20 criteria in which if the material has been shown to cause
21 cancer in laboratory animals, it must be banned.

22 There is no acceptable level.

23 PROF. KERR: That is fairly quantitative, zero.

24 (Laughter.)

25 DR. OKRENT: But there are proposals and they may,

gsn 1 in fact, be using these for interim guidance that if something
2 is thought to produce not more than one in one million chance
3 of producing serious adverse effects on the population, it
4 is acceptable.

5 I have heard someone from FDA state this, in
6 fact, at the MITRE workshop last winter. Now how they use
7 this vis-a-vis the Delaney clause, I don't know. They may
8 apply it to things where the Delaney clause is not applicable
9 because it is a naturally occurring substance, or whatever.

10 I can't recall.

11 In other words, in the context of broad exposure
12 to the population.

13 DR. LEWIS: I was speaking to the Delaney issue.

14 DR. OKRENT: In fact there is a series of articles
15 that Chris Whipple called to my attention by Peter Hutt,
16 who was chief or general counsel of the FDA, or something
17 like this, and assistant commissioner, if I recall correctly,
18 some years back, in which he has, in fact, if I understand
19 it correctly, proposed that they start using risk analysis
20 in trying to decide what to do in the FDA and not try to
21 use an all or nothing or qualitative approach, or whatever.

22 DR. WHIPPLE: That is in the October '78 Journal
23 of Food, Drug and Cosmetic Law.

24 DR. LEWIS: I don't take that.

25 DR. OKRENT: It is a thoughtful series of articles.

gsh 1 PROF. KERR: Is it too thick to consider Xerox?

2 DR. OKRENT: No.

3 PROF. KERR: I would be interested in a copy.

4 DR. OKRENT: I will have a copy. I will get Gary to
5 make it for the subcommittee. In fact, I would think that
6 we ought to try to find out whether someone like Peter Hutt
7 and others like him who have been thinking seriously on the
8 matter, are interested enough that they would like to be
9 active in what we are trying to do here.

10 Again, I don't know quite how to go at this. He
11 is a member of a Washington law firm and I don't anticipate
12 the ACRS can pay his normal hourly fee.

13 (Laughter.)

14 PROF. KERR: Maybe we could pay him for one hour
15 sometime.

16 (Laughter.)

17 DR. LEWIS: It doesn't even pay our normal hourly
18 fee.

19 (Laughter.)

20 DR. LEWIS: The thing that is emerging is that there
21 are a number of other agencies that are grappling with the
22 same problem. And it may be that after the TMI dust
23 settles -- again, if it ever does -- some kind of coordinated
24 activity, either through OTA or through OSTP -- might make
25 a lot of sense. It would help to bring the issues to the

gsh 1 front in a broader context, with perhaps a little less of
2 the emotional involvement that nuclear energy now has.

3 It might help to make for a rational treatment of
4 the problem.

5 DR. MARK: The AMA made — had a group of its own
6 studying the hazards of various power techniques. I don't
7 know that they really did any work or whether they just read
8 the Inhaber report and transcribed it, or what.

9 But they are interested in acceptability and if
10 the chairman of that group were still interested in the
11 subject, there could be a possible question there. It is
12 not the whole AMA that one would want to tangle with at all.

13 DR. OKRENT: I wonder if there is anyone in the
14 government who thinks about the question that Kerr raised:
15 what are the risks that are accepted and what are the
16 trade-offs in the practice of medicine?

17 My experience five or six years ago was it was
18 very hard to find anyone in the government or the AMA who
19 was a source of information, let alone criteria in that
20 area.

21 DR. LEWIS: Is Hardin Jones still alive? I feel
22 funny asking. He spent a lot of his career dealing with
23 these medical statistical questions and learned a lot, a
24 very fine — he was at Berkeley.

25 DR. OKRENT: I don't know.

gsh 1 DR. LEWIS: The medical profession has dealt with
2 some of these. For example, they went through the agony of
3 recommending and then retracting on routine mammography on
4 statistical — on a statistical basis.

5 So that kind of issue has arisen and there are,
6 even in the medical profession, some fairly sophisticated
7 people who have dealt with these problems.

8 It would be nice to get a hold of them.

9 PROF. KERR: I think it is a source of useful
10 information if we know where to look.

11 DR. OKRENT: There is a group within the framework of
12 the National Academy which is called Council on Medicine, or
13 something of this sort, which includes a lot of rather
14 knowledgeable people, and that might be a place, among
15 others, to look into that area.

16 DR. WHIPPLE: A suggestion on that point. I think
17 for the main part of medical practice, the profession has the
18 luxury of seeking simply to choose the minimal risk avenue
19 available to them rather than trying to worry about costs
20 or the availability of services.

21 But there might be some application — the name of
22 the committee sticks in my mind: The Committee on the
23 Ethics of Experimentation with Human Subjects.

24 I believe there is a small department at Harvard
25 that deals with those issues. I have seen references to it.

gsh 1 but not much more beyond that.

2 I would certainly think that they have dealt with
3 these issues.

4 DR. OKRENT: That would be relevant, I think. Are
5 there other comments or suggestions of the subcommittee
6 members on any of these areas?

7 (No response.)

8 I guess what we will have to do is try to see what
9 Dr. Vesely develops along these lines in the next week or
10 two, and then see what additional steps we think we should
11 take.

12 I will assume that the subcommittee is in favor
13 of trying to assure a fairly broad input, if possible.

14 DR. LEWIS: Yes.

15 PROF. KERR: I think we are obligated to give good
16 advice. Dave, since I missed the early part of yesterday's
17 meeting, was there a discussion of what DOE may be doing in
18 this area?

19 DR. OKRENT: There was no discussion of what DOE
20 may be doing in this area yesterday.

21 PROF. KERR: Do we know? I assume at some point
22 we should try to find out. And I would guess they may be
23 doing something, but I personally do not know what they are
24 doing.

25 DR. OKRENT: In fact, when they made a list of

gsh 1 agencies that we ought to contact, it happens DOE was the
2 first one I wrote down, although I didn't mention it in the
3 ones we were discussing today.

4 I think it is a good point. I am not sure that there
5 is a single contact point at DOE.

6 PROF. KERR: It seems to me that there ought to be
7 at least an informal liaison between NRC is doing — maybe it
8 exists.

9 DR. VESELY: It does exist. It is not doing anything
10 on acceptable risk criteria, per se.

11 PROF. KERR: Are they doing anything on comparative
12 risks, for example, that would be useful to you as a point
13 of reference?

14 DR. VESELY: They have some projects, one through
15 Sandia, for example, that are looking at the use of
16 probabilistic techniques in licensing and making suggestions
17 which are touching on the need for quantitative criteria and
18 how you might express those.

19 But not really, to our knowledge, not really in
20 any concentrated manner.

21 We are certainly going to involve DOE as well as
22 EPA as much as we can.

23 PROF. KERR: I am surprised, I guess, that somebody
24 is not at least thinking about comparative risks among various
25 alternative energy sources. It seems to me that that is one

gsh 1 of the things of which you want to at least be conscious.

2 Cost is important, but risks, environmental consequences, all
3 of these, it seems to me, have to enter into a decision.

4 I would expect that somebody in the department would
5 be giving some thought to that. You think perhaps not?

6 DR. VESELY: I think that they are doing that.

7 There have been studies already — for example, WASH-1400 was
8 used as the reactor accident portion of the nuclear fuel
9 cycle risk, as compared with the coal cycle.

10 We have, again — the reason that we had the
11 coal versus nuclear fuel cycle comparative risk performed is
12 that we could not find any studies that had been performed
13 that were ongoing dealing directly with the issues that we
14 were concerned with.

15 They are informed of what we are doing.

16 The DOE risk analysis effort is not a very large
17 effort. It has been scaled down considerably from the
18 previous years. I think the NRC efforts are almost a factor
19 of two, or magnitude larger.

20 So the DOE efforts have been scaled down to
21 looking at suggestions or methods, relatively small efforts,
22 to our knowledge.

23 But we certainly will keep them — want them
24 involved and I think they are important to be involved, as well
25 as EPA.

gsh

1

DR. OKRENT: We might consider whether ACRS should write to the Secretary of DOE telling them we are planning to look at this and welcoming their participation. And in fact, there are other agencies.

5

6

7

8

It is my impression, based on some conversation I had with somebody at one of the Washington consulting groups some time ago, that they have done a study for the Department of Agriculture on —

9

10

11

12

13

DR. SAUNDERS: Pesticides.

DR. OKRENT: Risks and so forth. So some departments that you wouldn't ordinarily think about in these connections not only have interests, but are developing, let's say, a background.

14

15

16

Actually, the Department of Agriculture has certain aspects of — that relate to the use of chemicals in society, for example, under its aegis jointly with others.

17

18

19

And the Corps of Engineers, for example, is a group that is currently looking at the safety of dams, formerly a law passed by Congress and signed by the President.

20

21

So in addition to the ones they build, I think they have somewhat broader responsibilities.

22

So there are many groups.

23

24

25

The Coast Guard has been thinking about risk acceptance criteria, although I don't know that they have developed quantitative ones. The Department of Transportation,

gsh 1 of course, was the father organization to the Coast Guard.

2 Maybe we should move on to such other topics as we
3 would like to cover during this subcommittee meeting.

4 I guess we should see if there are other avenues
5 than the ones mentioned that the subcommittee members think
6 we should explore. At least have in mind it this time.

7 Are there any comments any of the members of the
8 public would like to make in connection with what they have
9 heard or haven't heard?

10 (No response.)

11 I don't see any volunteers. If there are no further
12 thoughts in this area, maybe we might go back to the questions
13 that we were addressing yesterday concerning the probabilistic
14 assessment staff, or whatever it is, PAS program and
15 priorities to see whether we have further questions in that
16 area, or ideas as to what information we would like to
17 develop and so forth.

18 It is my impression from what I heard Mr. Rowsome
19 say prior to the beginning of the meeting today that he
20 thinks that in a couple of months or so they will have
21 further thoughts on their priorities and where they think the
22 effort will be developed for FY '80 and '81.

23 So that what we have heard yesterday is not
24 necessarily the last word.

25 MR. ROWSOME: Indeed, it's not. We are looking now

gsh 1 at the beginning of the process of overhauling the priorities.
2 And while that will be an ongoing effort, we hope to have
3 preliminary results, as you suggest, in the order of a month
4 or two to guide Fiscal '80 and to guide us until we have
5 a chance to digest the implications of the Keminy Commission
6 report.

7 And we will be making further re-assessments, then,
8 and perhaps further re-assessments again after the Rogovin
9 committee's report comes out slated for the end of the
10 year.

11 So this will be an interative process.

12 DR. OKRENT: One question that somebody will be
13 addressing, presumably, within the NRC is the overall balance
14 of effort in research, is it the proper one?

15 By that I don't mean within what is now considered
16 the PAS program, what are the priorities. But if one looks
17 at all of the areas in which the NRC is doing research, or
18 might be doing research, and I will use the term "research"
19 loosely, is that appropriate?

20 In other words, is the existing emphasis and
21 level of expenditure appropriate?

22 Now does PAS do any thinking along those lines or
23 does it think only within the framework of its area of
24 responsibility and budget allocations?

25 MR. ROWSOME: No, we think on broader lines. So, the

gsh 1 whole of research is rethinking research priorities. We are
2 participating in that effort, not only just as an element of
3 research in the organizational sense, but because the
4 risk assessment work gives us tools to help prioritize the
5 experimental program and whatnot.

6 So that we do have an advisory role. We have input
7 on priorities to the other — to the divisions. That has
8 manifested itself thus far in two or three forms.

9 For example, the plan to set up a three-way
10 coordinating committee to coordinate code development, the
11 experimental program and the PAS, to provide PAS input into
12 that prioritization.

13 But I would have imagined that it will grow to
14 include other things in time, perhaps not on a scale of
15 one or two months, but certainly on the long-range scale, yes.

16 DR. OKRENT: There have been suggestions from time
17 to time that more research should be done on transients and
18 small LOCAs. That is one example.

19 There have been suggestions that more should be
20 done on systems design questions and things related to your
21 new program, whose initials I have forgotten.

22 MR. ROWSOME: IREP.

23 DR. OKRENT: There have been suggestions that more
24 should be done to evaluate methods of possibly mitigating
25 serious accidents. Now you can do more by putting in more

gsh 1 money, or if you don't have more money, you have to cut
2 something out.

3 Now has anybody looked at whether the existing
4 effort on large LOCAs, which is a —

5 MR. ROWSOME: The whole planning effort since Three
6 Mile Island since the very concept of a TMI supplement
7 surfaced well before I came aboard, has been to move in
8 the direction of small LOCAs transients, exploring a wider
9 range of accident scenarios and systems effects.

10 And I believe we are moving on this as hard and as
11 fast as the institutional inertia permits. We are not just
12 sitting back and saying that we will go on the same path
13 and we will do a little over here and a little over there.

14 It is really a profound reorganization,
15 reorientation, the effort.

16 That's my impression.

17 DR. OKRENT: I am sure that there are changes in
18 thinking going on. What I am not quite sure of is how the
19 Office of Research will decide how to recommend an allocation
20 of funds, or how it should be done. And also, whether the
21 piece of change is an optimum.

22 MR. ROWSOME: Saul gave Bob Budnitz the responsibility
23 of chairing the working group on research priorities with me
24 and Tom Murley and Tom Arseno on the group, and we have met
25 a couple of times. We haven't really been able to digest the

gsh 1 problem yet. But we are working on rethinking the very way
2 priorities are set, the way planning is done on research
3 because we have perceived, as you perceive, that it would be
4 seductively easy to slip into just the institution inertia
5 and not rethink these things deeply enough.

6 So that the process is slow. But I think it is
7 doing a reassessment from the ground up.

8 DR. OKRENT: This group you just mentioned, did
9 they have some time scale in which they are supposed to arrive
10 at something, or just an ongoing process?

11 MR. ROWSOME: I don't recall Saul's guidelines in
12 particular. I think he wanted some feedback within a month.
13 But I believe he expected, and we certainly interpreted that
14 to be preliminary and not final.

15 DR. MARK: Would you be saying that these
16 deliberations could affect the cuts in distribution of cuts
17 in the FY '80 package?

18 MR. ROWSOME: Very plausibly, yes, I would expect
19 so.

20 DR. LEWIS: Bob, himself, of course, was on the
21 risk assessment review group which came out very strongly
22 for revamping the research program. So we can't expect him
23 to be unsympathetic to the idea.

24
25

BWH

1 DR. OKRENT: I guess it may be worthwhile
2 suggesting that the office of research think about its
3 coming in to meet with the Subcommittee on Reactor Safety
4 Research prior to November ACRS meeting, in view of what you
5 have just said, because the ACRS is supposed to be trying to
6 address priorities in your program. There is a Subcommittee
7 meeting scheduled — I think right now it is probably on
8 election day, but the specific day may be adjusted depending
9 on some other Subcommittee meetings. I can't recall, but it
10 is one of the days before the November ACRS meeting, and it
11 appears from what you have said that that would be a time
12 when you would have developed some thoughts.

13 It would also be shortly after the Keminy
14 Commission report is out, so we would have had a chance to
15 see, at least in a brief way, what it has to say, assuming
16 there are enough copies printed that copies reach the ACRS
17 on the first printing.

18 PROF. KERR: You are not referring to the 4th of
19 December, clearly?

20 DR. OKRENT: November. Did I say December?

21 DR. LEWIS: You did say November.

22 PROF. KERR: There is a December 4 meeting
23 scheduled, I note.

24 DR. OKRENT: That's true. There is also one
25 scheduled for November and one for December.

BWH

1 PROF. KERR: It is probably Tuesday, the 6th,
2 then.

3 DR. OKRENT: It is subject to change. It could
4 end up being the 5th or the 7th if something else should up
5 on the 6th. In other words — because we have the
6 possibility of scheduling a meeting with foreign regulatory
7 people in that period, and we would shift to accommodate
8 them.

9 Anyway, why don't you, if you can, advise Saul and
10 ask Gary to ask Tom McCreless to advise Saul Levine of our
11 interest in being able to talk about priorities. Saul is
12 going to be out of the country, I think, that week. That
13 may present a problem to him. My impression from
14 conversation I had with him is he thought he was going to be
15 away during the water reactor safety resesarch program
16 because there was some meeting in Europe that he needed to
17 participate in. I can't recall what it is. But perhaps
18 there would have been enough discussion that we can meet
19 with his alter egos or whatever it they are called.

20 I think it would be helpful if we could have a
21 first round of discussion of the broader priority question,
22 not only within PAS.

23 MR. ROWSOME: That sounds quite appropriate. I
24 don't know that we will have written material in the sense
25 of a report by that time, but we can certainly present to

PV BWH

1 you the state of our thinking and state of our progress,
2 give you a progress report, at that point.

3 DR. OKRENT: Coming back to the specific program
4 we heard yesterday within PAS, are there comments or
5 questions of subcommittee members?

6 PROF. KERR: We did ask for further information —
7 what was to be done about floods — didn't we?

8 DR. OKRENT: There was discussion on the matter of
9 floods. Were you here when we talked about it?

10 PROF. KERR: Given the numbers that were
11 preliminary, we should keep in touch with that, it seems to
12 me. I think the numbers — the emphasis was that these were
13 preliminary numbers, so we simply need to make certain that
14 we follow that particular investigation.

15 DR. OKRENT: I agree.

16 DR. LEWIS: I notice in the IREP statement, in
17 phase I, the survey would develop a data bank to cover the
18 susceptibility of all operating reactors of the top five
19 dominant sequences in WASH-1400. Is there something magic
20 about five, or is that a budget allocation?

21 DR. EDISON: There is nothing magic about five.
22 If you go back and look at WASH-1400 and look at the
23 probabilities associated with the sequences, they are
24 different for every sequence.

25 DR. LEWIS: Yes.

BY BWH

1 DR. EDISON: And what we did was to look at where
2 it looked like there was somewhat of a jump down to the next
3 sequence in probability —

4 DR. LEWIS: You didn't let people grade exams —

5 DR. EDISON: I have never had to do that, but I
6 have had suspicions that that is the way it is done.

7 DR. LEWIS: Yes, that is the way it is done. When
8 you say dominant sequence, what does that mean,
9 specifically?

10 DR. EDISON: We refer to dominant contributors to
11 risk. And in these instances, in the case of the PWR, one
12 of the dominant sequences was the loss of off-site power.
13 In the case of the boiler, it was an ATWS type of sequence.
14 Those are two of the five sequences.

15 DR. LEWIS: I was wondering, since every sequence
16 has both a probability and a consequence associated with it,
17 I was wondering how you were weighting the probability and
18 consequence in deciding what was dominant.

19 DR. EDISON: The consequence was not weighted in.

20 DR. MARK: Was not the release category?

21 DR. EDISON: Yes.

22 DR. MARK: You are going to weight them by curies
23 estimated to be released with probability. It will be
24 curies per year per sequence?

25 DR. EDISON: That's right.

ov BWH 1 DR. LEWIS: Is that the criterion?

2 DR. EDISON: Yes, it is really the release.

3 DR. LEWIS: You are multiplying — I am trying to
4 find out quantitatively how you are doing it — you are
5 taking from WASH-1400 for every sequence or for the top
6 sequences the probability, multiplying by the number of
7 curies release associated with that probability, and using
8 that as a figure of merit or demerit?

9 DR. EDISON: We did not multiply. We simply went
10 into the main report, chapter 5, and pulled out the summary
11 table and took the top five probability events.

12 DR. MARK: You took the probability.

13 DR. EDISON: That's right.

14 DR. MARK: In the case of ATWS for PWRs —

15 DR. EDISON: But let me —

16 DR. MARK: This is a very misleading number.

17 DR. EDISON: We did not go down to category 7
18 releases, for example. We didn't do that.

19 DR. LEWIS: So, what you took was the highest
20 probability sequences in the high-release categories, but
21 not weighting for which release category?

22 DR. EDISON: That's right. And there seemed to be
23 a rather natural break-off there. And furthermore, I would
24 like to say that I don't think that our programs are wedded
25 to five sequences.

DR. LEWIS: I was sure of that. I was just

wondering what made you stop at five.

But, in any case, what you are not doing, what I infer, is giving extra weighting in your considerations to lower probability, higher release sequences?

DR. EDISON: That's right.

DR. LEWIS: So, if you take the probabilities in the top high-release sequences, you will automatically gravitate away from the low-probability high-consequence events because the probabilities do tend to go up as the release categories — as the releases decrease?

DR. EDISON: That's right.

DR. OKRENT: Let me raise a couple of harder questions. The first is the PAS — is the PAS doing any thinking on what should be the design basis for hydrogen generation in light water reactors?

MR. ROWSOME: Only to the extent that it is in the list of things for which a priority will be assigned but we have not given it an assignment.

DR. OKRENT: As you know, this is a fairly short-term issue. It can be made a long-term issue by not doing anything.

(Laughter.)

MR. ROWSOME: I fully expect that it will come up in our discussions with the Lessons Learned Task Force, and,

pv BWH

1 based on how much they intend to do, how far they intend to
2 take charge of setting the policy in that regard and to what
3 extent they ask our assistance, we will then plan what we
4 want to do, whether it should be short term or long term, in
5 response to their needs.

6 DR. OKRENT: Suppose somebody came up to you and
7 said, "If you are able to develop recommended positions in
8 three weeks, for consideration, not necessarily the
9 position, but here is a possible position that is not
10 completely implausible out of hand," would you be able to
11 come up with such?

12 MR. ROWSOME: We have approached a number of
13 problems in that kind of crash-program fashion, giving a
14 handful of people who have worked extensively in risk
15 assessment and reliability to simply sit down and hash out
16 ideas in a collegial fashion, very much the way you all do
17 when you are preparing your report, and prepare
18 recommendations in the course of a day's work or two days'
19 work or three days' work.

20 Such things have been done in the past. They
21 could be done in the future. They do eat into our man-hours
22 somewhat. But they do get results on a short time scale,
23 results that usually need a lot of further follow-up work.
24 It is possible to give that treatment to this issue. We
25 may, in fact, do that. I don't know. I will wait until --

BWH

1 my inclination would be to wait until I hear what
2 Roger Mattson wants us to do in this context before I would
3 go ahead.

4 DR. OKRENT: Let me pursue this a little bit. It
5 seems to me, if you think about this question generically,
6 you end up having to consider "should I think about a
7 spectrum of accidents, and, if I don't, why don't I; and if
8 I do, how do I?" And in that regard, you get into questions
9 in addition to hydrogen generation. In fact, at least as of
10 now, we expect that this topic will be a major part of the
11 afternoon session of the Three Mile Island accident
12 implication subcommittee meeting, the day before the October
13 meeting of ACRS.

14 It would seem to me that the people in PAS have
15 been thinking things like accidents beyond design basis;
16 they have been thinking about other kinds of containment
17 approaches, various things of this sort.

18 I guess it is not clear to me that this
19 discussion, which I expect to occur for the first time and
20 it may not be the last time, in the near term to occur then,
21 it is not clear to me why we should have the benefit of the
22 thinking of the group in PAS.

23 Now, is there any reason that you can't respond to
24 a request from an ACRS subcommittee as to what your thoughts
25 are in that area, whether or not the long-term Lessons

26

1

BWH

1 Learned Task Force has asked you by then?

2 MR. ROWSOME: I think that is a reasonable
3 request, yes.

4 DR. MARK: Assuming it is the first subcommittee
5 to issue an invitation.

6 DR. OKRENT: Why don't you assume you have that
7 request?

8 MR. ROWSOME: The October meeting, do you know the
9 date offhand?

10 DR. LEWIS: 3rd.

11 DR. OKRENT: I would expect it to be the afternoon
12 of the 3rd, unless there is a change in our current plans.

13 MR. ROWSOME: Do you want to leave it quite
14 open-ended? Do you want to provide a narrower focus? Do
15 you want us to simply talk about the topology of the
16 hydrogen issue and our perspectives on that, or hypothetical
17 regulatory positions? That is a little more difficult.

18 DR. OKRENT: It is the latter, I think, that would
19 be the most helpful, or alternative hypothetical regulatory
20 positions and their pros and cons. And you would
21 inevitably, I guess, bring in those aspects of the topology
22 of the accident as was relevant.

23 But I think a description only of the quality of
24 the accidents is not what we need.

25 DR. MARK: Are you thinking, Dave, primarily of

BWH

1 hydrogen that gets released to containment or hydrogen that
2 gets stuffing up the pipes in the primary pressure system?

3 DR. OKRENT: I guess my own thinking is that the
4 issue that is on the table is the containment response in
5 these events. And we are thinking, by the way, of BWRs ice
6 condensers. All right?

7 MR. ROWSOME: Yes.

8 DR. OKRENT: I think that could be interesting.

9 DR. SAUNDERS: Can I ask about the use of the word
10 "topology." Is it as precise in its technical content as
11 Mr. Vesely's use of the word "cybernetic development"
12 yesterday?

13 (Laughter.)

14 MR. ROWSOME: I used it in the sense that
15 Hal Lewis used it in the risk assessment review group
16 report. I used it to mean a consideration of the natural
17 break points, the natural ensembles, the natural partition
18 of the space of these considerations in the packages that
19 are more readily digestible.

20 DR. SAUNDERS: I think that is better than the use
21 of the "cybernetic."

22 DR. LEWIS: It is a precise mathematical use of
23 the term.

24 DR. SAUNDERS: That is much better. I am sorry
25 about that, Bill.

pv BWH 1 DR. VESELY: That's quite all right.

2 DR. SAUNDERS: Thank you.

3 DR. OKRENT: While I am exploring how the ACRS can
4 benefit from possible input from the PAS staff, let me ask a
5 couple of other questions. On that same day, in fact, in
6 the morning, one of the things we expect to look at is are
7 there implications for BWRs that arise out of the TMI-2
8 accident. Presumably, implications may arise in a more
9 broad perspective than just that you would like to have
10 heaters on the pressurizers, which, of course, doesn't exist
11 in the BWR, that sort of thing. Is that an area in which
12 the PAS has thought, or could develop ideas?

13 MR. ROWSOME: Your question is a little too
14 general for me to know how to answer it. I did mention
15 yesterday that the Bulletins and Orders Task Force has been
16 thinking about BWRs and has come to us for help in that
17 context. They had some concerns involving ECCS actuation
18 and the adequacy of instrumentation, in part motivated by
19 TMI and in part motivated by Oyster Creek. And they wanted
20 our help in specifying studies to be done by the owners
21 group, the licensee.

22 We are not working on something that matches in
23 scope the generality of your question.

24 DR. OKRENT: In effect, you could say that my
25 question could be rephrased in part. Have you thought about

BWH

1 what the Bulletins and Orders group should be asking you to
2 tell them? In other words, they pose a specific question to
3 you.

4 MR. ROWSOME: Yes.

5 DR. OKRENT: And then --

6 MR. ROWSOME: We have no coherent effort to do
7 that. I guess the answer to your question is "No." On the
8 other hand, in a still more abstract sense, it goes well
9 beyond BWRs, in particular, and we are looking at the
10 lessons we think we had learned, things we should be more
11 alert to in system reliability analysis, probabilistic
12 safety analysis, risk assessment, the things in our scope of
13 responsibility.

14 A lot of thought has been given to that, and it is
15 reflected in things like the planning for the TMI supplement
16 and the continuing work on priorities, so that we are doing
17 work that is both more general than your question and much
18 more specific than your question, but nothing quite
19 incongruence with the scope of your question.

20 DR. OKRENT: Is there some reason why the question
21 that I pose is something that PAS shouldn't contribute to?

22 MR. ROWSOME: This is a topological issue, if you
23 will. We really have to limit what we try to do, and it may
24 be that that is a topological package in this space of
25 concerns, a subspace that would be a natural and would be

NY BWH

1 appropriate. But I would have to give that more thought.
2 We clearly can't do everything.

3 And one of the central problems in our priority
4 effort is to think about how best to package what we do to
5 obtain the maximum benefit with available resources, and the
6 issue of whether that is an appropriate scope will certainly
7 come up.

8 DR. OKRENT: I am raising this as a specific
9 example of a more general question in my own mind. I think
10 we earlier at this meeting and in previous meetings have
11 been discussing the potential for increasing the capability
12 of the people in NRR — the reactor licensing, whatever
13 their designation is — to include probabilistic aspects in
14 their decisionmaking and thinking and so forth.

15 At the moment, I have to assume this is going to
16 take time, and it may be really a matter of years before we
17 have a considerable body of people in the licensing division
18 who have the benefit of the different things that go into a
19 WASH-1400 study. And it is going to be even harder to have
20 individuals in the licensing group who know all of the
21 different things that go into WASH-1400 types of studies,
22 let alone part.

23 It is not clear to me that the licensing process
24 has to or should wait in getting the possible benefits from
25 such thinking until they have a substantial body of people

BWH

1 in licensing that could — that are experienced in this
2 area, have a background.

3 If my premise is correct, one is led to ask what
4 are other avenues for the short term?

5 MR. ROWSOME: We have suggested some, and I would
6 be delighted to get your suggestions for others. We have in
7 mind the executive seminar, the course, the improved course,
8 for line office personnel, and the process of getting their
9 feet wet by getting their participation in the integrated
10 reliability evaluation program. Those are our inspirations
11 at the moment. They are already, of course, perceiving the
12 need to move in this direction, as demonstrated by the
13 Lessons Learned Task Force report and some of the Bulletins
14 and Orders Task Force initiatives.

15 If you have further inspirations on how we can
16 help this process along, we would welcome them.

17 DR. OKRENT: I am not sure you will welcome them.

18 MR. ROWSOME: We will welcome the ideas. We may
19 not embrace them with enthusiasm, but we do welcome any
20 inspirations you may come up with.

21 DR. OKRENT: I recognize that you have a limited
22 number of personnel, and that is not an easy thing to get
23 around. It is, I guess, not clear to me that with regard to
24 the licensing process that the system should be one wherein
25 PAS at this stage waits to be asked for contribution in this

BY BWH

1 specific area. That certainly should be available to the
2 licensing people.

3 But it seems to me that if the knowledge or
4 insight or so forth that the PAS people have developed could
5 contribute to improving the safety of the reactors currently
6 being reviewed in other ways than they are currently being
7 asked to help, we should not miss that opportunity, and we
8 should ask ourselves if there some practical way in which to
9 do this. And I suspect that there are practical ways. It
10 would infringe on things that might lead to NRR getting some
11 suggestions that they didn't like or they say we already
12 have enough to do and you are giving us more things to think
13 about and that would eat into what certain people were doing
14 with their time.

15 But I am not so concerned about that, because if
16 that were accepted as something PAS could do, I think it
17 could be done in terms of an augmented PAS each time you
18 take on something you get some people from NRR who are in
19 the part of it as for the auxiliary feedwater study, which,
20 again, was a restricted one.

21 I use this question of are there generic
22 implications of BWRs as one example, and, of course, I gave
23 an earlier example of the hydrogen question. I think the
24 thinking in my mind need not be that restrictive, even.
25

MR. ROWSOME: I share that perception. The

1 thinking I have done about it thus far had extended
2 principally to the items I touched on yesterday, to wit: I
3 felt our role involved three principal functions: the
4 direct service to the line offices, the applications of the
5 state of the art to the licensing process, which is in
6 fairly close congruence with what you are talking about and
7 the improvements in the state of the art in reliability and
8 probabilistic safety analysis. The developmental research
9 focus of our efforts.
10

11 I had been thinking in terms of trying to make our
12 research product more accessible and useful, more visible to
13 the line offices and to the nuclear community, but I think
14 you are pointing in a direction, perhaps, that you had
15 suggested when you asked us yesterday to keep you informed
16 of the problems we turn up, that we should institute a
17 policy of sending warning flags over to NRR at the same
18 time.

19 Something along that line makes great sense. It
20 will have to be given a good deal of thought so that we
21 don't find our time taken up by judgments of, is this
22 appropriate to package and send? But at the same time, to
23 get the benefits of what insights and perceptions we do come
24 up with in the course of our work out to you and to NRR and
25 I&E and whatnot by a more direct route than we have been

kapBWH

1 doing it in the past. I think that is a good point, and
2 something I ought to think about — we ought to think about.

3 DR. OKRENT: That is a related question, at least
4 as I raised it yesterday. It was in the context of — from
5 your research program things development, did you have
6 criteria for such notifications and so forth, and what, I
7 guess, I am exploring here a little bit is whether you
8 should take a more overt role in trying to develop
9 considerations for the licensing activity. Not on all
10 activities, but there may be certain kinds of licensing
11 questions where PAS may have a contribution to make that is
12 unique.

13 MR. ROWSOME: I am inclined to agree with you. I
14 don't believe it is within my responsibility to make that
15 kind of a policy decision, to what extent we do this, but I
16 am sure I can have some influence over it. My inclination
17 would be to encourage that we develop these paths and
18 utilize them. That is a good point.

19 DR. OKRENT: Let's see if I can ask one more
20 question along these lines, going successively, I guess, to
21 more general questions. There is a considerable amount of
22 momentum in research programs just as there is a certain
23 amount of momentum in licensing programs. And you have been
24 talking about how people are thinking about how should we
25 change the research program and -- I guess what isn't clear

kapBWH

1 to me is how one asks the question on a broad enough scale.
2 In other words, if we didn't have momentum already that we
3 felt somehow obligated to, where do we think we should be
4 doing research, since that is an obligation of the office of
5 research? And would it look like what we now have? And if
6 it would look radically different, on what basis do we
7 defend the maintaining — most of the existing momentum?
8 It is not clear to me —

9 MR. ROWSOME: Momentum doesn't have to be
10 defended. It is just there. It can be fought, perhaps,
11 but —

12 DR. OKRENT: I am familiar with the problems that
13 arise from an existing momentum, but I am wondering whether
14 anyone inside the NRC — and I will exclude committees that
15 the NRC has set up like the Rogovin Committee — are trying
16 to look at the research program starting, as I say, first
17 from a position unbiased by what the existing program is.

18 Are you aware of whether there is that kind of an
19 effort?

20 MR. ROWSOME: Saul, Bob, Tom Murley and Frank
21 Arseno and I are all thinking along those lines. It is only
22 formally organized in the sense that Saul delegated to Bob
23 to get us all together to work on it.

24 To address the other dimensions of your question,
25 I am not aware of such efforts elsewhere in the Commission.

kapBWH

1 but I could easily be ignorant of them if they exist.

2 DR. OKRENT: I'm out of questions. Other
3 subcommittee members have any questions for the NRC?

4 DR. MARK: I would like to go back to a point, and
5 I am not sure that there is real content to it, but on those
6 five favored sequences from WASH-1400, I really think you
7 might look at the sequences you pick and compare them with
8 the ones, the numbers, what would stand out if you
9 multiplied release quantities, factors, times
10 probabilities.

11 It is awfully hard for me to see why one would not
12 think of including, if it should be a different one, the one
13 that gave the highest number in that sense.

14 MR. ROWSOME: I think that is in there.

15 DR. MARK: It wasn't in from the way it was
16 described.

17 MR. ROWSOME: It is not in the sense that anyone
18 sat down and formally did a calculation and multiplied it
19 out. I think these sequences stand out above background in
20 the high consequence release categories by enough that it is
21 unambiguous. Without using the formal calculation.

22 DR. MARK: I wanted to be sure that you picked the
23 ones that would have the largest estimated release, so that
24 having considered the ones with high probability and big
25 release with those probabilities so small --

pBWH

1 MR. ROWSOME: It is without doubt these are the
2 dominant sequences for the plants but I don't believe there
3 is any ambiguity that these are risk-dominant in WASH-1400.

4 DR. EDISON: These were all in the top three
5 release categories, as I recall. We didn't make a big issue
6 out of trying to pick the exact five or the exact six or
7 whatever. We went through the table. If you go through
8 release categories four and five it drops down considerably
9 compared to the first three categories, and when you get out
10 to categories six and seven --

11 DR. MARK: What drops down?

12 DR. EDISON: The probabilities.

13 DR. MARK: But the release goes up -- excuse me,
14 the release goes down, the probability goes up.

15 DR. EDISON: I am saying in categories four and
16 five that is not the case.

17 DR. MARK: My only point is it seems to me it
18 would be worth checking this aspect, that the biggest net
19 annual release is included in the set you are proposing to
20 use for comparisons.

21 MR. ROWSOME: I think that is unambiguous.

22 DR. MARK: It is unambiguous as long as you look
23 for it.

24 DR. EDISON: One of the preliminary results we
25 have seen in the methods application program is that some of

kapBWH

1 the other plants have different dominant sequences. For
2 example, one we reported on in the past has been with the
3 ice condenser containment, the possibility of floor drains
4 not being removed during refueling is a dominant sequence.
5 So we are not really locked into a magic number of five that
6 are. We are going to be considering —

7 DR. MARK: Yes. I fully agree with that. I am
8 just remembering an instance in which within the staff, not
9 PAS, frequency being high, associated with release which was
10 low and used therefore to guide a lot of statements on the
11 fact that they must be sure not to have this event happen
12 more often than once in a blue moon, whereas all of the
13 release really came from a different one and the probability
14 was low.

15 DR. EDISON: It was smoothed over?

16 DR. MARK: Didn't look at anything but the
17 probability. That is the reason for the remark and it may
18 just be as you say. We have checked it both ways and this
19 is still the same set.

20 DR. EDISON: The thought is in our mind, in
21 picking these sequences out, the thought was risk.

22 DR. OKRENT: I wonder if I could look at that
23 program in a different perspective. Let me preface the
24 question by a comment. I have the feeling that the program
25 you are planning is the right program to have done in 1975

MapBWH

1 and '76.

2 DR. EDISON: '73.

3 DR. OKRENT: Well, no. After you had WASH-1400.
4 I am not so sure it is adequate for today. I think it is
5 useful today, don't misunderstand me. So within some bigger
6 picture it is not so clear to me that this is adequate for
7 today in view of the time it will take, and so forth.

8 DR. SAUNDERS: I think it is adequate. It may not
9 be as good as can be obtained.

10 DR. EDISON: Adequate for what?

11 DR. OKRENT: From the point of view of the public
12 health and safety. I am measuring that way, not on any
13 other criteria, for some of the reasons we talked about
14 during the meeting. In the next two years, you will get
15 quite a bit of information, but perhaps not as much as one
16 would like to have. And maybe I am wrong. Maybe somebody
17 has thought this through as to just what is the possible
18 contribution to safety that can come from studies of this
19 sort, or an expanded set of studies, or this supplement to
20 the related types of studies and so forth.

21 This is, in fact, an adequate program, or more
22 than adequate, or it may not even be needed from the public
23 safety point of view. I am giving you my own personal
24 opinion that, as I understand what you are going to do, it
25 is neither optimum nor adequate. And when I use the term

kapBWH

1 adequate I think by an expanded program beyond what you have
2 now -- and I don't mean expanded by your office, necessarily
3 -- I think one could probably find other matters of
4 interest. And let's say the existing reactors that one
5 would find in an earlier stage and therefore in a
6 probabilistic way reduce the public risk.

7 I don't know that there is any highly probable
8 accident lurking there, but I am just speculating in my own
9 mind that one might be able to find contributors that were
10 of importance, statistically, at an earlier stage.

11 DR. EDISON: This would not be our only program.
12 There would be other efforts in parallel and other fronts.

13 DR. OKRENT: I can only form an opinion now in
14 terms of the programs I have heard discussed as planned or
15 likely to be undertaken. And -- at least to me, there is a
16 broader question of whether over and above this study,
17 assuming it is followed along the lines you have outlined,
18 over and above it makes sense for other kinds of -- for
19 additional studies to be done.

20 I think you could say that it not for PAS, your
21 research office. In other words, so if it is really a
22 bigger picture, a broader -- a wider body that would have to
23 decide this -- but I think the subcommittee ought to think on
24 this.

25 DR. LEWIS: Yes.

pbWH

1 DR. OKRENT: And see whether in fact we wish to in
2 some way develop any suggestions in this area.

3 MR. ROWSOME: My own thoughts along those lines
4 are these: I think we need as a tool for use in
5 prioritizing research something that might be called value
6 impact or -- if you will pardon the expression, decision
7 theoretic tools, that allow us to tackle the question of
8 uncertainties in a broader sense than simply finding
9 distributions and estimates of confidence bounds.

10 I think we need to organize an effort to question
11 our premises, to ask ourselves questions like, We believe
12 issue thus-and-so is put to bed or is of this magnitude or
13 is dominant. Let's entertain the hypothesis that that is
14 wrong, that that is dead wrong and it is either much worse
15 or it may be much better than we think.

16 If that is true, why might it be true? Where are
17 there weak spots and loopholes in the robustness of our
18 thinking? And what would be the consequences of our being
19 severely wrong? If we have grossly over-estimated something,
20 are we throwing resources away that could be better used
21 somewhere we have grossly estimated some hazard phenomena,
22 some generic category of the safety issue? Are we missing
23 the boat by not probing for the tender spots in our
24 understanding and to weight these factors together --
25 pardon the expression, in a decision theoretic kind of way.

kapBWH

1 and use the perspectives we get from this in the sense of
2 the topology of this question that emerges from this study
3 as one of the tools in setting our priorities, in orienting
4 our focus.

5 And since I think we need that tool now, at the
6 outset, I think that is something we ought to give the crash
7 program treatment to. We ought to sit down, think about it
8 and get something to use today and identify where we need
9 better tools and define that as a medium-scale research
10 effort in itself, and where we need long range effort to
11 scope that out, too.

12 DR. OKRENT: Are there other questions or
13 comments?

14 (No response.)

15 DR. OKRENT: If not, I guess we will plan on
16 having contacts in the near term to learn how things are
17 progressing on the various topics we have discussed, to see
18 when it is appropriate for another meeting of this
19 subcommittee on any of the three major topics that we talked
20 about. We won't try to anticipate right now when that will
21 be.

22 Did I see a hand at the back?

23 MR. APOSTOLAKIS: I would like to make a comment
24 on something that was said yesterday. Dr. Vesely was
25 talking about uncertainties and he said that you can do it

kapBWH

1 either using classical statistics or Bayesian methods. And
2 you can do it in a Bayesian way, you can propagate and then
3 Dr. Saunders said, you can do that but it is meaningless. I
4 would like to say that there are a considerable number of
5 people who think otherwise. That's all.

6 DR. SAUNDERS: I certainly think that's true.

7 (Laughter.)

8 MR. APOSTOLAKIS: Fine.

9 DR. OKRENT: If there are no other —

10 DR. MARK: Did you wish to have understood that
11 all Bayesian renditions are meaningless?

12 DR. SAUNDERS: I think not.

13 DR. OKRENT: Any other comments?

14 (No response.)

15 DR. OKRENT: In that case, I will adjourn this
16 meeting.

17 (Whereupon, at 12:00 noon, the meeting was
18 adjourned.)

19

20

21

22

23

24

25