

2

NUCLEAR REGULATORY COMMISSION

---

IN THE MATTER OF:

CLOSED MEETING

POOR ORIGINAL

Place -

Date - Sunday, 1 April 1979

Pages 1 - 45

7909260474  
(THIS TRANSCRIPT WAS PREPARED FROM A TAPE RECORDING.)

---

Telephone:  
(202) 347-3700

ACE - FEDERAL REPORTERS, INC.

Official Reporters

444 North Capitol Street  
Washington, D.C. 20001

NATIONWIDE COVERAGE - DAILY

1018 040

76

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

Sunday, 1 April 1979

THIS TRANSCRIPT WAS PREPARED FROM A TAPE RECORDING  
Tape 2-A, continuation of the same meeting.

1:15 p.m. 1

MR. AUSTIN: Each release category in WASH-1400 has associated with it certain curies release.

2  
3 COMMISSIONER GILINSKY: All right. Let's say reactor safety studies release, and I would take out the PWR part of it --

4  
5  
6 COMMISSIONER KENNEDY: I don't --

7 MR. AUSTIN: Mid-level.

8 COMMISSIONER KENNEDY: Don't forget this. You see, this is what they're talking about. Here's where all those clients come from.

9  
10  
11 COMMISSIONER GILINSKY: This will be explained in the back so --

12  
13 COMMISSIONER KENENDY: Oughtn't we to refer to that

14 COMMISSIONER GILINSKY: I'd like to have a version of this that can be turned over to people who don't know a thing about it.

15  
16  
17 COMMISSIONER KENNEDY: Look at this.

18 COMMISSIONER GILINSKY: Yeah.

19 COMMISSIONER KENNEDY: You see? This is pretty clear.

20  
21 COMMISSIONER GILINSKY: I know, but I think we can just say that all the foregoing assumes this.

22 COMMISSIONER KENNEDY: Oh, all right. Okay.

23 COMMISSIONER GILINSKY: We'll get to that.

24  
25 COMMISSIONER KENNEDY: All right.

1018 042

78

1 COMMISSIONER GILINSKY: We'd like it not to  
2 clutter up--  
3 COMMISSIONER KENNEDY: All right.  
4 COMMISSIONER GILINSKY: Safety study of -- mid-  
5 range?  
6 MR. AUSTIN : Mid-range.  
7 COMMISSIONER GILINSKY: Is that what it is?  
8 MR. AUSTIN: Yes  
9 COMMISSIONER GILINSKY: Mid-range release.  
10 COMMISSIONER KENNEDY: Does anybody know what  
11 that means?  
12 MR. AUSTIN : I think, can't you say the PWR-4  
13 category.  
14 COMMISSIONER GILINSKY: Well, nobody is going to  
15 know what that is. I think we could say-- What we're  
16 saying is not maximum, less than maximum release, or some-  
17 thing like that.  
18 COMMISSIONER KENNEDY: That isn't going to be  
19 meaningful, unless somebody knows what a maximum release  
20 would be.  
21 MR. AUSTIN: Significant release according to  
22 the coefficient.  
23 COMMISSIONER GILINSKY: Let's say that.  
24 COMMISSIONER KENNEDY: Okay.  
25 MR. KENNEKE: Yeah.  
COMMISSIONER KENNEDY: All right.



1 COMMISSIONER KENNEDY: Vic, you forgot to tell  
2 her to leave the back page, the last column off. She did  
3 it perfectly, but -- tell her she doesn't need to worry,  
4 just white it out. Tell her on the next one she shouldn't.

5 COMMISSIONER GILINSKY: What did you say?

6 JOHN AUSTIN: Significant release of core fission  
7 products. Significant releases, you know. Get the core  
8 in there because it's a core melt.

9 COMMISSIONER GILINSKY: I wouldn't put 24 hours.  
10 I would put parenthesis in here, time for pressure relief  
11 to exceed containment failure.

12 MR. AUSTIN: Time for containment failure.

13 COMMISSIONER KENNEDY: Time for containment  
14 failure.

15 COMMISSIONER GILINSKY: Yeah. All right. Time  
16 for containment failure, alright. Let's put 90-degree  
17 sector over here and that will take care of it, instead of  
18 having an asterix. Okay?

19 COMMISSIONER KENNEDY: Yeah. Sure.

20 COMMISSIONER GILINSKY: Well, first of all it  
21 should have more room here.

22 COMMISSIONER KENNEDY: It's the same thing  
23 down here.

24 COMMISSIONER GILINSKY: Five miles, 90 degrees.

25 COMMISSIONER KENNEDY: While you're doing that

80

1 do it at the bottom at the same time.

2 COMMISSIONER GILINSKY: and 10 miles, 180-degree  
3 sector. Okay? And 10 miles, 180 degrees. Okay?

4 So you've got "precautionary" here. Stay  
5 inside, make sure you're in explosive range. Precautionary,  
6 and now a question mark. Explosion. I think you have to  
7 put in the word "explosion" on the next line, just to make  
8 it clear.

9 COMMISSIONER KENNEDY: Which one?

10 MR. THOMPSON: What a minute, yeah, under release  
11 time?

12 COMMISSIONER GILINSKY: Under mixture and explosiv  
13 range. In the next box I would put "explosion." No  
14 significant change in reactor. In other words, you didn't  
15 expect it, but it went thru.

16 COMMISSIONER KENNEDY: Yeah. Okay. Explosion.

17 COMMISSIONER GILINSKY: Okay. No significant  
18 change.

19 COMMISSIONER KENNEDY: And then next phrase you  
20 should say explosion, too.

21 COMMISSIONER GILINSKY: Any release?

22 COMMISSIONER KENNEDY: No.

23 COMMISSIONER GILINSKY: Here?

24 COMMISSIONER KENNEDY: Yeah, explosion, core  
25 crushed.

81  
1018 045

1 COMMISSIONER GILINSKY: Now we don't have here  
2 worse items, significant breach of containment, et cetera,  
3 but--

4 COMMISSIONER KENNEDY: Well, they sa'd back here--  
5 They said back here Rupenhouse indicates the pressure  
6 vessel would not rupture.

7 COMMISSIOER GILINSKY: Okay, because, this is  
8 the one which could really go boom and break open right up.  
9 But that's why mixture in the explosive range says--

10 COMMISSIONER KENNEDY: They're working on that  
11 bubble problem. They've got a new idea.

12 COMMISSIONER GILINSKY: Oh, yeah?

13 MR. SAUTER: Al Kenneke isn't here?

14 COMMISSIONER GILINSKY: Okay, lets--

15 COMMISSIONER KENNEDY: Using the sulfide.

16 MR. SAUTER: Has he talked to you about the  
17 8-hour business yet?

18 MR. THOMPSON: Yes, he did mention that. 8 hours

19 MR. SAUTER: You know, to get out.

20 MR. THOMPSON: I think he's planning to take it  
21 out.

22 MR. SAUTER: You want to have some qualifying  
23 words in there which you can--

24 (Simultaneous discussion.)

25 COMMISSIONER KENNEDY: But they got an oxygen

1 absorber instead, sulfides, and you wind up getting a sulfate, chewing up the oxygen.

2  
3 COMMISSIONER GILINSKY: Sulfite?

4 COMMISSIONER KENNEDY: Yeah, sulfite.

5 COMMISSIONER GILINSKY: That right?

6 COMMISSIONER KENNEDY: Yes. And then it chews  
7 up the oxygen.

8 MR. AUSTIN: The trick, that will only get the  
9 oxygen in the water.

10 COMMISSIONER GILINSKY: Let's work on our chart,  
11 okay? Later we'll solve the reactor problem.

12 COMMISSIONER KENNEDY: If its against the water,  
13 oxygen won't be releasing and increasing the amount of  
14 oxygen in the containment.

15 COMMISSIONER GILINSKY: Let's see. Okay. Here,  
16 core crushed, unlikely, and then say release in time--  
17 I would just put it back here, see 2. Expected planned  
18 event, I would put core melt here.

19 COMMISSIONER KENNEDY: Yeah.

20 COMMISSIONER GILINSKY: Core melt, see 2.

21 Now as your core --

22 COMMISSIONER KENNEDY: Yeah. Okay.

23 COMMISSIONER GILINSKY: Okay?

24 COMMISSIONER KENNEDY: Yeah.

25 COMMISSIONER GILINSKY: I'd put on this thing

1018 047

83

1 evacuate. If something happens in there for one reason  
2 or another, anybody evacuates the control room, which I  
3 would think would happen.

4 On the other hand I don't know what happens.  
5 When, do these guys know that there's a core melt do they  
6 stay there?

7 COMMISSIONER KENNEDY: They stay there for a  
8 while. They stay there until such time as activity levels  
9 are so high that the dose rates won't permit. Isn't that  
10 correct?

11 MR. AUSTIN: They should, because there are things  
12 they can still do, containment space --

13 COMMISSIONER KENNEDY: Yeah. And indeed, they  
14 may leave for a while --

15 MR. AUSTIN: To the secondary.

16 COMMISSIONER KENNEDY: -- to the secondary,  
17 waiting to find out what the activity levels are. When  
18 the activity levels drop, if they do, they go back.

19 COMMISSIONER GILINSKY: And what's the secondary?  
20 Control room?

21 COMMISSIONER KENNEDY: The secondary control  
22 room, yeah, which has less capability.

23 MR. AUSTIN: But clearly would have that  
24 capability for which the condition got you there.

25 COMMISSIONER GILINSKY: Well, what would we  
say here? The loss of control? I would say treat like --

84

1018 048

1 like major release, something like that.

2 COMMISSIONER KENNEDY: Yes, that's fair.

3 COMMISSIONER KENNEDY: We've got to do something  
4 with it, except very temporarily. I first, maybe it was  
5 just me, when I first read it.

6 MR THOMPSON: It really doesn't need to be put  
7 in there, I mean because that's really-- if you're just  
8 temporarily evacuating, you're not evacuating the control  
9 room.

10 COMMISSIONER KENNEDY: That's right.

11 COMMISSIONER GILINSKY: Treat like major release,  
12 huh?

13 COMMISSIONER KENNEDY: Yeah. Sure.

14 COMMISSIONER GILINSKY: Release Okay? Evacuate  
15 First of all, we don't have to say "evacuate." Just  
16 evacuation scenario, right? Can't we just drop that?

17 COMMISSIONER KENNEDY: That's right. You can. Yes

18 COMMISSIONER GILINSKY: Let's just drop that.

19 COMMISSIONER KENNEDY: Oh, no. No, wait, wait,  
20 wait. Yes, you do. Because they're two different things.  
21 One's evacuation, the other is stay inside. Right? That's  
22 what I was suggesting.

23 COMMISSIONER GILINSKY: All right, good enough,  
24 don't waste time. All right. Why don't we just turn this  
25 thing over.

85 1018 049



1 (Simultaneous discussion.)

2 COMMISSIONER GILINSKY: Would you get her to type  
3 this "Unplanned Events" on the top, please?

4 MISS HARDING: Yes. Isn't there --

5 (Simultaneous discussion.)

6 MISS HARDING: I want to tell some of the people  
7 there that you could lose the power.

8 COMMISSIONER KENNEDY: Yes, but there's a loss of  
9 Tht's in the front sheet. On the front page, it's a loss  
10 of power.

11 MR. THOMPSON: That was loss of offsite power  
12 which goes not--

13 COMMISSIONER GILINSKY: We can say loss of the  
14 control room.

15 (Simultaneous discussion.)

16 MR. THOMPSON: You evacuate a loss of the control  
17 room.

18 COMMISSIONER KENNEDY: Evacuate or loss --

19 MISS HARDING: -- the control room.

20 COMMISSIONER KENNEDY: -- the control room.

21 COMMISSIONER GILINSKY: Okay. For whatever  
22 reason, I don't know why. Get them to tack that on and add this  
23 okay? Now, let's, let us now put down the assumptions that  
24 this is being done, because you say that right away.

25 COMMISSIONER KENNEDY: Well, here they --

86

1018 050

1 COMMISSIONER GILINSKY: They though this was very  
2 important. What about the stuff right at the beginning?

3 COMMISSIONER KENNEDY: On the front page?

4 COMMISSIONER GILINSKY: They thought this was  
5 terribly important. Somehow, it didn't do much for me.

6 VOICE: It actually should be evaluated at the  
7 hour of time.

8 COMMISSIONER KENNEDY: I don't have any problem  
9 with putting it on there. It didn't do an awful lot for me  
10 either, but, you know, if they think it's terribly important  
11 I think we ought to put it there.

12 (Simultaneous discussion.)

13 COMMISSIONER GILINSKY: It's just two sentences.

14 COMMISSIONER KENNEDY: What's the last one?

15 COMMISSIONER GILINSKY: An actual release or  
16 potential should be evaluated in there entirety.

17 COMMISSIONER KENNEDY: Well, that's skipped-- I  
18 think it's the last sentence; is the import one. Am I  
19 right? I think so.

20 MR. THOMPSON: Certainly, for making some decision

21 COMMISSIONER KENNEDY: Yeah. I think we ought to  
22 leave it there.

23 COMMISSIONER GILINSKY: Alright, let's leave it,  
24 okay?

25 COMMISSIONER KENNEDY: And also, Vic, it pertains  
to --

1018 051

87

1 COMMISSIONER GILINSKY: You know, we could put  
2 this on the bottom of the first table.

3 COMMISSIONER KENNEDY: My suggestion --

4 COMMISSIONER GILINSKY: Why don't we say these  
5 tables include another assumption.

6 COMMISSIONER KENNEDY: Okay.

7 COMMISSIONER GILINSKY: All right?

8 COMMISSIONER KENNEDY: Yeah.

9 COMMISSIONER GILINSKY: These tables include another  
10 assumption.

11 COMMISSIONER KENNEDY: Now here are the other  
12 assumptions.

13 COMMISSIONER GILINSKY: Then we say "constitute  
14 conservatism." All right. Could you get this put on the  
15 bottom of these?

16 MISS HARDING: You want it on the bottom of  
17 both of them?

18 COMMISSIONER GILINSKY: Of the first one, just --

19 MISS HARDING: The first page?

20 COMMISSIONER GILINSKY: Yeah, just the first page.

21 COMMISSIONER KENNEDY: Here are the rest of the  
22 assumptions.

23 COMMISSIONER GILINSKY: All right. Now let's go  
24 to the assumptions.

25 COMMISSIONER KENNEDY: Page 7.

1018 052

88

1 COMMISSIONER GILINSKY: Is this it, the weather.  
2 COMMISSIONER KENNEDY: The weather, heat genera-  
3 tion, and then, if you need to include some of this stuff--  
4 COMMISSIONER GILINSKY: Well, we'll just attach  
5 it in the back --  
6 COMMISSIONER KENNEDY: Because they're part of  
7 the assumptions -- you don't need this.  
8 COMMISSIONER GILINSKY: I know, we'll --  
9 COMMISSIONER KENNEDY: But that's a set of  
10 assumptions.  
11 COMMISSIONER GILINSKY: I don't know that we need  
12 all this stuff having said it previously. Do we need that  
13 first paragraph, can we put in a --  
14 COMMISSIONER KENNEDY: I guess I'd leave it there.  
15 COMMISSIONER GILINSKY: Because we have the  
16 conservative business.  
17 MR. AUSTIN: On that first page when you said  
18 conservatism of members, I think Steve said that they did  
19 this realistically with the objective of not being optimistic  
20 is his definition of conservative. So it's not a-- How  
21 about just say realistic?  
22 COMMISSIONER KENNEDY: It's not a calculated--  
23 COMMISSIONER GILINSKY: We aren't being realistic?  
24 MR. THOMPSON: Probably should  
25 COMMISSIONER GILINSKY: Realistic. Okay. But then  
why are we saying conservative. The condition was in the next  
few days?

1 MR. AUSTIN: That's how he defined conservatism.

2 MR. THOMPSON: In other words, you're not taking  
3 the worst meteorology you could have, but look --

4 COMMISSIONER GILINSKY: Why don't we say realistic  
5 then; it's kind of realistic leaning to conservative, but  
6 let's not --

7 MR. THOMPSON: Yeah.

8 COMMISSIONER GILINSKY: Let's go on conservative,  
9 a little conservatively when we do it. All right. I want to  
10 put in a sentence: rain could meet the higher load and local  
11 radioactivity level.

12 COMMISSIONER KENNEDY: That's fine. It's the  
13 virtual truth.

14 (Laughter.)

15 COMMISSIONER GILINSKY: Okay. Heat generation so on  
16 so on, so on. Okay.

17 COMMISSIONER KENNEDY: That's fine.

18 (Simultaneous discussion.)

19 COMMISSIONER GILINSKY: Now what about this thing?  
20 What about this business?

21 COMMISSIONER KENNEDY: I think we need that.

22 COMMISSIONER GILINSKY: What about that one?

23 (Simultaneous discussion.)

24 COMMISSIONER KENNEDY: This one, too.

25 COMMISSIONER Gilinsky: Do we need to take  
employees out?

1018 054

90

1 COMMISSIONER GILINSKY: Not yet.

2 COMMISSIONER KENNEDY: This whole sheet ought to go.

3 MR. THOMPSON: I think you're really --

4 (Simultaneous discussion.)

5 COMMISSIONER KENNEDY: Is this the kind of assump-  
6 tions that are really central to that entire set of calcula-  
7 tions that are involved in core melt down sequences. Now  
8 I think you've got everything you need. I don't think --  
9 I wouldn't --

10 COMMISSIONER BRADFORD: So, those are people --  
11 several parts --

12 COMMISSIONER GILINSKY: What about the specific  
13 sequence?

14 COMMISSIONER BRADFORD: Might you have vectors of  
15 a LOCA?

16 COMMISSIONER KENNEDY: Which one?

17 COMMISSIONER GILINSKY: Just stick that back there.

18 COMMISSIONER BRADFORD: Would you?

19 COMMISSIONER KENNEDY: This? I don't know.

20 MR. THOMPSON: The weakest thing is going to go fir

21 COMMISSIONER BRADFORD: That's probably what we say  
22 about everything else.

23 MR. THOMPSON: Well, you will still get that water  
24 hammer. That water is going to have a force that will knock  
25 over a building.

1018 055

91



1 COMMISSIONER BRADFORD: So, in fact then, how  
2 would you get water back over the core?

3 MR. THOMPSON: I'd say you'd just use the normal  
4 injection system. Unless your piping were ripped off.

5 COMMISSIONER KENNEDY: I couldn't understand what  
6 Kenneke was telling us. But, it is all changed.

7 MR. THOMPSON: You mean the whole thing; when?

8 COMMISSIONER KENNEDY: No.

9 MS. STETLER: No.

10 COMMISSIONER KENNEDY: More than that.

11 COMMISSIONER BRADFORD: You mean the injection  
12 actually sprays from underneath?

13 MR. AUSTIN: That's designed to relieve the  
14 pressure. It's not like the BWR.

15 COMMISSIONER KENNEDY: That -- Well, you could put  
16 that whole thing on there, back of the back, and nobody has  
17 to read it. You can just call it the appendix -- just the  
18 way it is.

19 COMMISSIONER GILINSKY: But that has considerate  
20 stuff in it so, I don't know --

21 COMMISSIONER KENNEDY: Well, you take all those  
22 things out, and you put this, this, this page and this;  
23 these, and you take this one out. These 4 pages. How's that?  
24 We've already got this one. We've got this one in -- con-  
25 clusive summary.

1018 056

92

1           COMMISSIONER GILINSKY: But that makes the assump-  
2 tion there too.

3           COMMISSIONER KENNEDY: No. I don't think so.

4           COMMISSIONER GILINSKY: But you see what's avail-  
5 able, and what we need to find, and this whole thing will  
6 have gotten away.

7           COMMISSIONER KENNEDY: Yes. That's right.

8           COMMISSIONER GILINSKY: We need this business  
9 all right.

10          COMMISSIONER KENNEDY: We need that business and  
11 we need --

12          COMMISSIONER GILINSKY: This would be here. This  
13 is summary of action alternatives. That's what this is.  
14 Why don't you have him put that together, --

15          COMMISSIONER KENNEDY: -- with the other thing,  
16 he is. He's supposed to be putting that other table --

17          COMMISSIONER GILINSKY: Did he do it?

18          MS. STETLER: It is, just take out the in eight  
19 hour. Do you have an explanation for that now, or are you  
20 going to wait.

21                   (Simultaneous general discussion.)

22          COMMISSIONER KENNEDY: What is this? We missed  
23 something, Victor.

24          COMMISSIONER BRADFORD: If you don't have any  
25 warning time, that's not a precautionary evacuation.

1018 057

93

1 COMMISSIONER GILINSKY: This is on the basis of  
2 knowing that, it's indeterminate.

3 COMMISSIONER BRADFORD: No, Darrell Eisenhut told  
4 me this morning those were all (inaudible).

5 MR. AUSTIN: That warning time is to a dose.

6 COMMISSIONER GILINSKY: It's flammable.

7 MR. THOMPSON: I just talked to Case and Case  
8 said it wasn't. He didn't think it was an explosive -- I  
9 mean flammable. Let me talk to Eisenhut again.

10 COMMISSIONER GILINSKY: I think at this point we're  
11 saying that it's (inaudible).

12 COMMISSIONER KENNEDY: It's what?

13 COMMISSIONER BRADFORD: All right, if Darrell says  
14 this morning it's for all intents clear, then --

15 COMMISSIONER GILINSKY: Well, why don't I ask him?

16 COMMISSIONER KENNEDY: Well, it says something  
17 about that right back here, about what this is based on.  
18 Hydrogen explosion.

19 COMMISSIONER BRADFORD: Right.

20 COMMISSIONER GILINSKY: No, but I think that --

21 COMMISSIONER KENNEDY: That's the pressure vessel.

22 COMMISSIONER GILINSKY: Yeah.

23 COMMISSIONER KENNEDY: That's the pressure vessel.

24 COMMISSIONER BRADFORD: So is this, though.

25 MR. AUSTIN: This is merely your pending case.

1 COMMISSIONER KENNEDY: All right. It says it  
2 could rupture the vessel and/or flush the core. Rough  
3 analysis indicates the pressure vessel would not rupture.

4 COMMISSIONER BRADFORD: Joe thinks it would. One  
5 rough analysis against another, or at least Joe thought it  
6 might.

7 MR. AUSTIN: I think what this says is what this  
8 warning time is to when you get to a certain dose. At this  
9 level you have yet to have an explosion. If you don't know  
10 you've got the mixture there, what is your response to it?  
11 According to this you would say a precautionary two-mile  
12 evacuation.

13 COMMISSIONER GILINSKY: I would say undetermined.

14 COMMISSIONER BRADFORD: But how can you -- How can  
15 you -- put down on the same line, core crushed. Mixture in  
16 the explosive range is somewhere earlier in the sequence of  
17 events.

18 COMMISSIONER GILINSKY: Right.

19 MR. AUSTIN: This one's the explosion, core  
20 crushed.

21 COMMISSIONER GILINSKY: Yeah, but this one actually  
22 took place.

23 MR. AUSTIN: We added the word, explosion.

24 COMMISSIONER GILINSKY: Well, you could put in here  
25 potential hydrogen explosion, and here hydrogen explosion.

1018 059

95

1 Shall we do that?

2 COMMISSIONER KENNEDY: I wouldn't. I think it's  
3 all right the way it is.

4 COMMISSIONER BRADFORD: Well, but then, if you  
5 carry it on into the evacuation scenario, what you're saying  
6 here is there is no evacuation, there's no precautionary  
7 evacuation.

8 COMMISSIONER GILINSKY: Well, you're not going --  
9 This one is not because it's happened -- and nothing has  
10 changed.

11 COMMISSIONER BRADFORD: Well, this is after the  
12 explosion happened.

13 COMMISSIONER KENNEDY: It has happened.

14 COMMISSIONER BRADFORD: Nothing changes.

15 COMMISSIONER GILINSKY: Here it just takes you up to  
16 the core melt scenario.

17 COMMISSIONER BRADFORD: Why do you need the  
18 hydrogen explosion in there. Before I'd -- it takes some  
19 time before you learn nothing has changed and you have this --

20 COMMISSIONER KENNEDY: No, no. But you know you're  
21 not getting -- The question is of course the only thing you're  
22 concerned about as to the specific event, the thing you're  
23 concerned about here is releases. You're going to know  
24 whether you've got releases --

25 COMMISSIONER BRADFORD: Right. But --

1018 060

1           COMMISSIONER KENNEDY: -- as a result of that very  
2 shortly after the event.

3           MR. AUSTIN: It's being degraded.

4           COMMISSIONER KENNEDY: But that's a different  
5 situation.

6           MR. AUSTIN: If you don't know about it now.

7           COMMISSIONER BRADFORD: You see, but it's going to  
8 take some checking at that point before you are aware of the  
9 extent of the damage, and I would think before you -- If you  
10 had a good quantity of the core rattling around.

11          COMMISSIONER GILINSKY: Well, why don't we --

12          MR. THOMPSON: You want me to report back on where  
13 we think we stand on the hydrogen bubble? Right now we believe  
14 it takes 5 percent of oxygen to become flammable; 11% to be  
15 a detonation mixture. Right now we think we've got 5 percent.  
16 And they're doing some quick recalculations because they  
17 think the 5 percent flammability number may be high, like it  
18 may be 4.8 or 4.7. But so, for all practical purposes,  
19 we've got to assume the mixture is flammable, but I don't  
20 think anybody is assuming right now that he thinks it's an  
21 explosive mixture.

22          COMMISSIONER BRADFORD: Darrell specifically says --

23          MR. THOMPSON: Those are Darrell's numbers, right  
24 there.

25          COMMISSIONER BRADFORD: Okay.

          MR. THOMPSON: Darrell wrote that. But they --

1018 061



1 Saul Levine is on the phone, telling somebody to run addi-  
2 tional --

3 COMMISSIONER GILINSKY: -- hard numbers that they  
4 know of because yesterday, they said it was 2-1/2 percent.

5 MS. STETLER: Did they give you some feel for the  
6 rate?

7 MR. THOMPSON: Generation rate? I didn't --

8 MR. AUSTIN: Is that at 1,000 psi?

9 MR. THOMPSON: At 1,000 psi.

10 COMMISSIONER BRADFORD: I would think that any  
11 hydrogen explosion in the reactor vessel would lead to  
12 evacuation.

13 COMMISSIONER GILINSKY: Oh, hey, we're not doing  
14 anything for the plant.

15 COMMISSIONER KENNEDY: No, we haven't done anything.

16 COMMISSIONER GILINSKY: Let's do the same thing.  
17 Can you get a blank. Let's see, how do we handle that?

18 COMMISSIONER KENNEDY: You need a blank, just like  
19 we had.

20 COMMISSIONER GILINSKY: See if you can get a  
21 blank so we can write --

22 MS. MUCCHETTI: One of those blank charts again?

23 COMMISSIONER GILINSKY: Yeah.

24 COMMISSIONER KENNEDY: Meanwhile, I'm going to  
25 check to see if the President is arriving at the site.

1018 062

98

1           COMMISSIONER BRADFORD: It's a test of significance  
2 whether the President's arrival is more important than the  
3 arrival of another percent of oxygen.

4           COMMISSIONER KENNEDY: I think it's more likely to  
5 have an increased level of carbon dioxide with the increased  
6 numbers of people.

7           COMMISSIONER BRADFORD: True. Well, I don't  
8 know what to put here. If you knew that the mixture in the  
9 explosive range would precautionary evacuation be two miles,  
10 five miles? Two, you think?

11          MR. AUSTIN: I would assume you'd have loss of  
12 vital functions somewhere so I would go to --

13          COMMISSIONER BRADFORD: This is more like an  
14 explosion isn't it? This is after you discover that --

15          MR. THOMPSON: This is just the first one right  
16 here.

17          COMMISSIONER BRADFORD: If you knew that you could  
18 have an explosion.

19          MR. THOMPSON: Makes it just in the explosive  
20 range.

21          MR. AUSTIN: Precautionary 2 mile evacuation.

22          COMMISSIONER BRADFORD: Yeah. Yeah, at least that,  
23 but my question was whether you stop at 2.

24          COMMISSIONER KENNEDY: I would.

25          COMMISSIONER BRADFORD: I was going to prepare a  
chart with different views.

1018-063

1 (Laughter.)

2 (Recording difficulties.)

1:50 p.m.

3 MR. BUDNITZ: More than 2 together, not in that  
4 room. Look, I'm sorry, that five minutes was getting a  
5 helicopter to get the stuff.

6 We now have two different groups doing calcula-  
7 tions, one in Pittsburgh, one in National Reactor Research  
8 Lab, and a third group in Idaho working with them. And we  
9 now understand what the flammability problems are with that  
10 stuff in the upper head, and I'll give you the numbers, if  
11 I can find them.

12 COMMISSIONER AHEARNE: Now this is at peak. But you  
13 need something like 600 degrees Farenheit?

14 MR. BUDNITZ: Yes. Well, here's what I'm talking  
15 about. We've got a vessel the pipe's out here, and up  
16 here, there's gas. All right? We now think there's 3 to  
17 4 percent oxygen, and the rest is hydrogen. Okay? There's  
18 hydrogen and oxygen bubbling up because of continuous ioniza-  
19 tion in this thing. It builds up.

20 There's a point at which that oxygen will get to  
21 be enough so that if a fire were to start, it would burn.  
22 Right now if you put a spark plug in there it would quench;  
23 not enough oxygen. At standard temperature and pressures,  
24 that limit is 6 percent; it's actually 5.8.

25 The guys did calculations of 70 atmospheres, which

100  
1018 064

1 is where we are, and it turns out it's 4.8 percent, we were  
2 saying 5. There's now a guy saying 4.8. I said, gee, that's  
3 two significant figures. And he said yeah, but it's 4.8.  
4 I've got another guy that says it's 5.0. So that's what it is.

5 Now at 5.0 if you light a spark it will burn, and  
6 it burns for about 10 milliseconds, during which time all of  
7 the oxygen that's in there is used up.  $H_2O$ , twice as much  
8 hydrogen is used up, and that's where it stays. When that  
9 burn takes place in a 10 or 20 millisecond process you get  
10 a pressure pulse which is proportional to the pressure there,  
11 not an increase in pressure but a factor. It turns out the  
12 factor is 5.5. At 1,000 psi, that's 5,500 psi.

13 COMMISSIONER AHEARNE: When it's burning?

14 MR. BUDNITZ: During the pulse. During the burn.  
15 During that millisecond of -- During that 10 milliseconds you're  
16 going to get a pressure pulse which is a factor, and I was  
17 surprised there wasn't a pressure increase, but it's not. I  
18 understand the physics of that, which is -- which was kind of  
19 surprising to me. Okay?

20 So if you get that burn up there and it goes to  
21 5,500 psi, we're in trouble, and the reason why we're in  
22 trouble is with the yield stress of that vessel, which we  
23 thought was a little higher, we think is around 5800 or  
24 it might be 6100 psi.

25 COMMISSIONER GILINSKY: How come it pulses?

5  
1018 060

101

1 MR. BUDNITZ: Ten milliseconds long. I have the  
2 joules but --

3 COMMISSIONER GILINSKY: What does that mean? Is it  
4 one big --

5 MR. BUDNITZ: It's a ten millisecond pressure  
6 pulse.

7 COMMISSIONER GILINSKY: Well, what does it do?  
8 Is it a spike?

9 MR. BUDNITZ: It will cause -- It's a hoop  
10 stress problem and it will cause a crack which, if you  
11 were looking out, it would be like this.

12 COMMISSIONER AHEARNE: Bob, when you say it's a  
13 ten millisecond burn do you mean it takes ten milliseconds  
14 for the whole wave to go through?

15 MR. BUDNITZ: That's right. For that whole --  
16 For that whole --

17 COMMISSIONER AHEARNE: For the wave it to go through.  
18 But now is the detonation wave ten milliseconds long?

19 MR. BUDNITZ: Yeah.

20 COMMISSIONER BRADFORD: When that happens --

21 COMMISSIONER AHEARNE: It is a fairly sharp rise?

22 MR. BUDNITZ: It's a sharp rise, ten milliseconds  
23 long, and then it comes back down.

24 COMMISSIONER BRADFORD: What happens to the surface  
25 of the water --

1 MR. BUDNITZ: Yeah, that pressure pulse is going to  
2 be everywhere. The most important --

3 COMMISSIONER GILINSKY: What's the detonation --

4 MR. BUDNITZ: But most importantly -- No, the  
5 explosion's a little later I'll come to that. This is  
6 not an explosion. This is a chemical burn, but it's fast.

7 Most importantly is where the gas is above the  
8 water, there's the head. Okay? It really goes like this,  
9 and then there's the head, and then there's bolts. And the  
10 water is like here. And it's here that you're going to get  
11 that you know.

12 And from the inside out it's going to be like that.  
13 That's the way it's called hoop stress. And we might lose  
14 that vessel, which we can't afford. Although, by the way,  
15 losing it at the top is going to be like a LOCA; it's not  
16 like losing it at the bottom, but it still is bad.

17 COMMISSIONER BRADFORD: Do you expect any kind of  
18 time sequence?

19 MR. BUDNITZ: There is going to be a propagated  
20 pulse everywhere in the system. We're going to lose valves;  
21 we're going to lose seals; we're going to lose the pumps. We  
22 just can't stand that.

23 There was a time only yesterday when people were  
24 saying that Well, if it burns, it burns.

25 COMMISSIONER GILINSKY: I just said that.

103

1018 067



1 MR. BUDNITZ: Now there's another thing, there's  
2 another point --

3 COMMISSIONER AHEARNE: Another source of misinfor-  
4 mation.

5 MR. BUDNITZ: -- which you have to say -- and that  
6 is if that oxygen gets to the 5 percent, 4.8, nothing  
7 happens unless you set it off with a spark. The spark you  
8 need is about 1800 degrees Kelvin, a very high spark to set  
9 it off. If you have any -- But of course any small thing  
10 gives you that for the nanoseconds that it takes. And then  
11 it just goes.

12 Now if you don't have anything like that, if  
13 there's no electrical things or anything like that, you  
14 could raise that oxygen and just keep raising, raising, raising  
15 and nothing happens. In fact, the guy said you can get all  
16 the way stoichiometry, which is one third, two thirds hydrogen  
17  $H_2O$ , and it would sit there forever.

18 COMMISSIONER BRADFORD: What does stoichiometry mean?

19 MR. BUDNITZ: That means we're in -- Hydrogen and  
20 oxygen  $H_2O$  is exactly two thirds, one third. It's the perfect  
21 mixture.

22 COMMISSIONER BRADFORD: And that's the most  
23 explosive?

24 MR. BUDNITZ: That would be the most explosive.

25 On the other hand, the closer you get, the lower  
that 1800 degrees Kelvin gets, until you're awfully close to  
a trigger.

104

1018 068

1 But the point I'm making is that you can raise the  
2 oxygen level if it's absolutely steady, absolutely steady,  
3 and nothing happens forever. But it's just not something you  
4 would ever want to do.

5 COMMISSIONER BRADFORD: When you say lower it until  
6 you are close to a trigger, trigger means that it would  
7 happen at the --

8 MR. BUDNITZ: The amount of --

9 COMMISSIONER BRADFORD: -- amount of oxygen that's  
10 in there now?

11 MR. BUDNITZ: No. Let me say. As the oxygen goes  
12 up from the 5 percent at which it would support a flame to  
13 one-third, which is  $H_2O$ , the amount of energy it takes to  
14 start it becomes less and less and less and less, until at  
15 two-thirds, one-third, the amount of energy is really quite  
16 small. It might even be induced by things like shloshing.  
17 At that.

18 So that's a -- But of course you'll never get  
19 there for a number another reason --

20 COMMISSIONER AHEARNE: Many, many, many percentages  
21 of --

22 MR. BUDNITZ: You'll never get there for another  
23 reason that I'm going to tell you, that is if the oxygen were  
24 to go from 5, 6, 7, 8 or 9, and at just over 10 percent --  
25 yesterday we thought it was 12, we now -- all agree it's  
around 10 percent. At 10 percent we reach a regime where

1 if it starts, it doesn't burn, it explodes.

2 A burn would be 10 or 20 milliseconds, and an ex-  
3 plosion will be microseconds. And a microsecond explosion  
4 is a true, coherent, complete combustion all at once. And it  
5 turns out that you get a pressure pulse which is again a  
6 factor above the present, and it's a factor of 13-1/2, 13,000  
7 psi. Gonna lose everything if we get that.

8 COMMISSIONER AHEARNE: What's the difference  
9 between yesterday in this portion?

10 MR. BUDNITZ: Okay. Now again --

11 COMMISSIONER AHEARNE: You've got a 14,000 --

12 MR. BUDNITZ: You've got 1400?

13 COMMISSIONER AHEARNE: 14,000/

14 MR. BUDNITZ: 14,000. We're getting 13-1/2. That's  
15 about the same number.

16 COMMISSIONER AHEARNE: Yes.

17 MR. BUDNITZ: Okay? So if you ever got to 10-plus  
18 percent, then you got the spark, you're going to blow every-  
19 thing. And this business about 5500 being closer above the  
20 yield stress here, it's just way above it, and we're going to  
21 lose everything.

22 Now there's a more important point and that is  
23 that again, if you're at 10 or 11 percent you can sit there  
24 and not much happens until you get a spark. But the key point  
25 in this whole thing is that that's all at the present  
temperature --

1018 070

106

1 COMMISSIONER AHEARNE: Tell them about the ringing.

2 MR. BUDNITZ: -- which is 280F.

3 COMMISSIONER AHEARNE: Tell them about the ringing,

4 MR. BUDNITZ: I'll tell you about the ringing, too.

5 COMMISSIONER AHEARNE: -- which is important.

6 MR. BUDNITZ: It's another point.

7 This is all 280 degrees F., which is where we are.

8 Now in either case, if you have this millisecond  
9 pulse which is the burn or the microsecond pulse which is the  
10 explosion, the pulse doesn't just happen once and it's over.  
11 It's like a wave which will bounce back and forth because  
12 there is no way to damp that energy rapidly except by the  
13 mechanism of the H<sub>2</sub>O which you made in the chemical explosion,  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1018 071

107

1 congealing one on the other and finally you get condensation  
2 and it will damp out.

3 The millisecond thing could last for seconds, one  
4 or two or three seconds. The microsecond thing should proba-  
5 bly only last ten's of milliseconds.

6 It's still very bad. We just--

7 COMMISSIONER AHEARNE: Instead of one sharp spike.

8 MR. BUDNITZ: So it's one sharp, followed by a  
9 bunch of rings. Okay? There's just no other way to get  
10 that energy out of there.

11 Well, now here's the key point. We're at 280  
12 degrees F. If you gradually raise the temperature up, you  
13 finally get to 680.

14 COMMISSIONER AHEARNE: Isn't that the bulk?

15 MR. BUDNITZ: The bulk temperature. Okay? The  
16 bulk temperature of the water and the gas.

17 As soon as that gas gets to 680 degrees F., 360  
18 degrees C., it will spontaneously combust without any  
19 ignition, and that's true at any mixture about the 5 percent  
20 which will sustain combustion.

21 If it was at 10 percent and you reach 680, it  
22 would explode, and if it's at 5 to 10, it will burn. Okay?  
23 And that's now calculated by a couple of people, and one  
24 says 680 and the other one gives me another 20 degrees above  
25 that, so we're trying to use 680 to be conservative.

108

1018 072

1 Now that tells us that we've got to keep that water  
2 below that, because the water and the gas are in some sort of  
3 contact fairly rapidly. Okay?

4 These calculations are now close enough to being  
5 reliable, I think we have to operate on them.

6 COMMISSIONER BRADFORD: What is the temperature  
7 likely to be at the top of the water?

8 MR. BUDNITZ: The temperature at the tope of the  
9 water and in the gas are, we think identical. It's all 270  
10 or 280 F. Very close.

11 If the water-- Now we've done the transfer, by  
12 the way. We've done the transfer calculation. If you raise  
13 the water by 10 degrees instantaneouslyk it takes only a  
14 fraction of a minute before the gas is at that temperature.  
15 Just put the temperatures up there.

16 COMMISSIONER BRADFORD: There wouldn't be likely  
17 to be hot spots in the top of the water as a result of  
18 hotter--

19 MR. BUDNITZ: We've thought about that. We've  
20 thought about that. Nobody seems to think so because there'  
21 a film of water, and that provides homogeniety.

22 Now there's one-- There's only one thing that's  
23 killing us-- There are actually two, and I'll tell you what  
24 they are.

25 Imagine that here's the top of the water, and



1 here's the gas. And this is -- what did we say? -- 4 per-  
2 cent and 96 percent. Okay? But what's coming out of here is  
3 two-thirds hydrogen and one-third oxygen because it's H<sub>2</sub>O.

4 Now suppose that there's a thing sticking down into  
5 the thing, a piece of metal sticking down through the level  
6 everybody see what I'm drawing? -- and suppose that that has  
7 a thing that's like this. Do you know what's in here? Two-  
8 thirds, one-third.

9 Now if that were true it would probably sit there  
10 at this temperature.

11 COMMISSIONER GILINSKY: Oh, I see.

12 MR. BUDNITZ: Okay? We don't know that that's true.  
13 We have no idea what the geometry is right near this.

14 There may be little hoods with two-thirds, one-  
15 third in them because it's going this way and this other stuff  
16 is settling. If that's true and the water level were to drop  
17 below, we could have a mixture --

18 COMMISSIONER GILINSKY: Spontaneous--

19 MR. BUDNITZ: -- that might be closer.

20 It still won't ignite until it's at the right tem-  
21 perature but several things could give trouble there.

22 COMMISSIONER GILINSKY: What if they're hot.

23 MR. BUDNITZ: Whether or not that's hot.. But we  
24 don't have any idea what the geometry is there, and it's  
25 been studied carefully; people have looked at drawings. An

1018 074

110

1 everything looks like it's flat. But anybody who has ever  
2 seen something with bolts on it knows that not everything is  
3 flat that's got bolts on it. So that's a pretty tough, pretty  
4 hard constraint.

5 COMMISSIONER BRADFORD: Are you pretty confident  
6 now about the volume that makes up the denominator of that  
7 calculation?

8 MR. BUDNITZ: No.

9 COMMISSIONER BRADFORD: So that 4 percent might be  
10 5 percent.?

11 MR. BUDNITZ: The 4 percent could be 5, but not 6.

12 I think you have to operate under the assumption  
13 that it's close.

14 COMMISSIONER AHEARNE: Are you pretty confident  
15 about the 580?

16 MR. BUDNITZ: The 680? The 680 degrees at which it  
17 goes spontaneous? Yeah. I had one guy that said 360 degrees

18 COMMISSIONER AHEARNE: That's centigrade.

19 MR. BUDNITZ: That's 360 degrees Centigrade, and  
20 another guy that says that's just baloney Joe, it's 380. And  
21 they're arguing about a small term in some equation, so it  
22 can't be far.

23 MISS STETLER: When you'r in doubt --

24 (Simultaneous general discussion.)

25 MR. MINOGUE: (Inaudible) -- how many pounds you  
want to inject.

111  
1018 075

1 MR. BUDNITZ: That's right. That's being worked.  
2 These guys here, and for systems over there. Okay. We  
3 want somebody here-- Nobody here can do it.

4 MR MINOGUE: We need somebody here to draw to-  
5 gether problems

6 MR. BUDNITZ: That's me. I've been in contact with  
7 them about once an hour. One thing I've found out, this  
8 agency needs chemists.

9 His name is Bob Tucker and he's at this number and  
10 this extension, and you get anybody else who can stay on  
11 the phone with him continuously, but I've been on the phone  
12 about once an hour with him. This is the fulfite-chemical  
13 scheme.

14 We started yesterday with about 10 different  
15 chemicals--

16 MR. MINOGUE: What chemists have been involved with  
17 how it relates to the other part and ratios? Has anyone  
18 from B&W been involved in this discussion?

19 MR. BUDNITZ: Yes, through Bell.

20 MR. MINOGUE: These people are coordinating  
21 everything?

22 MR. BUDNITZ: Yes. You can call them if you want,  
23 but I and Bernie Weiss as recently as just before I came in  
24 here-- I'd like to have some other NRC guy work on this.

25 (Simultaneous general discussion.)

1018 076

112

1 MR. BUDNITZ: I understand that. They've been  
2 working this for a day. Yesterday morning we had the idea,  
3 but we started off--

4 (Simultaneous general discussion.)

5 MR. BUDNITZ: Put it in suspension in little  
6 tiny particles. If there was any soloshing of the water  
7 around the gas because even though it would be hot it was  
8 lighter. We had to give that up.

9 Then we went to iron oxide. Iron oxide doesn't  
10 work fast enough with hydrogen, FeO.

11 So then we went to -- I don't know, about 10 dif-  
12 ferent chemicals. They're now working on chromous chloride.  
13 I don't know any chemistry so I can't help you on this.

14 COMMISSIONER AHEARNE: Is there a hydrogen gas  
15 called platinum or palladium?

16 MR. BUDNITZ: Platinum chloride or palladium  
17 chloride are almost identical.

18 COMMISSIONER AHEARNE: So they would then have  
19 similar troubles.

20 COMMISSIONER BRADFORD: Bob, have you had any  
21 chance to bring Joe up to date?

22 MR. BUDNITZ: Yes, I spoke to Je as recently as 10  
23 minutes ago, just before you grabbed me, and I had to go make  
24 a call before this, so they're all up to date on this.

25 COMMISSIONER AHEARNE: Thanks Bob.

1018 077

113

1 MR. BUDNITZ: Now I have to make one other point,  
2 which is that we have a problem --

3 MR. GOSSICK: Can you reach over here?

4 MR. BUDNITZ: -- in understanding this geometry.  
5 This problem could be very bad for us, and we have no way to  
6 understand what these things are like as built.

7 (Simultaneous general discussion.)

8 MR. BUDNITZ: We just really don't know how these  
9 things are as built. We need pictures. Drawings don't do it.

10 COMMISSIONER GILINSKY: It sounds like the explosion  
11 is going to be worse than we're letting on here. Hey Bob.

12 COMMISSIONER KENNEDY: No, the core crushing.

13 COMMISSIONER GILINSKY: Well, no, no. This is an  
14 assumption, if there is an explosion something happens -- if  
15 there's an explosion not much happens, an explosion it  
16 happens.

17 MR. THOMPSON: Well, I think that-- No,--

18 MR. BUDNITZ: Once you have the core crushing its  
19 the primary vessel that takes the worst.

20 COMMISSIONER BRADFORD: It sounds as though there  
21 is not much chance of an explosion.

22 MR. BUDNITZ: Not unless the temperature goes up,  
23 or unless this--

24 COMMISSIONER BRADFORD: Let me say it this way,  
25 there's not much chance of a harmful explosion, that we're  
not prepared for.

1 COMMISSIONER GILINSKY: So in a way you've just  
2 brought this thing out.

3 MR BUDNITZ: There is no such thing as a harmless  
4 explosion. At least, you had better not count on that.

5 COMMISSIONER KENNEDY: You mean to say now that, if  
6 core disruption of --

7 MR. BUDNITZ: The primary vessel --

8 COMMISSIONER KENNEDY: The primary vessel --

9 MR. BUDNITZ: -- is in danger anyway. The yield  
10 stress is 500 -- That 200 hoop stress is calculated at 10  
11 milliseconds times.

12 (Simultaneous general discussion.)

13 MR. BUDNITZ: But the one thing that Joe didn't hear  
14 was this problem. I thought he got that through. That's the  
15 point of course.

16 COMMISSIONER GILINSKY: Is he talking to Joe right  
17 now?

18 (Simultaneous general discussion.)

19 COMMISSIONER GILINSKY: They say -- the vessel would  
20 - may rupture.

21 COMMISSIONER KENNEDY: May rupture.

22 MR. THOMPSON: On the explosion I think you --  
23 I got the feeling it wasn't very much of a question.

24 COMMISSIONER KENNEDY: Okay.

25 COMMISSIONER AHEARNE: The question is whether it



1 ruptures or not.

2 MR. THOMPSON: Right, right.

3 COMMISSIONER GILINSKY: Now let's see. Suppose it  
4 did. We have a chance of all kinds of things.

5 MR. AUSTIN: With an explosion it does make a  
6 difference if it's core crushed which is -- just major damage.

7 COMMISSIONER BRADFORD: Then the other--

8 COMMISSIONER GILINSKY: Well, let's just cross all  
9 this out and say--

10 COMMISSIONER AHEARNE: Yeah.

11 COMMISSIONER KENNEDY: -- major damage.

12 COMMISSIONER BRADFORD: It sounds as though pipes  
13 and valves destruct.

14 (Simultaneous general discussion.)

15 MR. MAZUZAN: Wait til you hear this tape.

16 MR. BICKWIT: Do you understand what the schedule  
17 is here on television?

18 MR. MAZUZAN: No.

19 (Simultaneous general discussion.)

2:15 p.m. 20 (End of Tape 2A)

21

22

23

24

25

1018 080

2:15 p.m.

(Begin Tape 2B)

1 MR. COLLINS: -- acknowledge that massive evacuations  
2 maybe would be required, but we simply wanted to assure our-  
3 selves that he felt on top of the situation and that he could  
4 do some important things and that he was ready to do these  
5 things. He said he understood this he was willing to answer  
6 may questions.

7 The first thing I asked him was if an evacuation  
8 should be ordered, do you feel that you have enough transpor-  
9 tation and other resources to successfully carry out such  
10 evacuation?

11 And he said it depends upon the scenario, how large  
12 is the evacuation. He said that if it is a five-mile circle  
13 all the way all the way around the plant, 360 degrees, he  
14 feels he has 99 percent of his resource needs met and he  
15 can carry that out. That's 99 percent of the things that he  
16 needs: trucks, transportation, other things.

17 He is working on the worst kind of a situation.  
18 And I said what in your view is the worst kind of situation?  
19 What are you planning for?

20 He described this as a 360-degree evacuation  
21 ranging anywhere from 10 to 20 miles from the site of the  
22 plant. Now that certainly covers anything which we have  
23 ever considered.

24 COMMISSIONER BRADFORD: How much time does he give  
25 you, John?

1018 081

117

1 MR. COLLINS: He is not giving any times on any of  
2 this evacuation. They have never tried an evacuation like  
3 this. For the small towns it will go very easily, but of  
4 course his biggest problem would be, you know, metropolitan  
5 areas such as Harrisburg and Harrisburg -- the 10-mile circle  
6 goes through the city.

7 All right.

8 Now with respect to extra needs, which include  
9 transportation, for a large evacuation ranging in the order of  
10 10 to 20 miles, 360-degree, which is far bigger than some of  
11 the things that we're talking -- we've thought about, but  
12 nevertheless represents the upper end of the spectrum, he  
13 said that he has in his office a man by the name of Robert  
14 Adamcheck, who is the Federal Disaster Assistance Administra-  
15 tion-HUD coordinator of all federal assistance to PERMA.

16 This man, Adamcheck, is in the Pennsylvania  
17 Emergency Operating Center now, which is manned continuously.

18 Now Adamcheck is making arrangements to augment  
19 Henderson's needs with respect to a large-scale evacuation on  
20 the order of outside the 5-mile range. He told me at one  
21 o'clock that he hoped to have all of those arrangements --  
22 his needs past Adamcheck by 2:00, and it's already 2:25. He  
23 feels he's getting good cooperation from Adamcheck, the  
24 federal coordinator.

25 Now another question which was asked was what do

1 you think about the state of readiness in PEMA to evacuate?

2 All right, he said he is hoping for at least a four-  
3 hour advance notice. He feels that's important. He said he  
4 can do a much better job if he has a four-hour advance notice  
5 than if he only had a one-minute notice.

6 COMMISSIONER BRADFORD: Four hours advance notice  
7 before he has to --

8 MR. COLLINS: Before he has to -- for -- In other  
9 words, someone tell him now that he has to evacuate --

10 COMMISSIONER AHEARNE: In four hours he has to  
11 make the --

12 MR. COLLINS: -- at 6:30.

13 COMMISSIONER BRADFORD: But he's not going to  
14 evacuate everybody at 6:30, so how much time is it then going  
15 to take him to evacuate?

16 MR. COLLINS: It depends on the size of the area, --

17 COMMISSIONER KENNEDY: You mean --

18 COMMISSIONER BRADFORD: But you know the answer  
19 for any area because -- what you need to know about it in  
20 order to know how much time in advance, you actually have to  
21 have four hours plus some number that I guess we don't know.

22 MR. COLLINS: What he's saying is-- He says I would  
23 like to have someone tell me four hours in advance that I  
24 have to start an evacuation. That's what he's saying.

25 COMMISSIONER KENNEDY: You mean he wouldn't start

1 until 6:30?

2 MR. COLLINS: People are now on a four-hour alert  
3 before they get to work. The State Police and the National  
4 Guard are on a four hour.

5 Let me finish what I'll tell you and then we can  
6 maybe go back and even ask him more questions.

7 He would like to have at least a four-hour advance  
8 notice to implement an evacuation -- all right? -- because  
9 the way things are set up now, the National Guard and the  
10 State Policy are his primary resources for implementing  
11 evacuation. All right. They are on what he calls a white  
12 alert, a white notice, which is, according to Henderson,  
13 essentially a four-hour alert status.

14 Henderson said he would like the National Guard  
15 and the State Policy to be on a shorter notice or a higher  
16 level of readiness than four hours, but the Governor of the  
17 State does not want to increase the readiness level because  
18 he does not want to panic the people. This is what he told  
19 me. All right.

20 Henderson also said that he is meeting for the first  
21 time some of the outlying county civil defense directors out  
22 in this 10- to 20-mile radius, and other people associated  
23 with civil defense who previously showed no interest in this  
24 kind of emergency preparedness simply because they were so  
25 far away from the facility.

1018 084

120

1 But he's contacted all of those people and they're  
2 getting geared up.

3 I asked him who was in charge of this whole evacua-  
4 tion operation, is there any question about who's running the  
5 thing? And he said No, he is in charge and he said at this  
6 moment, though, Pennsylvania Rad Health and the Nuclear  
7 Regulatory Commission are on top of things with respect to  
8 radiological surveillance and assessment of potentials.

9 Once the assessment is made and once the decision  
10 has been made to carry out protective measures, hw said as far  
11 as he's concerned, Pennsylvania Rad Health and NRC are out of  
12 it and I am now in charge and I carry out the Governor's  
13 orders with respect to evacuation. There's no question in his  
14 mind that he's in charge.

15 Once the word comes from the Governor there is no  
16 question in my mind that PEMA has the prime responsibility  
17 to implement evacuation and protective measures on the  
18 Governor's orders.

19 COMMISSIONER AHEARNE: John, did you get the sense  
20 from talking to him that he is really considering all  
21 evacuations are 360 degrees?

22 MR. COLLINS: No, he is planning for-- The worst  
23 situation he's planning for is 360, 10 to 20 miles, and he  
24 said of course anything less than that causes me less problems  
25 That's what-- He said I have to plan for a worse scenario.

1018 085

121



1 COMMISSIONER AHEARNE: Sure

2 MR. COLLINS: And he said the kind of things I'm  
3 hearing-- You know, he's picking up bits and pieces here and  
4 there, and he knows that the biggy is 360, 10 to 20.

5 Okay. Now another question which was asked was how  
6 about prisons, hospitals, nursing homes, places where people  
7 are confined, people who are sick at home and could not shift  
8 for themselves, and so forth and so on.

9 Henderson said that he had plans for taking care of  
10 prisons and jails and hospitals and nursing homes, but  
11 particularly with respect to prisons he did not want to go  
12 into the details of these at this time, for obvious reasons.

13 With respect to people confined in homes, he said  
14 that these homes have already been predetermined by the county  
15 civil defense directors. They have already done that piece  
16 of business as to who will need help in leaving, and it's a  
17 county responsibility.

18 How will the counties get the word to evacuate or  
19 do whatever the Governor orders?

20 Okay, he said, the way this will work is that when  
21 the Governor makes his decision, he will go on radio and tele-  
22 vision to issue the orders. Once the orders are issued, the  
23 counties will act on this, as will the state at this time.  
24 The county will not wait for the state to transmit a message  
25 to the counties to evacuate.

1018 086

122

1 PEMA will, though, also transmit the evacuation or  
2 protective measure order to the county civil defense emergency  
3 operating centers as a backup. So there's a two-way link. The  
4 Governor announces and everybody does it simultaneously,  
5 whatever is decided, and then PEMA in Harrisburg also transmits  
6 the orders to the county CDs. And there's basically four  
7 counties involved.

8 That's about the extent of what I was able to find  
9 out. He was very busy and he had to leave. I would have  
10 asked him one had he had the time. He said I'm sorry, I have  
11 other things and he took off.

12 The impression I get is that this guy's on top of  
13 it. He seems confident and, you know, you can often tell by  
14 a person's voice whether they are or not. And he seems  
15 confident that he can carry an evacuation out, even a large  
16 one, providing he gets these federal resources through this  
17 guy, Adamcheck, who I'm sure is, you know, spending no  
18 effort to acquire these things.

19 COMMISSIONER AHEARNE: Another thing you mentioned,  
20 John, I gather that the four-hour time is really because that  
21 the stage of alert that his people are no on, --

22 MR. COLLINS: That's primarily his --

23 COMMISSIONER AHEARNE: -- the State Police and the  
24 National Guard.

25 MR. COLLINS: He could improve that if the Governor

1018 087

123

1 would put his primary evacuation resources up on a higher  
2 alert status.

3 COMMISSIONER AHEARNE: Right.

4 MR. COLLINS: These folks of course are the State  
5 Police. When you look in the Pennsylvania Plan --

6 COMMISSIONER AHEARNE: And the National Guard.

7 MR. COLLINS: The State Police are the folks in  
8 charge of evacuation. And of course he would need the  
9 National Guard as well.

10 As he said, the Governor is reluctant to do this  
11 because he doesn't want to panic the folks.

12 So if we want to change that situation then I sup-  
13 pose we have to say something to somebody. I don't know.

14 It would have to be said to the Governor. Now  
15 another thing about putting the National Guard and State  
16 Policy on shorter notice, if it was done too early, unless  
17 there was a real good reason why this agency thought it ought  
18 to be done, if it's done too early it can become counter-  
19 productive because the longer you have these guys on this  
20 kind of alert, why, you know, the less interest they have  
21 in it --

22 COMMISSIONER AHEARNE: Yeah.

23 MR. COLLINS: -- and the thing kind of drags off  
24 and pretty soon everybody --

25 COMMISSIONER AHEARNE: You can maintain them on

1 four-hour alert for days. It's difficult to put them on  
2 one-hour alert and maintain it.

3 MR. COLLINS: Yeah, yeah. It's difficult.

4 See, they can hang in here now. The way he ex-  
5 plained it to me was if they go to a higher readiness level,  
6 this means they've got to call people like State Police who  
7 are off duty out of their bunks and they've got to come down  
8 to the police station --

9 COMMISSIONER AHEARNE: Yeah. Oh, yeah.

10 MR. COLLINS: -- and suit up.

11 COMMISSIONER AHEARNE: We understand.

12 MR. COLLINS: And the Guard has to do the same thing

13 So that's a balance, you know, that you have to  
14 always weigh. And if you put the people on too early, of  
15 course you'll burn out more people because they'll get tired  
16 and then you won't have any relief.

17 COMMISSIONER AHEARNE: And also, as the Governor  
18 pointed out, that when you trip, bump up the state of alert  
19 of all of those people, you also then give a very strong  
20 signal to the residents.

21 MR. COLLINS: But Henderson did say-- Henderson did  
22 say if you told me, you know, right now --

23 COMMISSIONER AHEARNE: Oh, of course. Sure.

24 MR. COLLINS: -- go, he said we'd go with what we  
25 could muster.

1018 089

125

1 COMMISSIONER AHEARNE: Yes.

2 MR. COLLINS: But, I get the impression from this  
3 man that he's-- There's confidence in his voice, and he's on  
4 top of things, that he is in charge.

5 COMMISSIONER AHEARNE: Obviously also another  
6 factor is, as you point out, he says he's meeting with  
7 those county officials, that the longer we go before putting  
8 into that alert, the better prepared he is, the more he's  
9 taken. He's getting more of these pieces to begin shaping up.

10 COMMISSIONER KENNEDY: And the more, the better  
11 the people are, the better evacuation.

12 COMMISSIONER AHEARNE: Yeah.

13 COMMISSIONER GILINSKY: Right.

14 MR. COLLINS: It looks like he's thought about a  
15 lot of things.

16 COMMISSIONER BRADFORD: When they say evacuation is  
17 done not under a crisis situation but is done, as they are  
18 trying to do, with some dispatch, are they talking about 10  
19 percent, or are they talking about 90?

20 MR. COLLINS: When they're talking about evacuation  
21 they're talking about everybody except I guess what one  
22 could deem emergency personnel who would be there to the  
23 very last. And, you know, I don't know whether all the  
24 emergency personnel would ultimately leave. Some police might  
25 have to stay in certain areas for a certain period of time.

1018 090

126

1 COMMISSIONER BRADFORD: But if the guy who's  
2 in charge of emergency planning tells you that he can evacuate  
3 a five-mile area --a five-mile radius, --

4 MR. COLLINS: Does he mean 100 percent?

5 COMMISSIONER BRADFORD: -- is he saying with 100  
6 percent assurance he's going to get 100 percent of the people?

7 MR. COLLINS: I don't think he'll ever give you that  
8 guarantee.

9 COMMISSIONER BRADFORD: How far down would you have  
10 to go to get something close to a guarantee?

11 MR. COLLINS: I don't think you can ever assure  
12 yourself you're going to get 100 percent.

13 COMMISSIONER BRADFORD: I mean how far down-- What  
14 percent would you have to get down to before he'd say Yes, I'm  
15 sure I can get that much?

16 MR. COLLINS: Oh, I would say way up in the high  
17 90s --

18 COMMISSIONER BRADFORD: Yeah.

19 MR. COLLINS: -- way up in the high 90s.

20 You know, when evacuations have been conducted down  
21 in Florida for hurricanes and things like that, there's always  
22 about one percent of the population that doesn't want to go,  
23 and they hang on. And the way some states at least have  
24 handled this is they usually ask those people for their names  
25 and their next of kin, and usually that breaks them out because

1018 091

127



1 then they get the message, you know.

2 Put there have been people who have absolutely  
3 refused to leave and have been killed, and this has happened  
4 in Florida and in the Gulf states. They have refused to leave  
5 and they have been blown into the sea. And what do you do,  
6 you know? Do you drag them kicking and screaming out?

7 COMMISSIONER BRADFORD: But he is saying then that  
8 except for those who refuse to leave; he's pretty sure he  
9 can get just about everybody.

10 MR. COLLINS: Just about everybody.

11 COMMISSIONER KENNEDY: Surely there is the point  
12 where there wouldn't be people there, there will be police  
13 or National Guard simply to prevent looting after people  
14 evacuate.

15 COMMISSIONER BRADFORD: Which is one of the down  
16 sides of evacuation. I suppose if somebody comes back in  
17 an area where the policy have to shoot to kill orders.

18 COMMISSIONER KENNEDY: Well, they had that problem  
19 in Middletown. Put the curfew on and increased the policy  
20 patrols when the people left.

21 MR. COLLINS: I would say it's up in the high 90s.

22 COMMISSIONER BRADFORD: Just in the last few days?

23 MR. COLLINS: Yeah, right.

2:30 p.m. 24

(end of Tape 2B)

25

1018 092

128