

UNITED STATES ATOMIC ENERGY COMMISSION

**POOR ORIGINAL**

IN THE MATTER OF:

150th GENERAL MEETING

of the

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

*etc*

**REGULATORY CENTRAL FILES 50-289**

**ROOM 016**

Washington, D. C.

Place -  
Date - Friday, 13 August 1970

195 - 464

Pages

**REGULATORY DOCKET FILE COPY**

**RETURN TO REGULATORY CENTRAL FILES  
ROOM 016**

Telephone:  
(Code 202) 547-6222

ACE - FEDERAL REPORTERS, INC.

*Official Reporters*

415 Second Street, N.E.  
Washington, D. C. 20002

1411 301

**NATIONWIDE COVERAGE**

7910100 542 T

1                   PUBLIC NOTICE BY THE USAEC ADVISORY

2                   COMMITTEE ON REACTOR SAFEGUARDS

3                   Friday, 10 August 1973

4

5                   The contents of this stenographic transcript of the

6 proceedings of the United States Atomic Energy Commission's

7 Advisory Committee on Reactor Safeguards (ACRS), as reported

8 herein, is an uncorrected record of the discussions recorded

9 at the meeting held on the above date.

10                  No member of the ACRS Staff and no participant at

11 this meeting accepts any responsibility for errors or inaccur-

12 racies of statement or data contained in this transcript.

13

14

15

16

17

18

19

20

21

22

23

24

25

1411 002

ER 2406  
Criag/Ro

1 UNITED STATES OF AMERICA  
2 ATOMIC ENERGY COMMISSION  
3  
4

5 160th GENERAL MEETING  
6 of the  
7 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

8 Room 1046  
9 1717 H Street, N. W.  
Washington, D. C.

10 Friday, 10 August 1973

11 The 160th General Meeting of the Advisory Committee  
12 on Reactor Safeguards was reconvened, pursuant to adjournment,  
13 at 11:10 a.m.

14 BEFORE:

15 MR. HAROLD G. MANGELSDORF, Chairman

16 MR. MYER BENDER, Member

17 MR. HAROLD ETHERINGTON, Member

18 DR. HERBERT S. ISBIN, Member

19 DR. WILLIAM KERR, Member

20 DR. HARRY O. MONSON, Member

21 DR. DADE W. MOELLER, Member

22 DR. DAVID OKRENT, Member

23 DR. NUNZIO J. PALLADINO, Member

24 DR. CHESTER P. SIESS, Member

25 DR. WILLIAM R. STRATTON, Member

1411 003

PROCEEDINGS

8-10-73  
uff

1  
2 DR. MANGELSDORF: This is a public meeting of the  
3 ACRS on the subject of an operating license for Three-  
4 Mile Island. The applicant as a group is or are represented  
5 by Metropolitan Edison Company, who have served as representa-  
6 tives for a group of utilities in the construction and  
7 plant operation of this facility.

8 This meeting is being conducted in accordance  
9 with the provisions of the General Advisory Committee Act,  
10 and in attendance at this meeting as the designated employee  
11 is Mr. Ray Fraley, on my right, or his designated representa-  
12 tive for such periods as he may be temporarily absent from  
13 the meeting.

**POOR ORIGINAL**

14 The rules for the conduct of this meeting were  
15 included with the notice of the meeting and provisions for  
16 public participation. By that I mean any presentations  
17 by representatives of the public, provide for notice in  
18 advance. And it is my understanding that we have not  
19 received notice of intent of members of the public to prepare-  
20 to present statements to this meeting.

21 Consequently, they have not been scheduled and  
22 we are not expecting any. A transcript of the meeting is  
23 being kept, and with that in mind, I would request that each  
24 of you, as you appear in presenting information, please  
25 introduce yourself for the benefit of the reporter and

Ray  
Fraley

1 please use the microphones, speaking quite directly into  
2 the microphone, because these are highly directional micro-  
3 phones to avoid feedback. So as to get the benefit, one  
4 must speak quite directly and fairly closely into them.

5           Transcripts of the meeting, the public part of  
6 the meeting will be available within a few days. With that  
7 introduction, I will call on Mr. Miller of Metropolitan  
8 Edison Company to make what introductory remarks he cars  
9 to make, and then proceed in introducing members of his  
10 organization in presenting material along the lines of a plan  
11 that has been discussed with him.

12           We will enter speakers' remarks from the appli-  
13 cant with comments from the regulatory staff, again accord-  
14 ing to plans.

15           Mr. Miller.

16           MR. MILLER: My name is John Miller.

17           I am vice president of Metropolitan Edison Com-  
18 pany and the corporate representative. I am also vice pres-  
19 ident of production for the GPU Service Corporation with  
20 overall responsibility for all generation within the GPU  
21 Organization.

22           We are quite happy to be here today and to have  
23 reached this milestone in our efforts to construct and  
24 prepare Three Mile Island for operation.

25           On my right is Richard W. Heward who is Project

XXXXXX

1 Manager for the construction effort at Three Mile Island.  
2 On his right is Thomas Crimmins who is Safety and Licensing  
3 Manager of GPU Service Corporation.

4 I would also like to introduce the key people  
5 from Metropolitan Edison Company involved in the operation  
6 at Three Mile Island. Mr. Robert C. Arnold, Manager of  
7 Generation of the Generation Division for Metropolitan Edison  
8 Company. To his left is Mr. Robert F. Jones, Manager of  
9 Engineering, Generation Division. And to his left is  
10 Jack Herbein, the Assistant Superintendent of Three Mile  
11 Island, who has the primary responsibility for getting Three  
12 Mile Island One ready for operation.

13 Mr. Thomas Crimmins, the Safety and Licensing  
14 Manager, will be the lead spokesman for our group. Tom.

15 MR. CRIMMINS: My name is Tom Crimmins. Thank  
16 you, Mr. Miller.

17 Gentlemen, the first presentation will be given  
18 by the Project Manager, Mr. Heward, who will bring you up  
19 to date on the project status.

20 MR. HEWARD: My name is Richard Heward, GPU  
21 Service Corporation. The Unit One project status at the  
22 present time is as follows: The project is 93 per cent  
23 complete. 84 per cent of the plant systems have been turned  
24 over for testing to the Start-up and Test Group. The  
25 major incomplete work at this time includes pulling of

XXXXX

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

cable in the reactor building which is somewhat over 50 per cent complete. There are a small number of valves and nuclear pipe joints to be completed. The control rod drives are being finally assembled at this time and the reactor internals have been completed and trial fit in the reactor vessel.

The steam generator hydrostatic test is in process and is presently incomplete due to some corrections to the leak tightness of manways on the generators. Initial fill of the reactor coolant loops is scheduled for October, 1973. Hot functional testing is to begin in December, fuel-holding will be in March and a 100 per cent power is scheduled for July. Commercial operation is scheduled for August, 1974.

MR. CRIMMINS: The next presentation will be a description of the site. I will use the slide projector.

end 1  
LDR

1411 007

CR 2406 1

(Slide)

Craig 2 2

MR. CRIMMINS: Three Mile Island site is located

ba 1 3

in the Susquehanna River about ten miles southeast of Harrisburg, Pennsylvania. This first figure which shows the southeastern portion of the Commonwealth of Pennsylvania generally locates the station.

Key landmarks to try to better localize what you are looking at here are Philadelphia, this is the Maryland-Pennsylvania border, Harrisburg is right here, and the plant site. For reference purposes the circle shown here is 25 miles in radius.

12 (Slide)

13 TMI is located in Londonderry about three miles  
14 south of Middletown. The Island lies closer to the east shore  
15 of the Susquehanna River and the York Haven Dam extends from  
16 both sides of the Island to the river banks. Middletown is  
17 located here. The site, York Haven Dam crosses here, and here.  
18 A small hydroelectric station is associated with the York Haven  
19 Dam at this point.

20 Other notable features that can be seen on this  
21 slide, Harrisburg International Airport is located approxi-  
22 mately two and a half miles from the site along the, in this  
23 case the northeastern portion of the Susquehanna River near  
24 Middletown.

1411 008

Craig 2

Reba 2

1 Railroad Line run down the eastern side of the river and  
2 a Penn Central line and a small road line the western bank  
3 of the river.

4 The low population zone is also indicated on this  
5 figure. It has a radius of two miles, 1970 population of  
6 2300 and a projected population for the -- maximum projected  
7 population for the life of the plant of 3400. The land in the  
8 area of the site is primarily used for farming.

9 And it is relatively sparsely populated. Approxi-  
10 mately 600,000 people live within 20 miles of the site. Harris-  
11 burg with a 1970 population of 68,000 is the largest or, excuse  
12 me, is the closest of the large population centers.

13 You will also note the exclusion radius on this  
14 slide and the next slide will show that in more detail.

15 (Slide)

16 The exclusion radius for the site is 2000 feet.  
17 All of the land within the exclusion radius is owned by  
18 Metropolitan Edison. The station actually occupies about  
19 200 acres of the 472 acre Three Mile Island in this area.  
20 Three Mile Island is owned in its entirety by Metropolitan  
21 Edison, and Shelly Island is owned by the public with an  
22 exception of a few acres at the southern end.

23 For reference purposes Three Mile Island is 11,000  
24 feet in length and 1700 feet wide. There are two bridges  
25 from the Island that connect with Pennsylvania State Highway

Craig 2

1 441. This northern bridge is a permanent structure, includes  
2 the railroad siding and is the -- presently used for plant  
3 personnel and will be the permanent access bridge for the  
4 site.

5 There is also not shown on this figure a road that  
6 runs down the length of the Island with a bridge approximately  
7 this location which is currently used for the construction  
8 personnel. This road will be sealed when both units are  
9 completed at this point, and the bottom portion of the Island  
10 will be developed for recreational uses.

11 (Slide)

12 This slide is of a photograph and shows more of  
13 the plant features. The plant is protected from flooding in  
14 the Susquehanna River by a system of dikes which surrounds  
15 the plant. This being the upstream direction, surrounds the  
16 plant here. The highest point on the dike is at the northern-  
17 most point and it is -- its elevation is 310 feet above mean  
18 sealevel.

19 The dike gradually decreases in height to approxi-  
20 mately 305 feet in this area. Plant elevation is 304 feet  
21 above mean sealevel. The average height of the river is 278  
22 feet above mean sealevel. Unit one reactor is here. Turbine  
23 building here. Unit 2 is also shown on this slide, the  
24 reactor building here and turbine building. 1411 010

raig 2

reba 4

end 2

1 used for cooling each plant. That concludes my remarks on the  
 2 site. We also have a brief presentation on the interfaces  
 3 and shared systems between units 1 and 2. Mr. Jack Herbein,  
 4 Assistant Plant Superintendent will give that presentation.

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

#3

06

1 DR. MANGELSDORF: Any questions on the site?

2 DR. MOELLER: This may be more appropriate for the  
3 Staff. But I was curious. We have noted in a number of  
4 the nuclear power stations that are being constructed that  
5 the Applicants are building recreational facilities nearby.  
Has the Staff looked at this in terms of the wisdom of taking  
7 this approach?

8 For public relations I am sure it is good for the  
9 Applicant.

10 MR. DE YOUNG: The Staff has reviewed many of  
11 the plants for recreational facilities. It has a policy that  
12 it will accept such facilities provided that they can meet  
13 the criteria required by the regulations. So it has a policy  
14 that it is more or less in favor of such things, provided they  
15 can meet the regulations.

16 DR. MANGELSDORF: Go right ahead.

17 MR. CRIMMINS: Mr. Herbein.

18 MR. HERBEIN: Jack Herbein, Metropolitan Edison  
19 Company.

20 First let me say that no engineered safety feature  
21 systems are shared between Units 1 and 2.

22 Three Mile Island Nuclear Station Unit 1 will  
23 make use of some facilities on a shared basis with Unit 2  
24 when Unit 2 goes into operation.

25 The shared components include the fire protection

1 system, the miscellaneous waste evaporator, the fuel  
2 handling crane, auxiliary steam boilers and new fuel storage  
3 facilities.

4 None of the previously mentioned shared components  
5 are connected with safety features or control systems of  
6 either nuclear steam supply system.

7 The two units were designed and built as if the  
8 other did not exist.

9 Each unit has an emergency power system completely  
10 independent of the other.

11 In addition, all other engineered safeguards and  
12 control rooms are independent for each unit.

13 That concludes my remarks.

14 DR. MANGELSDORF: Any questions on shared  
15 facilities?

16 (No response.)

17 Go right ahead.

18 MR. CRIMMINS: Thank you.

19 Mr. Herbein would also give some prepared remarks  
20 on the interface between the two units and what will be done  
21 to provide security and safety for Unit 1 while Unit 2 is  
22 under construction.

23 MR. HERBEIN: The following describes our plans  
24 with regard to maintenance of building security and  
25 admittance of personnel to the confines of the plant during

1 the operational phase of Unit 1 and the construction phase of  
2 Unit 2.

3 The physical barrier used to control construction  
4 personnel access will consist of an eight-foot high Cyclone  
5 fence with three strands of barbed wire at the top.

6 Station security system facing east, west and  
7 south runs along the top of the flood dike. The north portion  
8 encloses cooling towers and attaches to the service building.

9 This fence, along with the temporary security  
10 system fencing, will be used to isolate Unit 1 from Unit 2  
11 until Unit 2 construction completion.

12 Gates which form a part of the station system  
13 fencing will normally be secured in the closed position.

14 The gate on the mainland side of the permanent  
15 access bridge at the north end of the island will be auto-  
16 matically controlled by a coded key system at the gate or by  
17 a switch from the station security office.

18 The security office located just inside  
19 the northeast access door to the service building.

20 The northeast station security system boundary  
21 entrance to the service building will be remotely controlled  
22 from the security office.

23 The employees' entrance to the service building  
24 will be automatically controlled by a coded key system.

25 The temporary fence which is interconnected with 1411 514

1 the permanent fence will completely isolate all Unit 1  
2 equipment and activities from Unit 2 construction activities.

3 All gates in the temporary fence will be locked  
4 and their keys will be kept under the shift supervisor's  
5 control.

6 A temporary barrier eight feet high and a locked  
7 door will be installed at the south end of Unit 1 fuel  
8 handling building to prevent access from Unit 2 fuel handling  
9 building into Unit 1.

10 All Unit 1 entrances will normally be locked  
11 except for the service building entrance which will have a  
12 guard on duty continuously.

13 In the event of an emergency requiring evacuation  
14 of all construction workers from the site a distinguishable,  
15 audible alarm will be initiated from the Unit 1 control room  
16 by the operating shift supervisor.

17 This alarm will sound within the confines of  
18 Unit 1 and will, in addition, be audible toward the east  
19 and west shores of the island and to the north and south of  
20 the plant site.

21 In addition to the audible alarm, the  
22 construction operating superintendent will be notified  
23 of the evacuation. He, in turn, will order all construction  
24 workers to evacuate the island via the bridge at the southern  
25 end of the island.

jon5

1                   Should it become necessary for construction  
2 personnel to enter the confines of Unit 1 while Unit 2 is  
3 under construction, access will be permitted only through  
4 manned gates where the security guard or plant personnel are  
5 stationed.

6                   At this point construction workers will be  
7 signed in and issued appropriate identification badges by  
8 plant personnel or the security guard.

9                   That concludes my remarks.

10                  DR. MANGELSDORF: All right.

11                  DR. BENDER: When construction forces are inside  
12 the operating reactor area, aside from the badging, are there  
13 any other controls over where they are and what they are  
14 doing?

15                  MR. HERBEIN: Yes, sir. There would be in the event  
16 they were required to enter an area where radiation exposure  
17 would be possible. They would be suitably badged and  
18 records would be maintained.

19                  DR. BENDER: What about the matter of whether they  
20 may enter areas where they can accidentally create an  
21 operational disturbance?

22                  MR. HERBEIN: Just a minute, sir.

23                  (Pause.)

24                  Sir, we are considering the desirability of  
25 having them escorted at all times.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MS. HOWARD: I believe you said that, Jack, in  
your previous statement, did you not?

MR. HERBEIN: No, I did not.

DR. BENDER: What does considering mean?

MR. HERBEIN: Just a minute, sir.

(Laughter.)

(Pause.)

nd3  
406

CR 2406

Craig 4

Paba 1

1 MR. HERBEIN: Sir, we will control the points that  
2 they have access to in unit 1. In the event the nature of  
3 their work is such that an escort would be required, why, we  
4 anticipate doing that.

5 DR. BENDER: Well, you haven't made clear what  
6 criterion you would use to decide whether escorting is  
7 necessary, and I think the experience that people have had  
8 with construction personnel in operating areas is that there is  
9 always the possibility that they will do something they should  
10 not do.

11 I wonder who would decide and how you would decide.

12 MR. HERBEIN: Again, I feel that this would be  
13 decided by the station staff. And by that I mean that the  
14 operating shift supervisor, and again it would depend strictly  
15 on the conditions of the nature of the work that people were  
16 going to resolve.

17 DR. BENDER: Couldn't you preestablish areas  
18 where you would require escort?

19 MR. HERBEIN: Again I think I mentioned that I could  
20 and certainly all the areas that could involve potential  
21 exposure to the hazards of radiation would be considered.

22 DR. BENDER: It might be better to say you would  
23 than that you could. I guess that is the point.

24 MR. MILLER: Sir, I can say that we will.

25 DR. MANGELSDORF: That is clear.

Craig 4

Reba 2

1 DR. MOELLER: He mentioned in the event of an  
2 emergency that the construction workers would leave by the  
3 bridge at the south end of the Island. I understood there  
4 were two bridges over to the Island from the mainland. Can  
5 you visualize circumstances where it would not be wise to  
6 leave by the bridge at the south end?

7 MR. HERBEIN: Yes, sir, and I think particularly  
8 in the condition where some construction workers were perhaps  
9 within the confines of unit 1 and escorted as I think we just  
10 agreed they would be. In this particular case we envision  
11 that the construction workers would leave with the visitors  
12 and vendors and non-essential plant personnel by the north  
13 access to the Island, off the north bridge.

14 DR. MOELLER: Well, is there anything in your  
15 emergency instrumentation that would tell you which is the  
16 better route to take? Or are there restrictions or something  
17 that makes it necessary for a group to leave by a particular  
18 bridge?

19 MR. HERBEIN: Well, the people involved on unit  
20 2 would logically traverse the south bridge, not having to  
21 pass by the unit 1 reactor building, whereas the people  
22 involved in work on unit 1 would leave by the north bridge,  
23 again, avoiding the unit 1 reactor building.

24 DR. MANGELSDORF: Does that answer your question  
25 for the moment?

1 DR. MOELLER: Not necessarily, but it is adequate  
2 for the moment.

3 DR. MANGELSDORF: Okay. Any other questions?  
4 Then go right ahead.

5 MR. CRIMMINS: Sir, in response to a question  
6 from the committee, Mr. Bob Arnold will give the makeup and  
7 qualifications of our safety committee.

8 MR. ARNOLD: Robert Arnold of the Metropolitan  
9 Edison Company. Four years ago we established two safety  
10 committees, one at the corporate level and one at the plant  
11 staff level. The corporate safety committee, general office  
12 review board, presently has 11 members. These members are  
13 taken from the GPU Service Corporation, management staff,  
14 Metropolitan Edison management positions, consultants from  
15 Babcock & Wilcox, and also consultant from Pickard-Lowe  
16 Associates.

17 Within this group of 11 people they have an average  
18 nuclear experience of approximately 15 years with a minimum  
19 of seven, ranging up to 30 years. They cover all areas  
20 of expertise recommended for the safety committee by the  
21 National Standards Institute Guide 18.7. At the plant site  
22 the safety committee there has five supervisory site personnel  
23 assigned, assistant superintendent, station engineer, super-  
24 visor of operations, supervisor of maintenance, and the  
25 nuclear engineer.

aig4

Reba 3

g 4  
Reba 4

1           These five people have an average experience in  
2 the nuclear field of 7 and a half years. In addition to those  
3 five site supervisors there are two members assigned who  
4 are also members of the general office review board. Those  
5 two people have 15 or more years of experience in the nuclear  
6 field.

7           For specific meetings, other supervisory personnel  
8 such as the radiation protection supervisor or the chemistry  
9 supervisor are brought in as appropriate for the particular  
10 meeting in progress. All minutes of the plant committee are  
11 forwarded to the general office review board, and the coordina-  
12 tion between these groups is maintained at a very close level.

13           That concludes my remarks.

14           DR. MANGELSDORF: Questions?

15           DR. KERR: Has the staff looked at this committee  
16 and do you have comments on the adequacy?

17           MR. BERNERO: Bernero, Licensing. The section of  
18 the technical specifications which includes the constitution  
19 of both these committees which were mentioned is the one  
20 outstanding section of the technical specifications we covered.

21           Our requirements which are based on broad standards,  
22 industry standards, our published guides were transmitted  
23 to the Applicant. They have implemented, they told us they  
24 have implemented a constitution of committees that will  
25 satisfy our standards but we have not yet seen it.

Craig 4

1 I was offered the opportunity to meet with the  
2 Applicant on this subject just recently. I had to decline  
3 because of the burden of the meetings here. But next week  
4 we are scheduled to meet on next Thursday, in fact, on this  
5 very subject.

Reba 5

6 I expect that their committees will in general  
7 certainly meet our requirements because we have been quite  
8 clear in what requirements there are. There may be some  
9 minor alterations to the voting rights and so forth which is  
10 not uncommon.

11 MR. ARNOLD: We do not anticipate any difficulty  
12 in satisfying the AEC Staff that we entirely fulfill their  
13 criteria.

14 DR. MOELLER: It was stated that the Health  
15 Physics Supervisor would attend the safety committee meetings  
16 from time to time. I also note, in regulatory guide 8.8  
17 that this person should -- the Chief of Radiation Protection  
18 should be responsible to someone at a high management level  
19 and he should not be part of the operations or production  
20 oriented divisions.

21 I wondered if this was true at Three Mile Island.

22 MR. ARNOLD: That recommendation within that guide  
23 we are not organized in accordance with at this time. The  
24 Health Physics area is covered by station staff personnel  
25 who are directly responsible to the station management people.

Craig 4

Reba 6

1 We do have staffing requirements on the Metropolitan  
2 Edison Company home office staff for personnel with expertise  
3 in this area.

4 DR. MOELLER: Could I ask if the staff is reviewing  
5 this situation?

6 MR. BERNERO: Yes. I might add that we do accept  
7 the reporting chain where the Radiation and Health Physics  
8 Engineer or whatever title is used at a station reports at  
9 the station superintendent or assistant superintendent level,  
10 and is not considered part of the shift staff in the sense  
11 that the operation supervisor, so that if the company has both  
12 a home office and a site capability, that this can be acceptable  
13 to report at the station superintendent or assistant superin-  
14 tendent level.

15 DR. MANGELSDORF: Other questions? Herb, is this  
16 a good time to get a statement from the Staff on the QA  
17 program, or when did you have that planned?

18 DR. ISBIN: This would be a good time.

19 DR. MANGELSDORF: We have requested that the Staff  
20 give us their appraisal of the QA program and this seems  
21 like a reasonable time to introduce it, if you are ready,  
22 Bob.

23 MR. BERNERO: Yes, I am ready. And I was prepared  
24 to address all of the outstanding items in a sequence. I can  
25 single out that and do it first, which ever you prefer.

Craig 4 1 DR. MANGELSDORF: Why don't you go ahead with the

Reba 7 2 QA?

3 MR. BERNERO: The quality assurance program for this  
4 site, we can divide it into two phases and I will do them  
5 in reverse order. I will do the operational QA program first  
6 and then the construction QA program. Their operational QA  
7 program has been furnished to us in draft form. It is under  
8 review at this time and prior to licensing we will assure our-  
9 selves that they have an adequate operational QA program in  
10 accordance with appendix B. The implementation of that program  
11 of course will be a matter of surveillance by the Regulatory  
Operations Regional Staff.

Turning now to the construction QA program, the  
12 history of the project was such that we gave a great deal  
13 of attention to the quality assurance program. We believe  
14 they have an adequately constituted program at this time.  
15 However, I would like to mention that in construction there  
16 are surveillance matters which continue to be of concern and  
17 one which I would like to single out for your attention be-  
18 cause of previous experiences on another project.  
19

20  
21 In the surveillance area, the Applicant is at the  
22 present time stressing the reactor building, that is,  
23 tightening the tendons in the building. And the procedures  
24 the Applicant uses allows up to a quarter of an inch recession  
25 of the tendon bearing plates. In the tendons which have been

aig 4

Reba 8

1 stressed to date, the recessions have been measured up to  
2 about sixty percent of the allowable or specified value.  
3 Something less than point 15 inches is the worst case. Our  
4 concern deriving from experience with these tendons and reces-  
5 sion of these plates on another project has led to an inquiry  
6 to the Applicant, first of all, the Staff, the Regulatory  
7 Operations Staff by the way is the lead in this matter, the  
8 Staff is concerned that the specification may indeed be not  
9 sufficiently conservative.

10           And a suggestion was made to the Applicant that  
11 while he has all the equipment on site and available to him,  
12 that he should cut off or so-to-speak peel a couple of the  
13 greatest recession plates and examine underneath to confirm  
14 the phenomenon measured. The Applicant, because of the effort  
15 involved, prefers first to meet with the Staff to justify  
16 the basis of his specifications of point 25 inches as an  
17 allowable recession.

18           So at this time we are to meet with the Applicant  
19 to discuss the specifications, and the outcome of that meeting  
20 of course, may lead to one or the other of the possible  
21 actions indicated. And -- question?

22           DR. MANGELSDORF: Go ahead.

23           MR. BERNERO: I have no further remarks on QA.

24           DR. MANGELSDORF: Any questions, Mike?

25           DR. BENDER: The Staff as I understand it is

raig 4 1 considering invoking the new ANSI standard on construction  
Reba 9 2 quality assurance for operational quality assurance. Is that  
3 new standard being reviewed for this plant?

4 MR. BERNERO: I could not answer that. I don't know.  
5 The only requirement and commitment we have in this case is  
6 appendix B.

7 DR. BENDER: As I understand it there is a new  
8 safety guide that is on its way. It is being published.

9 MR. BERNERO: No, the fact that it was not explicit  
10 in previous actions regarding this matter makes me suspect  
11 that we are not invoking it in this case.

12 DR. SEISS: I would like to explore with the  
13 Staff and/or the Applicant this question of the tendong bearing  
14 plate movements. Is this an appropriate time or should we  
15 defer that?

16 DR. MANGELSDORF: As far as I know. Go right ahead.

17 MR. BERNERO: Yes, do it now I would suggest.

18 DR. SEISS: You said their specification was that  
19 a quarter of an inch movement of the bearing plate was  
20 acceptable?

21 MR. BERNERO: Yes.

22 DR. SEISS: Quarter of an inch with respect to  
23 what, with respect to the concrete immediately adjacent to it?

24 MR. BERNERO: May I stop at this moment and turn  
25 the microphone over to someone more qualified to speak, Mr.

1 Beratan of the Regulatory Operations Staff?

2 MR. BERATAN: I can't answer the question. I think  
3 that I will have to ask the Applicant to answer it.

4 DR. SEISS: Before I ask him, movements on the  
5 order of a tenth of an inch or more were observed you said.

6 MR. BERATAN: Yes, point one four three I think.

7 DR. SEISS: Were those observed in the plate with  
8 respect to the adjacent concrete?

9 MR. BERATAN: Yes.

10 DR. SEISS: How were they measured?

11 MR. BERATAN: They put a bar across and put some  
12 Doyle gauges on and took readings from the Doyle gauges.

13 DR. SEISS: Were these movements that occurred  
14 during prestressing?

15 MR. BERATAN: During and after prestressing.

16 DR. SEISS: How long a period after?

17 MR. BERATAN: Immediately after.

18 DR. SEISS: These are 170 wire quarter inches ---

19 MR. BERATAN: Yes, they are the big tendons.

20 DR. SEISS: What are they prestressing to, eight  
21 tenths of ultimate and then backing off?

22 MR. BERATAN: Backing off.

23 DR. MONSON: Compared to the other plants you  
24 referred to, isn't this amount to ---

25 MR. BERATAN: It is a little in excess, with the

1411 027

Craig 4

1 exception of one or two plates, the rest of the recessions were  
2 a matter of a couple sixty-fourths of an inch.

Reba 11

3 DR. SEISS: Those tendon bearing plates on Calvert  
4 Cliffs with that much movement when removed did show voids.

5 MR. BERATAN: Significant voiding.

6 DR. BENDER: How was the concrete placed behind  
7 these?

8 MR. BERATAN: The concrete was poured and the con-  
9 crete was raised up to the upper side of the bearing plate  
10 so there was potential for entrapment of air.

11 DR. SEISS: What is the size of the bearing plates?

12 MR. BERATAN: 14 by 14 by about -- four inch plate,  
13 three and three-quarters, four inches.

14 DR. SEISS: I guess I would like to address a  
15 question to the Applicant.

16 DR. ISBIN: There is a correction.

17 MR. NODLAND: I would like to correct a number,  
18 the size of the bearing plate. I think it was set it was 14  
19 inches. That dimension is 20 and a half by 20 and a half by  
20 three and three-quarter inches thick.

21 DR. SEISS: Could you give me the basis for the  
22 specification which permits a quarter inch local movement  
23 of the bearing plate as being acceptable? 1411 028

24 How that was arrived at? And what would be the  
25 source of such a movement relative to the concrete adjacent

1 Craig 4 1 to it?

2 Reba 12 2 MR. NODLAND: We have installed Doyle gauges, two  
3 diametrically opposite the center of the bearing plate. And  
4 measurements are taken to the concrete, adjacent concrete  
5 that is not moving. And this was proposed during the writing  
6 of these work procedures, to have a control over excessive  
7 displacement based on a problem we know of existed.

8 DR. SEISS: How did you arrive at a figure of  
9 a quarter inch as not being excessive? This is a local dis-  
10 placement.

11 MR. NODLAND: That is correct.

12 DR. SEISS: And a quarter of an inch, even if it  
13 extends over considerable depth, corresponds to very large  
14 strain. If a quarter inch deformation occurred over a 25  
15 inch depth that is a strain of point 01, which is obviously  
16 an excessive strain even for confined concrete.

17 And this strain could not occur over a very  
18 great depth, or you would have the concrete adjacent to the  
19 plate moving down also. You are talking about a displacement  
20 of the plate relative to the concrete immediately next to it,  
21 which suggests that the deformation that leads to that dis-  
22 placement is very local beneath the plate which of course  
23 correlates with the findings on the Calvert Cliffs.

24 I am interested in how you arrived at a quarter  
25 of an inch as being acceptable.

raig 4  
Reba 13

1 MR. NODLAND: We wanted to use and measure as  
2 indicating where further study and investigation should be  
3 made on a situation where we have lost large displacement. We  
4 did not -- we do not expect under normal -- under the normal  
5 condition as we know to have displacement of this magnitude.

6 It is a long measure that we have to do something.  
7 We have to investigate and find out what is wrong and take  
8 corrective action. The question I believe you are asking  
9 is how far can we go up to point 25 inches before we have  
10 problems.

11 Is point 2 acceptable? Is point 17 inches acceptable?  
12 Or what? Most of the bearing plate of displacement, I believe  
13 less than a tenth of an inch. Several of them, in the order  
14 of five hundreds of an inch.

15 DR. SEISS: Let me say this. Both on the basis  
16 of those calculations I can make and on the basis of experience  
17 that we have gained from another plant that confirms those  
18 calculations, if there is complete fill, complete contact of  
19 concrete beneath the bearing plate, a movement of even a tenth  
20 of an inch or perhaps something that large relative to the  
21 immediately adjacent concrete, this should not occur.

22 There is just no way for it to occur by compressing  
23 the concrete below. It involves too high a stress compared  
24 to the stress you have, too large a strain compared to the  
25 stress you have. So I would think that any movement of the

1 order of a tenth of an inch, and certainly without any question  
2 whatsoever, movement of the order of a quarter of an inch  
3 would indicate that you did not have complete bearing, and that  
4 there had been some overstress, considerable overstress of  
5 the concrete immediately beneath the bearing plate.

6 So I don't quite see how you arrived at your  
7 criterion that if you only had a quarter of an inch, every-  
8 thing was fine. That certainly was not true from the experience  
9 at Calvert Cliffs.

10 MR. NODLAND: I recognize that, that a quarter  
11 inch displacement is a value that we better stay away from.  
12 If we do have displacement close to this value, obviously  
13 there is local high stress values. These are going into plastic,  
14 a certain amount of crushing takes place, and there is re-  
15 distribution of stresses underneath the bearing plate.

16 And new equilibrium exists that then will be  
17 within an elastic condition. So a certain amount of this  
18 phenomenon is bound to take place. The question is how much  
19 is too much. And we believe the value chosen in this case  
20 also keeping in mind that the load on the bearing plate,  
21 stressing it up to 80 percent of ultimate and releasing it --  
22 seeding at 70, then seeded and anchored, the bearing plate  
23 and the concrete beneath it has seen an experienced maximum  
24 load it will ever have. This size of load or these kinds of  
25 stresses, even under an accident or structural integrity test

1411 031

Craig 4

Reba 15

1 the increase in load under the bearing plate, if we have --  
2 during construction and integrity test will be fairly small.

3 DR. SEISS: I think I can agree with you if every-  
4 thing is as you have postulated it. If I had a quarter inch  
5 void beneath the bearing plate and it depressed into that  
6 void, then contacted completely sound concrete, I don't think  
7 I would be concerned about anything except what it might have  
8 done to the tendon trumpet which we like to have intact in  
9 order to protect against corrosion.

10 But I don't know that there is any assurance  
11 simply because the movement has been point 14 inches that  
12 you had the conditions you have described. You have no way of  
13 knowing whether there might be very deep voids there, and  
14 that you have only flattened out the peaks and come to an  
15 equilibrium condition, and those voids might give you some  
16 trouble later on.

17 Of what type, I don't care to speculate. It just  
18 seems to me you don't know what is under there, you don't  
19 know what has caused this. You have postulated a cause which  
20 if it is correct, probably leads to a structure that is in  
21 reasonably good shape. But there are other things that could  
22 be there, and I think you need to find out. I understand  
23 the Staff has indicated that they would like for you to look  
24 at a couple of these. This is what the Staff wanted then on  
25 Calvert Cliffs, and I don't think anybody was too happy

raig 4  
Reba 16

1 at what they found when they looked at it. They did not get  
2 the kind of comfort that you seem to get from your postulated  
3 conditions.

4 MR. NODLAND: I would like to discuss this if you  
5 please with Mr. Howard.

6 (Pause)

end 4

7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

1411 033

lmil

1 MR. HEWARD: As Mr. Bernero pointed out, we do  
2 intend to meet with the Staff and discuss the matter. He  
3 expressed his interest to do this prior to the meeting and  
4 we agreed. The initial reaction I had to pulling two plates  
5 off was one that I have in the past pulled plates off on my own  
6 initiative for suspicious reasons, and to this date have not  
7 had any reason to do so, in that the concrete underneath the  
8 plates have been satisfactory.

9 Now, the Calvert Cliffs experience has been dis-  
10 cussed there, but it has not been discussed essentially  
11 thorough enough for me to feel that I understand it because I  
12 understood the deflections there were considerably in excess  
13 of what we are looking at. However, we will talk to the Staff  
14 about it and proceed in a proper fashion.

15 DR. SEISS: I think at Calvert Cliffs some were  
16 considerably in excess. And that led to a little stronger  
17 recommendation that they remove plates. I might say they were  
18 equally reluctant to remove plates, at least for the first  
19 one. After the first one, I don't think there was too much  
20 reluctance, after they found something.

21 DR. MANGELSDORF: I gather that the point has  
22 been made, and that the Applicant and Staff agree that this  
23 needs to be reviewed further.

24 DR. ETHERINGTON: Under the worst possible conditions  
25 of nonsupport the plate would bend, wouldn't it?

1411 034

1 MR. NODLAND: Would you repeat the question?

2 DR. ETHERINGTON: Under the worst possible condi-  
3 tion of nonsupport, say supported at the end, the plate  
4 would bend, wouldn't it?

5 MR. NODLAND: Yes, definitely.

6 DR. ETHERINGTON: Has there been any measured bending  
7 in the plate?

8 MR. NODLAND: Not to my knowledge.

9 DR. ETHERINGTON: Has it been tested for bending,  
10 measured, I mean, for bending, straight edge across the  
11 plate?

12 MR. NODLAND: These displacement we are talking  
13 about here --

14 DR. ETHERINGTON: I understand that you are  
15 talking about, but I am over and above that.

16 MR. NODLAND: No, we have not.

17 DR. ETHERINGTON: The question really was did you  
18 measure to see if it had bent or not?

19 MR. NODLAND: No, we did not measure that.

20 DR. MANGELSDORF: Any other comments on this  
21 subject? Let's proceed with the next subject.

22 MR. BERNERO: Mr. Chairman, yes, I would --

23 DR. MANGELSDORF: This is by the Staff. Go ahead.

24 MR. BERNERO: Yes, I would like to comment on

25 the other matters which we consider as resolving or outstanding.

3mil

1 This particular case we have reviewed with the Applicant  
2 the question of high energy line rupture outside containment.  
3 And the combination of that review and discussion with the  
4 Applicant, the Applicant has filed his amendment on this  
5 subject documenting that they have reviewed the plant in  
6 total following the Staff required criteria. We have that  
7 amendment under review at this time and will write a report  
8 on it shortly. The changes involved in the plant due to  
9 consideration of high energy line rupture outside containment  
10 are relatively few in number.

11 As I mentioned in the case yesterday, the question  
12 of the letdown line came up. If you follow the letter of  
13 the criteria, one perhaps ought to consider the letdown minus  
14 a cold water line, but we required the Applicant to treat  
15 it as a hot water line due to the change in heat exchange  
16 properties that would ensue if you had a full break. And  
17 modification in the area of the letdown line was found to be  
18 necessary to protect some cable waste, a pipe whip question.  
19 The Applicant has agreed to make this change.

20 The only other changes are in the intermediate  
21 building. This is an aircraft hardened structure which is  
22 on the side of the reactor building, generally opposite the  
23 auxiliary building. And it is the building which contains  
24 the reactor building penetrations and lead-off lines for the  
25 main steam lines and the feed water lines and the like.

4mil

1 This plant is a two-loop plant. It has, however, four main  
2 steam lines penetrating or leaving containment. They run  
3 in the intermediate building along with the feed water  
4 system. And with the emergency feed water systems. The emer-  
5 gency feed water system components are located in the lower  
6 reaches of this intermediate building. A number of changes  
7 were determined to be necessary within the building with  
8 respect to the addition of pipe restraints and barriers.  
9 These are relatively routine matters and post no significant  
10 problem in identification or resolution. However, in one  
11 area, the main steam lines as they leave the reactor  
12 building go into the intermediate building through very  
13 small subcompartments.

14 As I said before, this is an aircraft hardened  
15 structure. It has a roof that is of the order of five  
16 feet thick, and the partitions within the building are of  
17 the order of three feet thick. In these small subcompartments  
18 two of the four subcompartments, the two smallest, are of  
19 such small size that it is possible that even such thick  
20 concrete partitions could be over-pressured by a double-  
21 ended rupture of the main steam line. These compartments  
22 are so tight that we agreed with the Applicant that it  
23 would not be reasonable to require encapsulation of the line  
24 because the mechanical problems of installing an encapsulating  
25 sleeve or device might indeed cause an unknown stress

1411 037

5mil

1 distribution because of the very cramped nature of the  
2 compartment. The structure itself is a hardened one. And to  
3 stand cutting away concrete to provide vent area just flies in  
4 the face of reason because of the other requirement. So we  
5 accepted the proposal that enhanced in service inspection  
6 would provide sufficient assurance of the integrity of these  
7 critical welds in these subcompartments. These two subcom-  
8 partments. And the tech specs will so require.

9 The Applicant has agreed to provide a 100 percent  
10 volumetric inspection of these welds at every cold shutdown,  
11 although not to exceed once every six months. If there are  
12 any questions in that area, I would like to treat them now.

13 DR. BENDER: Have you established with the  
14 Applicant some plan for checking the thermal movement of the  
15 piping systems and verifying that it is in accord with the  
16 design and that proper restraints are properly working?

17 MR. BERNERO: Yes, we have. There is in every  
18 case that we have, a review of the start-up and test program  
19 with respect to this. And vibration.

20 DR. BENDER: Who will do this inspection?

21 MR. BERNERO: Well, the Applicant would have to say  
22 who.

23 DR. BENDER: Which of the Applicant's staff? Will  
24 his own personnel do it or the architect -- 1411 038

25 MR. BERNERO: I would have to turn that question to

## POOR ORIGINAL

6mil

1 them.

2 MR. HEWARD: This will be done by the start-up  
3 and test organization at the site which is under our direc-  
4 tion.

5 DR. BENDER: What information will you receive  
6 from the designers as a basis for determining?

7 MR. HEWARD: I am not prepared to say.

8 DR. BENDER: Well --

9 MR. HEWARD: I don't have that information right  
10 now to give you.

11 DR. BENDER: Do you have some plans for getting it?

12 MR. HEWARD: Mr. Behen advises me that Gilbert  
13 Associates, the engineer, will have piping engineers with the  
14 start-up and test people that are the system designers and  
15 provide this information to them.

16 DR. BENDER: It is unlike you will be able to  
17 directly simulate all the thermal effects that have to be  
18 accounted for in the design. How would one plan to verify  
19 the thermal movements?

20 DR. MANGELSDORF: We are not receiving you well on  
21 this end.

22 DR. BENDER: Do you want to repeat the question?

23 DR. MANGELSDORF: I will appreciate it. 1411 039

24 DR. BENDER: The question asked was since it is  
25 unlikely that you could simulate all of the thermal movement

7mil

1 that had to be accounted for by design, how would one  
2 verify this in the preoperational testing?

3 DR. MANGELSDORF: Okay.

**POOR ORIGINAL**

4 MR. BEHEN: The conventional way of doing this is  
5 to check the pipe in the cold position to verify that the  
6 stops in the hangers are removed and the hangers have  
7 freedom, to heat up the pipes and then to visually inspect  
8 and check by measurement to see that the movements in the  
9 respective hangers are correct, that the hangers are not  
10 buckling, that they have moved and they have moved in the  
11 general magnitude that we expect.

12 We also check where a pipe comes through a sleeve  
13 that there is freedom in that sleeve or that restraint, or  
14 that snubber.

15 DR. BENDER: Unless the pipe comes to the  
16 temperature which you have specified for in -- over the range  
17 of conditions for which you design, you can't be certain  
18 that it is behaving all right merely because it is free after  
19 it is expanded. You would have to have some prediction  
20 of how much movement it will have at a particular temperature.

21 Will you have a table or some kind of tabulation  
22 that shows how much movement you expect at each point of  
23 restraint?

1411 040

24 MR. BEHEN: We will have to have something of  
25 that magnitude, but I would like to point out that what we

## POOR ORIGINAL

8mil

1 check this for is for the operating conditions and for not  
2 the higher design condition.

3 DR. BENDER: You have to check it for the design  
4 condition for which it is designed in some way.

5 MR. BEHEN: Design temperature is usually a rounded-  
6 off number of the operating temperature.

7 DR. BENDER: Yes, but the thermal expansion is a  
8 function of the maximum temperature which the pipe is likely  
9 to see, for example.

10 MR. BEHEN: I believe the curve you are talking  
11 about extrapolated would satisfy that purpose, could it not?

12 DR. BENDER: It could be interpolated rather than  
13 extrapolated; but you would have to do the interpolation.

14 MR. BEHEN: Interpolating from --

15 DR. BENDER: If the temperature doesn't happen to go  
16 as high as you predicted in design during the hot testing,  
17 and some portions of it probably won't --

18 MR. BEHEN: I see your concern, that you will not  
19 reach normal operating temperatures during hot functional.

20 DR. BENDER: I would be surprised if you did in some  
21 cases.

22 MR. BEHEN: In some cases, I think that's correct.

23 DR. BENDER: That is all. Thank you.

24 DR. MANGELSDORF: That covers your point?

25 DR. BENDER: Yes.

9mil

1 DR. MANGELSDORF: Bob, where does that leave us on  
2 resolving items?

3 MR. BERNERO: The only one I would remark on now is  
4 the question which we discussed at such length yesterday on fuel  
5 densification. In this plant, the Applicant has submitted  
6 their final first cycle fuel densification report including  
7 the as built data. They have used the Staff recommended model  
8 for that evaluation in that report. The review is underway.  
9 They have also furnished the draft version of their proposed  
10 alterations to technical specifications due to the fuel  
11 densification analysis. However, that draft version does not  
12 include these most recent matters with respect to moderator  
13 temperature coefficient. The Applicant agreed yesterday and  
14 may indeed address that today, to provide a technical  
15 specification on moderator temperature coefficient with  
16 respect to limitation of power as long as the moderator  
17 coefficient is positive.

**POOR ORIGINAL**

18 And making more explicit or making explicit in  
19 the technical specification, the kilowatt per foot or peaking  
20 factor equation and definition.

21 And, lastly, the matter of the design transient  
22 hold period, of how we discussed yesterday the 100 percent  
23 to 30 percent and back-up would involve a hold at 80, and then  
24 the use of the in-cores to determine that.

1411 042

25 DR. OKRENT: A couple questions along this line.

POOR ORIGINAL

10mil

1 With regard to the moderator coefficient, it is my recollection  
2 tion that the bulk of the analyses reported by the Applicant  
3 used a negative coefficient. You have used the term "positive"  
4 to its zero moderator coefficient in your latest test discussion  
5 as a region in which power might be reduced. Do you have  
6 either the Applicant's or your own analyses for a zero  
7 moderator coefficient as compared to a negative one?

8 MR. BERNERO: I believe some of the B&W representa-  
9 tives can better answer this. But they displayed the  
10 results of some analysis for the effect of the change in  
11 moderator coefficient on a continuous basis, from the  
12 slightly positive through the zero and into the negative regime.  
13 It is my understanding that they will present adequate  
14 analysis to support the technical specification which  
15 will say words to the effect that, do not exceed X percent  
16 power unless the moderator temperature coefficient is zero or  
17 minus.

18 DR. OKRENT: So there is more information that you  
19 are going to review yet in this regard?

20 MR. BERNERO: Yes, that is my understanding. Perhaps  
21 B&W could amplify on it, to the character of it. 1411 043

22 MR. GLEI: Greg Gleis, Babcock & Wilcox. Yes,  
23 Mr. Bernero's explanation is correct. I believe at the  
24 subcommittee meeting earlier this week, we did parameterize  
25 for the worst loss-of-coolant accident on the moderator

11mil

1 coefficient. I believe it was analyzed from a range of a  
2 negative 1.8 up to a positive plus nine times  $10^4$ .  
3 Delta K over K degree F temperature coefficient. And it is  
4 my understanding that we will supply, as the Staff indicated,  
5 this information or the results of this analysis to them  
6 for their review in establishing the tech specs.

7 DR. OKRENT: Could you tell me for a specific break  
8 what the effect was going from minus 1.8 to plus .9?

9 I thought he might have it handy.

10 MR. GLEI: Yes, I do. The calculation for the  
11 worst cold leg break, this is 8.5 square foot break, at a  
12 moderator coefficient of a negative 1.8 times  $10^4$ , the peak  
13 kilowatt per foot which gave you the approximately 2300  
14 degree limit was 18.1 kilowatts per foot. At the positive  
15 plus nine moderator coefficient the tem--  $10^4$ , the resultant  
16 maximum kilowatt per foot was 17.5.

17 DR. OKRENT: Thank you. If I can continue with  
18 the Staff.

19 DR. MANGELSDORF: Go ahead.

20 DR. OKRENT: Is the Staff -- does the Staff have  
21 independent confirmation of the analysis of the -- this class  
22 of reactor over a spectrum of postulated loss-of-coolant  
23 accidents?

1411 044

24 MR. DE YOUNG: As I understand the Staff reviewed  
25 this matter yesterday, and as I recall, they said they did

12mil

1 have independent calculations for a spectrum of breaks.

2 DR. OKRENT: I guess I will have to go back.  
3 I couldn't recall that that in fact was the situation.  
4 And this is partly why I am --

5 MR. DE YOUNG: We could check by a call.

6 DR. OKRENT: Could I ask another question? Does  
7 the Staff with regard to the control on what is called  
8 imbalance as an operating condition so one does not exceed  
9 limiting heat rating with regard to loss-of-coolant accident  
10 conditions, is the Staff going to independently examine the  
11 -- not only the proposed limitations, but the bases for the  
12 proposed limitations and verify to its satisfaction the  
13 technical back-up?

14 MR. BERNERO: Yes, the Staff will indeed verify the  
15 basis for the so-called shaded area and the alarms associated  
16 with it. One of the outstanding items of this matter I alluded  
17 to earlier is just that. The basis for it. And the Staff  
18 will so do.

19 DR. OKRENT: When you say you will do this, do  
20 you mean that in fact you will look into the, independently  
21 -- look independently into the calculations one has to do  
22 and the error estimates and so forth one has to do in  
23 establishing this?

24 MR. BERNERO: Yes, I think that's -- I would condi-  
25 tion the answer. I don't know that that necessarily means

1411 045

13mil

1 we would do an independent calculation ourselves. I would  
2 have to refer to the appropriate technical staff for that.  
3 But we will look into the method of calculation, and the  
4 error analyses necessary to have confidence in that  
5 calculation.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1411 046

**POOR ORIGINAL**

jonl

6  
2406

1 DR. ISBIN: In this regard may I ask the Applicant's  
2 position with reference to alarms on the shaded area?

3 MR. CRIMMINS: The Applicant has indicated to the  
4 Staff that we will provide a tech spec that will include  
5 limits and monitoring requirements for the imbalance  
6 measurement.

7 We also have indicated that we will accomplish  
8 this monitoring by the use of computer calculations which will  
9 be alarmed, or by a manual calculation of the imbalance  
10 in the absence of an alarm.

11 DR. ISBIN: Would you mind going over that again  
12 and giving us a little more detail as to what you mean?

13 MR. CRIMMINS: Sir, the plant computer system which  
14 calculates the imbalance and displays it will have an alarm  
15 associated with it, and this will be a system on the plant.

16 DR. KERR: You refer to calculating the imbalance.  
17 Is the input from the ex-core or the in-core detectors you  
18 are using to calculate this imbalance?

19 MR. CRIMMINS: Those inputs are from the ex-core  
20 detectors. The operator also has available the --

21 (Pause.)

22 MR. CRIMMINS: Sir, I just wanted to verify this.

23 For the purpose of the manual calculation the  
24 operator also has available to him the displays of the  
25 in-cores.

1 DR. KERR: You do plan to make use of the informa-  
2 tion from the in-cores to verify power distribution in the  
3 core?

4 MR. CRIMMINS: That's correct.

5 MR. HERBEIN: We intend to do that. We intend to  
6 verify power distribution in the core using the in-core  
7 detectors. That is true.

8 DR. KERR: Thank you.

9 DR. ISBIN: Coming back to the alarms from the  
10 ex-core, do you need to go through the computer to provide the  
11 alarm?

12 MR. CRIMMINS: Yes, sir. This will be an alarm on  
13 the computer. That's correct.

14 DR. ISBIN: May I ask the Staff: is this what  
15 was envisioned for the other cases, too?

16 MR. BERNERO: Yes, indeed, it is. This is what we  
17 envision for the administrative alarms we spoke of in the  
18 shaded area, that they will be computer alarms, with the --  
19 for those occasions where the computer may be down there is  
20 the so-called manual backup available.

21 DR. MANGELSDORF: Mike?

22 DR. BENDER: Can the Staff say what it has done to  
23 evaluate the adequacy of the operation -- of the operator  
24 training with respect to the understanding of alarms and rod  
25 programming, control rod programming?

1 MR. BERNERO: The Staff, of course, licenses all  
2 of the operators. For this project they have not had their  
3 tests yet. They usually don't have the licensing tests until  
4 fairly late in the game, prior to full load, and they are  
5 tested extensively against the operating procedures, the  
6 technical specifications, the emergency procedures.

7 Our examination is actually composed from their  
8 procedures and their technical specifications.

9 DR. BENDER: They are prepared by whom for this  
10 reactor?

11 MR. BERNERO: The tech specs, of course, you are  
12 familiar with. But the operating procedures, depending on  
13 the equipment or systems involved, are prepared by contractors  
14 and, in draft form, and given to the station staff to detail,  
15 and to review and approve. But they are applicant-furnished  
16 procedures, these detailed operating procedures.

17 DR. BENDER: That has not been done yet, but you  
18 plan to do it?

19 MR. BERNERO: No. In fact Jack Herbein might  
20 know right off the top of his head what the scheduled date  
21 is. But I would suspect it is sometime this fall.

22 MR. HERBEIN: Make sure I understand you, sir. Are  
23 you interested in just when we will take our examinations for  
24 license?

25 DR. BENDER: Yes, and the status of the procedures

1 and the operating procedures and that sort of thing that are  
2 necessary in order to take the examinations.

3 Evidently you need a set of procedures for the  
4 purpose of examination.

5 MR. HERBEIN: That is true. Our operating  
6 procedures which consist of alarm responses, emergency  
7 procedures, normal start-up and shutdown for various  
8 components and also cover various emergencies, are  
9 approximately 80 percent complete.

10 We anticipate that our operation staff will take  
11 their examinations shortly after the first of the year.

12 DR. BENDER: Are these procedures being prepared by  
13 you or by B&W or by both?

14 MR. HERBEIN: Yes to all. In some cases the  
15 plant staff prepares the procedures. In other cases B&W  
16 makes an initial cut at the procedure and then we in turn  
17 modify it.

18 In all cases the plant staff has the final  
19 approval of the procedures.

1411 050

20 DR. BENDER: What kind of review procedure do you  
21 have for evaluating whether the procedures are right?

22 MR. HERBEIN: Essentially the procedures are  
23 initially reviewed by the on-site review committee. The  
24 comments taken by the author are incorporated into the  
25 procedure. If the comments were of significant nature such

1 as to actually change the intent of the procedure from the  
2 initial draft, then it is re-reviewed by the operations  
3 committee prior to approval.

4 Once approved, then the procedure is utilized in  
5 the field.

6 If it becomes necessary to change the procedure  
7 due to operational considerations, it is again reviewed.

8 The change is again reviewed by the on-site review  
9 committee and again approved.

10 DR. BENDER: Does the nuclear steam supplier  
11 review those procedures that affect the management of the  
12 control rods and that type of thing?

13 MR. HERBEIN: Those types of procedures are  
14 currently being reviewed by B&W site representatives, and  
15 we have given them a list of the procedures that we want them  
16 to review, and they are basically all the systems that are  
17 associated with the NSS.

18 DR. BENDER: What if you decide to change? What  
19 mechanism have you got, for example, for determining whether  
20 the nuclear systems' response is appropriate to the design  
21 intent as planned by -- in your procedural controls?

22 MR. HERBEIN: Let me see if I understand your  
23 question. You are asking if --

1411 051

24 DR. BENDER: I am saying there is a nuclear  
25 physicist that has designed this reactor essentially and

**POOR ORIGINAL**

1 planned some kind of management program for it based on some  
2 kind of rod program. It has some set of controls in it and  
3 some set of alarms for determining whether things are okay.

4 I am trying to find out how that guy or whatever  
5 he is knows that your procedures correspond to what he intended.

6 MR. HERBEIN: Well, addressing ourselves strictly  
7 to the imbalance question which is what I think brought this  
8 subject up --

9 DR. BENDER: That is one of the things.

10 MR. HERBEIN: All right. Certainly we are going  
11 to work closely with Babcock & Wilcox in developing the actual  
12 computer programs that will alarm this particular parameter.  
13 Certainly before we change anything that they had originally  
14 given us or we hadn't formally agreed to.

15 DR. BENDER: Will the procedures for this plant  
16 be very much like that of previous plants that are presently  
17 being put into operation by other --

18 MR. HERBEIN: I think that with the nuclear safety  
19 related systems that would be a true statement and true  
20 assumption.

21 DR. BENDER: Do you have any plans to take  
22 advantage of that operational experience that has been  
23 obtained on other plants?

24 MR. HERBEIN: Yes, we do. We have got one of  
25 our engineers actually assigned to the staff of Oconee

1411 052

1 Unit 1 and he is continually bringing back procedures which  
2 reflect the operating experience at Duke.

3 We also utilize his input in our test programs,  
4 brought back numerous test procedures we have incorporated  
5 into our program.

6 DR. BENDER: Thank you.

7 DR. MANGELSDORF: Herb, will you check your mike?  
8 Go ahead.

9 DR. ISBIN: With reference to the alarms, if for  
10 example you are successful in operating at zero imbalance, is  
11 it only administrative procedures which prevent the power  
12 level from possibly drifting upwards?

13 You have a trip set at 105.5, I guess, plus  
14 instrument error which might bring you flux error up to 112  
15 percent, but are there any measures other than administrative  
16 which would indicate that you are in excess of 100 percent  
17 power?

18 MR. HERBEIN: Just a minute, sir.

19 (Pause.)

20 Sir, we have a computer alarm. I envision  
21 it will be set below the actual trip set point of 105.5.  
22 We are currently talking of setting it in the neighborhood  
23 of 102 percent. That is on reactor power.

24 DR. MANGELSDORF: Herb, does that finish yours?

25 DR. ISBIN: Yes.

1 DR. MANGELSDORF: Dave, go ahead.

2 DR. OKRENT: In the general area of this -- I  
3 guess what has been called the shaded area, I guess, I would  
4 like to find out something from the Staff.

5 I have heard mention of the possibility of a  
6 hand calculation being used in the event a computer is not  
7 available. What is your state of knowledge of what is  
8 required with regard to calculations and what kind of a hand  
9 calculation would be done? Could it be done? What is all  
10 involved? Have you looked into this?

11 MR. BERNERO: Let me first answer that I, myself,  
12 have not looked into this in any detail. I know of the  
13 requirement of a minimum of in-core detectors in order to be  
14 at high power, and the recorders which are available to  
15 record or present the output of these in-core detectors, if  
16 the computer is not available.

17 I would rather defer to the Applicant to explain  
18 the nature of what we call the clipboard or hand calculation.

19 DR. OKRENT: But I am trying to ascertain whether  
20 the Staff has reviewed this matter enough, or has it well  
21 enough in hand that I need to explore it in depth today or  
22 another time as it were.

23 So I would like to continue with you a bit.

24 If that is all you have in that area, could I ask  
25 a different area?

1411 054

1           With regard to the alarms that we have heard  
2 mentioned that would give an indication that you were  
3 exceeding the limits of this shaded area, how many alarms  
4 are there? Are they of any particular grade, safety grade,  
5 or however you want to put it? What kind of error do you  
6 anticipate could occur in these? Could you tell me a little  
7 of the Staff's understanding of that area?

8           MR. BERNERO: Well, implicit in the statement by  
9 the Staff that a computer alarm for this purpose is  
10 considered acceptable is the position that this is not what  
11 we would call an IEEE 279 100 percent available and so forth  
12 redundant and all the appropriate terms that go with that,  
13 that type of alarm.

14           This is an administrative limit and this is -- to  
15 ensure that the plant is operated within the tech specs so  
16 that the operator does not turn away or miss a dial movement.

17           As far as the errors associated with the alarms,  
18 the individual circuits which are used in them, I am not at  
19 all qualified to address that.

20           DR. OKRENT: Well, if I can go, then, to the next  
21 question. 1411 055

22           You just mentioned that this is an administrative  
23 aid and in fact, if I understand correctly, there is a  
24 considerable reliance on administration in the process of  
25 making sure you are within this shaded area, or at least what

1 you hoped was the shaded area.

2           Again, if I understand correctly, if you are  
3 outside the shaded area for any extended period of time then  
4 in fact you will have more stored heat in the fuel than meets  
5 the interim acceptance criteria, if indeed you were at the  
6 2300 point, just at the border of the shaded area. Is that  
7 correct?

8           MR. BERNERO: Yes, that is correct.

9           DR. OKRENT: Okay. Then why is the Staff  
10 satisfied that -- well, to me, at the moment, appear to be  
11 undefined alarms. I don't have a knowledge of their accuracy,  
12 and also an undefined kind of administrative control. Why  
13 are they satisfied that this is adequate to see that the  
14 Applicant's reactor has less than the limiting amount of  
15 stored heat in the reactor when, in fact, the stored heat is  
16 such a vital parameter in all of your accident analyses?

17           MR. BERNERO: The -- actually I think there is  
18 perhaps a bit of confusion here. The Staff in its review  
19 sets two types of limits. The one is the limiting safety  
20 system settings. We associate with these such things as  
21 reactor trips and the outer envelopes which we are not  
22 currently discussing here; these power flow and flux balance  
23 limits upon which the reactor trips are those which we  
24 associate with unacceptable operating conditions, that we  
25 must have a reliable, redundant system to stop the reactor

1 operating if we reach any setting of that nature.

2           Within those bounds we have other operating  
3 positions, and we have a preferred normal operating band,  
4 the so-called cross-hatched area, up to 102 percent of power  
5 and up to those lateral limits defined by approximately 5 per-  
6 cent imbalance and so forth.

7           Now, these are administrative requirements. We  
8 do not consider them with the same severity. We do not  
9 consider them as serious a deviation from the nominal as  
10 those limits which are the settings for trips.

11           So we have administrative controls on these.

12           In that context, getting away from flux and power  
13 for the moment, there are many plant operating modes or  
14 conditions, water level and steam generators, things of that  
15 nature, which are left to administrative control because their  
16 ordinary plant operating experience and procedures will keep  
17 them there.

18           It is prudent for them to know when they deviate  
19 from these nominal levels, but we do not consider it have a  
20 sufficient severity to immediately stop the operation of the  
21 plant.

22           So an administrative control has associated with  
23 it the possibility of what we might call an administrative  
24 grade alarm.

1411 057

25           The computer alarm is just that. It is an

1 operating aid to the plant just as the integrated control  
2 system which in truth operates the plant is an administrative  
3 aid. It enables this plant to operate smoothly and efficiently  
4 at nominal levels and provides the operators with sufficient  
5 time and relief of burden of operation to pay attention to  
6 safety-related things.

7 But we do not require it to be safety grade in  
8 the hard sense that we require high flux trip or something  
9 like that.

10 DR. OKRENT: But I wasn't --

11 DR. KERR: I think we ought to correct something  
12 I think is in error. That has to do with the statement that  
13 the margin of the shaded area was the 2300 degree limit. I  
14 do not believe that is the case, and I would like to ask B&W  
15 for clarification.

16 DR. OKRENT: That is important.

17 DR. KERR: Because I think -- I do not think if you  
18 go over the margin of the shaded area you go over the 2300  
19 degree limit. But I would like verification.

20 There is still margin between the shaded area and  
21 the 2300 degree limit, is there not?

22 DR. STRATTON: I believe this was established  
23 yesterday, was it not?

24 DR. OKRENT: In the vertical direction. 1411 058

25 DR. KERR: Dave asked the question and I think the

1 statement was made that one did go over the 2300 degree limit.  
2 I think it is important to establish that.

3 MR. MALLAY: In our discussions yesterday we  
4 established that the area between the shaded area and the  
5 imbalance area was subject to exceeding the LOCA limit under  
6 the conditions of the maximum allowable quadrant tilt.

7 DR. KERR: No, Jim. My question is: if you go out-  
8 side the shaded area, do you immediately exceed 2300?

9 MR. STEINKE: If you recall, the curve we showed,  
10 I believe we showed it again yesterday. We have the LOCA,  
11 locus of points, and we also had a -- had another curve which  
12 showed the maximum kilowatts per foot which the plant would be  
13 allowed to operate at, and there was some margin between that  
14 black line and the red dots.

15 DR. ISBIN: That is not the question.

16 MR. STEINKE: Just a moment, please.

17 If you stay within the shaded area you will stay  
18 on that black line, not on the red dots.

19 DR. ISBIN: Black line represents only a very  
20 special power transient. It is only one case.

21 MR. STEINKE: We considered that, I grant, that it  
22 was one specific case, but we consider that to be the design  
23 case, one of the worst cases.

24 DR. STRATTON: Let me try --

25 MR. STEINKE: I don't think we intend to operate

1411 059

1 right up to the red dots, is what I am trying to say, so there  
2 is some margin.

3 DR. STRATTON: I think the question is still not  
4 answered. Let me try to sharpen it again. Assume the power,  
5 reactor power is, say, 60 percent, and the imbalance is plus  
6 .6, 6 percent, and you have at that instant loss of coolant  
7 accident, does the fuel pin anywhere in the core exceed 2300  
8 degrees?

9 MR. STEINKE: No.

10 DR. ISBIN: I agree with that. But suppose you are  
11 at now the operating conditions which might be 100 or 102  
12 percent power?

13 DR. STRATTON: The question was for the vertical  
14 part of the shaded area.

15 DR. ISBIN: I am not sure what the question was.

16 DR. OKRENT: My original question to the Staff was  
17 does that shaded area bound the 2300 and they nodded yes.  
18 And I pursue my questioning along the lines, if that was the  
19 case, need one not know that he is within it and that the  
20 measures that are available keep you within that limit?

21 Now, if, indeed, you have a margin of whatever it  
22 is, you can measure it 100 degrees or half a kilowatt per  
23 foot, whatever it is, to spare, then that says you have  
24 that much leeway in your control. 1411 060

25 I was pursuing it along the lines of their answer,

1 and I would still -- I am still interested in the approach of  
2 the Staff.

3 Their approach, as I understood it, was that this  
4 in fact reflected the limit and that they were willing to go  
5 along with what appears to be an undefined error and a not  
6 completely specified error that might be introduced from the  
7 administrative control point of view, and to repeat, I was  
8 not talking about for something in the framework that, if you  
9 exceeded this, you would scram the reactor.

10 It seems to me the point is that you want to know  
11 you are within whatever is the acceptable peak kilowatts per  
12 foot. It was in that intent.

13 MR. BERNERO: Dr. Okrent, I am a poor spokesman  
14 on this specialized subject area, but my understanding is  
15 that the Staff understands or believes that the shaded area  
16 defines that bound of operating power wherein you can with-  
17 stand the worst transient without exceeding the 2300 F  
18 ECCS fuel pin limit, or the centerline melting limit,  
19 whatever may prevail.

20 It is, therefore, the bound of that -- those  
21 operating conditions where you are not vulnerable to that  
22 transient. That outside that shaded area one can postulate  
23 the transient that will reach one of those limits.

24 DR. BUSH: You are really saying you may be  
25 potentially vulnerable outside the area, but not necessarily.

1 MR. BERNERO: Yes, that is fair.

2 DR. STRATTON: No, this was established yesterday  
3 or the day before. The proper bound would be a trapezoidal  
4 shaped thing. I believe this is one of the points Mr. Ross --

5 MR. BERNERO: Yes. Dennis Ross did mention that --  
6 this was somewhat arbitrarily slashed down to be vertical  
7 lines.

8 DR. STRATTON: That is the point. He will attempt  
9 to find the bound.

10 MR. BERNERO: Yes, if feasible he intends to bring  
11 it out to the regular trapezoids he mentioned.

12 DR. OKRENT: To make it clear, when I said in the  
13 vertical dimension I meant you didn't get to a higher kilowatts  
14 per foot. I wasn't talking about the lines straight up and  
15 down. This is particularly affected by an error, for example,  
16 in your measure of imbalance or so forth, and listening again  
17 to your answer I feel that my line of questioning remains as  
18 to why, if that is your interpretation of the limit, or what-  
19 ever limit is established, whatever shape it has, why an  
20 unknown deviation from this, except that it won't presumably  
21 exceed scram limits, why an unknown deviation from this  
22 is acceptable to the Staff. 1411 062

23 MR. DE YOUNG: I don't think it is acceptable,  
24 Dr. Okrent. I think by the time the Staff gets through with  
25 its review of the proposed alarm limits and safety settings on

1 this plant, they will be more than adequately conservative.

2 I think if the committee is concerned about this,  
3 and we can have the experts return within an hour or so --

4 DR. STRATTON: Careful about more than adequately  
5 conservative. Adequate is sufficient.

6 (Laughter.)

7 DR. MANGELSDORF: Dave?

8 DR. MOELLER: Changing the subject, going back to  
9 one we were discussing --

10 MR. BERNERO: Mr. Chairman?

11 DR. MANGELSDORF: Go ahead, Dave.

12 MR. BERNERO: Mr. Chairman?

13 DR. MANGELSDORF: Yes?

14 MR. BERNERO: Shall I call the experts? It takes  
15 them time to get down.

16 DR. MANGELSDORF: On this subject I think not.  
17 I believe that this last answer clarifies the situation  
18 enough that we will accept your position that it is something  
19 that needs further development which you intend to do.

20 Is that about right?

21 MR. DE YOUNG: Exactly right.

22 DR. MANGELSDORF: And I think that at least  
23 Dave and I think some others will be willing to accept that  
24 understanding.

25 Now, Dave, you wanted to change the subject. Go

1411 063

1 ahead.

2 DR. MOELLER: I wanted to extend the discussion for  
3 a moment of the qualifications of the personnel responsible  
4 for various programs at the plant.

5 As I understand it, there would be radiation  
6 protection people, of course, on site, and then I gather  
7 that there is a top level health physics man at your home  
8 office. Regulatory Guide 8.8 suggests or recommends that  
9 the individual responsible for recommending and implementing  
10 the radiation control program -- and I assume this is your  
11 chief health physicist or chief radiation protection man,  
12 should be a professional of recognized competence in the field.  
13 And they suggest that one way of measuring this person's  
14 competence or meeting the qualifications is whether or not he  
15 meets the qualifications for certification by the American  
16 Board of Health Physics.

17 I wonder if the Applicant would tell me the name  
18 of the chief health physicist in the home office and whether  
19 or not he possesses such qualifications.

20 (Pause.)

21 MR. ARNOLD: The certification part is kind of  
22 what caught us off guard in that that is a relatively recent  
23 guide and our staffing requirements have not been completely  
24 reviewed in regards to that.

1411 064

25

Now, at the plant staff we have a man who is not

1 certified by the National Association, but he has had  
2 extensive technical training in radiation health physics  
3 area. He has been involved in this discipline for approximately  
4 ten years.

5 In addition to that individual we have people on  
6 the GPU Service Corporation staff with extensive experience  
7 and training in the health physics area.

8 I don't know if it was misunderstood earlier, but  
9 the home office staff position is not yet filled. We are  
10 actively recruiting for it now, and in fact have an offer out  
11 for it.

12 That gentleman, if he accepts, will have a Ph.D.  
13 in radiation science.

14 I think that the intent of the guide to ensure  
15 that we have professional competence brought to bear and  
16 supervision and development and direction of the health  
17 physics program will be met.

18 DR. MOELLER: I think you have answered the  
19 question.

20 DR. MANGELSDORF: Other questions?

21 We have not covered the R&D, I think.

22 MR. CRIMMINS: Yes, sir.

1411 065

23 DR. MANGELSDORF: Is this a good time to bring  
24 that up, or are there other things you would sooner cover in  
25 developing your presentation?

1 MR. CRIMMINS: It is your choice, sir. It is a very  
2 short presentation.

3 DR. MANGELSDORF: Go right ahead.

4 MR. CRIMMINS: Pardon me.

5 DR. MANGELSDORF: Go right ahead.

6 MR. CRIMMINS: Yes, sir. At the subcommittee  
7 meeting there was a question concerning TPUs and Met Ed's  
8 participation in R&D programs associated with ECCS and fuel  
9 densification.

10 Yesterday Mr. Montgomery of B&W outlined what  
11 R&D was being performed on these topics by Babcock & Wilcox  
12 Company.

13 In addition, GPU is involved with several other  
14 reactor vendors who are conducting experiments and research  
15 programs on these subjects.

16 GPU and its subsidiaries have been active in  
17 initiating supporting research programs on these subjects.

18 GPU retained -- recently GPU retained the Exxon  
19 Nuclear Corporation to examine the irradiated fuel from our  
20 operating reactor by gamma scanning methods to determine  
21 pellet-to-pellet gapping. This data was subsequently used  
22 as the input to a power spoke model which was developed by  
23 GPU and submitted to the AEC in the Oyster Creek docket,  
24 50-219, and the results of the inspection were also  
25 submitted at that time.

1411 066

1           Additionally, irradiated fuel has been supplied to  
2 GE for examination and the facilities have been made available  
3 to them and GPU has supported their examination of irradiated  
4 fuel from the Oyster Creek reactor.

5           GPU has also been actively involved in all phases  
6 of the recently initiated Edison Institute study on  
7 densification.

8           GPU representatives are actively participating  
9 in both the steering committee and the working groups in this  
10 program.

11           The goal of this program is to achieve under-  
12 standing of densification and to provide a capability to  
13 design fuel types with suitable reactor stability.

14           There is also materials investigations associated  
15 with this program.

16           Irradiations will start in early September.  
17 Basic hot cell data on density changes should be available  
18 by April of '74.

19           That completes my presentation.

1 DR. MANGELSDORF: Any questions?

2 Let's proceed with the aircraft subject.

3 MR. CRIMMINS: Sir, as a result of the specific  
4 interests discussed at the subcommittee meeting we have pre-  
5 pared three presentations, first by Mr. Nodland of GAI dis-  
6 cussing the hardening that has taken place on the plant  
7 structures. Secondly, Mr. Brannen to discuss the fire protection  
8 aspects of the aircraft protection systems, and Mr. Ballance  
9 of Pickard-Lowe Associates to discuss the probabilities of  
10 aircraft crashes.

11 Mr. Nodland.

12 MR. NODLAND: I will briefly go through what was  
13 done on aircraft hardening on Three Mile Island. The criteria  
14 that was adopted was, first, to protect the reactor coolant  
15 boundary. Second, to provide safe shutdown in case of an  
16 accident, and three, to prevent release of radioactive gases.

17 The buildings at the facilities that was designed  
18 for this condition were a reactor building, fuel handling,  
19 intermediate building, control building, auxiliary building,  
20 and water intake structure.

21 This resulted in concrete, reinforced concrete  
22 structure, heavily reinforced at the thickness of five to six  
23 feet. Five to six feet, yes. The significant structural  
24 modifications for the reactor building as was -- was protection  
25 of the vertical tendon for use in a parapet wall of reinforced

CR 2406

Craig 8

Reba 1

1411 068

Craig 8 1 concrete to prevent shearing of these tendons in case of  
Reba ? 2 the impact. Also protection of equipment access and personnel  
3 access. And also relocate penetrations into the reactor building  
4 within aircraft hardened structures.

5 The control building was provided with vibration  
6 isolation in case of an impact on the vertical wall. The  
7 framing, structural steel framing of the floors are mounted  
8 on neoprene pads, so they can move with respect to the wall.  
9 And Mr. Brannen will talk about the air intake structure into  
10 the control building and instrumentation has been done to  
11 prevent smoke drawn into this building through the air intake.

12 Intermediate building, the main steam line was  
13 protected up to the first isolation valve, and emergency feed  
14 water system is also in that part of the intermediate building.  
15 The spent fuel pool within the fuel handling building. The  
16 basic loading criteria was studied for a considerable time,  
17 and eventually went up to a 200,000 pound aircraft traveling  
18 at the velocity of 200 knots, which represent characteristics  
19 from a Boeing 720.

20 We evaluated the structural characteristics of the  
21 aircraft, fuselage, mass distribution within the fuselage,  
22 buckling capability of fuselage and the deceleration during  
23 impact into a rigid barrier. We had some data, actual data  
24 of deceleration of a C-119 full scale aircraft running into  
25 a rigid barrier. These data were used to generate the similar

1411 069

aig 8

Reba 3

1 characteristic for the Boeing 720 aircraft. Based on these  
2 data we then constructed a reaction time curve. This was  
3 generated also with and without wings, the engines and fuel,  
4 attached and detached. And the most conservative of these  
5 two reaction versus time curves were used.

6 The characteristic of this reaction versus time  
7 is of a significant influence on the design of the structures.  
8 Utilizing this load criterion on an undamped linear elastic  
9 one degree of freedom system, dynamic load factor was  
10 determined in terms of natural period. We could then perform  
11 a static analysis using the peak response value, determined  
12 from the reaction versus time curve.

13 The reactor building was analyzed for impact at  
14 grade impact below the ring girder, above the ring girder  
15 at the dome and at the apex of the dome. The slabs, roofs  
16 and walls were analyzed similarly using a finite method for  
17 analyzing the roof and the walls, and the peak values as I  
18 discussed, then determined maximum movement and shear for  
19 impact in different locations on these slabs with respect to  
20 support.

1411 070

21 The dynamic load factor was later challenged by  
22 the AEC staff. And we then made a check analysis using the  
23 yield line theory. This indicated there was considerable  
24 reserve capacity by the fine element method approach based  
25 on the elastic method that was adopted.

Craig 8

Reba 4

1 We could then verify in this check analysis that  
2 the structures were stable. The peak, the force used in this  
3 check analysis was generated by multiplying the peak value  
4 with the maximum dynamic load factor. In addition, studies  
5 were made on bearing failures and shear of tendon anchors  
6 for both hoop tendons and also the vertical tendons, and also  
7 spalling.

8 This concludes this aircraft hardened design.

9 DR. MANGELSDORF: Thank you. Does the Staff have  
10 any comments on the aircraft protection problem?

11 MR. BERNERO: Well, as you may know I had some  
12 extensive comments during the subcommittee meeting on the  
13 basis of our evaluation. Do you think it worthwhile for me  
14 to review these again?

15 DR. MANGELSDORF: Only if you can summarize the  
16 conclusions.

17 MR. BERNERO: I am sensitive to my verbosity.

18 (Laughter)

1411 071

19 Our conclusion in this case was that we calculated  
20 an acceptably low probability, that is, less than one in a  
21 million per year for the impact of a damaging type aircraft  
22 using traffic density on the order of six to seven movements  
23 per day. And the aircraft of concern, of course, are the  
24 Boeing 707's size and on up from that. We have established  
25 independently that the current level of traffic at the airport

POOR ORIGINAL

raig 8  
Reba 5

1 is about five to six movements per day, not all that far  
2 below the basis of our evaluation.

3 We have therefore concluded and so informed the  
4 Applicant that a technical specification monitoring this  
5 heavy aircraft traffic will be necessary on an annual basis  
6 so that we can be assured that our basis of evaluation continues  
7 to be rational.

8 We noted in the Safety Evaluation Report the features  
9 of the evaluation which lend a sufficient conservatism that  
10 permits us to say that an order of magnitude increase in the  
11 traffic would be of the order necessary to cause us concern  
12 to re-review, or to reconsider the matters.

13 And we feel that it is appropriate to take a long  
14 term licensing action in this case on this basis because  
15 we don't expect this sort of traffic increase to take place  
16 at that airport. However, the technical specifications will  
17 equip both the Applicant and the Staff to catch the growth,  
18 if it does ever reach that point.

19 DR. MANGELSDORF: Dave?

2  
1411 07

20 DR. OKRENT: If I can translate what you said  
21 into numbers, the limit which you stated of ten to the minus  
22 six and which I think is the number given in the paper presented  
23 by Eisenhut, ---

24 MR. BERNERO: Yes, the recent one at ANS ---

25 DR. OKRENT: Would in fact be less than what you

Craig 8

Reba 6

1 would get if you took your number of five times ten to the  
2 minus seven, multiplied it by ten which is an order of magni-  
3 tude, at least that is what I usually mean by an order of  
4 magnitude.

5 MR. BERNERO: That is true you would theoretically  
6 have five times ten to the minus six.

7 DR. OKRENT: You are proposing it would be acceptable  
8 to get to your -- a calculated number of five times ten to  
9 the minus six before you would take action here although your  
10 own limit is ten to the minus six as stated in the Eisenhut  
11 paper.

12 MR. BERNERO: The annual tech spec enables us  
13 to gather information on a sufficiently frequent basis that  
14 we can take action at any point prior to an order of magnitude  
15 increase. It is not rational that the heavy traffic would go  
16 up in an order of magnitude in one year.

17 Ten percent change, 20 percent change, it would have  
18 to double to reach the ten to the minus six level so that  
19 there is more than adequate time for the staff to react to  
20 traffic increases.

21 The allusion to an order of magnitude, a factor  
22 of ten increase, is based principally on the known conser-  
23 vatisms in the calculation as presented in the paper by Eisen-  
24 hut. If you look in our safety evaluation report or in that  
25 paper, you detect a number of things, the impact or target

1411 073

Craig 8

1 area of the plant is point 01 square miles per unit for the Three

Reba 7

2 Mile Island Station.

3 By the way, all of this is based on the station 2  
4 units, point 02 square miles. That is a very large area for  
5 the plant. As I recall, 280,000 square feet. If you took  
6 it in reactor buildings it would be quite a few of them. The  
7 assumption of movements is such that we assumed all takeoffs  
8 are toward the plant and all landings are from the plant's  
9 direction.

10 And the way we treated the crash probability, we  
11 ignored the angular distribution off the center line of the  
12 runway. We calculated the crash probability per unit area in-  
13 dependently of the angle of deviation from the flight path,  
14 and in essence said there is a constant crash probability  
15 at that radius, that radial distance from the end of the runway.

16 And we therefore assumed that all aircraft  
17 traveled directly over the plant. Getting back to one point  
18 in the target area I should mention, the impact or critical  
19 impact points are limited. We assume not only a relatively  
20 large area for the plant, but we assumed that any impact on  
21 a plant by an aircraft of that size is indeed a potentially  
22 damaging impact, whereas our threshold of analysis is an  
23 impact of that size on a critical point, the apex of the dome,  
24 or so forth. So it is these conservatisms in the analysis  
25 that suggest to us that the -- a more realistically calculated

Craig 8

1

probability would not indeed exceed one times ten to the minus

Reba 8

2

six which is our nominal assessment level.

3

end 8

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1411 075

lml

1 DR. SEISS: Is it correct that only the structural  
2 design of the containment is limited to the 200,000 pound  
3 aircraft and that the provisions for fire protection would  
4 be protection against a larger aircraft hitting somewhere  
5 on the site?

6 MR. BERNERO: Yes, this is the Staff's position,  
7 that we accept that the provisions for fire protection and air  
8 shock and so forth are adequate for the aircraft landing  
9 elsewhere. The threshold of concern is the impact of the  
10 larger aircraft on a structural consideration, a penetration  
11 question.

12 DR. MANGELSDORF: Other questions?

13 (Pause.)

14 DR. MANGELSDORF: The subcommittee chairman,  
15 having heard the other two sections of the discussion on  
16 aircraft protection suggests that we might delete those for  
17 this session, assuming that the members of the committee of  
18 no exception. Now, approximately what is the length of  
19 this post-LOCA presentation?

20 MR. CRIMMINS: Sir, under that topic we had  
21 planned to address at your request the paragraph in the TMI 2,  
22 original construction permit ACRS letter, and that is  
23 just a few minutes.

24 DR. MANGELSDORF: Go right ahead.

25 MR. CRIMMINS: Mr. Gilbert of -- excuse me, Mr.

2mil

1 Sailer will address that from Gilbert Associates.

2 MR. SAILER: Thank you for that promotion, Tommy.  
3 I won't have to work next week.

4 I am William Sailer; I am Gilbert Associates pro-  
5 ject manager for Three Mile Unit 1. Tom has asked me to give  
6 a brief presentation on a paragraph which was contained in a  
7 July 17 letter on TMI Unit 2, which is the same as Unit 1.  
8 It asks us to discuss the potentially abrasive slurries  
9 that may be inside the containment building in the sump  
10 when we go into the post-LOCA mode. We recirculate the water  
11 through the reactor building sprays. This system has been  
12 looked at. The letter addressed pH, and we do have pH  
13 control. We have remote sampling in the control room and we  
14 can adjust the pH by admitting sodium hydroxide into the  
15 suction side of the decay heat pumps. So that should the  
16 sample take and indicate we need pH control, we have the  
17 capability to adjust it. 1411 077

18 It asks us to address temperatures and we have  
19 done that. Design temperature of the equipment is 300  
20 degrees F and 350 pounds, and the peak temperature of the  
21 fluid coming out of the sump is 218 degrees F. And you  
22 can find this number in Table 6-11 of the FSAR. You can also  
23 find the equipment specifications in Table 6-3 of the FSAR.  
24 Another question in this paragraph is the compatibility of  
25 materials, and we have no dissimilar metals. It is all

3mil

1 stainless steel 304, including the pump casings. We expect  
2 no kind of abrasive slurry in this building because we do not  
3 to the best of our knowledge have any materials in there  
4 that are going to form a slurry. We have used all reflective  
5 metal insulation inside containment, which does not dissolve  
6 or mix with the spray solution to become a slurry. We have  
7 screens over the sump which have a one-eighth inch pole diam-  
8 eter, and the pumps themselves will pass a particle up to  
9 a quarter of an inch. So we believe we have adequately  
10 protected the suction side of the pumps. That concludes  
11 our presentation.

12 DR. MANGELSDORF: Any comments you care to make?  
13 Any questions from the committee?

14 DR. BUSH: One quick question.

15 DR. MANGELSDORF: Yes.

16 DR. BUSH: You say you control your pH by sodium  
17 hydroxide additions. What is the storage technique for your  
18 sodium hydroxide? 1411 078

19 MR. SAILER: The sodium hydroxide is stored in a  
20 chemical tank in what we call the chemical addition area.  
21 If you need any more detail than that, I would like to call  
22 on my nuclear engineer to address whatever other question you  
23 may have.

24 DR. BUSH: The question really is, is it a pumped  
25 system, in other words, to get it into control, the pH you

## POOR ORIGINAL

4mil 1 pump out, is it a gravity feed or what? Somebody, I suspect,  
2 knows --

3 MR. LARSON: Archie Larson, Gilbert Associates.  
4 It is a pump system. We have a positive displacement pump  
5 which we normally use to meter sodium hydroxide to the tank  
6 where we neutralize the regeneration slugs from the  
7 spent resins, and this same pump and tank are utilized to  
8 pump sodium hydroxide into the suction side of the KE pumps.

9 DR. BUSH: So the probability of getting slugs  
10 into the system is pretty remote.

11 MR. LARSON: Right. I think it is a 10-gallon per  
12 power pump. We don't anticipate having to add at any great  
13 rate, bring the pH back into the desired range.

14 DR. BUSH: Primarily it goes into the one tank  
15 and you don't have much chance for hideout then?

16 MR. LARSON: That's right.

1411 079

17 DR. BUSH: Thank you.

18 DR. MANGELSDORF: Any other questions on this  
19 subject? We have one on another subject.

20 DR. OKRENT: Could I ask the Staff a question?  
21 On page 6-4 of the safety evaluation there is some  
22 discussion of net positive suction test. I couldn't tell  
23 whether this plant meets regulatory guide one point --

24 MR. BERNERO: No.

25 DR. OKRENT: Over what period of time does it not meet

5mil 1 regulatory guide 1.1, postulating an accident at time  
2 T equal zero?

3 MR. BERNERO: I believe the peak sump temperature was  
4 mentioned just a few moments ago. It is a number of the  
5 order of 220 degrees Fahrenheit. And the regulatory guide  
6 one is applied in a calculation at the postulated time of  
7 transfer from the direct injection to the recirculation mode  
8 of operation. And the sump temperature at that time is taken.  
9 Now, if you go into the FSAR, Section 14 there, or 15 in this  
10 -- 14 in this case, you find that the sump temperature curve  
11 for the design basis accident is relatively steep. I am just  
12 estimating from memory, but I would say that the slope of  
13 that curve is such that the time during which regulatory guide  
14 one requirements would not be met are -- that time is of  
15 the order of minutes, something I would just guess it is on  
16 the order or 10 to 20 minutes at the most. 1411 080

17 Assuming there is no mechanism for the reactor  
18 building pressure to get -- well, actually, the substance  
19 of the question with respect to regulatory guide number 1.1  
20 is, should you assume the initial pressure, namely atmospheric  
21 pressure for this containment, and use that against the vapor  
22 pressure existing at the time of peak sump temperature, which  
23 is the vapor pressure associated with whatever that number  
24 is, 218 degrees Fahrenheit. So it is the discrepancy of  
25 six or eight or whatever it is degrees Fahrenheit. I just

6mil

1 don't believe the condition exists for more than a few  
2 minutes.

3 DR. OKRENT: Could I ask the Applicant, over what  
4 period of time he doesn't meet regulatory guide 1.1 if he does  
5 not meet regulatory guide 1.1?

6 MR. CRIMMINS: We will have to check our FSAR on  
7 that point. We don't have that available.

8 DR. OKRENT: If I understand correctly, if it  
9 were a matter of many minutes, you would -- and there were  
10 an opening in the containment, then in fact would you -- would  
11 it -- a large opening?

12 MR. DE YOUNG: A large opening.

13 DR. OKRENT: Yes, indeed. Would you lose your  
14 ability to cool the core? 1411 381

15 MR. BERNERO: No, I think if you postulate a --  
16 the mechanism associated with regulatory guide 1.1, you have  
17 hot water in the sump that is in equilibrium with the pressure  
18 above it at, let's say, 218 degrees Fahrenheit. Opening a  
19 large venting area through the wall of the containment would  
20 cause momentary flashing, and the limiting case here would  
21 be one of the time it takes for the sump to achieve a new  
22 equilibrium with the new now atmospheric pressure. It would  
23 not be some calculated value out of that curve of how long  
24 it would take in the model for the sump to cool from 218 to 212.  
25 If you have ever worked with a condensate pump or something

7mil 1 like that and get a steam bubble in it, there would be a  
2 moment of cavitation, but I envision and can see no risk of  
3 loss of cooling in a meaningful sense of the word. There  
4 would be a momentary instability in the system. The sump  
5 would achieve its new equilibrium at 212 degrees Fahrenheit  
6 by the simple mechanism of flashing. Then the system would  
7 then again be pumping at atmospheric pressure and a  
8 saturated 212 F sump.

9 DR. OKRENT: I guess I can't tell that it would  
10 flash, you know, in a matter of seconds as compared to minutes.  
11 But I will not pursue it any more.

12 DR. BUSH: New area. First a question, then I  
13 will follow up. With regard to your base line inspection,  
14 have you documented this so -- I couldn't find the documenta-  
15 tion. I realize you only require partial base line inspection  
16 in this plant.

17 MR. HEWARD: Would you please explain whether you  
18 mean the results of the inspection or whether the commitment

19 DR. BUSH: Oh, no, I know you made the commitment.  
20 You have no option. I presume you have done the inspection  
21 by now, and I am just asking whether it's been documented.

22 MR. HEWARD: I believe the answer is that the  
23 inspection is in process and --

24 DR. BUSH: It is not complete yet, in other words?

25 MR. HEWARD: Yes.

8mil

1 DR. BUSH: I am surprised this late in the game --  
2 does anybody know the results to date?

3 MR. HEWARD: I know of no problems to date.

4 DR. BUSH: Nothing you have heard, had nothing  
5 reported as untold?

6 MR. HEWARD: That's correct. No, it might make  
7 you feel more at ease to know we did some preliminary  
8 inspections where we actually got to our base line inspection.  
9 But we don't really feel we are going to have a problem.

10 DR. MANGELSDORF: Does that come close enough to  
11 answering your question?

12 DR. BUSH: Well, the answer is that there isn't an  
13 answer right now. But I guess that's okay. I know what  
14 the commitment is.

15 DR. MANGELSDORF: I guess it is not surprising that  
16 it isn't completely written up. Are there any other questions?  
17 Dave?

18 DR. MOELLER: One of the Staff. You allow in  
19 terms of the assessment of a fuel handling accident, you allow  
20 99 percent for the removal of the iodine in the spent fuel  
21 pool. That is, the water uptake. What is the chemical  
22 composition of the water in the fuel pool, that is, you know,  
23 why does it take out 99 percent of the release?

24 MR. BERNERO: A moment, please.

25 (Pause.)

9mil

1 MR. BERNERO: The removal capability of the  
2 water in the spent fuel pool which is merely boric acid, you know  
3 just borated water, is based on test data, measured data.  
4 It is a solution phenomena.

5 DR. MOELLER: That answers it. Thank you.

6 DR. MANGELSDORF: Any others? I am going to  
7 suggest that the committee recess for lunch and reconvene  
8 in caucus, which means that we will reconvene in another  
9 room and rejoin the Applicant after our caucus. We will  
10 be reconvening at 3:00 o'clock.

11 The committee will be reconvening at 3:00 o'clock  
12 in caucus and would expect to -- I need to recalculate the  
13 time here. 2:30 we will be reconvening in caucus, and would hope  
14 to join the Applicant not too long after that.

15 (Whereupon, at 1:45 p.m., the meeting was  
16 recessed, to reconvene in caucus at 2:30 p.m., this same day.)  
17  
18  
19  
20  
21  
22  
23  
24  
25

1411 084

AFTERNOON SESSION

(3:00 p.m.)

DR. MANGELSDORF: Mr. Miller, you don't have to stand. This is not a sentencing.

(Laughter.)

Recognizing the fact that we spent yesterday, as you or some of your people may know, in reviewing some of the generic items having to do with B&W reactors and having reviewed plants similar to the one that you have presented an application for, and recognizing that we have not separately reviewed all of the features of your plant that we would have reviewed if we hadn't had such a generic general discussion, the committee believes it is prepared or thinks it can write a letter to Three Mile Island at this meeting. You have the last word.

MR. MILLER: Thank you. We appreciate your consideration.

DR. MANGELSDORF: Very good. Thank you very much.

(The hearing was recessed, and reconvened at 4:45 p.m.)

DR. MANGELSDORF: Gentlemen, can we come to order?

1411 085

This is an open meeting of the Advisory Committee on Reactor Safeguards for a preliminary consideration of an application by -- pre-application site review, I should

1 say. This is a limited review of a project being considered  
2 by Public Service Company of New Jersey for the Atlantic  
3 Nuclear Generating Station. This meeting is conducted in  
4 accordance with provisions of the Federal Advisory Act and  
5 in attendance at this meeting is Mr. Ray Fraley, who is  
6 designated as the federal employee for this meeting.

7 The rules of conduct for the meeting were  
8 distributed with the notice of the meeting. They provide  
9 for presentation as could be scheduled by members of public  
10 upon due notice and meeting the requirements and qualifica-  
11 tions to make a presentation.

12 Mr. Fred Walton has qualified, has asked for  
13 permission to make brief remarks, and we will ask him to  
14 go ahead now.

15 MR. WALTON: My name is Kenneth B. Walton of  
16 Brigantine, New Jersey, which is the city closest to the  
17 proposed site for the ACRS.

18 As a long-time member of the American Nuclear  
19 Society, now emeritus, I have been -- I am here retained by  
20 the city of Brigantine, the mayor, the city commissioners  
21 and through them the people, to advise and report on the  
22 public hearings on this project which -- in which we are  
23 very much interested. 1411 086

24 My statement is only to express the continuing  
25 interest of the city of Brigantine in this proposal and to --

1 in fact I might go a little further and say that among  
2 some people in Brigantine this interest is a little bit more  
3 intense. It goes to the point of being concern, in some  
4 cases, fearful concern. And we hope that the facts as  
5 they are unfolded will do much to allay this fear.

6 I wanted to make the request that we may continue  
7 to be kept in touch with the facts about and plans for this  
8 station as they are unfolded through your procedures.

9 Thank you very much for giving me this opportunity,  
10 Mr. Chairman.

11 DR. MANGELSDORF: Thank you, Mr. Walton.

12 We, of course, are concerned mightily in our  
13 deliberations here with the safety of the public, adjoining  
14 and located in all areas adjoining sites of projects that  
15 are considered before us. The health and safety of the  
16 public is of utmost consideration in our deliberations.

17 We will then proceed with presentations by  
18 Public Service, as planned. And I will call on Mr.  
19 Kehnemuyi to make what introductory remarks he would like  
20 to, and then proceed to introduce the speakers. 1411 087

21 I should say also that there will be a transcript  
22 of this meeting made available, and in order for the reporter  
23 to properly record the meeting, I will ask that each of you,  
24 as you rise to make a presentation, introduce yourselves and  
25 that you then proceed to speak clearly into the microphone

1 because the acoustics in this room are somewhat less than  
2 perfect, and it is necessary to use the microphones effectively  
3 in order that all those present and the recorder can hear  
4 your remarks.

5           You may proceed.

6           MR. KEHNEMUYI: Thank you.

7           Good afternoon, Mr. Chairman, members of the  
8 committee, ladies and gentlemen:

9           My name is Mr. Kehnemuyi. I am project manager  
10 for the first commercial offshore nuclear generating station,  
11 the Atlantic Generating Station of Public Service Electric  
12 and Gas Company.

13           On December 14, 1972, we submitted to the  
14 Atomic Energy Commission our preliminary site description  
15 report for this project. We requested from the Directorate  
16 of Licensing Staff, and the Advisory Committee on Reactor  
17 Safeguards that they conduct an informal review of this  
18 document.

19           The purpose of this request was to solicit  
20 your comments, suggestions, and advice to assist us to  
21 prepare and submit an adequate and complete Preliminary  
22 Safety Analysis Report. 1411 088

23           We felt, and still strongly do so, that this kind  
24 of review and resulting feedback is of utmost importance  
25 in the licensing of a new, unique and novel concept of

1 placing a nuclear power plant offshore. We are hoping that  
2 in conclusion of these preliminary review hearings, the  
3 committee will issue a letter stating its views on the  
4 concept, and comments on which subjects should be covered  
5 and highlighted in our formal application for a construction  
6 permit, the Preliminary Safety Analysis Report.

7           The committee on November 15, 1972 had issued  
8 a similar letter covering the platform-mounted nuclear plant  
9 concept following a series of hearings with offshore power  
10 systems. We, Public Service Electric and Gas Company, had  
11 also participated in these meetings. Following our submis-  
12 sion of the preliminary site description report, six meetings  
13 were held with the Directorate of Licensing Staff. And  
14 three with the ACRS subcommittee, five of them, meetings  
15 with DOL Staff were held in Bethesda, on January 9th, 1973,  
16 when we discussed the content of the preliminary site  
17 description report, on February 6th, the break-water design;  
18 and on March 21st, and May 6th, the mooring system was  
19 reviewed and on March 13, the water levels for storm and  
20 hurricane conditions were reviewed.

21           The sixth meeting with the Staff was held at the  
22 Coastal Engineering Research Laboratory in Gainesville,  
23 Florida, last Friday, August the 3rd, 1973. Our meetings  
24 with the committees shown on this view graph --

25           (Slide.)

1           We had a subcommittee -- excuse me. We had a  
2 subcommittee meeting at Waterways Experiment Station in  
3 Vicksburg, Mississippi, where two members of the committee  
4 were present, and your consultants on March the 2nd, 1973.  
5 I have listed the Staff meeting which I mentioned at the  
6 Coastal Engineering Research Laboratory, University of  
7 Florida, which was held last Friday along with these, because  
8 one member of the ACRS was present at that meeting.

9           The first subcommittee meeting held in Washington  
10 was May 23rd, 1973. And the second one, on June the 20th,  
11 1973. And, of course, today's meeting on August the 10th,  
12 1973.

13           I would like to review with you the schedule  
14 of the Atlantic Generating Station licensing process.

e10

15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1411 090

11

406

1 As you know, these reviews are somewhat unique  
2 compared to a land based plant. There would be two parts to  
3 it, the plant reviews and the site reviews.

4 DR. PALLADINO: Excuse me. I wonder if I could make  
5 a correction for the record.

6 That first meeting at Vicksburg was not a  
7 subcommittee meeting. It was a meeting of the Staff in which  
8 two of the members of the subcommittee went.

9 MR. KEHNEMUYI: Oh.

10 DR. MANGELSDORF: There is a difference.

11 MR. KEHNEMUYI: Therefore, there were seven  
12 subcommittee -- there were seven Staff meetings rather than  
13 six.

14 DR. MANGELSDORF: Just a technicality. We need to  
15 have it reported properly. Thank you.

16 MR. KEHNEMUYI: For the record, then, there were  
17 seven DOL Staff meetings, and only two subcommittee meetings,  
18 altogether.

19 The off-shore power systems made a pre-application  
20 of the -- for review of the platform-mounted nuclear plant on  
21 April 26, 1972.

22 The -- after several meetings with the Staff and  
23 the ACRS subcommittee, and full Committee, the AEC Staff  
24 comments were received for this pre application review on  
25 October 20, 1972, followed by other meetings with your

1 Committee resulting in an ACRS letter for the platform-  
2 mounted plant review, the concept review only, November 15,  
3 1972.

4 This letter indeed outlined your thoughts about  
5 what should be included in the formal application by offshore  
6 power systems.

7 We, as the first utility who will be placing  
8 these plants out in the ocean, made a pre-application  
9 request -- request for pre-application review on December  
10 the 14th, 1972.

11 We have received, following the number of Staff  
12 meetings I mentioned, we have received the DOL Staff comments  
13 for the pre-application made on June the 8th, 1973, quite a  
14 document, which also lists their thoughts and guidance to us  
15 as to what they would like to see in a formal application,  
16 which is, by the way, of great help to us in our preparing the  
17 formal application.

18 We are hoping that in conclusion of the meetings  
19 with your Committee we may, if you think you have heard us  
20 tell you all about the site, receive a letter from you this  
21 month, August, 1973.

22 The offshore power systems submitted their plant  
23 description report for review on January 23rd, 1973. These  
24 documents were docketed or accepted for docketing on June  
25 the 8th, 1973.

1411 092

1           We, as Public Service Electric and Gas, hope to  
2 submit or will submit a preliminary safety analysis report  
3 on about the last week of September, September 24, 1973.

4           This is what our schedule is.

5           Now, the question why the schedule. There is a  
6 reason for this. The construction of breakwater and other  
7 site-related items take approximately four years for  
8 construction. The -- it is anticipated, or it is our schedule  
9 that we will receive the first unit of these floating plants  
10 on the site on July 1979.

11           In order to do this we must start or complete  
12 our site construction June of 1969. Just about that time. And  
13 to do this, working backwards with a four year lead, we must  
14 start our site construction June of 1975, and, therefore,  
15 we really need a site construction license at that time.

16           The commercial operation of Number 1 Unit is May 1,  
17 1980, and this is our schedule, and I hope that we will be  
18 able to meet these.

19           Just a brief word about the site. We are going  
20 to cover this more in detail with other speakers, but I  
21 would like to touch a few highlights here, if I may.

22           By the way, there are handouts of all the schedules  
23 that I have shown on the screen. They are available. They  
24 are printed.

25           (Slide.)

1           The site is located some approximately three  
2 miles off the New Jersey coast. Just for clear definition  
3 of what that means in that area, we draw a line between the  
4 south end of Long Beach Island, and Brigantine area here,  
5 and it is measured from there out to the point of the -- to  
6 the site.

7           The line is drawn through here and the measure is  
8 made from that line out to the plant.

9           To be exact, the center of the plant, the center  
10 point of the plant, is 2.8 nautical miles. The toe of the  
11 breakwater happens to be some 200 feet away from the three  
12 nautical mile line. So we are just about at the three mile  
13 limit.

14           The site is located some twelve miles northeast of  
15 Atlantic City, and seventy miles from New York City.

16           The south area will be 186 acres.

17           This is the application we have made to the State  
18 of New Jersey for riparian rights to place this plant on.

19           The actual area that this plant covers is quite  
20 small. It is about 70 acres. If it were squared out, if one  
21 didn't follow the ins and outs of the thing, it would only  
22 cover 105 acres.

23           So it is, indeed, not a large area.

24           (Slide.)

1411 094

25           The plant configuration which you have seen before

1 in our presentations to you in the offshore power systems  
2 pre-application review is still the same.

3 We have a breakwater that is curved, horse-shoed  
4 manner, facing the ocean side, and there are two units,  
5 1150 megawatts net electrical output each, located within this  
6 breakwater.

7 There is a straight portion to the breakwater which  
8 looks at the land side, the shore of New Jersey being right  
9 here at the bottom of the screen.

10 We will describe the breakwater in more detail as  
11 we go along today.

12 (Slide.)

13 The cross-section of the breakwater still remains  
14 the same. The caisson, the rubble mound with the dolos as  
15 the armored section on top.

16 There will be more descriptions of this again.

17 (Slide.)

18 I should mention some dimensions here. The break-  
19 water stands 64 feet above the mean low water level. It is  
20 indeed a very high structure and, of course, the depth of  
21 water at the site is approximately 40 feet. So, therefore,  
22 the height of the breakwater from the bottom of the ocean is  
23 some 104, 105 feet, and the breakwater measures over 300 feet  
24 across the bottom.

25 (Slide.)

1           We have built a 1-to-64 scale model of the break-  
2 water and the plants within it, properly modeled, to give us  
3 the motions of the plant when it is subjected to the waves  
4 of probable maximum hurricane or the design basis, I mean the  
5 operating basis storms.

6           This picture shows the basin at the University of  
7 Florida in Gainesville where we had the meeting last Friday  
8 where we are now starting the measurements on the motions  
9 of the plant and the sizes of waves.

10           There will be more about this again later today  
11 by some other speaker.

12           That concludes my statements. If there are any  
13 questions I would like to answer them now and then we will go  
14 to the next speaker.

15           DR. MANGELSDORF: Any questions of Mr. Kehnemuyi?

16           (No response.)

17           Why don't you then proceed with your next item?

18           MR. KEHNEMUYI: The next speaker is Mr. Joseph  
19 Fischer of Dames and Moore who is going to describe the site  
20 in more detail than I did in something like five or six minutes.

21           MR. FISCHER: I am Joseph Fischer, a partner in the  
22 firm of Dames and Moore. I will try to start with the  
23 population, and I am sorry, but could I view the viewgraphs  
24 and then switch to the slides and then go back to the view-  
25 graph and then back to the slides.

1411 096

1 We have taken a look at the present-day population  
2 out there and attempted to extrapolate it by fairly standard  
3 means up to the period of 2000 and 2020.

4 A few numbers that go with this. In the zero to  
5 ten mile radius at the present time, 1970 census, there are  
6 about 12,000 to 13,000 people.

7 (Slide.)

8 The year 2000 this would increase to about 40,000  
9 people. In the year 2020 it would increase to about 50,000  
10 people.

11 There is a seasonal resident population that we  
12 have also looked into. For the year 1970 this is about 32,000  
13 people. Year 2000, about 96,000 people. And for the year  
14 2020, about 114,000 people.

15 This does not include the Labor Day crowd, but this  
16 is a recreation area and there are more people who live there  
17 during the summer than during most of the year.

18 For comparison's sake we have plotted the  
19 population of people, people and population, miles from the  
20 site, which you can't see up here, zero, 10, 20, 30, 40, 50,  
21 and the number of people as you go out.

22 Our site is essentially this line here, and, as  
23 you can see, it is much lower than a number of the other  
24 sites.

25 This is Calvert Cliffs, Oyster Creek, Susquehanna,

1411 097

1 Salem, Ginna.

2 So certainly for comparison purposes we are in an  
3 area of low population.

4 The physio -- physiographically the -- oh,  
5 incidentally, this graph is in the PSAR and it is Figure 7.7-7  
6 if anybody wishes to take a look at it.

7 Physiographically we are in the inter portion  
8 of the Atlantic continental plain. We are about 50 miles  
9 southeast of the fall zone. The continental shelf is a  
10 continuation of the Atlantic coastal plain.

11 (Slide.)

12 We have taken a look at the regional picture. The  
13 site is essentially in an area that is pretty much the same  
14 for the entire coastline. The site lies up the inlet here.

15 We have the edge of Long Island. New York City up  
16 here.

17 The symmetry of the whole coast essentially goes  
18 in this direction with the grain lying along in that general  
19 direction.

20 Atlantic City about here. Cape May is here.

21 This will give you a rough idea.

22 The Piedmont, edge of the Piedmont plain is  
23 roughly in through here.

24 Now, the nearby land use -- and by nearby I mean  
25 roughly in here, zero to ten miles, for example, you have

1411 098

1 primarily wetlands which are now protected by New Jersey law,  
2 a wildlife refuge and small beach type communities such as  
3 Brigantine.

4 I think it is very typical of the area lying around  
5 the coast.

6 Geologically -- and can I go back to the transparency  
7 again?

8 (Slide.)

9 Geologically what we have in this area of New  
10 Jersey is essentially a layer cake with everything dipping from  
11 the Piedmont plateau down toward the coast. Series of soils  
12 which have been deposited under marine and non-marine  
13 conditions, sloping this way at roughly 25 feet per mile.

14 This is exaggerated, obviously.

15 They are essentially inter-bedded sands and  
16 clays continuing down to rock at a depth in the site  
17 area of about 5000 feet.

18 Hydraulically, this results in a sloping surface  
19 that you can see. And this slide is essentially in -- let's  
20 see Figure 2.5.1-7.

21 The cross-section is good from a hydrologic  
22 condition.

23 As you can see, if you have a series of aquifers  
24 and aquaclude -- by aquaclude I mean water barriers -- that  
25 there will be no possibility of influencing any wells that

1411 099

1 might be along the shore.

2 Water will flow essentially down to an aquaclude  
3 and then go laterally without penetrating upgradient.

4 So hydraulically there seems to be no way in  
5 which the plant site could affect any nearby community's  
6 water supply.

7 The rock is a continuation of the piedmont plain  
8 to the west. The structure is generally northeast-southwest.  
9 And the last period of tectonic activity is about 200 million  
10 years ago, roughly what we call the triassic period.

11 The nearest map fault is the Cream Valley-Huntington  
12 fault which is roughly 50 miles to the west-northwest. This  
13 is a strong fault running roughly northeast-southwest.

14 A slightly anomalous feature we have to the  
15 north of the site roughly 60 miles is the Calvin Cornwell  
16 structure. That has been postulated, hasn't necessarily been  
17 proven to exist.

18 Aside from these two features there is nothing of  
19 any significance anywhere near the site geologically. It is  
20 a relatively featureless coastal plain.

21 So look at the seismicity of the area. We have  
22 taken into account all the earthquake activity. The major  
23 shocks that have occurred are at Asbury Park, intensity 7;  
24 and Wilmington, Delaware, intensity 7. 1411 100

25 The two larger shocks were both 50 to 60 miles

1 from the site.

2 We have assumed that either of these shocks, for  
3 purposes of design, could occur at the site, with resulting  
4 accelerations on the range of 10 to 15 percent G.

5 However, the plant will be designed to surface  
6 accelerations of 20 percent G in the foundation soils.

7 (Slide.)

8

9

10

11

12

13

14

15

16

1411 101

17

18

19

20

21

22

23

24

25

ndll  
406

#12

1

1 The local site conditions compares very well  
2 with the regional picture that we gained through primarily  
3 a use of the available information. Investigations per-  
4 formed at the site --

5 (Slide.)

6 -- consisted of a series of test borings, vibra  
7 cores, seismic reflections, aerial "mag" and down-hole  
8 logging. The site lies here.

9 What we find is the same typical bi-symmetry,  
10 lying this way, the swale lies over here, so the site fits  
11 in geographically and logically with what you would expect  
12 from the regional picture.

13 The soils we found on the basis of the work done  
14 at the site -- incidentally, that last slide was Figure  
15 2.5.1-13.

16 (Slide.)

1411 102

17 The next slide is 2. --

18 DR. BENDER: What are your references?

19 MR. FISCHER: The PDSR -- PSDR.

20 This slide is pretty much the information on  
21 2.5.1-14(b).

22 What we have are a series of medium dense sands,  
23 medium stiff clays, dense sands and clays, and this continues  
24 to the depth of the borings. The deepest hole we drilled  
25 was about 285 feet. The breakwater and mooring caissons

ar2

1 are being designed with the knowledge of what exists out  
2 there. There has been a continuous interplay between Dames  
3 & Moore, the people who have done the field investigations,  
4 and Frederick R. Harris, the people who are doing the  
5 design and Public Service. So that the work includes -- the  
6 design work includes the effects of the soil conditions and  
7 everything works together.

8 On the basis of the work that we have done, I  
9 think that we can say that geologically the site appears  
10 to be pretty good. Essentially typical of the area. And  
11 from a land-use and population-use, is also good, probably  
12 atypical of New Jersey.

13 Are there any questions?

14 DR. MANGELSDORF: Any questions?

15 Does that complete your --

16 Joe, were you about to make a comment?

17 DR. PALLADINO: I was going to ask if consultants,  
18 I think one of our consultants has some questions.

19 DR. MANGELSDORF: All right. I was going to  
20 suggest that we have the Staff comment. Is that order  
21 satisfactory to you? 1411 103

22 Are there any comments from the Staff at this  
23 point?

24 MR. BIRKEL: We would like -- Mr. Chairman, we  
25 would like to make an introductory summary with regard to

ar3

1 our review of the application at this time, or at the  
2 appropriate time that the Chairman would like.

3 DR. MANGELSDORF: As far as I know, this would  
4 be an appropriate time.

5 DR. PALLADINO: I was going to suggest if we  
6 have questions on this specific topic, why don't we cover  
7 those?

8 DR. MANGELSDORF: All right. Are there questions  
9 on this topic? On the presentation as we have just heard?  
10 There will be opportunity also after we have heard the other  
11 comments on this topic. Any questions on this topic?

12 MR. PHILBRICK: I would like to inquire, on  
13 the right-hand side of your slide, this last one, you show  
14 a slightly different type of material than you have on the  
15 left-hand side of the slide. You have really a two-layer  
16 system on the right and a multi-layer system on the  
17 left.

18 (Slide.)

1411 104

19 As I read that slide, the dotted materials  
20 forming a major part of the foundation is sand; is that  
21 right, Joe?

22 MR. FISCHER: Yes, this here is the medium --  
23 fine to medium sand, primarily, some small amount of gravel.

24 MR. PHILBRICK: The stuff diagonally hashed to  
25 the left above that, what is that?

1 MR. FISCHER: A silty clay.

2 MR. PHILBRICK: Where is the site itself?

3 MR. FISCHER: The site would be right in through  
4 here. The breakwater covers a pretty good sized area.

5 MR. PHILBRICK: So the breakwater is sitting on  
6 top of some silty clay?

7 MR. FISCHER: Right.

8 MR. PHILBRICK: Below which is some sand?

9 MR. FISCHER: Right.

10 MR. PHILBRICK: Which is the last subject to  
11 deformation under seismic activity?

12 MR. FISCHER: The less --

13 MR. PHILBRICK: The less subject to deformation?

14 MR. FISCHER: Okay. I guess the sand will be.  
15 Am I right on that one? I am trying to figure out, the clay  
16 is closer to the load. The whole thing responds as a unit.  
17 And we will have some greater deformations in the sand  
18 during -- I mean in the clay during dynamic load. 1411 105

19 MR. PHILBRICK: All right, then, the foundation  
20 change, the settlement, is primarily in the clay, isn't it?

21 MR. FISCHER: Static settlement. There would be  
22 virtually no settlement on the dynamic loads.

23 MR. PHILBRICK: All right. Why has there been  
24 a concern about liquefaction?

25 MR. FISCHER: There are some thin layers of sand

ar5

1 on top.

2 MR. PHILBRICK: How thick are they?

3 MR. FISCHER: They range up to a maximum of about  
4 15, 18 feet.

5 MR. PHILBRICK: Do they extend below the level  
6 of dredging?

7 MR. FISCHER: Yes.

8 MR. PHILBRICK: They do?

9 MR. FISCHER: In some cases, yes.

10 MR. PHILBRICK: You say some cases. Do you mean,  
11 then, that these are not continuous layers over the entire  
12 foundation of the breakwater?

13 MR. FISCHER: Right. Yes, we are down to some  
14 places almost no sand on top.

15 MR. PHILBRICK: Would you improve your position  
16 with respect to stability as a seismic Class A, Category A  
17 structure, if you stripped off the upper materials and  
18 founded your structure on the clay?

19 MR. FISCHER: No, I think under the present design  
20 that we would get essentially the same performance if we  
21 did that.

22 MR. PHILBRICK: Supposing you stripped off the  
23 clay down to the top of the basal sand there, what would  
24 be the condition with respect to the Category A design?

25 MR. FISCHER: Dynamically?

1411 106

ar6

1 MR. PHILBRICK: Yes. Would you be better off  
2 or worse off?

3 MR. FISCHER: I guess you would be a little bit  
4 better off.

5 MR. PHILBRICK: Now if you looked at any other  
6 part of the site area, would you be free of the  
7 necessity of stripping in order to found the breakwater  
8 on the sand?

9 MR. FISCHER: Oh, yes, there are general areas  
10 around there which have less clay than we have right here.

11 MR. PHILBRICK: Is the sand at a higher eleva-  
12 tion, the top of the sand, than shown here in those other  
13 areas?

14 MR. FISCHER: There are some sands. This sand  
15 right here is pretty uniform in depth. There are others  
16 in filling materials through here which are combinations  
17 of sands and clays.

18 MR. PHILBRICK: If you were looking for essentially  
19 uniform foundation, homogenous structure base, would you get  
20 it anywhere else with less excavation than you would here?

21 MR. FISCHER: No. You would be roughly the same.  
22 The only completely uniform material that we are seeing is  
23 once you get down somewhere in here. And you might save a  
24 few feet. But you are talking about essentially something  
25 that has relatively uniform depth across here.

1411 107

ar7

1 MR. PHILBRICK: Where is the proposed foundation  
2 of the breakwater?

3 MR. FISCHER: We are putting it right on top.

4 MR. PHILBRICK: Right on top. What difference  
5 in elevations between the foundation of the breakwater  
6 and the foundation of the dredged area, or the base of the  
7 dredged area?

8 MR. FISCHER: Base of the dredged area, do  
9 you have that number? The base of the dredged area is  
10 minus 47. And so we are talking about in here, that is  
11 roughly 10 feet.

12 MR. KEHNEMUYI: May I interrupt, Joe, a minute?  
13 The minus 47 is a local situation. It is under two caissons  
14 that are not backed by the mooring caissons inside the basin.  
15 It would require a sketch to show this, if I may draw on the  
16 board.

17 MR. PHILBRICK: Well, the only problem that I have  
18 got here is whether when you build this breakwater, are  
19 you then excavating, dredging to the land side of it, or  
20 have you got that done beforehand?

21 MR. FISCHER: Oh, we are not dredging after the  
22 breakwater is built. There will be some dredging initially  
23 in the central part of the area, and then that's it, as far  
24 as dredging goes.

25 MR. PHILBRICK: Okay. This is the -- let me

1411 108

1 ask you a question on material. Then I will be off your  
2 back.

3 Where are you getting the breakwater stone?  
4 What material will it be, how will you schedule it in so  
5 that the breakwater will be completed in time to put the  
6 plant in position, on schedule?

7 MR. FISCHER: Okay. I cannot answer all those  
8 questions.

9 The material is going to be a good, sound, solid  
10 rock with a high friction angle. We have -- "we" meaning a  
11 group of people including Frederick R. Harris, Public  
12 Service, have come up with a set of specifications for  
13 the rock which are going -- is going out for bid, which has  
14 just gone out for bid. The contractor that will -- will  
15 find a place for the material will be then inspected by  
16 various representatives of the owner.

17 But as far as selecting a location, a positive  
18 location for the rock, we have not done that except to  
19 indicate in the specs that the rock has got to be pretty  
20 good material.

21 Scheduling will be up to the contractor to do  
22 that.

23 MR. PHILBRICK: You are specifying abrasion-  
24 resistant rock?

25 MR. FISCHER: Yes.

ar9

1 MR. PHILBRICK: And you are specifying rate of  
2 delivery?

3 MR. FISCHER: What we are specifying from an  
4 engineering sense is how much rock you can put on at any  
5 one particular time. I guess that is rate. But we are  
6 not talking about, we are not controlling them to the "nth"  
7 degree. We will say you can't put on more than this over  
8 a particular length of time.

9 MR. PHILBRICK: Are you giving him a minimum rate  
10 of placement?

11 MR. FISCHER: No.

12 MR. PHILBRICK: Then how do you know the job will  
13 be done when you have to have it?

14 MR. FISCHER: The contractor will be selected  
15 on the ability -- and I am getting out of my field now --  
16 to do a job in the time necessary.

17 MR. PHILBRICK: The question is, does he have  
18 sufficient plan to do it? That is all.

19 MR. KEHNEMUYI: May I answer that question?

20 We have, as Joe pointed out, Public Service  
21 Electric and Gas has gone out for bids for building this  
22 breakwater with a provision that the contractor supply the  
23 stone. So we did this in the past one week. So we will  
24 not know until the end of this year where the sources of  
25 these materials will be. We have a specification that will

ar10

1 bind the contractor to do certain things, the materials  
2 must meet certain criteria. We are quite confident  
3 that there will be enough materials on this, talking to the  
4 various contractors who have been invited to bid. If I  
5 may say, we just did not mail a letter to these people and  
6 say, "Please build a breakwater or tell us how much you  
7 would charge us to build a breakwater." We had several  
8 conferences with them, and they are very confident that  
9 there will be enough materials.

10 MR. FISCHER: As an independent check on the  
11 contractor, we have looked at a number of possible quarry  
12 sites that had both the type of rock, we believe, without  
13 going into major testing, and also sufficient quantity.  
14 So we are not asking for something that is impossible to  
15 produce. We know that there are a number of places that  
16 do have the material, and now it is up to the contractor to  
17 select the place that is most economical for his operation.

18 MR. PHILBRICK: That's all.

19 Thank you, Joe.

20 DR. MANGELSDORF: Any other comments than the  
21 Regulatory Staff? I will call on them in a minute again.

22 Any other comments or discussion, questions  
23 of Mr. Fischer?

24 Now for the Staff. Do you have some comments  
25 to make at this point?

ar11

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. BIRKEL: Not on the discussion that we have just heard, Mr. Chairman. We would like to make an introductory summary, if we could, from the Staff's position.

DR. MANGELSDORF: That would be fine.

MR. BIRKEL: At this time?

DR. MANGELSDORF: Yes.

e12

1411 112

1 MR. BIRKEL: Thank you.

2 My name is Ralph Birkel and I am the licensing  
3 project manager for the Atlatnic generating station.

4 Mr. Chairman and members of the Committee: our  
5 meeting with you today is a continuation of discussions that  
6 we have held with the Subcommittee on May the 23rd and June  
7 the 20th, 1973, relating to the pre-application review of the  
8 proposed site for the Atlantic generating station.

9 The Staff review was completed and a summary of  
10 our findings presented in our report dated June 8, 1973.

11 This review was performed in response to the  
12 December 14, 1972 request by Public Service Electric and Gas  
13 for a Commission and an ACRS pre-application site review for  
14 the intended purpose of determining the general adequacy of  
15 the site upon which to locate two floating nuclear power  
16 stations. 1411 113

17 This request by Public Service and Electric  
18 and Gas was made in the hope that it would help enable  
19 Public Service to prepare a preliminary safety analysis report  
20 which will be adequate and complete for the formal review.

21 In keeping with this intent we met with you -- we  
22 meet with you today with the objective of obtaining from the  
23 Committee in a letter report its comments, review and  
24 obtaining guidance in preparing a complete and acceptable  
25 Atlantic generating station site safety analysis report from

1 Public Service.

2 Based on the information provided by Public Service  
3 the Staff was unable to establish the suitability of the site  
4 for the location of two floating nuclear plants.

5 However, our review of that information did not  
6 identify any reasons why this site should not be suitable  
7 for the location of such plants.

8 Considerable further evaluation and demonstration  
9 by Public Service and Electric and Gas will be required to  
10 conclusively accept the proposed site.

11 This should occur subject, then, to receipt of  
12 a site preliminary safety analysis report which we understand  
13 is now scheduled for September of 1973.

14 In keeping with this September schedule we feel  
15 that our June report will help enable Public Service to  
16 prepare a preliminary safety analysis report which would  
17 be adequate and complete.

18 We have identified in Section 1.3 of our report  
19 areas of major deficiencies which require significant  
20 recognition in the preliminary safety analysis report in  
21 order to determine the acceptability of the site and the  
22 structures and components to be constructed under a site  
23 construction permit. 1411 114

24 I should point out at this time that the offshore  
25 nuclear power plant concept in light of proposed Appendix M

1 to 10 CFR Part 50 will require two separate applications and  
2 licensing reviews associated with each facility. One for the  
3 manufacture of the plants and one for each proposed site.

4 We performed a pre-application review with the  
5 former aspects with offshore power systems and issued a report  
6 on their floating nuclear plant on July the 21st, 1972.

7 In our June 1973 pre-application review of the  
8 latter site aspect we remained convinced that the site design  
9 involved approaches of paramount importance in such a split  
10 licensing approach. This is one of the reasons that our review  
11 of the offshore power system application for a license to  
12 manufacture which was docketed on July the 5th this year must  
13 be complete and a license to manufacture issued before we  
14 will issue a site construction permit.

15 That concludes our introductory comments to the  
16 Committee, Mr. Chairman.

17 DR. MANGELSDORF: Thank you.

18 Any questions by the Committee of the Staff at  
19 this point?

20 Yes, Mike?

21 DR. BENDER: What is your present position on what  
22 you intend to require in the way of information regarding the  
23 sinking of the plant?

1411 115

24 MR. BIRKEL: In our review with the OPS people we  
25 had indicated that we must recognize that sinking should be

1 included as a design basis requirement for the platform,  
2 for the floating nuclear plant.

3 We have indicated that in our July report of  
4 last year.

5 DR. BENDER: This means what, that the whole power  
6 plant must be submerged?

7 MR. BIRKEL: The power plant must be capable of  
8 being shut down and maintained under shutdown conditions  
9 under all emergency conditions and this would include total  
10 bottoming of the floating nuclear plant.

11 DR. PALLADINO: With regard to this envelope you  
12 are speaking about, have you established acceptable values  
13 of probabilities for various kinds of events which you  
14 perceive?

15 MR. BIRKEL: No, at this time we have not. We  
16 have recognized the importance of developing such a design  
17 envelope, and we have discussed that with the OPS people,  
18 Offshore Power Systems people, during our review of their  
19 pre-application report.

20 At this time, however, we cannot say that we have  
21 developed such probabilities.

1411 116

22 DR. MANGELSDORF: Mike?

23 DR. BENDER: Could I ask one question of the  
24 Applicant with respect to the matter of sinking, or the sunk  
25 power plant? Do you plan to deal with that in your PSAR?

1 MR. KEHNEMUYI: Yes, OPS has already done that in  
2 their plant descriptive report. The sinking is taken care of.

3 DR. BENDER: It will be dealt with in the context  
4 of the site in which we are --

5 MR. KEHNEMUYI: May I add that neither they nor  
6 we believe this plant will ever sink. It is designed that it  
7 will bottom-seat.

8 DR. BENDER: None of us suspect it to, but that  
9 doesn't prevent us from thinking about it.

10 DR. MANGELSDORF: Any other comments from the ACRS  
11 consultants at this point?

12 MR. KEHNEMUYI: Why don't you go ahead with the  
13 next item on your agenda?

14 MR. KEHNEMUYI: Yes, sir. This next item is the  
15 uniqueness of this review. It points out the uniqueness of  
16 this review. There are two applications, as was pointed out,  
17 and it is the comparison of these applications or comparison  
18 of the design envelope with what a site meets.

19 In this specific case what our site fulfills  
20 in that envelope. It will be covered by Joseph Ashworth  
21 of Public Service Electric and Gas.

22 (Slide.)

23 MR. ASHWORTH: Good evening. My name is Joseph  
24 Ashworth, for Public Service. I am assistant to the project  
25 manager for the Atlantic generating station.

1411 117

1 I have fourteen transparencies to go through. I  
2 will try to go as quickly as I can. These are a summary  
3 of the values that have been obtained for the envelope, both  
4 in the plant design report which has been submitted and  
5 docketed from OPS and the preliminary site description report  
6 which has been submitted for a pre-application review.

7 We have summarized the values and we have indexed  
8 the areas in those two reports where the development of these  
9 values can be found.

10 To attempt to go deeply into the development of each  
11 one of these values in the time available would be less than  
12 rewarding a task, but we have people available that can answer  
13 any specific questions.

14 (Slide.)

15 The first area of interest is meteorology. The  
16 atmospheric diffusion conditions felt to be minimum acceptable  
17 are shown in the plant design report, Section 2.7.

18 By the way, all of this material has been  
19 submitted previously for review by the DOL and the ACRS.

20 Our predicted K over Q values are better than  
21 the reference plant; that is, the plant that is designed by  
22 Offshore Power Systems by a factor of 2.

23 It remains to verify these conditions in the  
24 meteorological test program.

25 In the matter of rainfall, the plant is designed

1411 118

1 for a maximum of 7 inches per hour, and the monthly  
2 precipitation measured at Atlantic City, which is the closest  
3 point for which records are available, has never exceeded five  
4 inches per day. That is referenced in PSDR Table 2.1-1.

5 However, we have been digging in the meantime and  
6 we discovered that if you can believe the record, in 1903  
7 at Atlantic City they claim they got 9.21 inches in 24 hours.  
8 Rather than one hour.

9 We think we are still in good shape.

10 (Slide.)

11 Continuing with meteorology. The minimum air  
12 temperature used as a design value for the plant is minus  
13 five degrees, and going back to Atlantic City records again  
14 the minimum for the last nine years for which the best data is  
15 available is plus five degrees.

16 We believe that the sea condition -- or the site  
17 conditions near the sea surface will be warmer than this  
18 plus five degrees, but we must verify this in our  
19 meteorological test program.

20 The water temperature extremes, 30 degrees and 85  
21 degrees, design points.

22 At the time of the preparation of this slide we  
23 had values spanning January and August, and was 37.2 and  
24 75.7 degrees respectively for the two months.

25 So we fall within the site envelope. 1411 119

1 All of these reference tables and information items  
2 in the PSDR --

3 DR. KERR: Excuse me. I don't know this much about  
4 sea water. Is the implication of what is typical of January  
5 1973 typical of all Januaries?

6 MR. ASHWORTH: Well, let me answer the question  
7 by saying that we took a number of measurements during  
8 January and this was the minimum temperature that we found.

9 Now, when the test program has been running for a  
10 full year, at maximum efficiency, we will have a larger number  
11 of readings, but we don't feel we are going to find anything  
12 that would fall below thirty degrees.

13 Now, this data that -- referring to PSDR -- will  
14 be included also in our PSAR when submitted in September.

15 (Slide.)

16 We are concerned, of course, with the wind and  
17 wave loadings upon the plant. The wave conditions within  
18 the basin, limiting wave conditions, are stated by Offshore  
19 Power Systems such that they will not cause greater than  
20 three degrees pitch and roll.

1411 120

21 By the way, this is a double amplitude three  
22 degrees. And the preliminary limits or values for those  
23 waves are less than twenty feet in height, or the heights  
24 that are defined in the figure 2.4-1 in the PDR.

25 This figure recognizes that waves of different

1 periods will have different effects upon the plant.

2 Now, we have calculated the waves in the basin to  
3 be below the allowable limits. This will be confirmed by  
4 the model tests at the University of Florida, Gainesville.

5 Our preliminary results indicate that we are well  
6 within this envelope of three degrees single amplitude.

7 The operating basin wind is 180 miles per hour.  
8 This is the point at which the plant is designed to continue  
9 operation, and the predicted maximum, or predicted operating  
10 basin wind which is the one in a hundred probability storm is  
11 156 miles per hour.

12 DR. OKRENT: What does operating basin wind mean  
13 again?

14 MR. ASHWORTH: The operating basin and design basin  
15 are the two terms we are using. Operating basin generally  
16 conforms to a meteorological condition with a probability of  
17 occurrence of one in one hundred. The design basin corresponds  
18 to, in the case of waves, to the probable maximum hurricane.  
19 But in the case of wind, the next slide I --

20 DR. PALLADINO: Before you take that slide off, I  
21 thought you ought to indicate a little bit more about your  
22 assumptions on this Atlantic generating station calculated to  
23 be below allowable limits.

1411 121

24 I think perhaps Mr. Wilson has some questions  
25 that ought to come up at this time. What is the basis on --

1 MR. ASHWORTH: The basis for the allowable limit  
2 statement initially was testing an analysis done at  
3 Stevens University in their wave tank. It has been confirmed  
4 to date by the testing done at the University of Florida.  
5 But it ultimately, and I think the -- at a later point we will  
6 have more of a discussion on model testing. It ultimately  
7 must be confirmed by model testing.

8 DR. PALLADINO: I was thinking more about the  
9 magnitude or conditions which you finally will test. I agree  
10 that you can confirm it by test, but you won't confirm any  
11 more than you test.

12 MR. ASHWORTH: You mean the condition of the  
13 wave outside the basin?

14 DR. PALLADINO: What are the circumstances under  
15 which you are going to have your calculated conditions,  
16 assumed conditions?

17 MR. ASHWORTH: If we are going to discuss the  
18 characteristics of the probable maximum hurricane, which is  
19 the governing condition for waves, I would rather refer that  
20 question to one of our consultants.

21 Before I do, I would like to continue my answer to  
22 the question on the wind, however. The question was where  
23 did we get the 156 miles per hour or the 180 miles per hour.  
24 And is that the worst that can happen.

25 The answer is no. The tornado is the worst wind

1411 122

1 that can occur.

2 My next slide shows that.

3 DR. SIESS: Those wave conditions within the  
4 basin, are those design basis conditions or operating basis  
5 conditions?

6 MR. ASHWORTH: The wave conditions for three degrees  
7 single amplitude are design basis conditions.

8 DR. SIESS: That is the maximum the plant can take?

9 MR. ASHWORTH: Be able to maintain safe shutdown  
10 during that condition. Shutdown and maintain safe shutdown.

11 DR. BENDER: Is there some lapse time associated  
12 with that? Or does that make any difference?

13 MR. ASHWORTH: No, that would be a continuous  
14 thing. The operating basis condition that corresponds to  
15 this is on the order of two degrees. And when plant motion  
16 starts to reach that point we will have to have operating  
17 procedures which will start to secure the plant.

18 DR. SIESS: That three degrees, that figure has  
19 been fixed by OPS?

20 MR. ASHWORTH: That's correct.

21

22

23

24

25

1411 123

#14

arl

1 DR. SEISS: Do you have any idea whether the  
2 Staff agrees with OPS, that three degrees is indeed the  
3 pitch and roll that this plant can withstand and still be  
4 safe shut down? Staff has not yet reviewed the OPS site  
5 envelopes, that I know of. The Staff said they hadn't  
6 reviewed it.

7 MR. BIRKEL: That's correct.

8 DR. SEISS: That means they don't know. I  
9 raise this question because I think it may apply to other  
10 things. Certainly, your plant must stay within the limits  
11 that the plant manufacturer has said he is designing for,  
12 but I think that at some point along the line you have got  
13 to find out whether the Staff is in agreement with his  
14 criteria as to what constitutes safe shut-down. If it is  
15 operating basis, I don't think that gives any particular  
16 problem. You have to stop operating when you exceed his  
17 limits. And even if they get lowered, you still stop  
18 operating. But on a design basis, if you exceed his  
19 limits or whatever limits are finally decided upon, you  
20 can't build it. Not a question of just shutting down.

21 Do you know of your own knowledge the basis for  
22 that three degrees, or have you just simply taken what OPS  
23 gave you?

1411 124

24 MR. ASHWORTH: Is this question directed to  
25 Public Service or the Staff?

ar2

1 DR. SEISS: Public Service.

2 MR. ASHWORTH: The three degrees, I believe,  
3 corresponds to or is developed from an analysis of the  
4 accelerations that the plant can withstand. There is also a  
5 period of this three degree oscillation. If you want to  
6 pursue this further, I would like to pass this one over to  
7 one of the people from Offshore Power Systems that can give  
8 us a more concise explanation.

9 DR. SEISS: No, I don't. But what I -- and I  
10 don't know whether I want to pursue further the question  
11 as to what you are going to do if this ends up at two degrees  
12 instead of three. I have noticed over a period of time  
13 that frequently the requirements that we end up with after  
14 the Staff gets through with their review are not quite  
15 as liberal as those that were proposed in the PSAR or the  
16 permit to manufacture, or whatever document might be called.  
17 It seems to me you are hanging your site approval, not  
18 approval in this case, but your site criteria on some  
19 unreviewed criteria.

20 MR. KEHNEMUYI: Dr. Seiss, may I answer that ques<sup>1411-125</sup>  
21 tion?

22 DR. SEISS: Yes, sir.

23 MR. KEHNEMUYI: From our point of view, we have  
24 a target number to hit which happens to be three degrees.  
25 But we have conducted these preliminary tests at Gainesville,

ar3

1 and they indicate that as Joe Ashworth pointed out, they  
2 are going to be well below these numbers. We are very  
3 confident that we are not going to reach the three degree  
4 single amplitude in the probable maximum hurricane condition.  
5 We would, if we were not this confident, we certainly  
6 would not pursue this thing as we are. We feel there is  
7 even a margin in there.

8 DR. SEISS: Is that true of all the site envelope  
9 criteria?

10 MR. KEHNE MUYI: No, sir, it does not have to be.  
11 For example, if you take the wind situation, if Offshore  
12 Power Systems designs the plant for 180 miles per hour and  
13 indeed we find our site to have 179, I am exaggerating to get  
14 too close to it, we would feel that that is a point that we  
15 can go in for an application for the site, feel confident,  
16 and pursue this thing. These are things that we have gone  
17 through this kind of exercise, or if I may call it an  
18 exercise on land base plants. The novel things are this  
19 pitch and roll and things like that. And we certainly  
20 would not pursue this matter if we did not feel confident in  
21 it. And we do feel confident in this.

1411 126

22 DR. SEISS: I think there are two categories.  
23 Pitch and roll are what I would call secondary criterion.  
24 Primary criterion is safe shutdown. OPS has defined three  
25 degrees as being the pitch and roll that corresponds to

ar4

1 safe shutdown presumably with some margin. I don't know.  
2 Now 180 miles per hour wind is a primary criterion. If  
3 you meet that, I don't see how there can be much argument.  
4 But there are several others in the same category as the  
5 pitch and roll. I don't know as we have gotten to them yet.  
6 Go ahead. If you do, I will --

7 (Slide.)

8 MR. ASHWORTH: Continuing with the wind. The  
9 design basis wind during which the plant must be capable  
10 of being shut down and kept in a shutdown condition corresponds  
11 to the maximum tornado. We don't believe there is going  
12 to be such a maximum tornado at the Atlantic site, but this  
13 is the standard for analysis.

14 (Slide.)

15 MR. KEHNEMUYI: Maybe this is a good illustration,  
16 if I may add, Dr. Seiss, the site envelope in the case of the  
17 tornado was exactly equal to our design.

18 DR. SEISS: Oh, yes. That is primary, I think.

19 MR. ASHWORTH: Now certain site hazards are  
20 capable of being withstood by the plant, and it has to be  
21 shown that the site will not produce hazards which exceed  
22 these hazards for the plant design. In terms of ship colli-  
23 sion, the breakwater must prevent colliding ships or dis-  
24 placed portions of the breakwater from contacting the plant.

25 Now the analysis shows that contact will be

1411 127

ar5

1 prevented, and this will be confirmed again in University  
2 of Florida at Gainesville by model testing using a scale  
3 model of the 1 to 64 scale of a very large tanker. This  
4 is felt to be the largest or most injurious type of ship  
5 collision that could occur in this particular site. Hazardous  
6 cargoes, such as munitions ships, require that the plant  
7 be sited in an area where the probability of collision,  
8 subsequent explosion, be less than 10 to the minus 6th  
9 per year. And we calculate that the probability of collision  
10 and explosion of the munitions ship is approximately seven  
11 times 10 to the minus 10th per year. And during peak  
12 traffic or wartime years, would rise only to 1.5 times 10  
13 to the minus 9th.

14 DR. OKRENT: I would like to ask some questions  
15 on this slide, if I could. First with regard to the ship  
16 collision on the size of the tanker you chose, did it depend  
17 on the existence of a shoal or did you choose something  
18 that was larger than could actually get by that shoal?

19 MR. ASHWORTH: The shoal doesn't protect the entire  
20 breakwater.

21 MR. KEHNEMUYI: The answer to your question, Dr.  
22 Okrent, is we have not assumed that this shoal will stop  
23 the ship. The ship will come through if the depth of water  
24 was 40 feet at mean low water. The shoal happens to be 26  
25 feet down. We are going to leave the shoal there, but we are

1 saying that it is not there.

2 DR. OKRENT: I see. How big was this tanker,  
3 then?

4 MR. ASHWORTH: 326,000 dead weight tons, 46-foot  
5 draft.

6 DR. OKRENT: Fine. I see it there now.

7 Now, the question I am more interested in is  
8 on the bottom of that slide. Looking at the site envelope  
9 value, I don't want to discuss what is the actual condition  
10 there. There is a proposed site envelope value of 10 to  
11 the minus 6th per year, less than 10 to the minus 6th per  
12 year for hazardous cargoes.

13 MR. ASHWORTH: For munitions' ship collision and  
14 explosion, not all hazardous cargoes.

15 DR. OKRENT: Right. Does Public Service of New  
16 Jersey endorse this figure as an appropriate site envelope  
17 value?

18 MR. ASHWORTH: I think that would be presumptuous  
19 of Public Service to attempt to answer. The committee has  
20 in the past evaluated proposals of this order of magnitude,  
21 or possibilities of this order of magnitude and has passed  
22 on the plants. I am sure that they will continue to look  
23 at the submissions from OPS and continue to evaluate them.  
24 We're saying that in our particular instance we calculate  
25 that probability to be seven times 10 to the minus 10th.

ar7

1 DR. OKRENT: Let me try another tack at the same  
2 question.

3 Does Public Service have a probability per year  
4 of a worse than Part 100 accident due to all possible  
5 causes that they think should not be exceeded at the Atlantic  
6 generating site if reactors are built at this site?

7 MR. ASHWORTH: Would you please state that ques-  
8 tion once again?

9 DR. OKRENT: Yes.

10 (Laughter.)

11 DR. OKRENT: Does Public Service of New Jersey  
12 have a probability per year of a worse than Part 100 acci-  
13 dent that should not be exceeded due to all possible causes  
14 for reactors at this site, assuming reactor is built at this  
15 site?

16 MR. ASHWORTH: I am really going to have to  
17 re-interpret that to make sure I get it right.

18 DR. MANGELSDORF: Let me try rephrasing it and  
19 see if Dr. Okrent agrees. Do you have a figure of prob-  
20 ability of a worse than Part 100 accident that Public Service  
21 regards as good enough?

22 Is that the question?

1411 130

23 DR. OKRENT: Yes.

24 MR. ASHWORTH: If that is the question, I do  
25 not have an answer for it. Perhaps someone would like to help

ar8

1 out.

2 MR. KEHNEMUYI: I am not too --

3 DR. MANGELSDORF: Let me say that it would be  
4 somewhat surprising to me personally if you did have an  
5 answer for that, because I know a lot of other people that  
6 don't.

7 MR. KEHNEMUYI: I was going to answer the question  
8 by saying that it may sound facetious to say this, but we  
9 are indeed not setting up the speed limits. We are living  
10 within them.

11 DR. SEISS: Well, the site envelope value for  
12 this particular accident, it says less than 10 to the minus  
13 6th. If your probabilities, which now say seven times 10  
14 to the minus 10th come out to be nine times 10 to the minus  
15 7th, would you consider that acceptable?

16 MR. KEHNEMUYI: Yes, if, again, if the acceptable  
17 number were 10 to the minus 6th --

18 DR. SEISS: I didn't say the acceptable number.  
19 I said this number is 10 to the minus 6th. Neither you nor  
20 I nor the Staff yet knows whether that, nor OPS yet knows,  
21 whether that is an acceptable value.

1411 131

22 MR. KEHNEMUYI: Okay, let me answer your question  
23 this way: In a case like this, I personally would feel  
24 very comfortable if someone said the acceptable number is  
25 10 to the minus 6th and I had nothing to do with it. My

ar9

1 number came out to be seven times 10 to the minus 10th,  
2 I certainly would sleep better at night.

3 DR. SEISS: How do you feel now about 10 to the  
4 minus 7th?

5 MR. KEHNEMUYI: I would feel it is within it,  
6 but quite close.

7 DR. BUSH: I am intrigued with the unique  
8 way of phraseology here, because I can visualize a rather  
9 large number of cargoes that from an explosion magnitude  
10 point of view, fertilizer cargoes, LNG cargoes, et cetera,  
11 all of which have potential of doing as much damage as a  
12 munitions ship. I know. But that is why the seven times  
13 10 to the minus 10th figure --

14 MR. ASHWORTH: Let me proceed to the next slide.  
15 We have considered some of the other possibilities. In  
16 addition on the agenda for today is a more detailed discus-  
17 sion of ship collision. I am sure that the person presenting  
18 that can perhaps allay some of your fears regarding different  
19 types of cargo.

20 (Slide.)

21 But other cargoes that we do have concern for  
22 are LNG tankers, as was mentioned. We calculate that the  
23 probability at Atlantic generating station for collision  
24 and fire from an LNG tanker is 2.2 times 10 to the minus  
25 9th, approximately.

1           The next hazardous cargo we have considered is  
2 the anhydrous ammonia tanker. We are now studying the  
3 probability of the collision and rupture of such a tanker.  
4 If the probability of it is unacceptably high, it is  
5 practical for us to supply emergency breathing apparatus.  
6 The fires from any fuel spill other than LNG must be prevented  
7 from approaching closer than 100 feet from the plant. We  
8 have provided an oil boom within the breakwater to prevent  
9 that fuel spill from getting any closer than 100 feet.

10           DR. OKRENT: Could I ask why the numbers for  
11 anhydrous ammonia might be larger than 10 to the minus 6th  
12 per year in view of the very small numbers you are calculating  
13 for LNG tankers?

14           MR. ASHWORTH: I believe you are concluding that  
15 because we have not put a number down that the number is  
16 larger. The actual reason is that we have not yet done the  
17 study.

18           DR. OKRENT: Thank you.

19           DR. PALLADINO: Why do you say fuel spills other  
20 than LNG?

21           MR. ASHWORTH: LNG is a fuel spill we don't feel  
22 we can handle. WE feel we must eliminate that on probability  
23 bases. But fuel spills other than LNG can be handled by  
24 the firefighting equipment provided at the site, providing  
25 that they are kept 100 feet away from the plant.

1411 133

:11

1 DR. BUSH: I would think an equally interesting  
2 one in your second category there would be chlorine. I  
3 don't know what the movement is on the coast. I know it is  
4 fairly extensive on the Mississippi. Do you have any idea?

5 MR. ASHWORTH: I believe that was examined. And  
6 I think when we get into ship collision presentation, we  
7 can probably give you some more about it. I am not the  
8 right man to do that.

9 DR. BENDER: What is the proximity of the LNG  
10 tanker accident?

11 MR. ASHWORTH: I am sorry, the proximity?

12 DR. BENDER: Yes. The probability which you have  
13 of a collision is what, the assumption that it would run  
14 into the breakwater? Or what?

15 MR. ASHWORTH: The effects of the ensuing fire,  
16 and I do not yet know whether we have decided whether or  
17 not there would be an explosion, but the effects of the  
18 ensuing fire and possible explosion are not tolerable to  
19 the plant. 1411 134

20 DR. BENDER: I think I haven't expressed my  
21 question clearly. I am wondering whether that is a colli-  
22 sion with the breakwater or would it might also include,  
23 say, a collision between an LNG tanker and another ship  
24 in the vicinity?

orders, Inc.

25 MR. ASHWORTH: That is based on a collision with

ar12

1 the breakwater. If the ship were hard up against the break-  
2 water, then the calculations would be just as valid. If  
3 the ship were some distance away from the breakwater, we  
4 would have to look at it again to see what the effects would  
5 be.

6 DR. BENDER: Do you plan to deal with that  
7 possibility of an LNG tanker running into another ship?

8 MR. AHSWORTH: I guess we do now.

9 DR. KERR: Excuse me. Is the chlorine calculation  
10 about which the question was asked not a part of the  
11 envelope, and therefore you did not include it?

12 MR. ASHWORTH: That's correct. It is not a part  
13 of the envelope, and I believe that to determine why it is  
14 not a part of the envelope, the presentation on ship  
15 collision will be the one to ask the question.

16 DR. KERR: Thank you.

17 (Slide.)

1411 135

18 MR. ASHWORTH: All right. To complete our study  
19 of collisions, we have one that is common to the land base  
20 plant, and that is the probability of aircraft collision.  
21 And we have calculated that the probability of a fixed-wing  
22 aircraft colliding with the plant is approximately three  
23 times 10 to the minus 7th per year. The qualification  
24 of fixed-wing is there due to the fact that the plant can  
25 withstand a hit from a helicopter of the size that would

arl3

1 normally be used for travel to and from the plant in service.

2 DR. OKRENT: By the way, in looking at the effects  
3 of aircraft, do you include the whole breakwater as a target  
4 area, or only the plant?

5 MR. ASHWORTH: Only the vital areas of the plant.

6 DR. OKRENT: The assumption is that a fire that  
7 arose from a plane crashing within the breakwater could be  
8 handled?

9 MR. ASHWORTH: That's correct. That is more than  
10 an assumption. In the fire portion of the site design  
11 accidents, I think that will be gone into, see what the fire-  
12 fighting capability is of the plant.

13 DR. PALLADINO: With regard to LNG, I am  
14 surprised OPS didn't say one of the site envelopes is that  
15 you must keep LNG ships away. That sounds to me like  
16 something they could have said. I don't know but that sounds  
17 like a good site envelope if I were OPS.

18 (Slide.)

1411 136

19 MR. ASHWORTH: Now site water depths are the  
20 next area of concern. The minimum water depth is a  
21 criteria that is required to prevent contact between the  
22 bottom of the plant and the ocean floor. And it is given as  
23 44 feet which is 31 foot draft plus 13 foot possible maximum  
24 motion of the plant during a tornado. And this slide is not  
25 up to date. This number is, I believe, 47 feet right now.

arl4

1 MR. KEHNEMUYI: That's correct, it is 47.

2 MR. ASHWORTH: 47. The maximum water depth is  
3 determined by the postulated sinking emergency that was  
4 questioned before. And that is considered to occur  
5 simultaneously with the operating basis storm or with the  
6 design basis tsunami, which is a very, very small number  
7 for this site. That is 76 feet. At this level of water,  
8 the plant can be safely shut down and kept in a shut-  
9 down position. At the Atlantic generating station site, we  
10 have 66.3 feet. That should also be corrected by subtracting  
11 three feet.

12 DR. BENDER: Do you have a definition of safe shut-  
13 down at this stage?

14 MR. ASHWORTH: I think OPS could probably give  
15 a better answer to that than I could.

16 MR. KEHNEMUYI: Blair, would you?

1411 137

17 mr. bruce: I am Bob Bruce. I am manager of  
18 nuclear systems engineering for Offshore Power Systems.

19 Our definition of safe shutdown and sinking is  
20 when we have reduced the core temperatures and pressures  
21 until the plant is operating on residual heat removal loop.  
22 The heat is dissipated via residual heat removal and  
23 auxiliary cooling water systems to the sea. That is  
24 ultimately our safe shutdown condition. Initially right  
25 at the beginning when the plant is to be placed in safe

ar15

1 shutdown, the operator would, of course, trip the control  
2 rods. He would then borate the cold to a hot borated condi-  
3 tion. This would occur on a time scale of a matter of minutes,  
4 certainly within half an hour. The plant would essentially  
5 be safe in the hot borated condition, but we would proceed  
6 to the long-term condition of residual heat removal.

7 DR. BENDER: And this would mean that the plant  
8 was shut down from a nuclear standpoint, but there is some  
9 device there that is taking away the afterheat for what-  
10 ever time it is submerged?

11 MR. BRUCE: Yes, it would be shut down from the  
12 nuclear standpoint within a matter of seconds, as soon as  
13 the operator scrammed the reactor.

14 DR. BENDER: How long do you visualize it would  
15 stay submerged?

16 MR. BRUCE: We are designing for submergence of  
17 one year. 1411 138

18 DR. BENDER: After which you intend to recover it  
19 or what?

20 MR. BRUCE: We would expect to recover the plant  
21 within a time scale of one year.

22 DR. BENDER: Thank you.

23 DR. PALLADINO: What was your basis for a one  
24 foot tsunami under your assumptions?

25 MR. ASHWORTH: Joe Fischer would like to answer

arl6

1 that, from Dames & Moore.

2 MR. FISCHER: The maximum tsunami that's ever  
 3 been recorded in the area was on the order of less than a  
 4 foot, six inches or so. Even postulating something that  
 5 has never occurred before, the worst possible condition,  
 6 something going on in Puerto Rico or Portugal, we still are  
 7 on the order of several feet. But the one foot is based  
 8 upon essentially history.

el5

- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

1411 139

1 DR. PALLADINO: Dr. Wilson, one of our consultants,  
2 came up with numbers on this side of the ocean that appeared  
3 quite higher. Maybe I ought to turn it over to him.

4 MR. ASHWORTH: Could I point out at this point that  
5 even if we are off by a factor of five that we would still be  
6 well under the 76 feet which is a limiting condition. The  
7 depth of the tsunami, not including the crest of the tsunami,  
8 would be 52.3 feet. The maximum depth is 76 feet.

9 So, we have all the difference between those two  
10 numbers in which to accept a larger postulated tsunami and still  
11 be within design conditions.

12 MR. SEISS: In considering tsunami, what  
13 consequences have you considered?

14 MR. WILLIAMSON: I would like to make an observation  
15 on that, on the aspect of the tsunami that I had brought up  
16 earlier to the Committee. And this was that there is -- there  
17 might be a good possibility of the concurrence of a tsunami  
18 with the conditions of extreme high tide near the full moon,  
19 and possibly with the occurrence of a major storm, the reason  
20 being that there seems to be a tie-up between earthquakes,  
21 major earthquakes and the full moon event. The apparent  
22 cause of it is not definitely established yet, but it seems  
23 to be that the earth tide effect can be a triggering aspect  
24 for causing earthquakes, major earthquakes.

25 Several major earthquakes have in fact occurred at

1 the full moon. The great Alaska Earthquake was a case in  
2 point, the great Elizabethan Earthquake was a case in point.  
3 There are several others that one could quote. Even our  
4 California earthquake of February, February 9, 1971 occurred  
5 at the full moon.

6 At any rate, the point here is that it is  
7 conceivable that you could get a general concurrence of all  
8 these effects together. And I would like to put that to the  
9 Committee, Mr. Chairman, and to the applicants as something  
10 that should be at least considered as a possible overall  
11 design event.

12 MR. KEHNEMUYI: May I make a comment on that, if I  
13 may?

14 The -- as the highest astronomical tide addition  
15 to the mean low water is something of the order of 5. --

16 DR. MANGELSDORF: I wonder if your microphone is on?  
17 We are not quite getting you.

18 MR. KEHNEMUYI: Is it on now?

19 DR. MANGELSDORF: Yes, it is; thank you.

20 MR. KEHNEMUYI: The addition of the astronomical tide  
21 to the mean low water level is something of the order of  
22 five-point-some number which I don't remember, if we call that  
23 six feet, and add that to the mean low water, there is six feet  
24 more onto there, and if we did add the waves that we would  
25 encounter inside the basin, which are at the most, and I don't

1 quite agree with the statement that we ought to combine PMH  
2 with a tsunami because then we are combining disaster with  
3 disaster -- the addition would be another 12 feet, and onto  
4 that the tsunami of a few feet is, I believe, still less than  
5 that differential between 55.3 and the 76 feet.

6 We will look into this but I think we are adding  
7 things that we ought not to.

8 MR. FISCHER: Let me add one thing.

9 One, we don't have tsunamis on the East Coast that  
10 are appreciable.

11 Two, we can correlate earthquakes with almost  
12 anything we want, as long as you only take a couple earthquakes.  
13 I have seen correlations with sunspots, full moon, and the  
14 San Fernando Earthquake I saw a beautiful expose, classical  
15 situation of using computer data to come out with why the  
16 opposition of the sun and the moon caused a set of forces which  
17 made the San Andreas Fault break for the San Fernando Earthquake.  
18 Unfortunately, the man who wrote that didn't realize that it  
19 wasn't the San Adreas that had broken; it was another fault  
20 and the sense was roughly perpendicular to the sense he  
21 showed with his mathematic. 1411 142

22 Earthquakes occur. And I think the probability of  
23 an earthquake occurring with a probability of a storm, major  
24 storm which we have never seen yet occurring at the same time,  
25 those two phenomena would be rather spectacular to see them

1 occur at the same time.

2 We are going to add an astronomical tide to them,  
3 then we add another possibility or probability on top of that.  
4 Then we add to that the fact we don't see the ground breakage  
5 on East Coast earthquakes which cause the tsunamis. And I  
6 don't know how to add that probability in.

7 MR. ASHWORTH: Before leaving the slide, I would  
8 like to add that this is all to take care of the postulated  
9 single emergency which we will design for, but which we do not  
10 believe will happen.

11 (Slide.)

12 The geology and seismology criteria are concerned  
13 with two areas, supporting the breakwater and supporting the  
14 plant if it should sink. And the site requirement, or the  
15 requirement imposed by the plant, of course, is that if a  
16 breakwater is used as it is in our design, that the seabed  
17 must support the required breakwater under static and dynamic  
18 conditions. And the studies by our consultants indicate that  
19 after the initial deformation, that the seabed will adequately  
20 support the breakwater.

21 The 10,000 PSF figure is the maximum <sup>1411</sup> <sup>143</sup> that would  
22 be expected at the heaviest loaded portion of the breakwater  
23 to support a sunken plant; the seabed must support a static  
24 load of 1600 pounds per square foot.

25 And again after the initial deformation, it would

1 appear that the seabed will support the plant with a factor of  
2 safety in excess of five.

3 (Slide.)

4 Now, the mooring -- no, I guess I have got one more  
5 item on geology and seismology, that is, seismic response. The  
6 site envelope requirements are that the characteristics should  
7 not exceed certain response spectra shown in the reference  
8 figures in the PSR.

9 At Atlantic Generating Station, the characterizations  
10 are shown in the PSR, Figure 2.5.2-4. And they fall within  
11 the requirements specified for the offshore power systems  
12 plant.

13 MR. PHILBRICK: Does that consider liquefaction in  
14 that thing or not?

15 MR. ASHWORTH: I refer again to Dames and Moore.

16 MR. FISCHER: The breakwater will be so designed  
17 and the subsurface conditions so taken care of that there will  
18 not be liquefaction during an earthquake.

19 (Slide.)

20 DR. MANGELSDORF: Do you have a further comment?

21 MR. PHILBRICK: One question.

22 DR. MANGELSDORF: Question.

23 MR. PHILBRICK: Is there an agreement with the Staff  
24 as to what such a design will be?

25 MR. FISCHER: I don't think the final design has been

1 submitted with enough supporting data on what the subsurface  
2 conditions are to the Staff yet.

3 However, an agreement will be reached with them.

4 MR. PHILBRICK: With respect to the criteria to  
5 prevent liquefaction?

6 MR. FISCHER: Yes.

7 DR. MANGELSDORF: Mike?

8 DR. BENDER: Could you go back to the previous slide  
9 again?

10 MR. ASHWORTH: Certainly.

11 (Slide.)

12 DR. BENDER: That is not the one. I am looking for  
13 the one that shows the maximum strength of the --

14 DR. KERR: Mike, we need the mike.

15 DR. BENDER: Oh. The seabed static loading.

16 (Slide.)

17 DR. BENDER: Is that 1600 pounds per square foot  
18 based on the -- some point of the sunk structure hitting the  
19 seabed first, or do you allow for some angle of penetration?

20 MR. ASHWORTH: Let me refer that question to  
21 offshore power systems.

22 MR. ORR: I am Richard Orr. This 1600 pounds per  
23 square foot is an average bearing pressure underneath the  
24 plant.

25 DR. BENDER: How is that interpreted in terms of the

1411 145

1 sinking mechanism. Do you assume that the plant will settle  
2 vertically?

3 MR. ORR: The sinking is a nonmechanistic condition.  
4 We are designing for it to be safe sitting level on the bottom.

5 DR. BENDER: Is that realistic?

6 MR. ORR: There is no realistic mechanism that will  
7 cause it to sink.

8 DR. BENDER: Well, okay; thank you.

9 (Laughter.)

10 DR. OKRENT: Let me see what you mean by the word,  
11 realistic. If the mooring were to break in this maximum probable  
12 hurricane, could the barge sink?

13 MR. ORR: May --

14 MR. KEHNEMUYI: If the -- yes. The answer is yes,  
15 nonmechanistically, if -- the barge itself, by the way, is  
16 compartmented. When we say that we do not see any mechanistic  
17 way how this barge could sink, our statement is based on the  
18 fact that if a condition like that occurred, a certain number  
19 of compartments would be punctured. There would be water in  
20 them. But the plant would still not sink. So, therefore, we  
21 cannot reason ourselves to a situation where we say, well,  
22 this thing will happen and therefore all of the compartments  
23 will be broken up so that this thing will sink. 1411 146

24 So, we drop that kind of reasoning, and say we  
25 cannot follow that; therefore we say it will sink. It will

1 sink for the design basis.

2 MR. ORR: Well, I think it would be perhaps not a  
3 description of physical, possible -- physically possible  
4 mechanisms to imply that there was no way by which, or no  
5 set of sequences that could lead to the barge sinking. And I  
6 gave one; if you wished, I could suggest several more which  
7 would lead to sinking. And I don't think it takes all of the  
8 compartments, actually, to be punctured for it to sink.

9 So, I just don't want to leave the impression that  
10 it is a physically impossible situation. I assume you are  
11 not trying to, either.

12 MR. KEHNEMUYI: But quite a few of these compartments  
13 are double-bottomed, for example.

14 DR. OKRENT: Yes.

15 MR. KEHNEMUYI: It would have to puncture the two  
16 hulls before it would ever get there. The chances of this  
17 happening are not there, is what we believe.

18 DR. MANGELSDORF: I don't want to be unkind, but  
19 the designer of the Titanic went down with it expressing the  
20 sentiments that it couldn't possibly.

21

22

23

24

25

1411 147

2406  
End 16

1 MR. ASHWORTH: Requirements for the mooring system,  
2 will be presented in considerably more detail in one of the  
3 upcoming presentations, are that the -- really relate to the  
4 plant motion.

5 Plant motion requirements say that the pitch and  
6 roll accelerations must not exceed those due to a motion  
7 having an amplitude of three degrees in a period of thirteen  
8 seconds.

9 (Slide.)

10 Now, the accelerations are determined by the wave  
11 conditions within the basin which we have already said we  
12 believed to fall within those margins and, in fact, as a  
13 result of the preliminary tests fall well within those margins.  
14 And the mooring system design will not amplify the accelera-  
15 tions from those waves.

16 In terms of the wave motion, vertical accelerations  
17 must not exceed .03 G and, once again, the accelerations are  
18 determined by wave conditions within the basin and the mooring  
19 system will not amplify those accelerations.

20 MR. RAICHLEN: I have noticed on this site envelope  
21 that there is no reference to any conditions in sway or in  
22 surge. Could you explain to me why there are no considerations  
23 of this? 1411 148

24 MR. ASHWORTH: The overall acceleration due to plant  
25 motion is the one that is of concern. This acceleration can be

1 due to a combination of motions.

2 MR. RAICHLEN: Well, let me put it another way.

3 Is it my understanding that you assume that any  
4 surge and sway can be brought within reasonable limits by a  
5 redesign of the mooring system if you indeed find this to be  
6 so from the test at Gainesville?

7 MR. ASHWORTH: I would like to direct that  
8 question to the mooring system experts --

9 MR. RAICHLEN: Maybe this is a question that  
10 should be held until the mooring system is presented.

11 MR. KEHNEMUYI: Maybe we can answer it now.

12 Mr. Harlow?

13 MR. HARLOW: I am Eugene Harlow from Frederick R.  
14 Harris. I think the question really deals with the -- an  
15 explanation as to whether the site envelope itself sets  
16 limitations on surge and sway. That I think might be better  
17 answered by Offshore Power Systems representatives.

18 MR. KEHNEMUYI: Let me attempt to answer this.

19 The sway -- let's take the sway, for example.  
20 We have certain structures in the basin such as the discharge  
21 canal receptical, the box we discharge into. Certainly if the  
22 sway of the plant were such that it touched this box, we  
23 place the box in such a position in this basin, and the sway  
24 were such with our design of the mooring system that it  
25 touched this box at every PMH, we would then redesign the

1 mooring system to take care of this or move the boat away.

2 This could be taken care of. It is a basic  
3 engineering design matter.

4 Similarly, with the surge, it -- I believe it is  
5 not in the design envelope for one purpose because one  
6 utility might design its basin somewhat different than the  
7 other. There is that option.

8 It is the standard plant that is important here  
9 rather than the standard basin.

10 The utility must make it so that with its break-  
11 water configuration, with the depth of water, with its  
12 specific mooring system, the sway surge, and it happens to be  
13 roll and pitch which is defined over there, is such that his  
14 other interface structures are not affected by the motions  
15 of this plant.

16 MR. RAICHLEN: Well, isn't it possible, though,  
17 that if you are concerned with accelerations and pitch and  
18 rolls that because of excessive motion -- well, let's just  
19 say that a natural period in sway or surge may be within the  
20 range of the waves that are -- to which the plant is exposed.  
21 Isn't it possible that your accelerations then, because of  
22 excessive motions, may be as great or greater in surge and  
23 sway than they are in pitch and roll?

24 So doesn't it then become something that is -- that  
25 should be in the site envelope?

1 MR. ASHWORTH: Richard Orr, would you like to  
2 answer that one?

3 MR. ORR: I would like to answer that one if I may.

4 The basic plant envelope is based on the accelera-  
5 tion magnitudes rather than these pitch and rolls.

6 As Joe Ashworth said to start with, it is the  
7 total plant motion which we are specifying must be within our  
8 acceleration envelope. So if indeed the surge and sway  
9 accelerations were high, then the accelerations due to pitch  
10 and roll would have to be significantly lower to be within our  
11 envelope.

12 As far as the plant is concerned we are worried  
13 purely about acceleration. We are not concerned with total  
14 plant motion.

15 MR. RAICHLEN: Well, just to finish up, I appreciate  
16 that, and the fact, then, that you are putting on a three  
17 degree amplitude in thirteen seconds which, with the length  
18 of the plant, is going to give you some acceleration, but  
19 what I am saying is then if you are doing that and you are  
20 getting down to acceleration, shouldn't you also be consider-  
21 ing other directions of acceleration such as in sway and  
22 surge?

1411 151

23 MR. ORR: We are defining it in terms of sort of --  
24 of horizontal accelerations at two different elevations so  
25 that we take up -- we pick up all components of motion. The

1 reason for basing it on accelerations is we have specified  
2 typically two and three degrees of motion and a thirteen  
3 second period corresponds to the accelerations that we are  
4 permitting.

5           However, at different periods, obviously, we can  
6 commit different accelerations. Different amplitudes of pitch  
7 and roll. It is the acceleration that is limiting.

8           MR. RAICHLEN: That I realize, but I still say that  
9 if it is -- that if acceleration is limiting, it seems there  
10 should be on this chart, on-site envelope comparison one should  
11 also be talking about other degrees of motion.

12           MR. ORR: I believe what should happen is that  
13 the chart should show the acceleration magnitudes rather than  
14 the pitch and roll magnitudes. Then it would be clear.

15           MR. ASHWORTH: Were this to be rephrased to  
16 accelerations must not exceed those due to pitch and roll  
17 motions having amplitudes of three degrees, I think everyone  
18 would be satisfied and we would still have the same meaning  
19 which is -- no, we would not be satisfied. All right.

20           MR. KEHNEMUYI: If it said including sway.

21           DR. SIESS: I have heard Offshore Power Systems  
22 say that their site envelope, plant envelope, is expressed  
23 in terms of accelerations. Horizontal accelerations at two  
24 different levels.

25           MR. ORR: That's correct.

1411 152

jon6

1 DR. SIESS: The interpretation we see on the screen  
2 in the lefthand column simply is an interpretation of your  
3 criteria in two particular motions; is that correct?

4 MR. ORR: It is an example that we have given in  
5 the interface document.

6 DR. SIESS: You gave it as the example?

7 MR. ORR: Correct.

8 DR. SIESS: Sway and surge would be other examples.

9 MR. ORR: They would indeed. We do not expect,  
10 however, with typical mooring systems, that surge and sway  
11 would have significant acceleration magnitudes. The  
12 significant component is pitch and roll.

13 DR. SIESS: All right.

14 (Slide.)

15 MR. ASHWORTH: To continue with mooring system  
16 requirements, the mooring system must prevent the plant and  
17 breakwater contact. It will do so as will be explained in  
18 the breakwater or the mooring system presentation.

19 We have just pointed out that the contact between  
20 the plant and the seabed is prevented by the minimum water  
21 depth which is another one of the criteria.

22 DR. PALLADINO: You would also like to prevent  
23 one plant from touching another, also.

24 MR. ASHWORTH: That is implicit, but we haven't  
25 spelled it out. That is quite correct.

1 DR. OKRENT: Could I ask in connection with  
2 meeting the first of those two whether you have considered  
3 more than one mooring system, it being in effect concurrently,  
4 or, in other words -- diverse, yes.

5 MR. ASHWORTH: Have we considered more than one  
6 system?

7 DR. OKRENT: In other words, as part of your  
8 consideration of accomplishing mooring, have you considered  
9 the possibility that you would use two mooring systems, either  
10 of which could do the job?

11 I am just trying to ask whether this has been a  
12 part of your design consideration.

13 MR. KEHNEMUYI: May I answer that?

14 DR. OKRENT: Yes.

15 MR. KEHNEMUYI: I don't mean to be funny, but we  
16 had a very difficult time, Dr. Okrent, coming up with one  
17 mooring system, and I mean that.

18 Nobody has ever designed a vessel moored with a  
19 tornado load, to our knowledge, and this was something new.  
20 The loads were just -- are just tremendous. And in effect we  
21 must design a mooring system that does not -- not being  
22 not absolute, does not transmit the earthquake load through  
23 itself.

1411 154

24 Indeed, it is very difficult to say that we could  
25 come up with a second system. We did come up with one.

1                   If I may interpret your question, is there some  
2 redundancy in this mooring system. If I may answer it  
3 what a shorter word: yes. And we will discuss that  
4 when we get to the mooring system.

5                   DR. OKRENT: Well, the word redundancy was yours,  
6 but I will wait.

7                   (Laughter.)

8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

end17  
2406

1                   MR. ASHWORTH: The mooring system must not transmit  
2 seismic forces such that the response spectra in the platform  
3 is in excess of those shown in figures to be supplied by off-  
4 shore power systems. These were not included in the original  
5 submission of the PDR. The response spectra of the seabed  
6 is shown in RPSDR, and the mooring systems being developed by  
7 Frederic R. Harris will produce spectra which fall within  
8 the site envelope of the response spectra. They will not  
9 amplify the seabed response spectra.

10                   (Slide.)

11                   This is the last slide. The mooring system must  
12 maintain or limit plant motion such that the integrity of  
13 the transmission lines is assured. This is the safety-related  
14 function. There is no safety-related function associated  
15 with the circulating water discharge structures, but for our  
16 own selfish reasons of not wanting to have to repair them,  
17 we would like to have those also remain intact. In an analysis  
18 of the mooring system that we have, it shows that if all  
19 worse plant motions occur simultaneously in the worst additive  
20 manner, that the maximum motion of any point on the platform  
21 will be 8.2 feet in a horizontal direction.

22                   And this motion is sufficiently small so that  
23 neither interference with the discharge structures, nor break-  
24 age of the transmission lines is expected to occur. And that  
25 concludes the presentation.

2mil

1 DR. MANGELSDORF: Thank you very much.

2 Are there any comments from the Staff on this  
3 overall presentation or on any parts of the slide that you  
4 didn't comment on as we were going along?

5 MR. BIRKEL: We would like to make a comment or  
6 two with regards to the overall topic of plant design envelope  
7 and the site interface and conformance with it. In particular,  
8 to answer Dr. Seiss' question and comment earlier, the advent  
9 of the floating nuclear plant concept requires two separate  
10 license applications and licensing reviews for each facility,  
11 one for the floating nuclear plant manufacture and one for the  
12 proposed site.

13 When this licensing approach was being developed,  
14 the objective was to allow the maximum possible independence of  
15 the reviews. It was obvious, however, that this was not possi-  
16 ble, that is to completely separate the floating nuclear  
17 plant review from the site review, as we are seeing again today.  
18 We, therefore, suggested the use of a site design envelope  
19 of site conditions and parameters that should be developed  
20 in designing the floating nuclear plant. The site design  
21 envelope would identify the criteria and maximum and/or  
22 minimum site related characteristics that have to be satisfied  
23 by any site for a floating nuclear plant for it to be  
24 acceptable. This site design envelope approach was in the  
25 preliminary stages of development when the Public Service

3mil

1 Electric and Gas Company preliminary site description report  
2 was being prepared. So it does not address this subject  
3 directly. Public Service only recently has prepared a site  
4 design envelope which Mr. Ashworth presented to us today.  
5 Copies of a similar comparison was made available to the subcommit-  
6 tee in June.

7           The Staff, I should emphasize, has not evaluated  
8 this site envelope, nor the comparison presented today, as  
9 well as the comparison presented in tabular form to the  
10 subcommittee in June. This comparison provides the floating  
11 nuclear plant site value and compares it with the Atlantic  
12 generating station safety values for plant wind and wave loads  
13 and the various other loadings that Mr. Ashworth discusses.

14           We feel that the design envelope is of very signi-  
15 ficant and paramount importance in the overall floating nuclear  
16 plant concept, but will require considerable detail and justifi-  
17 cation in the site PSAR.

18           And I would like to add a direct comment with  
19 regard to again the dual licensing and dual review approach  
20 that the Staff has taken. We will not issue a construction  
21 permit for the Atlantic generating station until we are able  
22 to issue a manufacturing license to OPS. And this will  
23 involve detailed review of the design site envelope, the  
24 parameters, the criteria, and requirements therein, and only  
25 thereafter will we then be able to address the adequacy of the

4mil

1 justification by Public Service in meeting these criteria  
2 and requirements.

3 DR. MANGELSDORF: Thank you very much. That, I think,  
4 introduces a subject that I was just about to introduce  
5 somewhat sadly, Mr. Kehnemuyi. And that is that some of us  
6 around the table here have been doing a little consulting among  
7 ourselves, and we are persuaded that we couldn't possibly  
8 finish this review and come out with conclusions yet today.

9 Then, of course, we couldn't do that without some  
10 at least preliminary analysis by the Staff which we have just  
11 learned will not be available. So that from completely practical  
12 standpoint, we are faced with the question of whether we  
13 should recess at about this point, or whether you would like  
14 to make some summarizing comments on where we stand, or  
15 whether you have a strong feeling of trying to present maybe  
16 one more of the topics on the agenda.

17 I am sorry to put you in that position, but I  
18 think that the practical aspects of it lead to that. Let me  
19 say that even though you will not be getting a letter of  
20 advice from this meeting, I judge that you have picked up some  
21 reactions of what the attitude of the members of the committee  
22 are on some of the individual questions.

23 Now, don't go too far in interpreting those,  
24 because they are, of course, the expressions and indication  
25 of the attitude of individual members. And the final report

5mil

1 will be a concensus of the membership. There have been mis-  
2 takes made in the past, one, maybe two or three, where the  
3 views of one individual at one meeting were over-interpreted  
4 as being an expression of the committee when it turned out that  
5 it was not. That is just incidental, accidental, but I am  
6 cautioning you in over-interpreting expressions of opinion in  
7 this meeting. But still, you must have gotten some guidance  
8 as to what some of the problems for further development will  
9 be.

10 Now, I come back to the practical question of  
11 would you --and don't pay any attention to that clock --  
12 it quit long ago. Would you favor recessing at this time, or  
13 would you like, do you have a strong preference for presenting  
14 either a summary, which is one subject, some overall remarks  
15 that you may wish to make, which you may surely -- which  
16 will surely be carefully received, or do you wish to try to  
17 present one of the topics left on the agenda. I will leave  
18 it to you for the moment.

19 MR. KEHNEMUYI: If I may ask a question, would  
20 this mean that continuance of this meeting to next month?

21 DR. MANGELSDORF: I am sure that it would mean no  
22 less than that. 1411 160

23 MR. KEHNEMUYI: And, therefore, then we would go  
24 towards a letter next month, rather than this month?

25 DR. MANGELSDORF: At the earliest, in my opinion.

6mil

1 MR. KEHNEMUYI: I think that we would very much  
2 like to present in detail what each item is. If, indeed, I  
3 got up now and summarily explained these things, I am going to  
4 miss the point. Therefore, I will not be able to convey the  
5 gist of the material to the committee. So I think we would  
6 prefer to wait and meet with you next month, if we can then  
7 cover the rest of the agenda.

8 DR. MANGELSDORF: I would say that I would hope  
9 that we could cover the rest of the agenda. And I heartily  
10 agree with your thought that an extemporaneous effort to  
11 condense or summarize might not serve your purpose awfully well  
12 at this time. And that a summary of your position based on  
13 further reflection might accomplish more in obtaining your  
14 ends. I am simply gesting.

15 MR. KEHNEMUYI: I would not want to leave this room  
16 without my understanding the fact that after these hearings,  
17 indeed we will get a letter of your thoughts and comments.

18 DR. MANGELSDORF: Well, we are hardly ever in a  
19 position to make such commitments. I can say that we will  
20 try. And after further discussion, we will -- our normal  
21 procedure is, after completing a discussion, we have a meeting  
22 of the committee to judge whether we will be able to write a  
23 letter at that meeting. And that is as far as we have ever  
24 been able to predict it usefully.

25 In other words, I wouldn't know as of now.

1411 161

7mil

1 MR. KEHNEMUYI: Therefore, we can hope that we are  
2 invited back at your next monthly meeting.

3 DR. MANGELSDORF: I would hope that we can arrange  
4 the schedule to do that. And that we might be successful in  
5 coming to some conclusion, that would be helpful to you.  
6 I would hope for that.

7 MR. KEHNEMUYI: Thank you. We thank you for  
8 giving us this hearing, and we hope to see you next month.

9 DR. MANGELSDORF: It certainly -- I will say this.  
10 It certainly has given those of us not having heard the  
11 subcommittee discussions a great deal of more understanding  
12 of the nature of the problem. And I think that this is a  
13 step of magnitude that benefits by reflection on the part of  
14 the committee over more than one meeting. This is a kind of  
15 problem that the committee will probably contribute more if  
16 it reflects on a body of material such as you have given us,  
17 and then has an opportunity to discuss that maybe some more,  
18 and then receive another body of information for reflection.  
19 This is a substantially different manufacture than we are  
20 accustomed to dealing with. That is no reflection upon  
21 the project. But it does require a great deal of deliberation  
22 on the part of the committee to arrive at a useful  
23 recommendation on the subject. 1411 162

24 MR. KEHNEMUYI: Therefore, we do feel that I  
25 should not summarize today. I think we have to spend time

8mil

1 with you to tell you what we can about each item.

2 DR. MANGELSDORF: Unless some member of the  
3 committee has a different view of it, I think we would  
4 accept that as the better course. And that we adjourn this  
5 meeting, and hopefully arrange a schedule that comes as close  
6 to serving your purpose as it is possible for us to do.

7 We will try --

8 MR. KEHNEMUYI: Thank you.

9 DR. MANGELSDORF: We will try to do that.

18  
10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1411 163

1 DR. OKRENT: Can I ask one question?

2 DR. MANGELSDORF: Yes.

3 DR. OKRENT: We do have a document which is called  
4 a study of the probability of an aircraft hitting the Atlantic  
5 generating station. Do we have one which treats the ship  
6 collision question in writing?

7 MR. KEHNEMUYI: Yes, there is. That happens to be,  
8 Dr. Okrent, part of the plant description report submitted  
9 by OPS. That happened to be the first submittal, and it is  
10 contained in there.

11 What we did is we separately submitted those pages  
12 to the Committee, and I believe they are available to you or  
13 they have been available.

14 DR. OKRENT: Thank you.

15 DR. SIESS: That was just for a ship collision.

16 DR. OKRENT: The one I have is aircraft.

17 DR. SIESS: I know, but I think Mr. Kehnemuyi  
18 was replying to a ship collision.

19 Were you concerned only with the ship or with  
20 explosions?

21 DR. OKRENT: The whole situation.

22 DR. SIESS: Has the analysis of the probability  
23 of explosions --

24 MR. KEHNEMUYI: Yes, they are all in there.

25 DR. SIESS: Which one, the two volume one or the

1 four volume one?

2 MR. KEHNEMUYI: We took that part and handled it  
3 separately for your review. That is a package in itself.  
4 It is also in the PDR, Volume 2.

5 DR. SIESS: I have three sets of things from OPS.

6 DR. KERR: That much.

7 DR. SIESS: The big one. I have one two-volume  
8 and two five-volumes.

9 MR. KEHNEMUYI: If I may add, it got to be that big  
10 because they answered all the thoughts and comments they  
11 obtained from the Committee and that is what we are looking  
12 for, too.

13 (Laughter.)

14 DR. MANGELSDORF: Joe, did you have a comment?

15 DR. PALLADINO: I thought we might make a comment  
16 that if there are any additional items over and above the  
17 agenda we would let them know.

18 DR. MANGELSDORF: Very good.

19 DR. PALLADINO: We will let you know the agenda  
20 items.

21 DR. MANGELSDORF: We will through normal contact  
22 be in touch with you during this intervening period, and  
23 any advice that we can offer you will be made available to  
24 you through those normal channels.

1411 165

25 We may suggest emphasis or subject matters to be

1 covered, and some schedule of meeting will be established.

2 And we will do the best we can.

3 Any other comments, gentlemen?

4 DR. BUSH: Maybe I will make one.

5 DR. MANGELSDORF: Yes?

6 DR. BUSH: One thing next month, I have -- am not  
7 convinced as to the conservatism of your material selection  
8 and design of your hull so far as the possibility -- in other  
9 words, your assumption you know of the hull holding together  
10 is not at all valid in the case of a running crack.

11 So I had questions on that. Next month.

12 DR. MANGELSDORF: This is Dr. Spens Bush. He  
13 doesn't have his nameplate in front of him. It is not  
14 Doctor -- I haven't seen it.

15 DR. BUSH: There it is.

16 DR. MANGELSDORF: Well, I wanted to be sure that  
17 you knew who he was. When he speaks of metallurgical  
18 problems, we pay attention.

19 Or anybody else.

20 MR. KEHNEMUYI: And we will when we are invited  
21 back, if we are invited back, we will address this problem.  
22 But if I may point out, that that indeed is the plant review  
23 rather than the site review. But we will be ready to answer  
24 any questions you pose on us. But it certainly falls in the  
25 review of the OPS application rather than ours.

1 DR. MANGELSDORF: All right. You do have an  
2 expression of opinion of one qualified to comment in the  
3 area of the opinicn. I think it is fair to ask does anyone  
4 else wish to express a strong personal view at this time, as  
5 a personal view?

6 (No response.)

7 Not hearing any, I might ask the consultants,  
8 do they wish to make any substantial comments on how they view  
9 the project?

10 MR. PHILBRICK: I would --

11 DR. MANGELSDORF: From the standpoint of their  
12 speciality.

13 MR. PHILBRICK: I think, not speaking about my  
14 speciality, but speaking for Dr. Dablonyo who is not here, I  
15 think there ought to be a thorough relationship established  
16 between Applicant and Dr. Dablonyo with respect to the  
17 behavior of the foundation under seismic stress and of the  
18 loading of the breakwater.

19 DR. MANGELSDORF: All right.

20 You have heard an expression secondhand.

21 MR. PHILBRICK: That's right.

22 DR. MANGELSDORF: From a qualified --

23 MR. PHILBRICK: Secondhanded.

1411 107

24 DR. MANGELSDORF: Secondhanded. You are quite  
25 right. There is a distinction and I will accept it. From

1 a qualified authority in the field of the comment.

2           Again I tell you that these are individual comments  
3 and trust that you will accept them as such. But they are  
4 from persons whose opinions we value when we deliberate on  
5 these projects.

6           Anyone else wish to make a suggestion toward  
7 bringing this project along to a suitable decision?

8           DR. PALLADINO: Dr. Wilson, I believe, had some  
9 comment.

10           DR. WILSON: Well, Mr. Chairman, I just want --

11           DR. MANGELSDORF: We need to turn it on.

12           DR. WILSON: Mr. Chairman, I just wanted to make  
13 personal observation on something that I had, a point I had  
14 raised at the meeting down in Gainesville which was in regard  
15 to the possible effects of high wind in the design storm  
16 being concurrent with storm tide and high waves. And it seems  
17 that from a design point of view these effects ought to be  
18 at least considered as to the possible high damaging effect  
19 that a jet spray from the high wind which might be over 200  
20 miles an hour could have in peeling off dolos from the break-  
21 water.

22           I appreciate our position as consultants to ACRS  
is to raise points like this even though they may seem  
advantageous from the point of view of the advancement of  
project. But this kind of matter, however, if -- it is

1 seemingly very important because in these very severe  
2 hurricanes you simply cannot neglect the effect of the wind.

3 I think we are talking here of winds of a magnitude,  
4 speed value of over 200 miles an hour.

5 I have made a very rough estimate of the kind of  
6 force that might be developed from a jet spray that may have  
7 a density 50 percent perhaps that of pure water or sea water  
8 as against force developed by high waves which might have a  
9 density of 90 percent of sea water, and it looks like the  
10 forces could rise as much as three times that of the pure wave.

11 Hence, it seems to me that this situation should  
12 at least be looked at in terms of trying to assess what the  
13 effect of the -- the additional effect of the wind would be,  
14 and although the methodology of such a thing in a wind tunnel  
15 might be extremely difficult, it might be desirable to under-  
16 take some kind of test to see that -- to at least prove that  
17 this problem is not a serious one.

18 Thank you.

19 CHAIRMAN MANGELSDORF: Thank you, Dr. Wilson.

20 What I heard you to say was that this ought to be  
21 considered. I didn't hear you say that this was a condition  
22 for which the plant must be designed. But some exploration of  
23 the possibility of being confronted with these circumstances  
24 should be included in their consideration.

Did I understand you correctly?

1411 169

1 DR. WILSON: Yes, that is what I would feel, that  
2 this aspect should be looked at as something to be considered  
3 for the design storm condition.

4 DR. MANGELSDORF: That is what I understood you  
5 to say.

6 Any other comments?

7 Yes?

8 MR. MC CLADY: Paul McClady. Some of the  
9 Subcommittee meetings I had some questions about the  
10 meteorological aspects, diffusion of categories and  
11 magnitudes.

12 DR. MANGELSDORF: It would help, I think, if you  
13 could bring the microphone up.

14 MR. MC CLADY: In looking at these further, I  
15 found myself less concerned about them, and my opinion at  
16 the moment would be that the calculations that have been  
17 made seem close enough to conservative that the  
18 diffusion aspects, the meteorology I found doesn't raise any  
19 questions or worries in my mind in comparison to various other  
20 things, and since you had heard some questioning on my part in  
21 previous meetings I thought I would volunteer that at this time.

22 DR. MANGELSDORF: Any other comments?

3 DR. WILSON: Mr. Chairman, I have one further  
point.

DR. MANGELSDORF: Yes?

1411 170

1 DR. WILSON: That is in regard to the design  
2 criterion for the -- the maximum hurricane. I know that the  
3 tornado wind speed is given at 300 miles an hour. Now, it  
4 seems to me that the hurricane wind speed which might be some-  
5 thing over 200 miles an hour might actually give a bigger  
6 force on the structure than the variable wind speed in the  
7 tornado. Hence, I wonder whether there is justification for  
8 specifying a maximum speed in the hurricane itself which has  
9 been done for the design basis storm.

10 DR. MANGELSDORF: I believe that we will terminate  
11 this unstructured discussion at the present time, hoping that  
12 some of the remarks that have been made by individuals will  
13 be useful to you in your deliberations. And I think perhaps  
14 we have gotten approximately as much good as we are going to  
15 get from them for this evening.

16 But I hope these individual comments which you  
17 may want to give consideration to in your further  
18 deliberations may be of some use to you.

19 The Committee stands adjourned until 8:30 tomorrow  
20 morning.

21 (Whereupon, at 7:12 p.m. the Committee meeting  
22 was adjourned, to reconvene at 8:30 a.m., 11 August 1973.)

1411 171