

TERP

NUCLEAR REGULATORY COMMISSION

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

IN THE MATTER OF:

MEETING OF THE
ACRS SUBCOMMITTEE ON METAL COMPONENTS

- - -

POOR ORIGINAL

Place - Washington, D.C.

Date - Monday, 5 November 1979

Pages 1 - 240

1334 001

Telephone:
(202) 347-3700

ACE - FEDERAL REPORTERS, INC.

Official Reporters

444 North Capitol Street
Washington, D.C. 20001

NATIONWIDE COVERAGE - DAILY

7911150 021
T

PUBLIC NOTICE BY THE
UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

Monday, 5 November 1979

The contents of this stenographic transcript of the proceedings of the United States Nuclear Regulatory Commission's Advisory Committee on Reactor Safeguards (ACRS), as reported herein, is an uncorrected record of the discussions recorded at the meeting held on the above date.

No member of the ACRS Staff and no participant at this meeting accepts any responsibility for errors or inaccuracies of statement or data contained in this transcript.

1334 002

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION

3
4 MEETING OF THE
5 ACRS SUBCOMMITTEE ON METAL COMPONENTS

6 - - -

7 Room 1167
8 1717 H Street, N. W.
9 Washington, D. C.

Monday, 5 November 1979

10 The ACRS Subcommittee on Metal Components met, pursuant to
11 notice, at 8:30 a.m.

12 PRESENT:

13 DR. PAUL G. SHEWMON, Chairman of the Subcommittee
14 MR. MYER BENDER, Member
15 DR. J. CARSON MARK, Member
16 DR. D. DILLON, Consultant
17 DR. H. CORTEN, Consultant
18 DR. W. BERRY. Consultant

19
20
21 1334 003
22
23
24

p/BWH

P R O C E E D I N G S

1
2 DR. SHEWMON: The meeting will come to order. It
3 is a continuation of the meeting of the Advisory Committee
4 on Reactor Safeguards -- it's not a continuation; it is a
5 meeting of the subcommittee on metal components of the
6 ACRS. I am Paul Shewmon, subcommittee chairman. The other
7 members present today: Dr. Carson Mark, on my right. In
8 attendance as consultants, we have Drs. Berry and Dillon.
9 The purpose of the meeting is to hear from the BWR owners
10 group on the matter of BWR pipe cracking, in partial
11 response to the August 14, '79 ACRS letter on this topic.
12 Generic items on pipe cracking in-service inspection and
13 other topics will also be discussed.

14 This meeting is being conducted in accordance with
15 the provisions of the Federal Advisory Committee Act and the
16 Government in the Sunshine Act. Al Igne, on my left, is the
17 designated federal employee for the meeting. Rules for
18 participation in today's meeting have been announced as part
19 of the notice of this meeting previously published in the
20 Federal Register. A transcript of the meeting is being kept
21 of the open portions of the meeting and will be made
22 available, as stated in the Federal Register notice.

23 It is requested that each speaker first identify
24 himself and speak with sufficient clarity and volume so he
25 can be readily heard.

1334 004

py BWH

1 We have received no written comments or requests
2 for time to make oral statements from members of the
3 public.

4 We will proceed with the meeting and -- I wondered
5 if wanted to wait for the rest of the staff; they are here.
6 I will call on Dave Rossin, chairman of the technical
7 advisory committee of the BWR owners group.

8 MR. ROSSIN: We appreciate this opportunity as
9 representatives of the BWR owners to present a program which
10 is now in place and in operation, one which we feel it is
11 important that the ACRS is acquainted with, and the
12 opportunity we have this morning we will try to use as
13 efficiently as possible. We want a couple of things in the
14 process: not only do we want to tell you what we are doing,
15 what our objectives are and how it came about, but we are
16 very interested in feedback from the ACRS about the scope of
17 our program, about where it is headed and about how it deals
18 with the problems.

19 As you will see in the presentation this morning,
20 while this program is very well laid out at this point, we
21 have the authority and the flexibility to make changes. We
22 will make those changes if it is clear that there are things
23 which ought to be done that we are not doing, and vice
24 versa.

25 Part of the reason for this meeting was the August

1334 005

p. BWH

1 10th letter. Am I right?

2 MR. IGNE: Yes.

3 MR. ROSSIN: From the ACRS to the NRC, indicating
4 its concern about "increased incidence of pipe crack." As
5 BWR owners we are deeply concerned about the availability of
6 cracks in pipes, and we have taken a rather unusual action
7 as an industry to try to deal with this. This started back
8 in 1974 and '5, when cracks were discovered in Dresden and
9 some other boiling water reactors. We formed an owners
10 group at that time, and that group advised the early EPRI
11 planning with regard to work in this area, but this was
12 really a technical advisory group, and interestingly enough
13 we set it up as a subcommittee of the task force on systems
14 and materials of EPRI. So that there was a group of BWR
15 owner companies with their technical representatives working
16 as a subcommittee to advise the task force on how the
17 research in that area should be structured.

18 When the Duane Arnold experience became available
19 and some of the foreign experience became clear to us, as it
20 did to the commission and the ACRS, it was important to do
21 substantially more work in the future, not because we didn't
22 know anything or hadn't learned anything in the past couple
23 of years, because I think we had come a long way in our
24 understanding of this phenomenon and our ability to deal
25 with it, but with the recognition that this phenomenon was

1334 006

py BWH

1 going to be with us, and if we possibly developed different
2 characteristics, maybe in larger types, maybe incidents of
3 cracking would occur that we couldn't explain with the
4 theories we had developed, and we better be prepared for it.

5 In addition, it became obvious that there was a
6 lot of work to be done in nondestructive examination and in
7 developing repair concepts and proving them, qualifying
8 them, that needed more money than the normal EPRI budget
9 could stand.

10 As a result, we got the owners together, and we
11 asked them to participate in a program of research and
12 development work would extend over a four-year period and
13 which would be funded at the level of \$30 million over that
14 period.

15 Week before last, October 24, we held a meeting of
16 the senior representatives of these utilities. We developed
17 a charter and a research agreement and required -- we
18 developed a per-share basis for funding this. Two-thirds of
19 the potential shares were signed and in hand that the owners
20 group would become a legal reality. We needed 48 shares to
21 reach that goal. We now have 56-1/2 shares under signed
22 contract. So, we are funded fully in operation. We hope to
23 get all, or at least almost all, of the other companies
24 signed up in the near future.

25 The budget for this year, calendar year 1980

1334 007

1 coming up, from the owners group will be \$9.2 million and an
2 additional \$740,000 for operating expenses, coming close to
3 a \$10 million figure for one year. This budget is tied in
4 with money coming from EPRI operations, and you will see
5 this in a few minutes.

6 The point is there are two pots of money. There
7 is one integrated research program. There are not owners
8 groups projects and EPRI projects; there is one research
9 program. And while we may designate some of these for
10 budgetary purposes, the key to this whole operation is that
11 there is one program and it all hangs together.

12 There are two sources of funding but one program.
13 The reason I repeat this over and over again is because we
14 have had ample confusion about this subject over the months
15 with our owner companies and with EPRI and with contractors
16 and everybody else. We will be glad to answer further
17 questions on that.

18 In order to monitor this program, we have the EPRI
19 task force already in existence, but we have set up the
20 technical advisory committee of the owners and the
21 representatives here in the room of about nine to 10
22 companies are members of this technical advisory committee.
23 Each of these groups has to approve the overall program and
24 the specific projects. In fact, we divided our owners
25 groups technical advisory committee into subgroups to

py BWH

1 correspond with the major categories of work that the EPRI
2 people will present to you in a few minutes.

3 It is our overriding concern that we understand
4 what is going on, that we develop ways to deal with it, that
5 we are able to keep this phenomenon from creating safety
6 problems, and that we are able to be effective in minimizing
7 the penalty on plant availability that pipe cracking is
8 liable to make. There is no guarantee that pipe cracking
9 won't continue to occur. We know enough to know that now.
10 There will be more cracks. They will be detected. They
11 will be repaired. And in some cases, it may be costly. But
12 we feel that with every year, we are getting closer and
13 closer to an understanding of what is going on.

14 Finally, if we have time today, we hope to discuss
15 with you your observations on what is happening. We are
16 prepared to give examples from individual experience of what
17 companies have done.

18 I must make one very important point. There are
19 lots of utilities that own lots of BWRs. What each utility
20 is doing to cope with pipe cracking phenomenon may not be
21 the same as what another utility is doing. The utility has
22 the ultimate responsibility for their plant, and they try
23 and make the best decisions they can for their plant,
24 considering the design, the history, and everything else.
25 There is going to be diversity in these decisions. We think

1334 009

BY BWH

1 this is not only prudent, but extremely valuable, because we
2 don't know all of the answers. We don't have an overriding
3 safety problem, and so there is real merit, we believe, in
4 different groups making the best decisions they can. And if
5 some of these decisions are different but acceptable, then
6 we are going to learn something more as time goes along. We
7 don't see that there is a great risk in this.

8 One thing we are concerned about is at this stage
9 of knowledge we have now some kind of uniform fix being
10 edicted, because we really don't feel that is appropriate
11 under the circumstances. We feel it is safe and prudent for
12 a diversity of decisions and diversity of fixes to be used.
13 I think it will become evident when we talk about
14 differences between older operating plants, newer operating
15 plants, plants under construction, and plants in the design
16 stage. There are various things that can be done, and I
17 think there is a diversity of decision which is of benefit
18 to all of us.

19 DR. MARK: I have a question related to what you
20 are saying. It is not really on the pipe crack topic. I
21 understand your point that you would feel concerned about an
22 edict: this fix will be applied under circumstances where
23 there may be several things which need to be compared, for
24 instance. How about the reverse? Is there any mechanism
25 through EPRI, through owners groups, apart from just

1334 010

py BWH

1 jawboning, if some utility says, "I am not going to pay
2 attention to this," or "I am going to do something which the
3 rest of the group feels is really wrong and could expose the
4 whole group to public obliquy." Is there any measure to
5 exert influence, or what is the mechanism on somebody who
6 should do something and says, "I am not going to"?

7 MR. ROSSIN: Formally, p ps not. But in
8 practice, this group of technical representatives meets four
9 times a year, and one of the things we do is repair and
10 report to each other what we are doing, what works and what
11 doesn't, and what the problems are. I think, within the
12 technical community, there are very good mechanisms for
13 getting this communication across. And since we really do
14 have the same objective, it is my feeling that this
15 communication has been and will be effective.

16 But there is a key part of this. If there is a
17 safety problem, we have a different situation than the
18 problem on availability. If it is an availability problem,
19 I think, in the ultimate, the individual utility can make
20 its decision and stick with it. If there is a safety
21 problem, it is a whole different ballgame.

22 DR. MARK: It is that I was concerned with.

23 MR. ROSSIN: If it is a safety problem, it is much
24 different than the technical advisory group, because it
25 affects Part 21, it affects the license, and we are dealing

1334 011

BWH

1 with the Nuclear Regulatory Commission. It is clear that if
2 this group recognized there was a safety problem in
3 existence, it would full knowledge to the NRC, because
4 otherwise it would be in violation of Part 21.

5 I think the overriding concerns for the industry
6 would show through very quickly. We are not going to vary a
7 safety problem

8 On availability decisions, I think all we can do
9 is advise a particular utility, "We don't think you are
10 doing the right thing, and we are having better luck with
11 this. But we tried this, and this experience gets fed
12 back."

13 DR. MARK: I am not suggesting that there are
14 people who take this offbeat indefensible position.

15 DR. SHEWMON: If you don't, I will.

16 (Laughter.)

17 DR. SHEWMON: What percentage of the BWR owners
18 will belong to your -- do belong to your group? And of
19 those who do not, do they still get the information?

20 MR. ROSSIN: Our share formula is very simple.
21 Each utility is in for one share plus one share for each
22 plant, a half share for plants that will come on line after
23 1982. That is the formula. We have 56-1/2 shares out of
24 71-1/2. And what this really means is that we have got, of
25 the 29 companies, we now have 21 in the fold. And I have no

p. BWH 1 turndowns yet. There are other companies who advised me
2 they are still debating it within their company about
3 whether to join or not. So, until we get a turndown from
4 one company, I can still say that we have unanimous
5 participation.

6 I might say that all of the large companies that
7 have more than one plant in operation are in now. The
8 companies that are still considering things are mostly those
9 that have plants in the least stages of construction, and in
10 a couple of them whose only BWR is still in the construction
11 permit stage they say they are interested in joining but
12 they haven't made the decision.

13 DR. SHEWMON: You talked about edicts. One of the
14 things which is kicking around in the staff someplace is a
15 reg guide which would speak to limiting chlorine or chloride
16 contents in BWR water, as I recall it. It did not speak to
17 oxygen content. Next time it comes up, I suspect it will.
18 I have no particular feeling on when that will come out, but
19 when you talked about annunciata or whatever your word was,
20 I trust you were only requesting that you be allowed some
21 discussion capabilities with regard to what reg guides would
22 be or things of this sort?

23 MR. ROSSIN: I thought that was the practice,
24 anyway. I would hope it remains the practice.

25 DR. SHEWMON: Fine.

1334 013

MR. ROSSIN: We will discuss the oxygen question in the course of our presentation, and in some depth according to how deeply you want to go into it. I think the jury is still out on the potential gain from vacuum degassing, venting, and so on. There is an intense interest, and some companies have made a decision to adopt procedures and hardware; others have not. The consensus of the group is that that is appropriate at this stage of the game.

DR. SHEWMON: The final point I have is with regard to cracking of pipes, you are being shouldered around by the PWR people these days who haven't got such big pipes yet that are outdoing you in numbers currently. So, later in the day, while we still have the staff here, we will get into that topic, and if any of your group are interested and care in staying on, they are welcome.

MR. ROSSIN: One comment on that. Within the systems and materials task force of EPRI, we have got both BWR and PWR concerns. At this stage of the game, we have considered whether to broaden this group and this program to take -- to spread over into the area of the recent PWR cracks. We don't see that as appropriate at this point, and it probably isn't appropriate under the structure. But we do have another way to go at this.

The programs that EPRI funds are determined by

pv BWH

1 this subcommittee of the systems and materials task force,
2 and there are a number of PWR owners there. It is our
3 feeling right now that if there is research necessary in
4 this area, that it can be handled out of existing EPRI
5 budget and that we don't have to form a new owners group to
6 deal with it. This owners group has enough dealing with BWR
7 problems. If another group has to be set up some day far
8 down the line, we will do it. We don't see that with the
9 kinds of problems that we see on BWRs.

10 DR. SHEWMON: It is not clear that the feedwater
11 pipe cracking would be directly related, but at least from
12 what I have heard of the stagnant line borated lines, that
13 may well be. But we will get into that later.

14 MR. ROSSIN: Fine. Now what we would like to do,
15 I would like to turn this program over to Karl Stahlkopf and
16 his group from EPRI.

17 Let me explain one more thing. The owners have
18 elected to have EPRI manage this entire program, just as
19 they manage the EPRI work that they do for the utilities in
20 general, and once these projects are under way, the project
21 management in EPRI works on them just as they would if it
22 was a normal EPRI job. They are going to present the whole
23 program, and, once again, I must emphasize it is one
24 integrated program and EPRI is managing the whole thing.

25 DR. SHEWMON: All right.

1334 015

1 MR. STAHLKOPF: We would like to present now the
2 technical program that has been put together both under the
3 EPRI based funding and the augmented BWR owners group funding
4 to deal with the problem of integrating their stress corrosion
5 cracking in BWRs. For the members of the Committee, we have
6 prepared a small handout which covers all of the viewgraphs
7 which will be shown by the EPRI staff today, and additional
8 copies of that will be made available if necessary.

9 (Slide.)

10 I would like to make my introductory remarks rela-
11 tively short so we can get to the technical details of the
12 program which will be covered by other members of the staff.

13 I think it would be perhaps worthwhile to put the
14 the owners group program and the EPRI program in perspective
15 by briefly taking a look at the incidence of pipe cracking,
16 and see how we arrived at where we presently are.

17 (Slide.)

18 I think we are all familiar with these incidents.
19 I think we are all familiar with these incidents. In '65,
20 there was the first incident at Dresden I. At the time, people
21 seemed to think it was a unique materials condition.

22 In '75, there were eight BWR plants in the United
23 States which showed cracking. The assessment at that time was
24 that we were dealing with a rare pile-up of stresses.

25 By '78 we were beginning to see some larger lines

wa-2
1 cracking in both Germany and the United States, and really, the
2 assessment then changed to, one, then, no unusual conditions
3 were reported relating in either materials or stress -- stresses
4 relating to these incidents.

5 And if we take a look at the frequencies of cracking
6 incidents -- This represents foreign as well as the United
7 States plants -- in '75 we had '62 incidents of cracking, and
8 this is both as determined by ultrasonic examination and
9 actually leakers.

10 In '78 we were looking at 132 incidents, and this
11 being updated, in October '79 there had been a total of 191
12 incidents.

13 DR. MARK: This gives the appearance that there was
14 nothing between '75 and '78.

15 MR. STAHLKOPF: No. There certainly were, and it is
16 a linear --

17 DR. SHEWMON: How many reactors were involved in
18 the six of the foreign?

19 MR. STAHLKOPF: One, the KWRB, six pipes dealing with
20 the feedwater inlet nozzles, and also the -- as I remember the
21 inlet and outlet nozzles to the steam generators. It is a
22 Dresden I type. It is a BWR, and there were incidents of
23 cracking on both the heat-affected zone sides of the welds and
24 also crackings in furnace-sensitized -- both in the --

25 DR. SHEWMON: I was curious as to how you counted.

1334 017

owa-3 1 That is one reactor, not six reactors; six different pipes?

2 MR. STAHLKOPF: Six different pipes in one reactor.

3 Each one of these incidents of cracking refers to a specific
4 crack.

5 (Slide.)

6 I think from the number of cracking instances we have
7 seen, certainly the perspective on IGSCC is the factors that
8 cause it can no longer be considered to be rare. We think we
9 understand a little bit more of why things are happening, but
10 certainly, we can explain it in terms of susceptible materials,
11 high-carbon materials, which are contained in the present
12 plants.

13 You can expect the stresses on the levels which we
14 have seen to cause cracking in them. Both oxygen and normal
15 passage of time are going to lead to the type of incidents
16 that we have seen.

17 (Slide.)

18 The question is what to do about it. Because of the
19 history that I have laid out, the utility industry has become
20 concerned with the potential availability and reliability
21 problems surrounding pipe cracking, and the owners group,
22 along with EPRI, has put together a program that in the next
23 four years will pump over \$40 million into research surrounding
24 how to mitigate the effects of stress corrosion cracking in
25 BWRs. Last year's budget in this area was about \$10.9 million,

1 which was augmented from a special EPRI fund in anticipation
2 of setting up the BWR owners group; and in actual fact, EPRI
3 has had an ongoing BWR pipe cracking effort for the last five
4 years, so it is not a new program that we are starting. It
5 is simply the augmentation of an ongoing EPRI program to treat
6 the problem.

7 MR. ROSSIN: Before you leave there, that slide, there
8 is one thing that maybe needs explanation. You notice in
9 1979, the existing EPRI program is \$10.9 million. From '80
10 on the EPRI part is about \$3 million and the owners' group
11 about nine, or \$4.9, and so forth.

12 What we did in 1979 was, recognizing it was going to
13 take time to get the owners group together and the money, the
14 Board of Directors of EPRI approved a one-time, one-year, big
15 upgrading of the amount of money that EPRI would put in in
16 this pipe-crack area. They did that so that we would have a
17 large enough program going to meet the needs of the owners;
18 but they did it on the promise that the owners would organize
19 this group and get the funds together so that by 1980, they
20 would be able to pick up a large share of that.

21 The normal EPRI budget on this kind of program would
22 have been a maximum of \$3 or \$4 or \$5 million, if it weren't
23 for the promise of the owners group.

24 MR. STAHLKOPF: Our normal budgetary constraints in
25 this area would be about \$3 million. We got an excess of the

1 \$7 million "kitty," as I stated before, in anticipation of the
2 owners group being set up.

3 (Slide.)

4 I really don't think I will run through all of the
5 formal presentation which is presented in your handout. That
6 is because of limitation on time. I think it would be more
7 appropriate to get directly into the technical details of the
8 program.

9 One thing that I would like to leave you with in
10 terms of philosophy of the EPRI program is that what we are
11 trying to do, within this program, is to develop a series of
12 on-the-shelf fixes; and these fixes can be applied to both
13 existing plants and plants under construction.

14 Examples of these fixes will be given by each of the
15 technical leaders as they go into the detailed discussions
16 today. But I think we can see that already, some of the work
17 from the EPRI existing program is now being implemented in the
18 field: 24 plants presently are using solution heat treatment
19 in their welded joints. Corrosion-resistant cladding has gone
20 into 15 plants. Alternate materials, which is the low-carbon,
21 nitrogen-strengthened 304 or 316 materials, are going into
22 18 plants which are presently under construction.

23 DR. SHEWMON: It is not clear to me whether those
24 are retrofit or new plants, when you talk about 24 solution
25 heat treatment.

1 MR. STAHLKOPF: I think both. As Dave so correctly
2 said, each utility looks at its own specific problem. If they
3 have had problems with leaking of target lines, then some
4 plants have chosen either to go to solution heat treatment of
5 welds in those lines, or to go to the replacement of those lines
6 with the low-carbon material.

7 And so the numbers that are represented here represent
8 both retrofits on the target lines and new plants which are
9 under construction.

10 MR. ROSSIN: Paul, if we have time after the tech-
11 nical program has been presented, there are some utility
12 representatives here. We could give you some examples of the
13 specific things that various companies have done.

14 DR. SHEWMON: Item C on our agenda -- I am not sure
15 you have been allowed to see this yet --

16 (Laughter.)

17 DR. SHEWMON: That allows the better part of an hour,
18 here, for action taken by utilities.

19 MR. ROSSIN: Maybe we will get to it.

20 DR. SHEWMON: That is of particular interest to us.

21 MR. STAHLKOPF: Again, I think I would like to
22 emphasize that our program, hopefully, is dealing with a
23 variety of fixes which can be applied; and it is our purpose
24 to ensure that all of these fixes be the alternate materials,
25 corrosion-resistant cladding, different types of stress

1 improvements which can come about through induction stress,
2 really, through heat-sink welding, are all qualified, have
3 been discussed with the appropriate committees and the appro-
4 priate NRC committees.

5 And we are developing what I would call on-the-shelf
6 technology for utilization in BWRs to increase reliability
7 of the piping systems. I would like to briefly show you what
8 our program looks like.

9 (Slide.)

10 It is broken into three technical areas: plant
11 resolution or plant problem resolution, which will be talked
12 about by Robin Jones, dealing with determining the probability
13 of the presence of cracking, how to deal with determining
14 certain types of piping and talking about the consequences of
15 cracking. Robin will be first up this morning. Remedy
16 development, which will be discussed by Lou Martel; and
17 remedy application, which will be discussed by Joe Danko --
18 I'm sorry. I have that turned around.

19 Danko will be discussing the applications -- Danko
20 will be discussing the development and Martel the applica-
21 tions.

22 Because of the limitations of time, I would like to
23 turn it over to Robin now to talk about the subsection of the
24 program dealing with plant problem resolution.

25 MR. JONES: The resolution phase of the program is

1 the part that contains the piping integrity analysis aspects.
2 It applies to plants which are now in operation, and also
3 plants approaching completion; that is to say, all plants
4 which contain what you might call "off-the-shelf" grades of
5 type 304 stainless steel, where there is a significant possi-
6 bility of intergranular stress corrosion cracking developing.

7 We have three major objectives:

8 To provide the utilities with improved capabilities
9 for predicting where cracks will form and for detecting them
10 if they do form;

11 To provide models for predicting what will happen if
12 the cracks do form, how they will grow, and what types of crack
13 shapes and leaks are likely to develop; and, finally,

14 To evaluate the consequences of cracking from a
15 system point of view: What kinds of leak rates we expect to
16 get from intergranular stress corrosion cracks, how are they
17 affected by loading.

18 I would basically like to spend about five minutes on
19 each of these major objective topics, and tell you what the
20 thrusts of our efforts are, and touch on the state of the art
21 and how we hope to improve the state of the art.

22 (Slide.)

23 First of all, in the prediction and detection of
24 cracking, we have three major thrust areas, shown here. We
25 would like to develop improved methods of identifying

1 vulnerable welds, mainly for the reason if you can identify
2 the welds that are going to give you trouble, that gives you
3 the opportunity to do something about them before they give you
4 any trouble. For example, you can apply one of the remedies
5 that are being in the other parts of the program, such as
6 redistribution of residual stress to reduce the probability
7 of cracking. Or if it is a particularly critical line, you can
8 do a replacement with a lower carbon material, or something
9 of this sort.

10 The other two aspects of this part of the program
11 are the development to improve crack detection capabilities --
12 We would like to increase the reliability and also the
13 resolution of the techniques that are used in in-service
14 inspection now.

15 And finally, we would like to develop improved leak
16 detection capabilities to insure that if through-wall cracks
17 are developed, they are detected in a timely fashion.

18 I would like to start with that last direction and
19 talk about it very briefly, and then move back up to the other
20 two.

21 Our perception of leak detection capability as a
22 need is not so much for improved sensitivity of the detection
23 system, but rather more for improved location of leaking
24 cracks. The reason for that is that we believe the present
25 in-containment detection systems have got plenty of

1 resolution but they provide very little information about where
2 the leak is in the piping system. And that means there is a
3 considerable man-rem exposure in trying to find where the leak
4 is.

5 We feel it would be a great step forward if we could
6 improve the location capabilities of the leak detection systems.
7 Our efforts in this area are really not past the planning stage
8 yet.

9 We have looked at methods of locating leaks in complex
10 systems and we have noted that in the United Kingdom submarine
11 program they have had good success with acoustic techniques.
12 As part of our program, about six months from now, we will be
13 measuring leak rates, and at that time, we intend to use some
14 acoustic work to assess the feasibility of leak location using
15 acoustic methods.

16 If that looks promising, then we would get into the
17 development of a prototype package, instrumentation package,
18 which would then go to field trial. So we are talking about a
19 fairly long lead time item here, probably several years, before
20 we would have anything available.

21 DR. SHEWMON: Is this something that senses where the
22 hiss is coming from in a room, or sits on the pipe and detects
23 the direction or triangulates transmitting through the steel?

24 MR. JONES: It would be a triangulation type of
25 system.

1334 025

1 DR. SHEWMON: The noise would be transmitted through
2 the steel, not the air?

3 MR. JONES: Right. I say that the first step has
4 to be a feasibility one. You need to have some kind of
5 "signature," if you like, for leaking pipes that would make it
6 readily distinguishable from other plant noise. You also need
7 to worry about how many transducers would you have to scatter
8 around the system in order to give yourself a reasonable loca-
9 tion fix. That is what we are going to look at first.

10 MR. MASCARO: Don't you expect a --

11 MR. STAHLKOPF: If you look at the success the British
12 have had in terms of looking at the signature levels between
13 two corresponding transducers and assuming that the transducers
14 are all calibrated to the same sensitivity and knowing what
15 pipe runs look like between the two transducers by looking
16 at source levels in one transducer and another with a continu-
17 ous signal, you can then determine how far you are from that
18 source of one transducer.

19 MR. MASCARO: Based on time difference?

20 MR. STAHLKOPF: No. You are dealing with a continu-
21 ous signal. You are strictly looking at a problem of acoustic
22 impedance over the length of a pipe run, and back-calculating
23 where the source must be to get this type of signal differential
24 between the sources.

25 MR. JONES: In contrast to the leak detection

1 capability, we are at the feasibility assessment stage right
2 now, we are very much further along, in the crack detection
3 capabilities area, as a result of several years of work.

4 We started at this four years ago. We have equipment
5 becoming available which is already at the laboratory prototype
6 stage and is ready to go into evaluation.

7 The first sorts of things we did were attempts,
8 really to improve the resolution of conventional UT in-service
9 inspection by improving the transducer designs. However, our
10 evaluation led us to believe that that is not really what the
11 problem is in detection of intergranular stress corrosion
12 cracking.

13 There is plenty of detection capability there, but
14 it is confused by the large number of geometric signals that
15 you get in addition to the signal from the crack.

16 So a large part of our more recent efforts, then,
17 had to do with the signal processing techniques, in particular
18 using the adaptive learning network type of approach.

19 We are pursuing, really, two different kinds of
20 systems and basically using the same kind of signal processing.

21
22 1334 027
23
24

K- BWH

(Slide.)

One is an automated system that gives you positioning information in addition to -- well, more accurate positioning information. This is the kind of system that I will be talking about again in a few minutes when I start talking about crack size capability.

We have also developed an instrument package that would essentially go along with a hand-held, conventional hand-held UTA examination, and the purpose here is to basically assist the operator or the inspector in making the decision whether or not there is a crack there. He sees the signal; he wants to have some assistance in making the decision, whether that signal is a crack or something else. We provide him with this package of equipment over here, which processes the signal, decides whether it looks like a crack signal, that it has already learned to recognize, and gives a substantial improvement in the accuracy of chords, at least in the laboratory.

MR. DILLON: Are these simulated cracks or actual cracks?

MR. JONES: They have been proved out in real intergranular stress corrosion cracks. We think it is important to do that.

(Slide.)

The kind of thing that one gets out of the signal

1334 28

kapBWH 1 processing is to take these kinds of signals, which look
2 rather confusing to the eye, and make them into these kinds
3 of signals where the indication of the crack becomes rather
4 obvious.

5 In the -- we're also doing work in the area of
6 portable equipment for high intensity X-ray generation, and
7 that is at a similar stage to the UTA development. We have
8 laboratory improved capability. We are moving into a field
9 development stage. The time frame for the further
10 development of these techniques is that we expect to conduct
11 the field evaluation trials during 1980. We are
12 anticipating that we will move into an implementation phase,
13 where we start to make the equipment available generally,
14 towards the end of 1980. And a large part of the effort,
15 subsequently, will be through EPRI's NDE center, which will
16 provide training and familiarization capabilities in the use
17 of this new equipment.

18 DR. SHENMON: Is there any manufacturer who will
19 make it?

20 MR. STAHLKOPF: Yes, one of them, as I stated at
21 the beginning of our presentation -- it is the philosophy of
22 the EPRI program to provide off-the-shelf hardware for
23 implementation in these programs. Presently the Adaptronics
24 will be producing for sale the 4000 series, which is a
25 signal processing unit which Robin has just described.

1334 029

031 03 03

kapBWH

1 MR. SCHONBERG: Radiation, which is the company
2 doing the development of the portable LINAC, will offer in
3 their line for sale the LINAC to anyone who is interested in
4 buying it. So all the programs we are going to be talking
5 about today, we are making arrangements with the people who
6 are doing the research or with subsidiary people,
7 subsidiary manufactures, actual development for sale of all
8 of the hardware fixes we are going to be talking about
9 today.

10 MR. JONES: Moving back up the list we started
11 with, the first item in the first objective area was how to
12 identify the welds that are going to be vulnerable to
13 cracking. There is already a technology for doing that, and
14 it is based on formulation of two things, really, the stress
15 rule developed several years ago by GE. This stress rule
16 says that indication of severity of service of a particular
17 weld -- it adds up to the stresses that the weld sees in
18 this particular fashion (indicating).

19 It provides a magnitude of -- the index you finish
20 up with provides an indication of how severe the service
21 is. The original premise was that stress corrosion cracking
22 won't occur if the stresses are maintained below the yield
23 stress. That implies the index should be less than one. In
24 combination with that, at least in recent assessment, there
25 has been assessment of the carbon concentration of the high

1334 030

kapBWH

1 stress rule index welds. That provides an indication of
2 susceptibility of the particular weld to cracking. If you
3 have a combination of a high carbon concentration at a high
4 stress rule, then you feel that there is some probability of
5 cracking, and something should be done.

6 This particular approach has proven to be quite
7 successful in defining the welds which will not crack. We
8 have done quite nicely with saying that there are no cases
9 of cracking where the stress rule index is less than one to
10 date. We don't anticipate there will be in the future.
11 Moreover, we have very few -- we know that the incidence of
12 cracking in -- decrease sharply with decrease in carbon
13 content. We can do a fairly good job of deciding which
14 welds will not crack.

15 DR. SHEWMON: If you have one that will crack, how
16 does that stress relatively to one, or the factor vary
17 around the circumference of the crack, usually, the
18 circumference of the pipe?

19 MR. JONES: The only terms that would vary from
20 top to bottom would be the residual stresses, in some
21 instances, and that is the largest single stress factor in
22 the equation, and some of the thermal components.

23 DR. SHEWMON: Since they weld it all the way
24 around the circumference, probably the stresses will be the
25 same, or the residual stresses --

1334 031

kapBWH

1 MR. ROSSIN: No, that is one of the keys to the
2 whole subject. Actually, in applying the stress rule, some
3 rules of thumb are used to give a conservative measure of
4 the residual stress based on variations seen in other
5 welds. So that really is kind of a limiting number in the
6 stress rule.

7 DR. SHEWMON: Let me bring up something here that
8 will interrupt this presentation, but bring a point in I
9 would like to get on the record. When I first came into
10 this job, I thought, "How silly and conservative can the NRC
11 be. Everybody knows stainless steel is a very tough
12 material, and how could you get a crack that would give you
13 an instantaneous double-ended pipe break?"

14 As I grow a little bit older, I realize that
15 cracks do sometimes develop around a 360 degree
16 circumference, and that is probably the scariest part of
17 Duane Arnold. One of the things I am particularly
18 interested in here is, What are you doing? Or what are the
19 chances of this thing developing into a crack which could
20 come through -- around a fair amount of this, before you
21 detect it?

22 MR. JONES: I am going to touch on that in just a
23 couple of minutes, actually.

24 DR. SHEWMON: Fine.

25 MR. JONES: I think crack shape prediction is a

1334 032

kapBWH

1 very important part of our program, so you can look at this
2 rule in its present state as being a necessary, but not
3 sufficient, condition for cracking.

4 What we would like to do is develop something that
5 gives us more sufficient criteria for cracking for all of
6 the welds for this condition -- is not meant -- we would
7 like to have some way of ranking the likelihood that they
8 would undergo SSC in a bit more reliable way. We think we
9 can do that by developing a second generation stress rule
10 which includes some of the other variables that we know are
11 important, like a number of stress cycles, the number of
12 severity stress cycles and like the particular surface
13 condition, what was done about grinding this weld, what was
14 the final surface preparation, what about the welding
15 conditions?

16 We have lots of information in the more basic
17 programs that tell us the effects of some of these
18 variables. What we need to do now is translate that
19 knowledge into an engineering technique. The programs to do
20 that are just now starting. They have been in place for
21 only a few months. I really can't report to you any
22 startling successes. I think the approach we are taking, of
23 including more of the important factors, will certainly give
24 us a better discrimination than we have now.

25 Another thing we are doing is making in-plant

1334 033

031 03 07

kanBWH

1 measurements to try to qualify what the ranges of some of
2 these stresses actually are in-service. What kinds of real
3 stresses are the welds seeing, as opposed to the design
4 stress? What is the range of them? And the other aspect of
5 it is, what variation and susceptibility do we get in
6 typical welds? At the moment, they are being treated as
7 being all the same.

8 Those things will provide the basis for a
9 probabilistic approach of the type that is now used by the
10 aerospace industry.

11 (Slide.)

12 The second major thrust area in the problem
13 resolution phase of the work has to do with defining what
14 happens if a crack does form. There are, again, three kinds
15 of thrust areas. One of them is NDE improved crack sizing
16 and surveillance technique. The other two are piping
17 integrity types of things, prediction of crack growth and
18 crack shape, and margin assessment, various considerations
19 of cracks in loadings.

20 It is probably easiest to describe how these go
21 together in terms of a structural integrity plan of this
22 sort.

23 (Slide.)

24 This is probably familiar to all of you. It is
25 our version, if you like, of the structural integrity plan

1334 034

kapBWH 1 that is in Section II of the Code. I will go rapidly around
2 the loop here.

3 A crack is detected and sized, or else it is
4 postulated. We do a crack growth analysis on that
5 particular crack to decide how it will grow as a function of
6 time. The inputs to that analysis, there is something about
7 the crack growth in kinetics, and the loading that is
8 driving the crack growth, and sort of analysis technique
9 that is generally used is linear elastic type of analysis.
10 This allows us to develop information on the crack size and
11 shape as a function of time. That becomes an input to
12 evaluation analysis, which says, What is my remaining safety
13 margin?

14 The evaluation requires as an input the worst case
15 accident loading that you care to postulate, plus
16 information on the strength and ductility of the material.
17 Based on the output of that margin assessment, one would
18 tend to -- the Section II approach would be to decide, Is a
19 repair necessary or can we continue operation? Perhaps with
20 the addition of in-service inspection of ventation or a
21 crack surveillance technique.

22 DR. SHEWMON: Does the Code speak -- I guess I
23 will address to you, Warren, does the Code speak to what
24 would be allowed to continue to operate there, and has the
25 NRC signed off on what they would allow for pipe cracks in

1334 035

kapBWH

1 major pipings in BWRs? Or is this getting ready for that
2 discussion, should it come?

3 MR. HAZELTON: I think Section II now primarily
4 addresses fatigue cracks. Here, we have a different
5 mechanism and I don't think we have the technology ready
6 yet, but that is what I think he is getting to.

7 MR. JONES: Right now we don't have the technology
8 to do this. There may well be cases when we have all of
9 these boxes filled in where we could show, perhaps,
10 continued operation would be justifiable. But that is not
11 really the main thrust of this effort. The main thrust, or
12 the reason for putting it into this kind of formalized
13 arrangement, is to make sure that you address all of the
14 proper issues and don't miss anything that is important. If
15 you can do this kind of loop, then I think you can say that
16 you can understand the cracking process and what it means to
17 the piping system.

18 So, where do we stand on this? Well, we can do
19 with improved methods of sizing, crack sizing information,
20 as one of the inputs here to the crack growth analysis.
21 That particular area is one which is just an extension of
22 the crack detection work that I discussed a few moments
23 ago. You need more exact positioning information. You have
24 to integrate a large number of different methods to get
25 accurate sizing information. We visualize more or less the

1334 036

kapBWH 1 same approach and with about a one year or so delay in time
2 frame, compared with the crack detection equipment I told
3 you about.

4 So we see the availability of improve cre
5 sizing capabilities coming along in the, sort of '81-'82
6 time frame.

7 Coming around the loop here, the crack growth
8 analysis, which I will come back to momentarily -- we have
9 programs going on now to quantify what the rate of stress
10 corrosion cracking is as a function of variables like
11 loading and like number of cycles per unit, time, and oxygen
12 concentration in the water and temperature, the kinds of
13 things that you believe are important there for the service.
14 We are also looking at the possibility that the crack growth
15 characteristics might change as a function of time due to
16 low temperature sensitization of the material, and the
17 output from that is basically the capability to predict
18 crack growth in test specimens.

19 We want to predict crack growth in pipes, and that
20 requires a couple of more steps to be taken into account,
21 one of them being the influence of residual stress
22 distributions, which give you steeply varying driving forces
23 as a function of distance through the wall, and the other
24 being composition changes that you can get as the crack
25 comes up and intersects the weld, as opposed to going

1334 037

kapBWH

1 through the base metal. Those are also being studied.

2 We plan basically, then, to try to use the base
3 line information together with models of these other effects
4 to predict the behavior in cracked pipes, which will then be
5 used as a verification experiment. I said we are trying to
6 use linear elastic models for the crack growth analysis. We
7 think that is justifiable because the plasticity which
8 occurs, although stresses can be up near the stress locally,
9 plasticity is well contained because usually local stress
10 near the yield stress is accompanied by local stress
11 somewhere else.

12 We can also do quite a little of analysis. We may
13 not have enough data to finish the model, but we can do
14 analysis. We find that the residual stress distribution is
15 the real big factor in the crack growth analysis.

16 (Slide.)

17 This is a plot of the driving force in terms of
18 stress intensity factor, as a function of distance through
19 the wall, for a 28-inch circulation recirc line, considering
20 residual stresses, using distributions which we have
21 measured previously in normal operating stress of about
22 10 ksi, which would be typical for a particular weld joint
23 in the main recirc line. And the result one sees is that
24 the driving force varies almost exactly the same as the
25 residual stress distribution; in other words, the residual

1334 038

kapBWH

1 stress is dominating all of the other components in the
2 driving force -- remembering that negative stress intensity
3 factors have no physical meaning.

4 What this says to you is that as the crack
5 propagates through, if there was essentially no resistance
6 to crack growth in the material, the crack should stop at
7 about this point here (indicating). This raises the
8 possibility that certain kinds of residual stress
9 distributions could lead to arrested cracks. And contrasted
10 to this, a four-inch diameter line, the residual stress
11 distribution can be tensile all the way through the wall at
12 some location, and the corresponding curve would be one that
13 rises rapidly with increasing crack depth.

14 In those cases, we would expect rapid
15 propagation. And we have done some calculations that
16 confirm that is what should happen.

17 (Slide.)

18 This is a comparison of the probability that a
19 leaking crack will develop after cracking has initiated,
20 through a four-inch and 26-inch line, in the absence of
21 residual stresses. The probability is pretty much the
22 same. After the residual stress distribution we have a
23 tremendous factor of difference in the essential life
24 prediction for these two lines.

25 DR. SHEWMON: Why is it you predict such a

1334 039

031 03 13

kanBWH

1 difference in residual stresses?

2 MR. JONES: Because of the nature of the residual
3 stress, it is different in the large diameter. The large
4 number of passes produces an axisymmetric residual stress
5 distribution, which has a compressive zone near to the
6 inside surface of the pipe. That is not true in the number
7 of passes in a four-inch line. In that case you can get
8 some aximuths around the circumference. And then you have
9 compressing all the way through the wall, that has very
10 important ramifications to crack growth and crack shape,
11 which has to be taken into account.

12 We are then looking at residual stress
13 distributions, measuring them in representative pipe sizes,
14 and trying to develop techniques that would allow us to do
15 that in the field, and that, together with the base line
16 crack growth information, should provide us with the
17 capability of predicting crack growth shape.

18 (Slide.)

19 The evaluation of the end-of-life flaw -- or
20 perhaps it is not end-of-life, but the flaw size that you
21 got at the next refueling outage, what is required here --
22 this is a ductile fracture problem. We have a very ductile
23 material here, and the linear elastic approach is simply
24 incorrect for treating the fracture of stainless steel. We
25 had been doing work for several years on the development of

1334 040

kapBWH

1 ductile fracture methodology, and we have arrived at, in
2 conjunction with General Electric, a rather simple
3 conservative analysis that allows you to quantify the
4 failure margin for cracks of various sizes.

5 (Slide.)

6 This is a function of the loading. This is now a
7 statically loaded case. We look at this one up here for the
8 moment (indicating). The case one is an idealized crack.
9 What we have plotted here is the fraction of -- the fraction
10 of curve circumference, that is the crack size kind of
11 plot.

12 And the boundary indicates the point at which
13 ductile fracture could initiate. This is now a conservative
14 analysis. We are not going to take advantage of what
15 happens after initiation. This is the initiation-based
16 analysis.

17

18

19

20

21

22

23

24

25

1334 041

JLSWH

1 This approach has been both analytically and
2 experimentally verified for initiation of failure. And the
3 one real remaining thing that has to be done is to decide
4 how to use the dynamic loading, as opposed to static
5 loading. We are looking at that now.

6 This would be how do you use this kind of
7 approach, which is basically for static loading? Would you
8 apply it to earthquake loading situations?

9 (Slide.)

10 You can do other sorts of geometries and get
11 different kinds of data plot depending on what kind of
12 geometry you are considering. This is a similar kind of
13 diagram with different axes for the Duane Arnold-shape
14 crack. This one was the one that was leaking, and this is
15 the -- this is the margin for initiation of ductile
16 fracture, again in the normal loading.

17 DR. SHEWMON: What does that mean, the initiaion
18 of ductile fracture?

19 MR. JONES: That you could not start the ductile
20 tearing fracture process until you are on this side of that
21 line.

22 DR. SHEWMON: It doesn't say anything about
23 whether you have a 100-inch crack or a complete break?

24 MR. JONES: That's right. So far we haven't
25 addressed the problem of what happens if you do exceed that

JLBWH

1 line. That is part of last area, which I will get to, that
2 is the consequence evaluation.

3 (Slide.)

4 Basically, in this area we are concerned with
5 three sorts of things. One of them is the one that
6 Dr. Shewmon just alluded to: What happens if you exceed the
7 fracture, and the ductile fracture process starts? What
8 will be the consequence of that? Will we get a leaking
9 pipe? What kind of a leaking pipe?

10 And that is the second area here, where we are
11 going to attempt to quantify leak rates for pipes with
12 certain straight cracks subject to certain loadings.

13 There are other possible system consequences of
14 cracking, too. We would like to look at them a little bit
15 further downstream. The kinds of things we are talking
16 about there are the possibility of multiple breaks. If you
17 get one large loading impulse, what is the probability that
18 more than one pipe could break? Is there any probability
19 that failure of one pipe would trigger failures in others
20 that had part-through cracks in them?

21 The problem of leak before break really comes down
22 to ductile material, like stainless steel type 304, to
23 determining whether crack extension is a stable or unstable
24 ductile fracture process. This has been addressed recently
25 by an analytical approach, where it was treated -- they

1334 043

j1BWH 1 treated simulation of safe ends cracks in Duane Arnold and
2 came to the conclusion that there was considerable remaining
3 margin, if you like, to initiation of unstable crack growth.

4 We are extending that particular approach and also
5 validating, if you like, with numerical approaches that
6 don't have to make quite as many assumptions as the
7 analytical approach.

8 DR. SHEWMON: Where was this published?

9 MR. JONES: Tada -- NUREG -- there is a
10 reference to it in the study group report. It is the
11 Washington University analysis. That particular area I
12 think is well in hand, and I think the present results
13 suggest that the likelihood of getting an unstable ductile
14 fracture in piping systems with the sort of designs we have
15 in recirculation piping is very remote indeed.

16 That brings attention to what kinds of leak rates
17 could we expect then from stable cracks subjected to various
18 types of loadings? And that means that we have to do two
19 things: We have to be able to predict crack shape. This is
20 the kind of sequence of crack shapes you get in the
21 stainless steel, the crack extension going on with a great
22 deal of widening. The sort of scale here is of the order of
23 an inch at this stage, the crack separation having started
24 up at this crack.

25 If you want to predict leak rates, you have to be

1334 044

j1BWH

1 able to predict this kind of behavior. And using the
2 ductile fracture mechanics that is being developed at EPRI,
3 you can come pretty close already. This is the crack
4 configuration with everything normalized, normalized stress
5 against open area of crack. These are the data from the
6 previous slide, and this is the prediction for the elastic
7 fracture mechanics.

8 It is slightly conservative. It overpredicts the
9 crack opening area.

10 (Slide.)

11 We are going through some additional work in this
12 area. Having predicted the area, now you have to predict
13 how fast will the plume come out through it. That is
14 relatively straightforward for blowdown analyses for large
15 orifices. But if one does calculations for through-wall
16 cracks in the sensible types of loads, you don't have very
17 large orifices. In fact, you have crack-like defects, as
18 opposed to actually symmetric things that are treated in
19 blowdown analysis. That has not been treated in the past,
20 the relatively tight cracks.

21 We are treating them two ways. We have a small
22 analytical effort to try to see how to adapt blowdown models
23 to that particular case, and we have somewhat larger
24 experimental efforts which will be measuring leak rates as a
25 function of crack configuration to provide the experimental

1334 045

JLBWH 1 basis for a predictive model.

2 In summary, in this area we have three main
3 thrusts:

4 One of them is the prediction and detection of
5 cracking.

6 The next is the development of the technology to
7 predict what happens if cracking does initiate.

8 And the third is the assessment of what the
9 consequences of intergranular stress corrosion-cracking
10 might be in terms of leakage rates and for a variety of
11 postulated loads.

12 Thank you.

13 DR. SHEWMON: Thank you.

14 Any other questions?

15 MR. DANKO: My name is Joseph C. Danko. I'm with
16 the Electric Power Research Institute, and the subject of my
17 presentation is the pipe remedy development.

18 (Slide.)

19 The objective of the pipe remedy development
20 activities is to develop and evaluate pipe remedies for
21 application to the BWR recirculation piping system and to
22 demonstrate the fact of improvement of these pipe remedies
23 over a reference or as welded 304 stainless steel pipes.

24 The technical approach really is based on an
25 understanding of the mechanism of stress corrosion

1334 046

JLEWH

1 cracking. At this point in time, I feel that we have a very
2 good understanding of what is going on. It is related to
3 three critical factors:

4 One, a sensitized microstructure is required.
5 This is produced in the welding of normal 304 stainless
6 steel. There is a need for a stress intensity or strain
7 time factor, and of course a need for an environment,
8 superimposed such that they have coincidence in one area.
9 And this can give rise to the intragranular stress corrosion
10 cracking that has been observed in the stainless steel
11 piping in the BWRs.

12 Based on this model, we can select pipe remedies
13 that would provide a solution to the stress corrosion
14 cracking. And you can take individual items, or combination
15 of these three critical factors, in selecting remedies to
16 eliminate or to avoid the problem.

17 Obviously, if you take one of these factors and
18 completely break it away from the coincidence, you would
19 essentially have immunity to intergranular stress
20 corrosion cracking.

21 Obviously, if you work on two factors, it is quite
22 possible to minimize this area here, which really, in a
23 simplistic way, can be looked as a probability area. By
24 significantly reducing this, you can essentially avoid
25 stress corrosion cracking over the lifetime of the plant.

1334 047

JLBWH 1 which is considered at this point to be 40 years.

2 So given this information, we have selected a
3 number of pipe remedies for evaluation and to verify that
4 they will provide factors of improvement required for plant
5 operation.

6 (Slide.)

7 What I would like to do is cover some of these
8 pipe remedies and also to indicate what specific area, based
9 on the Ballantine circles that we were attacking.

10 Solution heat treatment; the intent here is to
11 take the shop welds, solution heat them, and in doing so you
12 obviously eliminate the weld sensation and also eliminate
13 the weld residual stresses associated with that weld. The
14 application would be for shop welds, and it can be applied
15 for plants under construction, and for several pieces for
16 repair of existing plants.

17 The area of the corrosion-resistant clad; the
18 objective is to attack the sensitization problem, to place
19 on a weld deposit from 308L weld metal with a controlled
20 delta ferrite. And based on laboratory test and field
21 operation, if you get the delta ferrite content high enough,
22 it will prevent stress corrosion cracking. And, typically,
23 we are looking at levels on the delta ferrite. In the weld
24 deposit, this corrosion-resistant clad is placed on the ID
25 such that the butt well is complete protected. So the

1334 048

JLBWH

1 heat-affected zone does not see the environment, and it has
2 eliminated the sensitization factor of the Ballantine
3 circles.

4 The application here would be for shop welds, and
5 it has application for plants under construction and for
6 repair activities.

7 The corrosion-resistant clad, as deposited; this
8 is a case where you just take the 308 weld metal deposit on
9 the ID pipe, as opposed to the CRC with the solution heat
10 treatment.

11 And in the case of the solution heat treatment,
12 you avoid any possibility of desensitization, that
13 transition from the CRC to the base material. The CRC, as
14 deposited, has field application and would cover plants
15 under construction and for repairs.

16 The heat sink welding is an approach where after
17 you make the route pass on the weld you introduce flowing
18 water or a very active spray water on the subsequent weld
19 passes; and in doing so, you provide a state of residual
20 stresses in the heat sink weld that results in a compressive
21 residual stress pattern on the ID. So this would be
22 attacking the stress factor of the Ballantine circles. And
23 this approach has application for field welds, pipes under
24 construction, and for repairs.

25 The induction heating stress improvement, which is

1334 049

J1BWH

1 t technique that was developed in Japan, is applied to
2 welded pipes. You take the OD of the pipe with an induction
3 coil, heat it up to approximately 500 to 550 degrees C. for
4 a short period of time. While you do this, you have water
5 flowing on the inside of the pipe, and you end up with a
6 complete redistribution of residual stresses in the weld
7 area, such that there are compressive residual stresses on
8 the ID resulting from this process.

9 Again, the thrust here would be to look at the
10 stress factor that contributes to the stress corrosion
11 cracking. Application would be to field welds and plants
12 under construction and for repairs.

13 The alternate pipe alloy; this is to eliminate
14 sensitization with the weld heat-affected zone. And the
15 alternate alloys would be applicable for plant under
16 construction as well as for pieces for repair activities.

17 So these currently are the major pipe remedies
18 that are under development, under evaluation. And there are
19 additional concepts emerging as we continue the development
20 activities.

21 For example, you may have heard of the crown weld
22 passing. This has come up as a concept based on the
23 residual stress analysis, the idea being to take a pipe that
24 has already been welded and just have a fusion pass on the
25 crown weld, water flowing on the inside; and, in effect, it

1334 050

JLBWH

1 changes the residual stress pattern of the pipe. It would
2 be similar to the heat sink, except the application would be
3 on a pipe that has already been welded.

4 Another concept that has emerged is to reduce the
5 stresses on the pipe by applying a back leg or a weld
6 deposit over a large portion of the OD of the pipe. Again,
7 you can do this with water flowing on the inside, or it can
8 be done without it. The intent is to reduce the stress
9 level on the heat-affected zone of the pipe.

10 MR. BENDER: Are you going to say anything about
11 what size piping goes with what methods, or do they apply to
12 all sizes?

13 MR. DANKO: I will touch that.

14 MR. BENDER: All right.

15 (Slide.)

16 MR. DANKO: If we have these pipe remedies, one of
17 the real questions is: How do we verify that these remedies
18 will actually work on hardware that has been failing?

19 In the past, testing has been pretty much confined
20 to small specimens. This is a way the stress corrosion
21 cracking testing has been done.

22 The limitations of that testing technique were
23 recognized by General Electric a number of years ago. At
24 that time they felt it was important to get to the actual
25 hardware testing, so the pipe remedy verification is really

1334 051

JLBWH

1 based on testing full-size, welded pipes, which utilize as
2 well the 304 stainless steel, which is the reference base to
3 make the comparison with the pipe remedies. And then you
4 can statistically evaluate the data and come up with a
5 factor of improvement for the pipe remedies.

6 The field data were analyzed and statistically a
7 factor of 20 was required as margin of improvement over the
8 referenced 304 stainless steel to demonstrate that the pipe
9 remedy would be capable of running for 40 years or the plant
10 lifetime. So this factor improvement over reference 304
11 stainless steel is important to remember as we talk about
12 the pipe remedies and the verification of these pipe
13 remedies.

14 Now, the test on the full-size welded pipes have
15 been pretty much limited to four-inch diameter pipes. A few
16 tests are planned which will extend all the way up to 16
17 inches in diameter. The tests are performed under
18 accelerated test conditions to promote or enhance stress
19 corrosion cracking. The temperatures typically are 288
20 degrees C., which is the approximate operating temperature
21 of the pipes in the circulation system.

22 Stress levels have been taken to be above yield,
23 namely 136 percent of the yield stress on the base materials
24 at the temperature. The cyclic rate is used of .67 cycles
25 per hour. This is found to also be a powerful accelerant to

1334 052

1 the stress corrosion cracking. And in the environment there
2 is introduced in the high purity water 8 parts per million
3 of dissolved oxygen. This is a powerful accelerant.

4 DR. DILLON: Could I interrupt just a moment? It
5 is conventional to accelerate the environment with oxygen.
6 I appreciate that, but I've always had an uneasy feeling
7 about the unspecified effect of chlorine -- chloride, I
8 should say, particularly as it might be involved in the film
9 formation process, whether that has any significance to the
10 actual environment in which we are dealing with the problem.

11 MR. DANKO: The particular environmental
12 conditions that we depicted here were based on the
13 specifications for a BWR. And a number of years ago there
14 was a series of tests performed at GE examining the question
15 of chloride additions. They covered a range of chloride
16 and, at least for the small laboratory test group, it
17 demonstrated that within the specifications there were no
18 detrimental effects associated with it.

19 MR. DILLON: I am thinking back to the old
20 Savannah River problem. Remember their nozzle problems,
21 where the problem was eventually related to significant
22 chloride involvement in the oxide deposit on the nozzle,
23 even though the water was maintained at negligible chloride
24 levels? I am just curious as to whether or not this has
25 ever been looked into as a major factor?

1334 053

1 MR. DANKO: As far as I know, that particular problem
2 has not been examined as far as the chloride formation and the
3 breakdown of film; we have a tight control of the water
4 chemistry.

5 DR. SHEWMON: What is the typical chloride content in
6 an operating BWR?

7 MR. DANKO: We have a stack on that. I think it is
8 rather complicated. There is a period of time when you can
9 tolerate a certain level and then if it exceeds that, you have
10 to shut down. I am not sure of the exact number.

11 MR. HAZELTON: It varies with temperature.

12 MR. ANGLE: Our spec is one ppm for 24 hours.

13 DR. SHEWMON: So part of his question is: Do you
14 think you would get different results if you operated with
15 typical BWR water instead of this?

16 MR. DANKO: And I addressed that question by stating
17 that a lot of laboratory tests were performed many years ago
18 addressing the question on the water chemistry specifications
19 with respect to chlorides.

20 DR. DILLON: My point is a little more complex than
21 that. I am concerned about the actual chloride content incor-
22 porated into the oxide film itself, which could be the result
23 of a long-term exposure or it could be an accumulation on
24 transients of various sorts.

25 MR. DANKO: The particular program here on the

sp?

pwa-1A

1 verification does not address transients chemistry, but in the
2 alternate pipe material program, there are some tests planned
3 where transient chemistries will be examined.

4 MR. MARTEL: This is related to the presence of
5 aluminum? That is an additional factor, besides the average
6 chlorine in the water, that it is combined with the chloride
7 and then it is selected with the deposit with the weld.

8 In order to translate that experience to BWRs, you
9 have to at least address the comparability of the presence of
10 aluminum.

11 DR. DILLON: I am not going to draw a one-to-one
12 comparison. I am simply concerned with the possible incorpora-
13 tion of oxide in the weld part, and I want to understand what
14 you mean by "acceleration due to cyclic rate." It doesn't
15 accelerate it beyond anything. It would simply reduce.

16 MR. DANKO: Time to failure. The intent here was when
17 the first pipe tests were performed, they were done under the
18 kinds of load conditions and the test times were going out
19 further and further in time. And obviously, if you want a test
20 that you can case and get results to apply to your plants, and
21 there are a large number of plants under construction, you
22 want a test that accelerates the time to failure. So the
23 cyclic rate was found to accelerate the time to failure on
24 the as-welded pipes. The particular cycle that was picked
25 came about by some experimental work in the cyclic testing of

1 pipes. Perhaps it is still not an optimum in terms of mini-
2 mizing the times to failure of the pipes, but the test results
3 are right at a point --

4 For example, typical 304 stainless steel pipe, with
5 05206 percent carbon content, under these test conditions,
6 were failing in like 100 to 200 hours. If you did not cycle,
7 you might be running out to 1000 hours.

8 MR. BENDER: Could you clarify this factor of 20
9 criterion? It sounds impressive. What does it refer to?
10 Over what?

11 MR. DANKO: Typically, if you examine the failure
12 histories of the pipes in all of the BWRs, the statistician
13 examines the data and says, "Okay. If you really want to
14 verify these pipe remedies will indeed operate for a 40-year
15 plant lifetime, this is what you are going to have to do."

16 He took a look at the distribution curve on failures,
17 and the times of the failures, and then he did the typical
18 statistical analysis and said, "Okay. Here is a family of
19 curves that we can use, with this number of welds and this
20 number of pipe tests, and for these test times compared to
21 the reference 304 stainless steel, you can get -- you will
22 need a factor of 20 over the typical failure history of the
23 304 stainless steel."

24 This is a very conservative estimate. For example,
25 if you take a look at the average failure time, the time that

1 this was done, it was like five years. So you take a factor
2 of 10 times that. It is 50 years; which is like the plant
3 lifetime.

4 MR. BENDER: That doesn't mean very much. I think
5 the question I am trying to get at is: Assuming I want to
6 establish a factor of 20, what in the test program will tell
7 me that I have established it?

8 MR. DANKO: What you have to do is to determine the
9 distribution of failure of as-welded 304 stainless steel pipes
10 of the same diameter, which has been done.

11 Taking that mean time to failure, you say, "okay; the
12 mean time to failure says it is 200 hours." So a factor of
13 20, roughly speaking, would be 200 times the 20, or 4000 hours
14 of testing.

15 So if you would take the pipe remedies in that same
16 pipe configuration under the same test conditions, and if you
17 went out to 4000 hours without a failure there, you have
18 achieved the test criteria of a factor of 20.

19 MR. BENDER: You are telling me you are going to
20 extrapolate the accelerated tests to the in-service perfor-
21 mance; is that what you are telling me?

22 MR. DANKO: That's what we are doing, yes.

23 MR. BENDER: Is that a comparable basis?

24 MR. DANKO: Well, it is one that is based on the
25 failure. It is one that we had to get some acceleration into

1 the tests. So far as we can determine, the fact that we have
2 added a lot of conservatism into the 20, I think basically
3 people feel fairly comfortable with it.

4 We do need more testing. We have to extrapolate
5 that into the bigger lines, and I think that there is still an
6 additional factor that is going to fall out of this that says,
7 "yes; it is extremely comfortable, using this test technique
8 to verify."

9 DR. SHEWMON: It is a fair filter. Whether it is a
10 best filter --

11 MR. ROSSIN: That is the key point. This isn't the
12 only way to get a definitive figure of merit, but this is a
13 very good way to get a screening so we know what techniques are
14 worth pursuing further. We are not basing all of our conclu-
15 sions about whether something is really going to work for the
16 lifetime on this one test. It does enable us to cull out the
17 ones that don't have promise.

18 DR. SHEWMON: I guess the one place I have heard
19 where I didn't like the results of this was since you are going
20 up to 136 percent of yield, if there are techniques that set
21 up residual stresses, like the things you were talking about
22 earlier, the in-service heat treatment, then this doesn't treat
23 them very kindly, because it wipes out the residual stress in
24 a few cycles. Is that a fair --

25 MR. DANKO: That is a good point. One of the things

1334 058

1 we are questioning right now is that on some of the pipe reme-
2 dies, like heat sink welding, we will indeed -- The stress
3 levels here, will they override the residual stresses placed
4 into the pipe as a result of the process? Is it possible,
5 then, to just wipe out those favorable residual stresses?

6 And there are tests underway to evaluate whether we
7 are exceeding the conditions. We have tests planned at 110
8 percent of the base material yield stress at test temperatures.
9 They are residual stress measurements being planned on pipes
10 that have been processed by heat sink welding and IHSI.

11 They will be measured before and after to see if
12 they are, during the testing, whether they are being shaken
13 down. It is a good question and one that has been specifically
14 addressed on the pipe remedies where you are looking at
15 favorable stresses.

16 DR. CORTEN: Is that in a range, that 136, where you
17 can control it? Or should you control that strain then?

18 MR. DANKO: It is another question that has been
19 kicked around a number of times. A stress value was selected
20 based on some actual early tests, where the pipes are
21 (inaudible).

22 So we actually measured the strain and calculated
23 the stress value, and we are still evaluating whether we should
24 be addressing stress or strain. But for the time being, these
25 are the test conditions for the testing program.

1334 059

1 I do want to make another point here. You will note
2 by the bottom line here that we are not relying solely on
3 these pipe test results. We are running a large number of
4 stress corrosion tests. There are sensitization tests being
5 performed on these pipe remedies. Electrical-chemical
6 measurements are being performed, and all this data, then,
7 will be analyzed along with the verification of pipe testing
8 to make a proper engineering decision on these pipe remedies.

9 (Slide.)

10 Also, I mentioned earlier that a number of the pipe
11 remedies, there are plans to test pipes up to 16 inches in
12 diameter.

13 Then in the program that is planned for the next few
14 years, we are going to extend that all the way up to pipe
15 sizes of 26 to 28 inches in diameter, just to make sure there
16 is no surprise. It is going to be costly, but it will add
17 that extra engineering piece of information that, "yes, we
18 have tested full size," and cover the entire range of pipes in
19 the recirculation system.

20 (Slide.)

21 This particular table here presents the latest test
22 results on the verification of these pipe remedies. For
23 example, on the solution heat treatment, we have factors of
24 improvement ranging from 2.3 greater than 20. The reason there
25 is a range of values here, we are testing three heats of

1334 040

1 material, and statistically, we didn't want to limit the test
2 to one heat. And you pick these heats of material randomly,
3 and some of them are extremely resistant to stress corrosion
4 and cracking.

5 And since the factor of improvement is based on the
6 failure point, the first failure point, we have not been able
7 to fail some of these highly resistant materials; and hence,
8 there is an improvement quite low.

9 Now, there is one heated material which was very
10 susceptible. In fact, it was susceptible in the as-received
11 condition; and that particular heat failed very rapidly. So
12 we have gone well in excess of a factor of 20. The last figure
13 was like a factor of 67 improvement; so it really demonstrates
14 that the solution heat treatment of the shop welds is a viable
15 remedy for the stress corrosion cracking.

16 Some of the other heats are out to times of 8000
17 hours with no failures, and the tests are continuing.

18 Unfortunately, the solution heat treatment is some-
19 thing that you can not apply to all welds. This is a shop
20 practice, and at best, you might be able to get to 40 or 50
21 percent of all of the welds in the recirculation system.

22 The corrosion resistant clad: This is the field
23 application, where you just apply the 308L weld metal on the
24 ID and do not perform any subsequent heat treatment. Factors
25 of improvement are 1.7 to 6.6.

1 In one heat I had mentioned, we had failures in this
2 one heat at the transition between the corrosion-resistant clad
3 and the base material. That is this factor here of 6.6. The
4 other heats that are quite resistant are still on test, and
5 those have experienced no failures out to test times of close
6 to 7300 hours. These tests are continuing.

7 It does raise a thought here that if you want to
8 apply this particular technique, and if you have a susceptible
9 heating material to begin with, you want to be extremely
10 careful on using this particular method.

11 On the shop application of the corrosion-resistant
12 clad, again we have exceeded the factor of 20 improvement for
13 this one heat that is very susceptible, and it is out to a
14 factor of like 67 right now.

15 The low number here represents the heats that are
16 very resistant, and those have shown no failures and the test
17 times are up to 7600 hours.

18 The CRC shop application looks like a very viable
19 pipe remedy on the heat sink welding specimens tested at 136
20 percent of the base material yield stress. We have factors
21 ranging from 3.8 to 12. What we have found here is the surface
22 condition in the heat sink welding, as well as other pipes,
23 is extremely critical.

24 This range of factor of improvement is 3.8 to 12.
25 The one set of pipe test specimens, the particular vendor did

1334 062

1 a very good finish on the heat-affected zones. In another
2 case, there was a typical machine surface. And where we had the
3 machine surface, we have a factor of improvement of 3.8. For
4 the one that had a very nice finish on it, we had a factor of
5 improvement of 12.

6 Then the question comes up which relates to your
7 question, Paul: Were we really wiping out the benefits by
8 testing these high stress levels? And we are going to evaluate
9 that based on pre- and post-residual stress measurements,
10 using qualitative checks on it.

11 It does show that there is a factor of improvement
12 using the heat sink welds. Initially we felt that this would
13 be primarily related to the distribution of the residual
14 stresses. Some sensitization measurements made on these pipes
15 recently failed, and they showed that the values of sensiti-
16 zation based on the electrical-chemical-kinetic reactivation
17 technique, shows that the heat sink welding is actually pro-
18 viding a lower level of sensitization in as-welded pipes.

19 There are some benefits to the sensitization area
20 and certainly there are major benefits in the weld residual
21 stresses. On the 110 percent test, no failures. Maximum test
22 times are out to 2500 hours, and the program manager at GE
23 says they have had but one failure. That was at 3000 hours,
24 and it is being analyzed.

25 The IHSI pipes are being prepared for test. There

1334 063

1 are a series of pipes that will be tested here, including both
2 the 4-inch and going all the way up to the 16-inch diameter.

3 On the alternate pipe material, a number of
4 remedial materials were originally tested in what we call the
5 "screening test," 304 stainless steel, nuclear grade, and 316
6 nuclear grade. This is the GE designation, which is .02
7 carbon max, and .1 nitrogen max.

8 These have been selected from a large number that
9 were originally in the screening test and they are being
10 carried to what we call "qualification testing." These are
11 in progress. They have exceeded 20, a factor of 20.

12 These represent many more heats of materials and will
13 go up to pipe sizes of up to 16 inches and then eventually, to
14 make sure there is no surprise effect, will go up to the
15 26, 28 inch pipe testing on these materials.

16 There is a great deal of testing continuing on these
17 two which includes laboratory tests, of course; electro-
18 chemical stress corrosion tests, sensitization tests. But
19 these two materials look very, very good as an alternate to
20 the 304 stainless steel.

21 MR. BENDER: What was the old carbon spec on 304?

22 MR. DANKO: It is ASTM, which is a .08 carbon max.

23 MR. BENDER: Were you working to that previously?

24 MR. DANKO: It had been ordered to the ASTM spec,
25 so it covered a range of up to .08 max. If it exceeded that,

1334 064

1 then it was in violation of the spec, and they had to reject
2 the material.

3 MR. BENDER: For some reason or other, I thought that
4 there was some reduced requirement, even for that material.
5 Maybe my memory is poor.

6 MR. BERRY: Are you also looking at the long-term
7 metallurgical stability of the nitrogen and low-carbon heats?

8 MR. DANKO: Yes. There are long-term tests in
9 progress, and there are some fundamental studies going on to
10 examine the nitrogen effects. And in fact, the preliminary
11 data that have been generated in the General Electric Research
12 Laboratory show that these low nitrogen levels, there seems to
13 be a beneficial effect from nitrogen on retarding sensitization.
14 It is not quite well understood why it is happening, but it
15 does happen.

16 DR. CORTEN: When you specify, is that on the minimum
17 as specified? Or is that actual yield?

18 MR. DANKO: These are the actual measured values of
19 the pipe.

20 DR. SHEWMON: It is my understanding, is it, you feel
21 you can get this nuclear grade in under the umbrella of the
22 previously approved 304 with regard to ASME because it falls
23 in the lower end of their range?

24 MR. DANKO: That is correct. It has been checked
25 with the Subcommittee, Section 3, and they will accept that.

1 The key thing here is .1 nitrogen must not be exceeded. Then
2 it puts you into the L classification. That is a little dif-
3 ferent classification.

4 If you maintain .1 nitrogen max, you will fall in
5 with the conventional 304 chemistry specs.

6
7
8 1334 046
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

wa
nd
5

j1BWH 1 DR. SHEWMON: What was the nitrogen, the 07 carbon
2 steel for the older plants?

3 MR. DANKO: The specifications generally did not
4 call for a nitrogen analysis. Typical mill search do not
5 show nitrogen unless you do your own cross-check on the
6 chemistry, which all of these pipe test results have been
7 using.

8 MR. BENDER: What would you normally expect?

9 MR. DANKO: On those, 05, 06, in that ballpark.

10 I would like to move on to the status of the pipe
11 remedies. Carl touched on this briefly in his introductory
12 comments, but the solution heat treatment of the shock welds
13 has been applied now to 15 boiling water reactors under
14 construction using 304 stainless steel.

15 As I mentioned earlier, you can get about 40 to
16 50 percent of all of the ones in the recirculation system
17 using the solution heat treatment of the shop welds. The
18 corrosion resistant clad application has been used now at 15
19 plants under construction. Based on the results so far of
20 the heat sink welding, GE has recommended that for field
21 welding of 304 stainless steel, that heat sink welding
22 should be considered and applied where possible.

23 The 316 nuclear grade -- there are 16 BWRs under
24 construction now that have committed to using that in part
25 or in the entire recirculation piping system. In fact,

1334 067

jlbWH 1 there have been some cases where the utilities have actually
2 scrapped out the complete 304 stainless steel piping, a good
3 decision on their part — expensive, on the other hand, but
4 the 416 nuclear grade, based on all of the test results we
5 have right now, certainly should meet the requirement of a
6 40-year plant lifetime without the stress corrosion cracking
7 incidence.

8 This is a case where the utilities have seen the
9 data, recognizing that it is a much better material than 304
10 stainless steel, and have shifted to the new nuclear grade
11 composition.

12 On the IHSI, development is still in progress; but
13 I would like to report that a number of plants in Japan have
14 utilized it. They based their decision on a great amount of
15 residual stress measurements, a great deal of laboratory
16 testing; and the only thing that was not in their decision
17 package was actual pipe test results. Those are currently
18 in progress as part of this development program.

19 MR. BENDER: With regard to the solution heat
20 treatment, what chances are there for that process to go
21 wrong? Is that a foolproof process?

22 MR. DANKO: If the vendor follows the
23 specifications, I would say it is essentially foolproof.
24 And that is that -- there is a time-temperature
25 relationship, and then there is a cooling rate that must be

1334 048

JLBWH

1 achieved to make sure that there is no precipitation on the
2 carbides during the cooling. That means a very rapid quench
3 with the thermocouples attached to verify that we have
4 achieved that condition.

5 MR. BENDER: If I were to use that for in-service
6 maintenance, is it a viable idea?

7 MR. DANKO: It is not applicable right now for
8 utilization in existing plants, because you are faced with a
9 situation of heating locally a weld up that temperature, and
10 there will be a transition somewhere where you are facing
11 with cutting through a sensitization regime which could put
12 you into a very susceptible area for stress corrosion
13 cracking.

14 MR. ROSSIN: What has been done in a couple of
15 cases where a piece of pipe with certain welds has to be
16 replaced, and that piece is of a suitable size so they can
17 do the shop treatment, ship the whole thing in, and then you
18 do have two field welds, and there is no way you can rot
19 those. At least you've got the best quality of material you
20 get in between the two.

21 MR. DANKO: What you can do in that case, and this
22 is the reason for the corrosion resistant clad in the shop
23 welds, you can put on the last weld that is going to be
24 applied in the field, a corrosion resistant clad on the ID.
25 And when you apply then the solution heat treatment, you

1334 069

j1BWH 1 eliminate the zone that exists between the corrosion
2 resistant clad and the base materials such that when you
3 make your final field closure, at least that side of the
4 weld is protected. Then the rest of the piping should be
5 solution heat treated, as Dave pointed out, so all of the
6 other joints would essentially have immunity to the stress
7 corrosion cracking.

8 MR. BENDER: When I perform that operation in a
9 shop, is there anything besides the heat treating will tell
10 me that it is done right?

11 MR. DANKO: There is a certification required,
12 which is part of the quality assurance program. And the
13 documentation of the heat treating and the documentation of
14 the cooling -- there have to be records for that,
15 identification of the heats and --

16 MR. BENDER: But there are no property
17 measurements?

18 MR. DANKO: Joe, you can help me out on this. Do
19 you use the EPR on the solution heat-treated pipes from the
20 shop procedure?

21 MR. LEMAIRE: I believe all of the material used
22 in current specifications of the 304 variety do require
23 either an ASTM or an EPRI type of screening test to be
24 performed. That would be an additional check on heat
25 solution treatments as well. That would tell you whether

1334 070

j1BWH 1 anything went wrong.

2 DR. SHEWMON: What is an EPRI test?

3 MR. LEMARIE: Electro-potentiokinetic. It is

4 applied locally to the material.

5 MR. DANKO: It is a sensitive test for picking up

6 the sensitization.

7 MR. ROSSIN: Before you go into your next topic, I

8 just want to point out that the largest contractor of EPRI

9 in this area, of course, is General Electric Company. Part

10 of their facilities in San Jose include this pipe test

11 laboratory, which is unique in this country. The amount of

12 equipment that is there we have no way to duplicate. GE,

13 being a major contractor, is also a cost sharer on this; and

14 the EPRI contracts with GE involve participation through

15 GEN.

16 This is extremely important, because it will move

17 forward rapidly. But also I think it is due to the fact

18 that GE was already moving in these areas and had a number

19 of these laboratory facilities in existence or under

20 construction back when we first got into this problem.

21 MR. BENDER: There are no independent activities?

22 MR. STAHLKOPF: We are setting up another pipe

23 test laboratory at Battelle, specific, and we are engaged in

24 negotiations with Battelle to do this. We look at the stock

25 time frame between the nine to 12 month to have an

1334 071

jlbwh

1 additional facility in operation.

2 MR. ROSSIN: When EPRI does these contracts, part
3 of the job is to monitor them and to see that there are
4 appropriate checks so that we have confidence in the data
5 that comes up. We are just not in this with the idea that
6 somebody is going to cheat on the data. I think that has
7 got to be made very clear. We are dependent on contractors,
8 but we have independent checks to show that the data are
9 verified and documented.

10 MR. BENDER: Heating is not what I had in mind. I
11 hoped that that wasn't the interpretation, but there are
12 variations in perspective, and there is often bias the
13 technological interpretation that you can only eliminate by
14 having somebody else that is outside of the existing testing
15 approach look at the problem.

16 I think this thing has suffered from that for a
17 long time.

18 MR. ROSSIN: There is independent examination of
19 the data, a lot of it. But the physical facilities are
20 expensive, and we are not going to be able to duplicate it
21 many times.

22 MR. STAHLKOPF: We do have alternate facilities
23 which will be going in place at Battelle, and primarily
24 dealing with larger diameter pipes than are presently being
25 dealt with at the GE facility at San Jose, which is

1334 072

JLBWH

1 primarily dealing with the four-inch pipes.

2 MR. DANKO: There is a point to be made here,
3 Carl. There have been constructed in Japan a number of the
4 same of test facilities, and there was a round robin setup
5 with GE with Japan to make sure that the test results can be
6 duplicated in other laboratories essentially using the same
7 test procedures in similar facilities.

8 The round robin did establish that for 304
9 stainless steel piping welded by GE, shipped to Japan, that
10 they got similar time to failure on the specimens as GE was
11 getting, so there is a cross-verification of the testing
12 technique, that it is something that can be reproduced in
13 other laboratories.

14 MR. MASCARO: The NRC is planning some independent
15 research programs to evaluate these fixes and proposed
16 solutions to the problem.

17 MR. BENDER: That is part of the reason for this
18 discussion. We are trying to understand the relationship
19 between what GE is doing and what the NRC might be doing. I
20 guess we are also interested in what the Japanese might be
21 doing and whether that is an independent test. I think the
22 whole thing needs to be looked at.

23 (Slide.)

24 MR. DANKO: I would like move on to the question
25 of BWR duration. We have a program which was just starting,

1334 073

jlbWH 1 and the objective is to determine if deaeration during
2 reactor startup will reduce the propensity of intergranular
3 stress corrosion cracking of the welded 304 stainless
4 steel. There have been comments made that it will have a
5 beneficial effect. To this point, it really isn't clear.
6 So the intent is really to quantify if there are any
7 benefits associated with deaeration during startup. This is
8 to perform laboratory stress corrosion cracking tests on
9 specimen 304 stainless steel that have been actually removed
10 from a butt-welded joint, and preserving then the actual
11 weld sensitization, and trying to keep the specimen as close
12 to the ID surface as possible so that we can actually
13 preserve that surface, which is critical in terms of
14 initiation.

15 The test conditions -- I would like to point out
16 that these have been based on in-reactor measurements, both
17 water chemistry and electrochemical behavior. So when you
18 see simulated startup oxygen and peroxide additions, that
19 means in a laboratory we have to try to have these
20 introduced in the makeup water, which is a very difficult
21 experiment to achieve, and then to simulate the actual
22 measurements we have for in-reactor, start-up conditions.

23 As a sort of a backup method, you can use the
24 potentiostatic control to simulate electrochemical potential
25 during startup. We have measurements in the reactor of

1334 074

JLBWH

1 that, so we have two approaches to examine then the actual
2 start-up conditions. And we are going to use strain rates
3 that actually simulate the conditions.

4 We talked to the GE people. They have values that
5 have been calculated from the pipe design engineers to make
6 sure that we are simulating the actual strains in those
7 wells. The intent here is not to take the specimens to
8 complete failure, but rather to interrupt tests at a strain
9 value, a total strain value that is consistent with the
10 start-up conditions; so that you cannot be misled, that
11 whether initiation is occurring or not, the specimens that
12 will be removed from the pipes will be attempted to keep the
13 ID surface preserved and will include the gauge length, weld
14 heat-affected zone in the base material. So it is really
15 important to how these test conditions are performed in
16 order for us to really evaluate the question of deaeration.

17 DR. DILLON: Are you cycling them?

18 MR. DANKO: There will be some cycling tests
19 involved. There will be fracture mechanic specimens
20 involved to see if there is an effect on the AVT
21 examination. We are going to interrupt the test at very low
22 strains and really see if we can detect the initiation of
23 stress corrosion cracking. The critical thing is the
24 initiation process.

25 We have measurements to show that 200 ppb, which

1334 075

JLBWH 1 is the equilibrium oxygen concentration in the operating PWR
2 that cracks will propagate. So we also have had discussions
3 with the Swedish, and they use a special technique in their
4 start-up which is a nitrogen blanketing process, and we
5 actually have a program under negotiation with them to
6 insert some specimens in one of the reactors and really
7 determine whether the benefits that they report are
8 associated with the nitrogen blanketing or in fact is it
9 related to the close specification they have on their 304
10 stainless steel.

11 We also would plan on doing a limited number of
12 pipe tests after we get these preliminary laboratory results
13 in. The programs status, the test simulating the
14 start-up conditions, both chemically and potentiostatically,
15 are in process. The final negotiations are in progress with
16 Asea-Atom for them to do some special tests in the reactor
17 in Sweden. The scheduled completion date is shown here. We
18 hope to finish the work in GE by the end of next year, and
19 we will have results coming in from Asea-Atom to be
20 completed in 1982.

21 This concludes my presentation.

22 MR. STAHLKOPF: Thank you, Joe.

23 MR. ROSSIN: Any further questions for Joe?

24 DR. SHEWMON. No. The only other one that comes
25 to mind -- and you can answer it where you will, but the

1334 076

jlbWH

1 Germans apparently -- three to six months ago the Regulatory
2 Commission set out an order requiring, as I understand it, a
3 fair amount of piping in German BWRs to be changed.

4 MR. STAHLKOPF: That was a ferritic piping,
5 primarily in the steam lines. The problem dealt with an
6 oxygen pitting corrosion. The type of ferritic which was
7 changed by the Germans is not typical of that presently used in
8 United States plants. It seems to be the material-specific
9 problem. And in talking with Carl Kussmaul from MPA, his
10 feeling, in looking extensively at problems that were
11 exhibited in Germany, was that it was a material-specific
12 problem to the specific type of ferritic which was used.
13 And we do not anticipate seeing that problem in the U.S.

14 MR. DANKO: To further amplify that, the current
15 German practice with their BWRs -- and this is also
16 something we found is a Swedish practice -- for the large
17 diameter lines, dealing with 20-26" diameter lines, they use
18 a special pipe which is a carbon steel, and it is clad with
19 a special rate of 347 stainless steel. I think this is
20 important to understand, because previously I think people
21 were assuming that those large diameter pipes were 347
22 stainless steel, and they are not. They are carbon steel
23 clad with 347.

24 DR. SHEWMON: Those are the recirc pipe, and they
25 are changing up the steam pipe.

1334 077

JLBWH

1 MR. STAHLKOPF: He is talking about a different
2 pipe. I am talking about the steam piping. That is the
3 material changeout called for by the German regulatory
4 authorities.

5 DR. SHEWMON: Fine. Thank you.

6 MR. STAHLKOPF: The third presentation this
7 morning will be on remedy applications.

8 Mr. Lou Martel.

9 MR. MARTEL: I am from EPRI. I will be talking
10 about the third major part of the BWR Owners Group program,
11 called Remedy Applications.

12 The various programs absorb about one-third of the
13 resources in the program, so I will be talking about an area
14 that is some \$10 to \$15 million in the program.

15 As Carl mentioned, the intent of this particular
16 program is to put these remedies on the shelf. And as Joe
17 pointed out in his talk, sometimes these remedies -- the
18 benefit you achieve from the remedy is dependent both on the
19 quality of work done and also on the size of the piping that
20 it is applied to.

21 So in order to bring this through to its
22 completion, the program through to completion, we have got a
23 part in here that involves actual demonstration of the
24 remedies on full-size piping mockups. We are in the process
25 of letting a contract for that work, which involves building

1334 078

JLBWH 1 a significant facility. We expect to have that done by
2 about the middle of next year, and be operational about the
3 end of next year.

4 Before I go any further, I will try to put this
5 part of the program into context with the other two.

6 (Slide.)

7 The total program is really oriented toward
8 utility needs, and it starts it out with that number
9 question, really, is there a problem in the plant? And then
10 a second point, what actions are required to address a
11 concern if one existed?

12 Those two are really grouped under the plant
13 problem resolution area that Robin talked about .

14 Then a third element is if there is a problem,
15 what tools do I have to apply to it? And that is the remedy
16 development area that Joe talked about.

17 And then the fourth one -- this one I am
18 addressing -- is how do you use those tools in the plant?

19
20
21
22
23
24
25

1334 079

mgcBWH

(Slide.)

MR. MARTEL: This is a summary of the various remedies that are being developed. As Joe mentioned, you can categorize them under the areas of reducing stress, improving materials, or improving the environment. This particular remedy application is the application of stress improvement remedies or materials oriented remedies for BWR pipe cracks.

As you can see, this particular -- this method and that method -- are dependent upon stress reduction. The stress reduction is dependent on pipe size. That is one of the reasons that you want to do that on a full-size piping system.

(Slide.)

This viewgraph describes the scope of the work, and it consists of these four areas -- first, to demonstrate remedies on full-size mockups, to evaluate the effectiveness of the remedies that are applied to those mockups under field conditions. That is an important element of this phase of the program -- to qualify personnel for applying those remedies in plants, and then to assist specific plants that may develop a problem, that have a need to correct it. Those are the major goals of that particular area -- the approaches that are being taken to gather all of the information that is being developed in the remedy

1334 080

macBWH

1 development phase that Joe talked about, and prepare
2 specifications and procedures and quality assurance plans
3 that would be done with any particular remedy for a
4 particular application. This would be demonstrated on
5 full-size mockups, and those mockups would factor in
6 radiation environemnt concerns and plant design constraints,
7 mainly the physical constraints that would be experienced at
8 plants at particular, specific joints that may have to be
9 prepared.

10 After that work is done, the -- there would be
11 measurements made of either the stress reduction or the --
12 whether or not you received the reduction susceptibility of
13 the material. Those are the two major ingredients that Joe
14 talked about that relate to lifetime of a joint. After that
15 would be test verification of these full-size pipe sections
16 in a facility that Karl talked about or at GE -- either
17 Battelle Northwest or GE -- to verify that the product
18 reduced under the simulated conditions, you realize the
19 benefit that you expect. And then this qualification is to
20 actually have people run through the process after it is
21 finalized on each of the remedy techniques to incorporate
22 all of the quality assurance provisions that need to be
23 there, including the code requirements.

24 And then another part is to verify that the joints
25 that are made are acceptable to the requirements necessary

1334 081

macBWH 1 and to include the work planning that is involved with
2 radiation considerations at the plant, because the main
3 objective of it is to improve the availability, and there
4 could be a large loss of availability that would affect some
5 of these repairs in an operating plant.

6 The last part is to help a plant with the
7 technology that has been developed, to apply the work to
8 specific joints in a plant with the prepared guidelines from
9 the generic specifications developed here for the specific
10 conditions that may exist in a plant.

11 (Slide.)

12 This summarizes the things that I said. The
13 purpose of the program is to put the remedy application of
14 the shop for immediate availability by plants. The
15 deliverables are documented and accepted technology for
16 practical field application to establish training on the
17 shop training programs and aids, aids being mockups which
18 can be used by utilities to train crews on. We also plant
19 to have a quick response service by that contractor to
20 utilities that may have developed a problem and want some
21 assistance in planning the types of approaches to solve that
22 problem -- to have outage planning assistance, because again
23 the length of the time can depend on the exact methods that
24 are used to effect the remedy.

25 This Number Five tends to be an open item. It

1334 082

macBWH

1 will be something we will be discussing today and
2 tomorrow -- the Utilities' Subcommittee on whether or not we
3 ought to have a supply of piping available so that they
4 don't -- the utility would not have to wait to get piping or
5 fittings and also the equipment itself -- some of the
6 equipment like the IHSI, the induction heating equipment is
7 readily available. We think maybe we should have that
8 particular type of thing available to the utilities.

9 DR. SHEWMON: Could you back up one step? And as
10 you know better than I do, it 's one thing to have these
11 fine plans. It is another thing to have them manned.

12 You referred to a contractor. I would be
13 interested in knowing about who does all these things or how
14 you are going to implement. You can take any one of the
15 previous ones if you wish or talk in general.

16 MR. STAHLKOPF: I think we can answer the question
17 first broadly and then, perhaps, specifically.

18 Broadly, Lou touched on a facility which we are
19 presently negotiating to build with J.A. Jon Construction
20 Company which will --

21 DR. SHEWMON: It will come from NDE.

22 MR. STAHLKOPF: It would be attached to part of
23 our NDE Center, and we plan on expanding the scope of the
24 NDE Center to include a training center for welding. There
25 will be welding mockups there, and in essence, to be able to

1334 083

macBWH 1 do crew training and certification for the types of remedies
2 we have talked about today.

3 When you look more specifically at the
4 applications of the specific technologies like IHSI, there
5 are presently two utilities that are presently negotiating
6 with IHI in Japan to perform IHSI on their piping. So
7 either through direct negotiations with contractors who
8 already have this capability or through the utilization of
9 the expanded NDE Center facilities, we will either make sure
10 that we have training facilities available to train AEs and
11 construction companies in the types of practices we are
12 recommending here or will ensure that vendors are available
13 to provide the services for the type of remeddy applications
14 that we are talking about.

15 MR. MARTEL: This is a technology transfer in
16 this area, similar to what is being considered in the NDE
17 area. We are trying to pick a vendor that knows the plant
18 and also staffs the facility with people who know the
19 development and then marry.

20 MR. ROSSIN: We didn't attempt to go into this
21 type of detail in our presentation, but in the last few
22 pages of the Blue Book, where the individual projects are
23 listed by number, the contractor is noted on all of the
24 projects where a contractor is actually working on it.
25 Where there is no contractor listed, it means it is a new

macBWH

1 project, and the contractor hasn't been chosen yet. So you
2 can get a rough idea of the mix of contractors that are
3 working on these projects. Right at the end of the book
4 starting at the page right before the last page, there are
5 about four horizontal pages --

6 DR. SHEWMON: Under the budget information?

7 MR. ROSSIN: Yes. And where there is a
8 contractor, just the initials are noted there. There is a
9 lot more detail available outside of the book, but we didn't
10 really think that we could take the time to go into details
11 like that this morning. But it is here.

12 DR. SHEWMON: But the technology transfer --
13 whatever name you want -- getting people trained, apparently
14 it is not your specialty. I'm sorry; apparently it is not
15 their specialty. It may be your speciality, one of your
16 specialties, and how it got done is of interest.

17 MR. ROSSIN: I think that particular area is a
18 real challenge.

19 MR. BENDER: I had a little trouble digesting this
20 when I looked at it before because dollars are hard to
21 transfer into hardware, particularly when you are talking
22 about full-scale hardware. Is there any way we can tell how
23 many specimens of what size and what conditions you might be
24 planning to do?

25 MR. ROSSIN: I think we will have to respond to

1334 085

macBWH

1 specific questions because we find even out group, our
2 technical group, can't keep up with this whole program if we
3 all try to understand what is going on here, plus do our own
4 jobs, so we have even had to subdivide this in order to keep
5 track of it.

6 So, in any area where you want specific
7 information, we have got it, but if we give you the whole
8 bale we will never get through it.

9 MR. BENDER: I am not planning to ask for it here,
10 but I think it is inexcusable that there isn't a collective
11 set of information someplace.

12 MR. ROSSIN: There is, but it is there, not here.

13 MR. STAHLKOPF: There is, and we would be happy to
14 sit down with you or your consultants or members of the NRC
15 staff. As a matter of fact, we have on many occasions and
16 discussed in more detail the specifics of the pipe test
17 laboratory, what we plan on doing with the NDE Center, and
18 the welding adjunct to the NDE Center. I would simply
19 extend an open invitation to you or anyone that you
20 designate to come out and spend as much or as little time as
21 you like, and we would be very happy to provide you with
22 these details.

23 MR. MARTEL: A lot of that information is in the
24 program document that is already out, and we are in the
25 process of developing a contract, and that will be written

1334 086

mccBWH

1 up in December in the type of detail you are asking about.

2 MR. BENDER: Is the NRC staff intimately familiar
3 with what is going on?

4 MR. HAZLETON: We have been following it pretty
5 closely.

6 MR. STAHLKOPF: As a matter of fact, we have a
7 variety of formal organizations on which various members of
8 both the ACRS, in terms of Paul Shewmon, or NRC, from Warren
9 Hazleton or Joe Muscara, serve -- the Corrosion Advisory
10 Committee which deals with the intergranular stress
11 corrosion cracking aspects which we have discussed today,
12 and there is a study group chaired by a former ACRS member,
13 Spencer Bush, who also serves as a consultant to the ACRS,
14 and that group talks about specific integrity problems and
15 also speaks to the questions of non-destructive test data.

16 I feel we have a very open program, and if it is n
17 necessary to expand the representation on either of these
18 Committees, we would be more than happy to if you designate
19 the people you would like to attend. We will make sure that
20 the invitations are sent to them.

21 Are there any further questions before we go into
22 the summary of the program?

23 DR. CORTEN: Can you turn the television thing
24 around? I find my attention is watching the speaker instead
25 of listening to him.

1334 087

mgcBWH

1 (Laughter.)

2 MR. STAHLKOPF: I would like to introduce
3 Dr. Richard Smith. He will give a summary -- a conclusion
4 of today's presentation. I would like to point out that
5 Dr. Smith is serving as the coordinator for all of the BWR
6 programs, and it is his responsibility to see that all of
7 the plans that we talked about today are carried forward,
8 and he is also responsible for the continuing evolution of
9 the Energy Group program.

10 I would suggest in the future that if any
11 questions come up concerning this program that Dr. Smith
12 would be the appropriate person to contact first.

13 DR. SMITH: Thank you. You have heard a great
14 deal of information this morning about a lot of specific
15 projects and programs. I am not going to try to reiterate
16 all of those programs. What I would like to do is to give
17 you a summary and hopefully a flavor for the program as we
18 see it and hopefully as described by the prior speakers.

19 (Slide.)

20 In order to do this, I will touch on three basic
21 areas -- first of all, some of the highlights of the current
22 status. One of the reasons I say "current status" is that
23 this is an ongoing program. It is not a program that just
24 started up this year; it has been going since 1975. There
25 is work that was ongoing even before that program started

1334 088

macBWH

1 at General Electric, and also we are not alone in this
2 current program. There are many people working on the
3 program, both in this country and abroad. In Japan, there
4 is a very large program, in Sweden, in Germany, in Italy.
5 Many of these people are doing activities that are quite
6 complementary and, in fact, we have bilateral agreements
7 with each of the parties in which we are sharing information
8 and putting it together so that everyone doesn't have to
9 bear the whole burden.

10 Secondly, I would like to give you a little bit
11 about the program characteristics, at least as I see them,
12 and then lastly, to reinforce the last area that you heard
13 about on the technology transfer. We feel this is a key
14 element of the program, and, in fact, it is the purpose
15 toward which everything else just is running.

16 (Slide.)

17 One of the things that came out in the earlier
18 presentation dealing with the phenomenon -- was that the
19 phenomenon was pretty well understood. I think that is a
20 fair assessment when we take a look at the data. There are
21 some nuances that we might be looking at -- in fact, we will
22 be looking at in terms of mechanisms, particularly as it
23 relates to crevice behavior and also as it relates to
24 surfaces.

25 By and large in trying to implement fixes or

1334 089

mgcBWH

1 develop fixes for the problem, we have pretty much
2 understood the phenomenon, and we know what to do about it.

3 Secondly, there are various remedies that have
4 already been implemented. This means that we have already
5 studied these things. I mentioned it was an ongoing
6 program, and we have already -- we have a lot of water over
7 the dam -- with these remedies.

8 The reason you see the difference in numbers
9 between some of the speakers is that some of them had just
10 domestic plants. These particular numbers include foreign
11 plants as well. You can see that already people are doing
12 something about the problem. There is -- lines are being
13 addressed, various activities are being dealt with in new
14 plants. It is not something people are ignoring.

15 In addition, we have some stress related remedies
16 which we think are very important. Now the reason they are
17 important is that you can address plants that are already
18 built. We are looking at things like induction heating
19 stress improvement, heat sink welding, and other techniques
20 that don't perhaps require the bulkiness of equipment, as
21 for example the IHSI, but would give you a similar benefit.

22 We are not trying to duplicate to give a whole
23 list of things that you can do. Each one has a specific
24 use, and they each will do the job.

25 In addition, we have heard a little bit about the

1334 090

mgcBWH

1 environmental type studies. The environment of a BWR is --
2 there are certain conditions of that environment that we
3 can't get rid of unless we go to an alternate water
4 chemistry, and in fact there is work going on in this area,
5 but not at EPRI. The particular environments -- we are
6 interested in typing the environments. These are difficult
7 to study, and we are looking into them. There are programs
8 underway to deal with them, but right now we don't know all
9 of the details about how much benefit we can actually obtain
10 by some of the environmental related remedies.

11 The next thing in the way of NDE equipment --
12 Robin showed you a flavor for some of the types of devices
13 that are being developed. Now he didn't intend that to be a
14 comprehensive list of the things that are going on. In
15 fact, he even has a speaker up here that did spend a whole
16 day just talking about that one area. There are a lot of
17 things that have already been developed. They are being
18 implemented and used in the field today.

19 There are things that are under field evaluation
20 right now. This is an area that we see as a very important
21 area.

22 The last area I have identified is the ductile
23 fracture mechanics. We started on this several years ago
24 because we knew that there were cases that had to be treated
25 by this type of method as opposed to purely elastic methods.

1334 091

mgcBWH

1 Because they are available today, we can treat the problem
2 that we have, and that is what we are doing with it in the
3 projects that Robin Jones talked about.

4 MR. BENDER: Before you take that off, the second
5 item up there, maybe I don't interpret that right. It says
6 "Sensitization Related Remedies Qualified." What is meant
7 by that?

8 DR. SMITH: These particular remedies deal with
9 the material characterizations. These particular items have
10 been qualified in the studies that we have done already.
11 There is further work going on, looking at the variabilities
12 that you might expect. But in terms of their being
13 qualified for application, they are qualified today and
14 being used today.

15 MR. BENDER: I listened to something that said
16 that we are trying to establish a factor of 20 improvement
17 as a criterion.

18 DR. SMITH: This has a factor of around 67 right
19 now. This one has factors way in excess of 20, except for
20 the one heated material on one field application of the CRC,
21 and that was related to a material that was already
22 sensitized to begin with, and you would have expected that.

23 In terms of the alternate materials, we have a
24 very large test program that has been going on for two
25 years, and, in fact, there is enough data to already qualify

1334 092

mgcBWH

1 materials that we have here. We are looking at the
2 variabilities that are involved in it now when you go to a
3 large number of heats. We have looked at about three heats.

4 MR. BENDER: The size parameters that I think
5 would be important in the qualification -- they are still
6 open. Is that right?

7 DR. SMITH: In terms of these remedies, we
8 wouldn't anticipate as many of the size parameters. But
9 that is exactly the variability that I am talking about that
10 we are looking into. As you might have different processing
11 techniques, this would lead to perhaps the variability. We
12 want to make sure we have addressed it adequately. That is
13 why the program is continuing.

14 (Slide.)

15 Now, what are some of the characteristics of the
16 program? These are fairly general words, but I think that
17 they are important.

18 First of all, we have a number of needs that ought
19 to be addressed, and we think the program is responding to
20 those needs.

21 What are the needs? They are the needs that Lou
22 Martel showed you regarding trying to resolve the problem.
23 Do we have a problem? What can be done about it? How
24 quickly can you do it? Do we have the tools in place to
25 deal with it?

1334 093

mgcBWH

1 We feel the program is very responsive to that,
2 and it is a very comprehensive program. We are not jumping
3 off and grabbing one little item and forgetting about the
4 rest. The program addresses a wide front of things that
5 must be considered. So it is not a program that we feel
6 will pick up on one particular remedy, forgetting other
7 things that it might influence.

8 The third thing is that the program I mentioned
9 earlier is a logical continuation to the program that has
10 been running for some time. It is also a program that is
11 integrated with activities that are going on by a large
12 number of people in -- besides our own contractors. For
13 example, the contractors that the NRC has worked with us and
14 also the NRC people, the people abroad as well.

1334 094

15
16
17
18
19
20
21
22
23
24
25

T-pua-1B

1 The next topic deals with application verification
2 of reactor components.

3 The reason we think this is very important is that
4 until we have bridged the gap and are able to put the informa-
5 tion "on the shelf" in concept, if you will, then we have not
6 been able to examine it under -- Let me start over:

7 When you apply these remedies to certain field
8 situations, you are having to do it under conditions that are
9 somewhat different than the laboratory setting. In order to
10 be able to verify that you can, in fact, do the quality job
11 that you are after in the field, you have to do it on those
12 kinds of conditions and under the conditions you have on --
13 And then verify that they in fact work.

14 The next characteristic is that the program is
15 designed to converge. We are talking of a four-year program,
16 and it emphasizes the work during the first two years and then
17 it follows up on loose ends the last two years.

18 The last part that is very important is that we pay
19 particular attention to communication for the program. This
20 is important as we work with other people and also as it
21 relates to you people and others that are involved in the
22 program, in the problem.

23 We have timely reporting that is required on every
24 contract. We have seminars that are going on. In fact, if
25 you have not heard about the one that is being done this

Porters, Inc.

1334 095

1 January, I have some brochures on it; this coming January. It
2 is a time when we will be spending three complete days to dis-
3 cuss the problems and some of the advances that have been made.
4 There are speakers here from all over the world, not just our
5 country.

6 We have regular review meetings, and we also have the
7 industry advisory committees that Dr. Stahlkopf mentioned a
8 few moments ago.

9 (Slide.)

10 MR. ROSSIN: There will be a report on this at the
11 NRC Safety Information Meeting. This is part of one of the
12 sessions on Wednesday.

13 DR. SMITH: The last slide represents -- emphasizes
14 the last important area, and that is transferring the tech-
15 nology that is developed to new hardware. We hope to bridge
16 the gap to the applications.

17 We have discussed the "on the shelf" concept, and
18 in order to get there, we deal with realistic mockups. We
19 deal with equipment specifications that will be required to do
20 a quality job. We have the procedures and remedies verified
21 on actual hardware with the appropriate quality assurance and
22 inspection. That is why we are tying this into one location.

23 In addition, we feel we will be presenting complete
24 documentation and training people to implement it. They
25 will be trained under conditions that are prototypic.

1 In summary, I think we have a program that is very
2 comprehensive. We feel it addresses the needs of both our
3 utility sponsors and it also addresses the needs of our country
4 as we forge ahead for providing energy.

5 MR. STAHLKOPF: Thank you. I would like to reinforce
6 what Dick said concerning the seminar that is coming up
7 at EPRI. I would strongly suggest that anyone who is
8 interested, please come. It is an open seminar. I will leave
9 these brochures at the front of the room for anyone who is
10 interested.

11 I would suggest that perhaps it might be appropriate
12 to have members of this subcommittee, or your consultants
13 as you see proper, attending that seminar.

14 DR. SHEWMON: You have done a good job of staying
15 with your schedule. Let me mess it up, now, for a little bit.
16 It is an impressive program. You have been quite open and
17 frank, and we look forward to staying in touch with it, as
18 we can, with the time available to us.

19 Let me change the subject tangentially, though, to
20 the penultimate paragraph out of the August 16th letter:

21 "The presence of the large multiple cracks at
22 Duane Arnold in sections of pipe in which no in-service
23 inspection was required points to a need for a comprehensive
24 reexamination of all safety-related piping systems for similar
25 or equivalent design fabrication or construction flaws, as

1 well as the adequacy of the NRC requirements for in-service
2 inspection."

3 Now we will get on to the NRC's view of that this
4 afternoon. I would be some interested in perhaps a comment on
5 what the utilities see as their role in this, or what they have
6 been doing as a result of Duane Arnold, and perhaps that
7 could come up in their presentation after a break. I would
8 like to see it at least mentioned in what we do in the rest
9 of the morning. Let's take a 10-minute break.

10 (Brief recess.)

11 DR. SHEWMON: Back on the record. Could we begin,
12 please?

13 MR. ROSSIN: This part of the program involves what
14 the utilities are doing. What I would like to do is to
15 introduce the utility representatives that are here, and make
16 a couple of points about this.

17 We have, as I said, some 29 BWR owners. We have a
18 technical advisory committee in which all of those owners are
19 welcome to participate. Those who haven't paid their money
20 can participate as observers.

21 One question I didn't answer before is, what happens
22 to people who don't join? Do they still find out what we
23 learn? I think in the real world, yes, they do; but we would
24 prefer to have everybody in the fold, of course. Every one of
25 the people who are here out of this group are spread very thin.

1 A lot of us are involved with line responsibilities
2 with our own plants, and most of the people here are also kind
3 of senior technical people within their companies on metallurgy
4 and materials, nondestructive examination, or plant operations;
5 so that their appearance here represents a cut out of the
6 group, senior members of our group.

7 And I want to point out what they are doing now and
8 point out that in my opinion, my personal opinion, one of the
9 things we do have to contend with is a terrific workload on
10 people in the industry because of the extremely heavy weight
11 of the responses that are coming through day after day.

12 I don't argue with the importance of them, but I
13 think we have got to realize that our talent resource is
14 finite. It is being stretched.

15 Perhaps there is a basic problem. We should have
16 two or three times as many talented people in every company,
17 with the years of experience that some of the people in this
18 room have; but the reality is there aren't that many people
19 around. And one of my ground rules in setting up meetings of
20 this kind is to try to minimize the amount of time and travel
21 away from the job of people in this room.

22 We have some representatives here. I am going to
23 ask the utility people, when they introduce themselves, to
24 mention the names of the BWRs that they have, and operating
25 or under construction.

1 I think that everybody is familiar with these, but
2 I think it will save some times later on. I will start. I am
3 Dave Rossin, Commonwealth Edison. We have the Dresden units
4 and the Quad Cities units in operation, and the LaSalle units
5 under construction.

6 I also have responsibility as chairman of the techni-
7 cal advisory committee, the owners group, and vice president
8 of the Systems and Materials Task Force of the utilities that
9 guide the EPRI programs.

10 MR. BATUM: Batum, Southern Company Services. We
11 have the Hatch units for Georgia Power under operation. I am
12 also a member of the BWR owners group task force and the
13 Systems and Materials Subcommittee of EPRI.

14 MR. ROSSIN: I point out that we are having trouble
15 ourselves, as a group, keeping track of the details of all of
16 the projects within the EPRI program. We have split ourselves
17 up into three subgroups, to conform to the subgroups that
18 EPRI people present: the problem of identification, remedy
19 development, remedy applications, and we set up a fourth one
20 which is licensing implications.

21 MR. BATUM: I am also the vice chairman of the
22 Steam Generator Owners Group technical advisory committee.
23 Like he says, we are spread quite thin.

24 MR. HOFFMAN: Hoffman, Yankee Atomic, representing
25 Vermont-Yankee.

1 MR. HANFORD: Hanford, Carolina Power and Light
2 Company, technical advisor on the BWR owners group and also a
3 member of the EPRI Systems and Materials Task Force.

4 MR. ROSSIN: You have the Brunswick units.

5 MR. HANFORD: I, and II, operational 1974 and 1976.

6 MR. ROSSIN: Ray heads the Remedy Development Sub-
7 group of our owners group.

8 MR. SCHNABEL: Schnabel, Public Service Group,
9 Electric and Gas Company. We have the two Hope Creek units
10 under construction. I am on the BWR technical advisory
11 committee. I am on the Steam Generator Owners Group, also
12 on the Systems and Materials Task Force for EPRI, and currently
13 I am the chairman of the technical advisory committee for the
14 Feedwater Cracking Owners Group, which is a feedwater nozzle
15 cracking mentioned before.

16 MR. ROSSIN: We regarded George as the dean of
17 utility metallurgists. If we took time to go through all of
18 this committee work, I don't think we would have time to
19 finish the discussion.

20 MR. RAJARAM: Rajaram; Fitzpatrick plant, BWR
21 group. So far we have had no problems of any cracking indica-
22 tion. There is a bypass on the core spray.

23 MR. HARRIGAN: Harrigan, the Bailey I plant under
24 construction.

25 MR. ZONG: Zong, Philadelphia Electric Company.

??
sp&acc.
ent.
page

1 Two operating plants. Peach Bottom Unit II under construction,
2 the Limerick units, and a member of the EPRI Systems and
3 Materials Task Force; chairman of the EPRI subcommittee on
4 nondestructive testing.

5 MR. PITZEL: Pitzel, Tennessee Valley Authority.
6 We have three units, Browns Ferry, and we have operating
7 units -- We have four units under construction; Hartsville,
8 two units under construction.

9 I am on the EPRI Pressure Vessel Subcommittee. I
10 am also involved with the ASME Section 11 on repair and
11 replacements, in-service inspection primarily.

12 MR. DeBARBA: DeBarba, Northeast Utilities,
13 Mill Stone; chairman of the problem definition of the BWRs.

14 MR. ANGLE: Angle, Dairyland Power, chairman of
15 the remedy applications group of the EPRI BWR pipe cracking
16 task force.

17 MR. HARRINGTON: Harrington; I am from Iowa Electric
18 Light and Power, Duane Arnold.

19 MR. COMPASS (?): Compass, Northern States Power
20 Company. We have one boiling water reactor at Monticello.
21 I am on the owners group technical committee and the subcom-
22 mittee for application remedies.

23 MR. McLAUGHLIN: McLaughlin, the Tennessee Valley
24 Authority. Gary has previously covered the units, along with
25 the Systems and Materials Task Force, also technical advisory

1 committee for the BWR owners group, serving as a member of the
2 remedy applications subgroup.

3 MR. TAYLOR: Taylor, Pennsylvania Power and Light
4 Company. We have Susquehanna BWR units under construction.
5 Technical advisory member for the BWR owners group. I am on
6 the remedy development subcommittee and a member of the EPRI
7 nuclear systems and materials task force and chairman of the
8 materials and corrosion subcommittee.

9 MR. ROSSIN: This took a little extra time. One of
10 the reasons I did this was so that we can address questions
11 to specific representatives here; and if we have questions
12 about other plants and representatives aren't here, then we
13 can get you the answers.

14 In specific response to the paragraph that you read
15 to us just before the break, I think there are some very
16 important lessons here.

17 One of the things that is important to us is that
18 we think the paragraph is one that deserves discussion, and
19 I wish the discussion had taken place before the paragraph
20 was written.

21 But I think the realities are that this does indicate
22 an ACRS concern. The safe end areas at Duane Arnold reveal
23 a problem different from the problems that this pipe crack
24 group originally focused on. As such I think it opened up a
25 new area of concern and one that we are dealing with now.

1 There were inspection requirements for the safe end
2 area. The code requirements, as we recall, involved four times
3 during the plant life, so that would be a 10-year cycle for
4 inspecting those areas.

5 We are willing to discuss details on this, but I
6 think that you are already fully aware of what happened and what
7 was done. And I think there are a couple of points here:

8 The crevice corrosion phenomenon which played a part
9 in Duane Arnold was extremely important, and it is now one of
10 the areas of emphasis in our program. The stress rule, if
11 applied to that particular location, gave a very high number,
12 indicating that it should be a target area.

13 Most of the utilities represented here that have
14 plants under construction have taken steps with regard to safe
15 ends where the crevice geometry is there. We have replaced
16 the safe ends in our LaSalle County unit under construction.
17 We replaced them all with a newly-designed safe end to elimi-
18 nate the crevice of the kind that we thought was one of the
19 contributors at Duane Arnold.

20 I think the combination of the work at GE in
21 developing their analysis of the crack histories, the stress
22 rule, and the programs that followed that bear importantly
23 on the factors in this paragraph.

24 We now have target lines and key areas that we feel
25 are the ones that deserve the emphasis in inspection. We

1 would like to be able to focus our inspection efforts on the
2 radiation exposure that is involved within the areas that are
3 susceptible.

4 We would like to not only pinpoint new areas where
5 we see it is necessary, but try and be realistic about the
6 amount of inspection required in those areas where the per-
7 formance is very good. And maybe the inspection requirements
8 are unduly repetitive; because every bit of manpower involved
9 here is critical manpower.

10 I think we have got to look at both sides of the
11 coin on this.

12 Our program, part of our program, is involved with
13 developing improved inspection capability and more automated
14 inspection capability and the adaptive learning technique,
15 the ability to position detectors mechanically, automatically,
16 so that the human being isn't standing there as much as he was
17 before, and we want you really do have reproducibility of
18 inspection results.

19 I think it is crucial, and that is one of our big
20 areas of emphasis. We can talk more about the nondestructive
21 examination projects that are underway in the MDE center,
22 too.

23 Improved leak detection you heard a couple of com-
24 ments on, and it is an area that we feel is extremely impor-
25 tant: Not just leak detection, but leak location

1 identification, again, an area where manpower irradiation
2 areas are involved, so there is a tremendous incentive to
3 improve this.

4 But one point to look back at: I think our state of
5 knowledge at this point provides continuing reinforcement.
6 We are dealing with a material, stainless steel, which is a
7 tough material. We reiterate that this concept of "leak before
8 break" is an important one.

9 We don't take the concept to mean across the board
10 you have nothing to worry about because you have leak before
11 break. We do state that the fact that these materials are
12 known to behave in this fashion means that there are things
13 that are important in terms of leak detection. It means we
14 can identify a problem area before it becomes a catastrophe.

15 I think it is important for the public to recognize
16 as well as that there is a big difference between an avail-
17 ability problem and a catastrophe.

18 I personally have had a number of challenges from
19 our critics in my territory who have made speeches and presen-
20 tations in which the leak from a cracked pipe, or the detection
21 of a crack, has been put forward as a catastrophe in itself;
22 justification for shutting down every plant in the area, and
23 so on.

24 It is a tough communication job, but I think we have
25 to try to do it.

1 Our program also is directed, as you heard, toward
2 improved techniques for repairs and in identifying those areas
3 where action should be taken in advance. I mentioned the
4 changing of safe ends. I think we can give you some examples
5 here of efforts taken by the utilities to minimize the proba-
6 bility that the kinds of cracking, not just Duane Arnold
7 phenomena, but the other kinds of cracking are much more
8 unlikely to occur because of actions that have been taken
9 at the plants in question.

End
Tp 8

1334 107

mgcBWH

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DR. SHEWMON: What is a target line?

MR. ROSSIN: I think that originated from GE with the report that they produced early after the 1975 pipe cracking experience. They identified those lines at which cracking had occurred. They identified the areas where they thought cracking was more likely to occur than in other places, and they called those target lines. In fact, GE's service recommendations said that if you were going to take action with regard to minimizing a probability for pipe cracking, the first target lines to do something about are the recirc bypass line and in order of priority identified some other target lines.

DR. SHEWMON: Okay.

MR. BENDER: Is there anything in what you said that represents something more than is being done by EPRI?

MR. ROSSIN: I think so. I'm not sure I understand your question, Mike?

MR. BENDER: I am trying to make sure that I comprehend everything that is going on. I heard the EPRI program, and I think it is pretty comprehensive as I interpret it, but there may be some things that the utilities are doing separate from the things that EPRI is doing, and I couldn't discern them in that presentation. You probably intended to tell them to us.

MR. ROSSIN: That's why this part of the program.

mgcBWH

1 There are a number of fixes and remedies that were talked
2 about in this program which are really past the research
3 stage. I think both Lou and Joe were pointing out that
4 while we are testing a number of these areas, it is in order
5 to determine what the variabilities are in some of the key
6 variables.

7 But we also -- we already have these techniques
8 qualified and being used. The number applies to corrosion
9 resistant cladding and so on.

10 Now various utilities have adopted approaches and
11 are either working with General Electric or other
12 contractors to implement these changes. I think some are
13 dramatic. Maybe I ought to call on somebody just to give
14 you an example. Can I do that?

15 MR. BENDER: Sure. I am trying to get a better
16 feeling for it. Let's take Susquehanna as an example.
17 Would you summarize what you have done?

18 MR. TAYLOR: We became concerned early on
19 Susquehanna because we were well along in construction when
20 we began to view with some alarm the incident of stress
21 corrosion cracking, and so we had to effect certain remedies
22 for Susquehanna to be able to do them in a timely fashion so
23 that we didn't have to wait and then rip out extensive sets
24 of piping.

25 So based on literature, research of the data on

mgcBWH

1 stress corrosion cracking phenomena, based on the early
2 research done by General Electric Company and by EPRI with
3 which we had become involved in the beginning of 1974, we
4 took an approach to eliminate as much of the high carbon 304
5 material as we possible could in a timely fashion.

6 We had found, upon investigating the chemical
7 analyses in the piping that we had in our pipe, that much of
8 the 304 stainless steel piping had carbon content in the .06
9 to .08 range. We felt that made that piping highly
10 susceptible to the stress corrosion cracking.

11 So we took a phase type of approach. For lines
12 four-inch and smaller, we switched to 304L to get the lower
13 carbon content where it was permissible to do this without
14 impacting on the design stress limits for a stress analysis
15 that had already been run. For the larger materials or
16 greater than four-inch sizes, with the exception of the main
17 recirc headers and riser pipes, we changed to a carbon
18 limited type 304 material and imposed a .030 carbon limit on
19 the piping we procured to replace the high carbon material
20 originally supplied.

21 We checked to see if this material with the carbon
22 limitation met strength requirements for the design stress
23 analysis and stress report. Those were major piping
24 changes. As I say, we changed out all except the main
25 recirc headers and riser pipes. We did change out material

1334 110

macBWH

1 on the recirculation system four-inch bypass lines. We went
2 to carbon limited pipe 304.

3 DR. SHEWMON: What does that mean?

4 MR. TAYLOR: It has a supplemental limitation on
5 the carbon .030 maximum.

6 DR. SHEWMON: It is not L?

7 MR. ROSSIN: Would you explain the difference?

8 MR. TAYLOR: 304L material has its own
9 specification, has lower permissible design stress since the
10 carbon limit can come down to very low levels.

11 DR. SHEWMON: .03 would normally meet the L
12 designation, wouldn't it?

13 MR. TAYLOR: It would fall into the L category but
14 also within the type 304 range as well, and we had physical
15 tests performed to ensure that the carbon limited material
16 met the strength requirements for the 304 grade. Since the
17 stress reports had been prepared on the basis of 304
18 material with its allowable strengths, we wanted to be
19 careful not to change the material from that basic material
20 specification used in the stress report.

21 MR. BENDER: Is .03 the lowest carbon 304 you can
22 get the suppliers to give you nowadays?

23 MR. TAYLOR: You could get lower if you specified
24 it. They would have to pick and choose a little more
25 carefully to find it at lower levels, but in looking at the

mgcBWH

1 available data that we had at hand, recalling now that this
2 was the beginning of late 1974 and into 1975, we felt quite
3 comfortable in limiting the carbon content to .03. We felt
4 that the available data showed that the susceptibility to
5 stress corrosion cracking increased at .05. I think this is
6 the limit the Swedes have imposed upon their nuclear grade
7 material for their BWR plants.

8 For a little added margin of insurance, we
9 specified .030. This seemed a reasonable limitation. It
10 also allows us to meet the strengths of the type 304.

11 MR. BENDER: I heard a target level of .02.

12 MR. TAYLOR: That is with the new nuclear grades
13 with the nitrogen enhancement.

14 MR. BENDER: I am trying to get some feeling for
15 the relationship between that target material that GE thinks
16 they ought to be using and what you are able to get right
17 now in a hurry. Is there any way of trying to correlate how
18 much better the .02 stuff is going to be than the .03 that
19 you could buy commercially?

20 MR. TAYLOR: You have to keep in mind now that the
21 new material for which the specifications have been
22 developed is different in a number of aspects. It has the
23 .02 max carbon level and also has nitrogen enhancement. I
24 think there are some other controls that have been invoked
25 for that material which were not commonly applied to the

mgcBWH

1 304, 304L materials at the time to which I am referring,
2 '75-'76.

3 I think we have learned a lot of things about
4 materials, control of tramp elements, grain size
5 determinations, a number of things. If we were starting
6 new with a BWR design now, I suspect we would look very
7 favorably on these nuclear grade materials with a lot closer
8 material controls. Our attempt here was to do what appeared
9 prudent. It was well based on classical literature in
10 stress corrosion cracking and our understanding of the
11 phenomena, the available data to us in 1975 and 1976.

12 I might point out that despite some dire
13 predictions that this will be difficult material to obtain,
14 we were able to obtain very readily and quickly the 304
15 material with the .030 max carbon. We paid no premium in
16 price over the garden variety 304 material, and we could
17 probably do that again. I don't think one would have that
18 much difficulty in getting that material with that carbon
19 limit.

20 DR. SHEWMON: If there is more AOD capacity, I am
21 sure it will get -- I don't know, in '74 it may have been
22 harder, but I think it will continue to be easier.

23 MR. ROSSIN: Our experience has been that the
24 inspection costs are contributing substantially, the quality
25 control and inspection costs, to the price -- not

mgcBWH

1 substantially but visible, for nuclear grade.

2 DR. SHEWMON: That is separate from just the
3 carbon content?

4 MR. BENDER: The material properties.

5 MR. TAYLOR: We also had this material furnished
6 in an annealed quench condition. We had the ASTM E
7 sensitization test performed on the material purchased as
8 replacement. Other of the key lines, then, instrument
9 tubing, I guess I had that on the four-inch inferentially,
10 but on the smaller sizes, we changed to 304L. We early made
11 the CRD return line, we cut off and capped that return line
12 to the vessel.

13 Subsequently, then, on the recirc riser pipe, we
14 had already installed them on the first unit. We caught
15 Unit-2 before they were installed. We sent them out to be
16 corrosion resistant clad on the upper and lower ends, had
17 them solution annealed and quenched and sent back into the
18 plant. And then in response to the problems at Duane Arnold
19 with their Inconel safe-ends, we took a look at the designs
20 we had, and while we didn't have as sharp a crevice as they
21 did at Duane Arnold, we did have a crevice.

22 Because of the known susceptibility of Inconel to
23 crevice corrosion, we went back to General Electric and
24 procured 316L safe-ends of a modified design, the so-called
25 tuning fork, which gives a knick rather than a crevice. The

mgcBWH

1 attachment weld for the thermal sleeve is on an extended
2 clad, so that weld is off of the pressure boundary of the
3 safe-end. So we have riser pipes that are solution annealed
4 quenched corrosion resistant clad on the upper and lower
5 ends, and replaced the safe-ends with 316L with the tuning
6 fork design.

7 We have decided to use the mechanical deaeration
8 system for possible mitigating effects in reducing
9 susceptibility to stress corrosion cracking. We think the
10 deaeration system is attractive for reduction of general
11 corrosion of ferritic materials.

12 DR. SHEWMON: Do you think it will reduce crud
13 buildup?

14 MR. TAYLOR: I think personally it will. Reduction
15 of oxygen, I think, is one step toward reducing general
16 corrosion and crud buildup as well. We like the idea.

17 I suppose if we were going back in time again, my
18 background is in fossil plant design, and I would have loved
19 to have seen a deaerating feedwater heater in that cycle. I
20 would push hard for one now. That is beyond the realm of
21 feasibility for Susquehanna, so we are doing what we think
22 is the next best thing, and that is adding vacuum
23 deaeration.

24 The last thing I would like to mention, Karl or
25 Dave mentioned there are a couple of utilities pursuing the

mgcBWH

1 inductive heating stress improvement. We have had people
2 from Japan about a year ago with some other utility
3 representatives just recently in the past two weeks, and we
4 and our architect engineer have had representatives
5 discussing with IHI details that will hopefully lead to
6 performance IHSI of the main recirc piping, which we did not
7 modify because at the point in time we found ourselves, we
8 began to understand this phenomena.

9 We would like to do that. We would also, I think,
10 at this time plan to look at some of the other lines to see
11 whether there are some candidate welds even in the modified
12 materials which might benefit from IHSI for reduction of
13 residual stresses where we would possibly be doing some
14 screening of these candidate welds by the EPR sensitization
15 testing as well.

16 That is a rather lengthy capsule view of what we
17 are doing at Susquehanna. If there are any questions, I
18 would try to answer them.

19 MR. BENDER: What have you done about enhancing
20 the inspection?

21 MR. TAYLOR: We are looking at a number of things,
22 and we are following very closely the developments that are
23 being effected through EPRI -- the improved transducers to
24 get better discrimination of flaws. We are looking at the
25 adaptive learning network for what benefits it will get us

mgcBWH 1 in characterizing and sorting out real signals from
2 geometric reflectors. I think we are looking at an enhanced
3 inspection, and we are quite interested in the developments
4 that are taking place that will give us reliable in-service,
5 particularly in the ability to interpret what we really have
6 when we get some kinds of indications that are anomalies.

7 MR. BENDER: Are you trying to orient the
8 frequency of inspection to where the high stress areas are,
9 where the wear and crevice corrosion might be a problem,
10 rather than making stagnant water streams, things of that
11 sort?

12 MR. TAYLOR: I have not been directly involved in
13 the development of that program, but I have had some inputs
14 with it and discussion with other people who are working
15 with the ISI program. We recognize what are the target or
16 candidate lines. I mentioned earlier that we are one of the
17 plants who are retaining the recirc system bypass lines. We
18 have gone to a modified material, but those will be lines
19 that we would expect to examine fairly frequently as
20 possibly as early warning lines. We think they have some
21 benefits operationally, at least in our view.

22 We also think they provide readily accessible
23 lines to examine to see whether we have some incipient
24 problems with these modified materials. We would expect to
25 look at those frequently rather closely.

mgcBWH

1 DR. SHEWMON: In a different vein, it was my
2 impression that the particular crevice area in Duane Arnold
3 was not one that would be inspected, because it was not a
4 throughwall weld. When you were starting your presentation,
5 you said something about inspection every ten years.

6 MR. ROSSIN: I am speaking secondhand.

7 MR. HARRINGTON: That would not have been
8 required.

9 DR. SHEWMON: Fine.

10 MR. TAYLOR: The welds that were inspected were
11 the safe-end to the nozzle and the safe-end to the extension
12 to the risers?

13 MR. HARRINGTON: Do you want to look at it?

14 MR. TAYLOR: If there is an interest.

15 (Slide.)

16 MR. ROSSIN: I think it is important to identify
17 why. Ken, you mentioned that there was a reason why that
18 weld wasn't inspected before. I think the question of what
19 kind of inspection plans there are for that in the future is
20 pertinent here.

21 MR. TAYLOR: This weld, which is the safe-end of
22 the nozzle, is one that is included in the ISI program.
23 Also, the weld from the safe-end to the safe-end extension,
24 which then ultimately is welded to the riser pipe. The
25 weld, when the problem occurred, was the weld here for the

macBWH

1 attachment to the thermal sleeve to the safe-end. If
2 anything, I suppose, this thing moderates that real crevice
3 geometry, doesn't it, Ken?

4 That crevice is probably a little sharper than
5 this diagram would tend to indicate. It is a long, deep
6 crevice. By the time the geometry changes here and then
7 back to the root of the weld, it is a rather long and very
8 close crevice.

9 MR. STAHLKOPF: It is important to point out that
10 with the Duane Arnold cracking -- that is that it is a plant
11 specific type of design. As I understand, there is only one
12 other plant that has even a modification of this particular
13 type of Inconel safe-end. You really need to keep the Duane
14 Arnold instance in the context of a plant specific happening
15 rather than the more generically based intergranular stress
16 corrosion cracking of 304 in boiling water reactors that we
17 have been talking about today.

18 DR. SHEWMON: The problem that always comes up,
19 though, is whether you are in a classical bathtub curve, and
20 since we know about that one, we are that much smarter, and
21 everything is better. But since we weren't bright enough to
22 see that one, we are being too fat and happy and assuming
23 that there aren't any others.

24 Now the other one, as I understand it, is at
25 Brunswick, which must be one of the best inspected joints

mgcBWH

1 around these days.

2 MR. TAYLOR: This is Brunswick that is shown here.

3 DR. SHEWMON: I see.

4 MR. ROSSIN: Does Ray want to add anything?

5 MR. HANFORD: We have it under the inspection

6 program. It has been inspected at every refueling outage.

7 We have it coming up for another inspection next year. So

8 far we see no significant indications and no changes in the

9 past inspections we have already done. We are following it,

10 and we have contingency plans to replace it with other

11 materials if it shows some kind of indication.

12 MR. BENDER: I recently saw some kind of document

13 in the NRC literature about the water chemistry problems at

14 Brunswick. Do they have any influence on this problem here?

15 MR. HANFORD: I am not qualified to address that

16 part of it. I really don't know.

17 DR. SHEWMON: There is a hand in the back.

18 MR. PITZEL: How is that weld being inspected?

19 Which weld are you talking about? Are you talking about the

20 thermal sleeve weld?

21 MR. HANFORD: The thermal sleeve weld, I am -- it

22 is by ultrasonic, and we are also doing some radiography

23 inspection.

24 MR. ROSSIN: One example of something we did not

25 so long ago with regard to this induction heat sink

1334 120

m SBWH

1 technique, three members of -- three representatives of the
2 utilities went to Japan to watch them do the job on one of
3 the Japanese reactors that was already constructed. Ray
4 Hanford was a part of a delegation, and a man from
5 Mr. Taylor's company, a representative from Commonwealth
6 Edison. They came back with a report, and among the things
7 that we are in the process of doing is trying to see that
8 this particular technique, for those that want to use it,
9 becomes a qualified technique and is acceptable to NRC.

10 It really hasn't reached that stage in the United
11 States yet, even though the Japanese have used it on a
12 number of there plants. One of the projects under "Remedy
13 Applications" is to qualify that technique, or to get the
14 research done so that the full Committee can accept it and
15 NRC can accept it. The research project doesn't get the
16 acceptance; the research project is targeted to get the data
17 base to make sure that we have the data necessary so that
18 our code case can be taken.

19 DR. SHEWMON: I guess the thing that is kicking
20 around in the back of my mind is what you do is to call up
21 what you feel is the best practice which is coming in, and
22 the NRC's job is to see that the worst practice isn't going
23 to get us in serious trouble.

24 MR. ROSSIN: I wish it were that simple, Paul.

25 DR. SHEWMON: So do I. I think the other sort of

mqcBWH

1 a thing, though, is that you are talking about one end of
2 the spectrum, and it is the other end of the spectrum which
3 rises up and bites us.

4

5

6

7

1334 122

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 The question turning over in my mind is how, by
2 asking this question, ask about the other end of the spectrum.
3 And maybe we get into that this afternoon. And if you -- there
4 are a certain number of these good examples of the sort you are
5 talking about. Then that would be a strong positive influence.

6 MR. ROSSIN: You see, there is a gate here which
7 says that a technique may be developed and a company may want
8 to do it, but they can't do it unless NRC is satisfied that it
9 can be done. So it isn't just pick the best thing and go do
10 it. It is find out what is good, not necessarily the best, but
11 acceptable, and make sure it's acceptable and prudent under
12 the circumstances. And then try to make sure you are going to
13 be permitted to do it. In some cases, I think we ought to be
14 looking for some kind of credit for doing something prudent,
15 which will perhaps reduce in-service inspection or something
16 else later on.

17 Let me give you an example of diversity. The
18 original cracks were found in the four-inch recirc bypass lines.
19 At Commonwealth Edison, we made an evaluation and ended up
20 with diversification within the company. Quad Cities, the
21 lines have been cut off and capped. At Dresden the lines were
22 replaced with carbon-304. The bypass lines are there.

23 We feel there is no compromise on safety with these
24 two approaches. Each of the superintendents of those stations
25 made a convincing case as to why his approach was justifiable,

1 both of them safe, and we elected to do different things at the
2 two plants. Now we are ready, if we have any cracking detected
3 at Dresden, we will eliminate the lines. But we would like to
4 keep the lines as long as we think they are now welded in safely
5 with a good quality of material. There may be some operational
6 advantage of having them there over a period of time.

7 It is your ball again.

8 MR. BENDER: Dave, let me pursue. Having listened
9 to Susquehanna's story, I was rather impressed by the fact
10 that they are going ahead and trying to use technology, new
11 technology, wherever they can. And I suspect the judgments
12 are well-founded.

13 If I were to ask the other utility organizations how
14 they are progressing along these lines, what kind of answers
15 would I get?

16 MR. ROSSIN: Let's try it. Who do you want to hear
17 from?

18 MR. BENDER: Well, let's try TVA, since they are
19 about in the same boat as Susquehanna. Are they doing the same
20 thing?

21 MR. MAC LAUGHLIN: TVA.

22 TVA is located in Mike Bender's home town. That
23 is why he is interested in TVA.

24 (Laughter.)

25 MR. MAC LAUGHLIN: Our operating units, back in '72

1 or '73, when the first problem was identified, our vessels
2 were under fabrication. At that time we chose to cut those
3 safe ends off and replace them, with the exception of one
4 vessel, which has two sensitized safe ends, but they are clad
5 both on the OD and the ID. We have removed the bypass lines
6 on all three operating units at Browns Ferry. We are replacing
7 the core spray lines with carbon steel on a schedule basis.
8 To date Unit 2 has been changed and Unit 3 is presently
9 refueling and is changing them, and Unit 1 is scheduled to be
10 changed out with the refueling outage coming up in January.

11 We have, as a result of the Duane Arnold -- we have
12 inspected our safe ends to thermal sleeve attachment welds.
13 Ours are slightly different than design in the Duane Arnold.
14 We have very little, if any, crevice in our design. However,
15 we are inspecting it. We have inspected 100 percent on
16 Unit 1, 100 percent on Unit 3, 50 percent on Unit 2, and have
17 found no indications.

18 We have rerouted our CRD return line, capped the
19 CRD nozzle, and we are presently under contract with GE, which
20 should be terminated shortly, for the stress rule in-depth
21 calculations to indicate those areas where we should put more
22 emphasis stress-wise.

23 Going from the operating units, then, to the four
24 units at Hartsville and the two units at Phipps Bend, we have
25 scrapped the recirculation loops, which were the normal

1 304 stainless steel in lieu of the new nuclear grade, either
2 304 or 316. It was whichever material would be available.
3 So we would come in with the new material, and if I am not
4 mistaken -- our design man can clarify this -- I think all
5 stainless steel lines within the plants will also be of the
6 nuclear grade 304 or 316.

7 I think TVA has also responded to this problem in
8 those areas where we know there are fixes or fixes that would
9 improve the operation of the plants.

10 MR. ROSSIN: This brings to mind another example.
11 I mentioned the trip to Japan by some people to examine at
12 first-hand what the Japanese are doing on the induction heat
13 sink welding. Les Byrd from Commonwealth Edison was with
14 Ray Hanford. We went back and looked at the situation for
15 LaSalle County and said, should we try to get to go in and do
16 IHSI before we start up LaSalle. And we made a study on that
17 and came to the conclusion that we think, with what we have
18 done, LaSalle is in good shape.

19 One of the reasons that we decided we didn't have
20 to be the first to try it, along with everything else, was
21 that the Japanese have done this on operating plants, on
22 plants that have operated. And if we feel after a few years,
23 after LaSalle finally operates, that there is benefit to be
24 gained by IHSI, doing it to a plant that is already built and
25 in operation, the option will be available by that time. It

1 will already have been demonstrated and we'll be able to
2 buy technology that is proven and available. Our judgment was
3 to wait on LaSalle.

4 MR. BENDER: Dave, you made a point earlier that, I
5 believe, the leak before break criterion is still something you want
6 to depend on, but not wholly. To what degree are we depending
7 on the leak before break as an inspection tool, and how much
8 do we have to depend on it?

9 MR. ROSSIN: I think it is more than an inspection
10 tool. I think it is part of the question of whether we are
11 dealing with a safety problem or availability problem, just
12 what we are looking at. What we are trying to do is make sure
13 we have, in the first place, the quality of materials and
14 quality of welding, so that the likelihood of the cracking is
15 reduced.

16 Second, NDE methods and in-service inspection to try
17 to find cracks before they grow significantly.

18 Leak before break is next in line. The idea of
19 finding a leak and if there is a leak to be sure to find it,
20 identify it and take action at that time -- it seems to me the
21 key is whether or not you have a tough material. It is almost
22 the same argument as you have with the pressure vessel. You
23 have got to have a tough pressure vessel. If you have a tough
24 pressure vessel material, that has certain implications. If
25 the pressure vessels were built out of glass, it would be

1 different.

2 I think we do have tough materials in these piping
3 systems. They can tolerate a leak without a catastrophic
4 break being the next step, which gives us the opportunity to
5 detect it.

6 The whole idea is you don't want to just go happily
7 along and say, we aren't going to do anything, because if it
8 leaks then we will fix it. That attitude we just don't have.

9 MR. BENDER: I am reminded of the fact that there are
10 some people that are concerned that we may have a a crack in a
11 state of development, but not through, and it may break through
12 as a result of some kind of loading that we hadn't originally
13 expected before the next in-service inspection. And there are
14 people that think that cracks that start that way may propagate
15 fairly fast. I wonder how much attention is being given to
16 that.

17 MR. STAHLKOPF: I think we can answer that by saying
18 that, from looking at the large line data -- and I think
19 Robin presented it earlier today -- we feel that the chance --
20 because of the compressive stresses from welding of your large
21 lines, we feel that the propagation of a stress corrosion crack
22 rapidly into compressive stresses, where you are well below
23 the K1 SCC of the material, is extremely unlikely; whereas it
24 is not necessarily true for the smaller lines.

25 In addition to that, we are taking both a theoretical

1 and experimental look at questions of mouth opening area under
2 a variety of loadings for 304 stainless steel in a variety of
3 crack configurations. Certainly our first look at it from
4 static as opposed to dynamic loading cases leads us to believe
5 that it is extremely unlikely that we will get very large mouth
6 opening areas with throughwall cracks, certainly under the
7 static conditions, and probably not under the dynamic conditions,
8 because the plastic hinge will form at the bottom and you get
9 a certain amount of yawning.

10 That is our best estimate of it right now. We are
11 proceeding with an experimental program at both GE and Battelle
12 Columbus Laboratories to confirm our preliminary findings.

13 I don't know if that answers the question.

14 MR. BENDER: I think that is a good start. I think
15 that is the kind of thing we ought to be thinking about. I
16 didn't invent the question and I am not necessarily a proponent
17 of it being a problem. But nevertheless, it is one that hangs
18 around, still.

19 MR. STAHLKOPF: We feel very strongly that leak
20 before break needs to be demonstrated with a variety of pipe
21 sizes and crack configurations. We are proceeding to not
22 only theoretically treat this, but experimentally treat it,
23 so that we can let the doubting Thomases put their fingers in
24 the wounds, so to speak.

25 DR. CORTEN: Are you anticipating problems with

1 the dynamic as opposed to the static?

2 MR. STAHLKOPF: No. We feel in the dynamic case
3 we will simply be dealing with the formation of a plastic hinge
4 and a certain amount of yawning of pipe. We do not anticipate
5 a problem at this time.

6 MR. ROSSIN: Are you suggesting that is an area that
7 we ought to look into as possible research areas?

8 MR. BENDER: I think you need to put the question to
9 bed. It hasn't been put to bed yet. Whether it is done by
10 research or analysis or some combination, I don't know.

11 DR. SHEWMON: Let me clarify one point. You started
12 this with a discussion, a question about leak before break as
13 an inspection technique.

14 MR. BENDER: It is a rather complicated logic.

15 DR. SHEWMON: I am concerned about your chiding
16 people, in spite of their inspection technique, how many leaks
17 they find, when they indeed dribble out on somebody, or whether
18 you are concerned about whether indeed it would be a stable
19 small crack.

20 MR. BENDER: I will start back at the beginning.
21 There is the potential for stress corrosion cracking to
22 occur. I think the experience at Duane Arnold says it could
23 go a long time before you found it. As a matter of fact, I
24 guess there it could have been found by the leak before break
25 approach.

1 MR. ROSSIN: It was.

2 MR. BENDER: We were comfortable with that answer,
3 at least some people were.

4 MR. ROSSIN: It is a fact.

5 MR. BENDER: However, if those cracks had been there
6 and you hadn't found it by that leak before break approach, and
7 if some type of dynamic loading had occurred -- and I am not
8 sure what they are, nor do I necessarily think that there are
9 any that are a problem, then there is the question about whether
10 that could have propagated into a serious opening in the
11 system and held if the crack had propagated when it started.
12 That is a question that has been raised by a number of people,
13 and I think it needs to be answered in some form.

14 MR. STAHLKOPF: Just to recapsulize what I have said,
15 we agree with you that this question needs to be put to bed,
16 and that is why we are not only going to go through detailed
17 theoretical analysis of both the static and dynamic cases, but
18 will actually be doing some large-scale pipe testing, which
19 we hope can sufficiently answer these questions.

20 MR. ROSSIN: We have some system work going on in
21 other EPRI programs on dynamic loadings, pipe whip, water hammer,
22 and so forth. I think one of the questions is to identify the
23 kinds of stresses that we are talking about and see whether
24 there is something that can be looked at in a step-wise logical
25 way, or whether we have got a problem that we weren't really

1 addressing before.

2 Let me be specific. We have looked to some extent
3 at the kinds of loadings you can get from seismic events and
4 from postulated shock waves, steam and water hammers. When you
5 look at the kinds of loadings you get, you don't get catastrophic
6 breaking if you have got this kind of configuration. Even with
7 relatively standard stress analysis, I think it is important,
8 if people are of the opinion that this is something which
9 definitely goes from this point to this point to a catastrophe,
10 that we get some quantitative measure of this.

11 We don't believe that the numbers really imply that.
12 It is something we are looking at. The theoretical work is the
13 first, the analytical work. We really don't have evidence
14 that these kinds of loadings are going to cause the kind of
15 breaks that we talk about in these materials.

16 MR. BENDER: I imagine Herb Corten agrees with you,
17 but I imagine I can find a few people on the staff that don't.

18 MR. ROSSIN: I think it is important to explore this
19 further. I think we ought to be apprised of the feelings of
20 members of the staff to see if a formal research project --
21 as I said before you came in, Mike, one of the things we have
22 here is a program with an Advisory Committee that can cut off
23 a research program, start a new one, whenever we feel like it.
24 We have got the funds and the program to do this, and if this
25 is something that is a priority we will put the effort there

1 and see if we can solve it.

2 MR. BENDER: I'm not trying to set priorities. I
3 raised the question because we need to discuss this kind of
4 thing.

5 MR. ROSSIN: We need your input for setting priorities.
6 There is a message here we want to take into account.

7 DR. SHEWMON: Let me follow up on that. Vance,
8 would you comment on what you feel is the state of communica-
9 tions of the staff's concerns with this group, and to what
10 extent you have been involved with that kind of a dialogue?

11 MR. VOONAN: I feel that the staff's communication
12 with the groups are pretty good. Warren Hazelton has been
13 in close communication with a lot of the EPRI people, finding
14 out what is going on. Both Dr. Weeks and Frank Almeter from
15 my staff have been talking to various EPRI people. I personally
16 have talked to Mr. Gridley from GE on a number of cases about
17 this.

18 When Duane Arnold first came about, one of the first
19 things we did do was take a look at the break, and we saw in
20 there the worst crack, and applied various loads, both normal
21 and accident loads, to see if we could theoretically postulate
22 rupture to pipe. From our analysis, we could not. We said --
23 there were some classic cases where pipe whip would withstand,
24 like given the seismic load. That gave us some comfort and
25 the feeling on what we were doing as far as Brunswick and our

1 ability to detect cracking in this particular area of
2 Brunswick, because it is difficult to look at an area.

3 The in-service inspection programs that have been
4 implemented on Duane Arnold and Brunswick, and I think the
5 better techniques used, gives us comfort that if the crack
6 develops, we will capture it at an early stage.

7 DR. SHEWMON: We will change the subject. One of
8 the other ways, as has been alluded to here, is increasing --
9 I would like to talk about exposure to personnel, something
10 you alluded to, instead of better materials. Could you say
11 a little bit about what program -- or am I talking to the
12 right group? -- about what happens there with regard to getting
13 the source term down as distinct from better widgets, so that
14 the guy doesn't have to stand around and wave it so long?

15 MR. ROSSIN: One of the major EPRI utility efforts
16 is decontamination of Dresden 1, and while it isn't in the BWR
17 pipe crack area, a number of the people here are familiar with
18 what is going on. And of course, there is widespread utility
19 interest in the results and what we are able to find.

20 It is very clear -- Joe Danko could add from his
21 recent discussions with Europe -- that there are some substan-
22 tial advantages, if you are going into the repair program, to
23 possibly even decontaminate a local area, and this is going to
24 be important if you have repairs to plants that have been in
25 operation. So it is not a new area. After all, decontamination

1 has gone on in all kinds of processing facilities and Navy
2 programs and other places, and the technique is useable. We
3 just have to enlarge our experience base.

4 DR. SHEWMON: Do you feel that on Dresden 1 the
5 critical path is in your shop or in the NRC shop at this point?

6 MR. ROSSIN: Dresden 1?

7 DR. SHEWMON: Yes, in that decontamination. That
8 has slipped several times.

9 MR. ROSSIN: Those are the problems of getting a
10 job done. I don't think it is a regulatory problem. We are
11 having the usual problems with project schedules. We are not
12 immune to those.

13 MR. VOONAN: Later in our discussions, we talk about
14 the staff presentation -- Ron Gamble from DSS will be talking
15 about what we are doing in the area of piping and what type
16 of research we are proposing.

17 DR. SHEWMON: Let me come back to an earlier question.
18 You said that Warren talks regularly to these people, which I
19 can believe, and that keeps your part of the forest informed.
20 To what extent do you feel he has an appropriate sense of
21 responsibility about representing Jim Knight's people or indeed
22 the NRC? Are they going to be blind-sided some day because
23 they didn't talk to somebody else?

031 11 01

JLBWH

1 MR. NOONAN: Ron Gamble, who used to be a member
2 of our staff is not part of Jim Knight's staff over at
3 Materials. We are basically in daily communication on
4 various problems, and also with Joe Collins from I&E and
5 Muscara from Research.

6 We do talk quite a bit. There might be times when
7 we fail to mention it immediate, but that is because they
8 are pressurized, not necessarily because of -- not because
9 we haven't told him. We do tell them.

10 DR. SHENMON: There is a difference between taking
11 care of one's own responsibility or interests and feeling a
12 responsibility to represent an organization.

13 MR. HAZLETON: The other thing I might mention is
14 that a lot of our contact in the past, once every six months
15 or so, has been with General Electric, where they have given
16 us essentially one-day or two-day seminars on all of the
17 things that they were doing, including the stuff they were
18 doing for EPRI. Whenever those seminars come up, the
19 representation is intended to cover everybody, DSS, DOR,
20 RES, I&E.

21 Sometimes the meeting comes up and somebody can't
22 make it, but the intention is that we have the relevant
23 representation from all of the NRC at these meetings. There
24 have been fewer of those several-day seminars given by
25 EPRI. I am happy to see one coming up. But, again, we

JLBWH 1 would -- our general attitude in this area has been, "Hey,
2 the appropriate people at the working level in each of the
3 divisions of NRC should be there. We talk together."
4 Really, we do.

5 MR. BENDER: Is there a position paper on this
6 that says here is where we think the answers are? And is it
7 signed off by Knight and his people?

8 MR. NOONAN: Speaking of position paper, I am not
9 sure we have what we call a DSS, DOR memorandum system that
10 is working --

11 MR. BENDER: There is a task action plan in this
12 area.

13 MR. NOONAN: There is information feedback, and
14 there is what we call an experience, operating experience
15 feedback. Under the information feedback, it is just that.
16 It is information fed through officially so that it gets to
17 the appropriate people, the appropriate management people.

18 On the operating feedback, again, it is a piece of
19 paper that is sent through, but it requires some action on
20 a G's part to say what action it would take. And there is
21 feedback the other way also -- that is, systems and
22 operations.

23 DR. SHEWMON: I think we will adjourn for lunch
24 unless someone has some more pressing business.

25 MR. ROSSIN: We appreciate it, Paul. Thank you

j1BWH 1 very much.
2 DR. SHEWMON: Thank you.
3 (Whereupon, at 12:29 p.m., the hearing was
4 adjourned, to reconvene at 1:30 p.m., this same day.)
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1334 138

021 12 01

JLRWH

AFTERNOON SESSION

(1:30 p.m.)

DR. SHEWMON: If I can find my agenda here, I will tell you who is next.

This afternoon we shift tangentially, or slightly, to generic matters.

And let me talk to the front table here in Executive Session. Mr. Igne is concerned about whether or not we have covered item D, as in dog, in that agenda.

Does anyone where have anything to do on program objectives and feedback to say to the utilities before we go on?

(No response.)

All right. Good.

Then we will go on to the presentation from the staff.

Vince.

MR. NOONAN: Good afternoon, gentlemen.

My name is Vincent Noonan, of the Engineering Branch of the Division of Operating Reactors.

Today we will talk about the generic matters concerning pipe breaks. I will have my staff -- in fact, there are about 10 people here from DOR and DSS, combined, to address various matters, to field questions as required from either the committee or from the floor.

1334 139

J1BWH

1 Mr. Hazleton will be the first speaker, talking
2 about status of PWR and BWR pipe cracks; to be followed by
3 Dr. Cheng and Ron Gamble from DCS.

4 We will also get into some problems that we had
5 recently on TMI, borated pipelines; and finally, on the
6 feedwater pipe crack problems.

7 Dr. John Weeks and Dr. Almeter, from my staff,
8 will talk about the technical specification on water
9 chemistry, and of the final interest -- I wasn't quite sure
10 -- I do have Jack Strosnider here from staff to give us a
11 rundown on the latest steam generator problems, both in
12 foreign reactors and the latest one at Prairie Island and
13 Trojan, resulting from cracking in the pipes.

14 A couple of questions -- I would like to refer to
15 a handout that we have on feedwater pipe cracking, and I
16 apologize -- it is not a viewgraph, because it was made up
17 to be part of a report, and it is in very fine print. We
18 didn't think it would come out very well on a viewgraph. It
19 does list all of the PWR pipe-cracking problems we have been
20 having in the feedwater lines.

21 The only thing -- Mr. Hazleton will be addressing
22 this generically and talking about all this -- the only
23 thing I want to bring up is on Mill Stone.

24 In August, Mill Stone reported a series of cracks
25 to us in their feedwater lines. They told us the cracks

21 12 03

JLBWH 1 were about approximately from 60 to 90 mills, and some
2 extending completely, 360 degrees circumferentially either
3 on the safe end side or on the pipe side of the transition
4 section of the weld.

5 All of these cracks appear to be well away from
6 the heat-affected zone of the weld, but they are in an area
7 where they have some stress concentration points.

8 In August, we let the utility go back to power,
9 because in order to make the repair for this particular
10 utility, it requires us to chip into the shield wall. It is
11 about five feet thick.

12 We asked them to go back to power until the end of
13 October, in that period of time to do two things: Number
14 one, come up with a program on how they would make a repair
15 if a repair would be required; and, secondly, to do an
16 inspection at this outage or this shutdown to see whether or
17 not the crack is growing.

18 My main concern was in the shield wall since it
19 does require shipping a fair amount of concrete. I didn't
20 think that problem was thought out too well.

21 We did do what we call a fracture mechanics
22 analysis on the crack, and we felt it was safe to operate
23 the plant until the end of October. The plant did shut down
24 on the 31st.

25 They went in, and when you see under inspection

1334 141

JLBWH 1 results, we were going to reexamine. In the data we have
2 back from my consultant this morning, it said the
3 reexamination showed that, number one, we either missed the
4 cracks in the original inspection, or that cracks have grown
5 to such a depth that we no longer feel comfortable to allow
6 that plant to continue operating without replacement of
7 pipes.

8 Mill Stone 2; the position taken by the staff on
9 Mill Stone 2 is that they will probably go in and chip
10 concrete and replace the pipe. This has not been taken all
11 the way to our management, to Darrell Eisenhut. I tried to
12 contact him this morning, and he is at NDS. But Bob
13 Tedesco, his deputy, is aware.

14 The second item I would like to talk about very
15 briefly is on the stress rule index produced by GE on BWR
16 plants. We have what the staff considers a topical report,
17 submitted by General Electric -- I forget, about a year ago?

18 We have now prepared a list of questions of
19 approximately three pages. The questions have been
20 generated and will be coordinated through Ron Gamble. I
21 don't think Ron has seen them, but they will be coordinated
22 through him at this point in time. It is our intention to
23 release these questions, whatever comments Ron would have
24 from DSS to GE, and then request a meeting on the NEDO
25 report to go to a full discussion of the stress rule index.

JLBWH

1 I expect that to be done sometime this week, assuming we can
2 get everything out this week.

3 MR. BENDER: Are the questions of a nature to cast
4 doubts on the credibility of the GE approach?

5 MR. NOONAN: I wouldn't say cast doubts; concern
6 maybe, not not necessarily doubts.

7 I think the questions, as I read them -- and I
8 read them Friday afternoon -- it seemed to me that all of
9 the questions could be addressed; whether they could be
10 addressed satisfactorily or not, I don't know. But they do
11 raise a number of staff concerns regarding the stress rule
12 index.

13 The last think I would like to bring before I let
14 Mr. Hazleton take over is on the PWR pipe cracking. Again,
15 we are looking at things that are called reportable
16 indications, what this means in terms of -- particularly on
17 UT, what this means has cost has caused us some concern.

18 Remember, on Duane Arnold we had very few
19 reportable indications on all of the nozzles. It turned out
20 that there were quite a few indications on second look and
21 using better techniques by Mr. Lamberg and his team, that
22 the indications became quite obvious, and they would have
23 been called cracks had we used the proper criteria.

24 We are concerned with what criteria we are using
25 in reporting UT indications. And the list that you see on

JLB:WH

1 the PWR feedwater piping, I&E is now taking action to go
2 back and look at those plants that reported no cracks, to
3 double-check and see if the indeed -- what criteria they
4 were using, and if we were aware of the exact criteria, and
5 if we are satisfied with what the criteria -- so indicated
6 so for the -- when they said no cracks.

7 Unless there are any questions, I would like to
8 turn the meeting over to Mr. Hazleton.

9 MR. BENDER: Let me get back to this list of
10 questions that is being submitted to GE again for a minute.

11 I take it the list has gone out?

12 MR. NOONAN: It hasn't gone out yet.

13 I told Mr. Gridley about the list. It has been
14 generated by our branch, Engineering Branch in DOR. It is
15 to be transmitted to Mr. Gamble from DSS for his
16 consideration if he wants to add to or comment on the list.

17 Then what we plan to do is send the list on to GE
18 officially and then request a meeting to discuss the
19 questions.

20 MR. BENDER: Has there been some internal
21 discussion within the regulatory staff to establish how much
22 of it could be resolved without sending it to GE?

23 MR. NOONAN: The questions we have right now --
24 evidently we feel that none of them can be resolved without
25 sending them to GE. A lot of these questions were generated

JLBWH

1 back in the time when we were looking at the Duane Arnold
2 problem and when the GE stress rule index first came about.
3 At that point in time, if you look at our safety evaluation,
4 we decided since we did have concerns amongst the staff we
5 would not use the GE stress rule index as part of our
6 criteria in dealing with Duane Arnold.

7 So when we wrote our evaluation, we did our safety
8 analysis on Duane Arnold. We did not consider the GE stress
9 rule index.

10 MR. ROSSIN: May I ask a question? Wouldn't it be
11 wise to get the list of questions together, have the
12 meeting, and then questions that aren't resolved, then you
13 issue the list?

14 MR. NOONAN: Yes, I see what you're saying,
15 whether I can do that efficiently or not.

16 MR. ROSSIN: I say before you issue your list of
17 questions, find out if a lot of those questions can't be
18 answered very simply by communication, by sitting down
19 across a table?

20 MR. NOONAN: I am willing to do that. In fact, I
21 will do that. I will submit a list of the questions prior
22 to issuance of them officially. I will talk to GE, but I
23 really feel that in -- as the final result, that the only
24 way these questions can be answered is through a meeting.

25 MR. ROSSIN: At that point, fine. The reason I

JLB:WH 1 bring this up is because I have -- as I said before, we live
2 in an adversary situation. A number of these questions are
3 the kinds of questions that are issued in all kinds of
4 licensing activities. Many of them have straightforward
5 answers. Many of them are a matter of the questioner and
6 the answerer understanding what the disconnect is.

7 Once that list of questions is issued, the owner
8 companies are going to end up badgered by those questions by
9 people who don't understand the questions. And yet we are
10 going to have to live with this badgering.

11 It helps very much if you are able to eliminate
12 the answerable questions early in the game. The real
13 questions, fine, we will live with those.

14 MR. NOONAN: I have to take some exception to that
15 point. I can see no harm other than what you referred to as
16 "badgered by." I can see no harm in officially asking the
17 questions, putting them on the record.

18 Some can be answered very simply, I am sure. Some
19 would be very hard to answer. From the staff point of view,
20 I don't think I would want to be put in a position where I
21 would say that I didn't publically ask all of the questions
22 that my staff felt were required to be asked.

23 DR. SHEWMON: May I comment on that?

24 You certainly don't want to put yourself in the
25 position where you get to be accused of being a tool of the

JLBWH

1 industry. I am not sure that I fully understand what
2 happened with regard to fuels last week; but as I understood
3 the latest crisis that ended up in the New York Times, which
4 is where I heard about it, by the time I got through my
5 Saturday morning paper, it turned out that staff and the
6 industry maybe hadn't talked enough about what the hell the
7 curve meant. If they had had one phone call before, we
8 would have been spared one round of effort by the New York
9 Times to explain to us how dangerous reactors really were,
10 and the staff and to back off and say, "Gee, we just
11 couldn't read the curve right. Sorry." None of us what
12 that to happen.

13 MR. NOONAN: Dr. Shewmon, rest assured that while
14 Mr. Gridley from GE has not seen the questions that we will
15 talk to him about the questions. I guess it will be up to
16 us to decide what format the questions --

17 DR. SHEWMON: What the questions are is for you to
18 decide.

19 MR. NOONAN: That's right.

20 I think at this point in time I would like to
21 introduce Warren Hazelton, who will lead this discussion.

22 (Slide.)

23 MR. HAZELTON: Several months ago the staff was
24 asked to report on the pipe crack study group report, so at
25 that time we told you, in general, what was contained in the

021 12 10

JLBWH

1 report and what the staff's further actions were going to
2 be. So we mentioned then generic -- A-42, which was set up
3 to review the pipe crack study group's report and to
4 determined what visions NUREG-0313 were required and to make
5 those revisions.

6 Well, the task manager for A-42 just got that
7 report issued. We have just a few copies.

8 What is expected now is that we will get comments
9 back from the public, comments from the ACRS, and
10 presumably that might end up with some kind of a supplement
11 to the NUREG somewhere around March.

12 Then we would expect to implement those staff
13 positions somewhere around May.

14 Now, a little later Sy is going to give you a
15 quick overview of what is in NUREG-313 and the major
16 differences between the new version and the old version.

17 But before we do that, I would like to cover some
18 more general aspects. It was recognized that the pipe crack
19 study group couldn't come up with all of the answers. You
20 just can't come up with answers -- they came up with
21 questions, recommendations, and so forth.

22 One of the things that was identified in the new
23 313 is the list of general recommendations -- that is, for
24 further work, what yet has to be done.

25 And I think we heard a lot about the kinds of

1334 148

JLBWH

1 that have yet to be done this morning.

2 Also, again, in response to the ACRS letter that
3 we discussed earlier, the staff prepared an answer to that
4 and pointed out that many, if not all, of the concerns
5 expressed by the ACRS are somewhat shared by the staff. And
6 plans to address them are going on.

7 (Slide.)

8 Just to give you a quick overview of this -- and
9 if you think that A, B, C, H, J isn't the correct alphabet,
10 I had a little trouble with the secretary on that also.

11 (Laughter.)

12 But these are subjects that are covered in the
13 follow-on work recommended in 313. And I have for this
14 purpose grouped them having to do with the subject matter,
15 but I used the letters that were associated with -- in the
16 0313 document.

17 You can see there is one main subject here. We
18 have to work on improved UT methods, and basically it is
19 improved crack detection. By that we mean let's do a better
20 job of finding cracks before they get to be big cracks.

21 Of course, to do that you have to have effective
22 inspection methods. And then you to inspect those welds
23 that have cracks. If you don't inspect them, you will not
24 find them no matter how good your techniques are.

25 On the other hand, you can't inspect every weld,

JLBWH

1 so you have to some kind of focused inspection program. I
2 think we talked about that this morning. We said look at
3 the susceptible welds and the different ways of determining
4 which welds are most susceptible.

5 So these things the staff considers very
6 important. And of course the stress rule index is one
7 possible way of pointing to susceptible welds. That is why
8 that is an important subject to us.

9 Another thing, related, but more aimed at new
10 plants, is the use of improved weld joint configurations.
11 Some of the configurations are almost uninspectable. Many
12 of them have to be machined on the outside, smoothed down,
13 to get good ultrasonic inspection.

14 We feel that action should be taken in that
15 regard, but it may take some action in the codes. It make
16 take regulatory guides or something. These are things that
17 we are planning to work on.

1334 150

1 Another thing that could possibly tell us which are
2 the welds to look at is getting the use of EPR to detect the
3 susceptible weld joints. That was talked about this morning.

4 Another thing, of course, is improved leakage detec-
5 tion methods. One of the things that the staff has in mind,
6 again, is acoustic emission method of leak detection. It
7 looks like it has promise.

8 MR. BENDER: Before you take that off, let me ask
9 my question. Most of these, I presume, are long-range
10 approaches?

11 MR. HAZELTON: Well --

12 MR. BENDER: If they aren't, which ones are not long-
13 range? Let me put it that way. That might be a better way
14 of our understanding what it is you want to do right now.

15 MR. HAZELTON: There are long-range approaches, but
16 some of them have things you can do fairly rapidly, and some
17 we just have to wait for the programs to be completed until we
18 get the answers.

19 DR. CORTEN: You say it would be almost completed?

20 MR. ROSSIN: No, because we don't know the answers.

21 MR. HAZELTON: You know some of the answers. You
22 know what not to do.

23 MR. ROSSIN: That is not really what you are after.

24 MR. HAZELTON: No. These are really going to be
25 ongoing programs, and a lot of them we'll take steps, we

1 will take small steps, in the right direction, hopefully.

2 MR. BENDER: This is alleged to be the resolution of
3 the generic technical activity A-42. What I see here right
4 now are a bunch of hoped-for improvements. I guess I am not
5 really clear that there is any time associated with when they
6 could be accomplished.

7 There is not much to tell me which ones really have
8 the best chance of success. Neither is there anything to tell
9 me whether, if I got part of the result but not all of it, I
10 would be okay. Are you going to tell me all that today?

11 MR. HAZELTON: No, I am not going to tell you all
12 that today. These are the kinds of things that the staff is
13 doing, and plans to do.

14 It has come up with just answers to questions like
15 that. We want to get some idea of the scheduling and staff
16 programs, but we didn't say we had all of this wrapped up in
17 a package today. We are giving the current status. I am saying
18 these are the things we see that have yet to be done. I can't
19 give you a definitive, scheduled program today.

20 MR. BENDER: I can appreciate that problem.

21 MR. NOONAN: The program, as outlined by Mr. Hazelton
22 up there, the one that is not included under Revision One of
23 0313; 0313 was originally sent out to the utilities. A number
24 of responses were received by utilities about two years ago.
25 Those responses recently have gone through review by the

1 staff, and we felt that rather than go back to the utilities
2 with questions, or ask for an update to these responses, what
3 we effectively have done in our "paper mill" back at the staff
4 is to have taken the original responses and have deleted them.
5 We have said that they are no longer applicable because of the
6 Revision One.

7 Revision One goes out for public comment for the next
8 60 days. That has been done. Within 60 days after that, we
9 plan to send to the utilities the NUREG and ask for their
10 responses to the various areas involved.

11 Clearly, some of these are, as you say, long-range
12 programs but if you looked at items A, B, and J, which I will
13 tend to focus on as being maybe ones we can answer in a
14 reasonable amount of time, I would think those are the ones we
15 would try to focus our attention on.

16 MR. BENDER: I think that is the kind of answer we
17 are looking to have.

18 DR. HANAUER: Perhaps I could add to that. What it
19 means to resolve any technical issue is, to be blunt about it,
20 is to put out a new set of requirements. The nature of this
21 particular issue is that we know more this year than we did
22 last, and we will know more next year than we do this.

23 NUREG 0313, Revision One, has two kinds of things in
24 it. There are some new requirements for in-service inspection,
25 for example, and there is also a list of things that are going

1 to require more work. I think those are rather clearly dif-
2 ferentiated in the document. That is why there is this funny
3 gap in the numbering system.

4 Therefore it is possible, by a somewhat more careful
5 reading of the document than you have been allowed to have so
6 far, to find that it contains a set of new requirements, much
7 stricter material requirements for new plants, and much
8 stricter in-service inspection requirements for plants that
9 didn't use the new materials; and also these things for the
10 future that we are going to learn more about next year.

11 MR. BENDER: I think that is a help.

12 MR. HAZELTON: As I said, I am skipping over the
13 main part of NUREG 0313 to hit these particular questions,
14 because it appeared that in that ACRS letter, you had some
15 concerns. And I wanted to show you that 313 also recognizes
16 these same concerns.

17 When I get through with this, Sy Cheng will tell you
18 more details about what specifically is in 313.

19 MR. BENDER: I can't discern the degree of concern
20 from what is up there yet. Maybe one of these days I will.

21 (Laughter.)

22 (Slide.)

23 MR. HAZELTON: Going on to other items that were
24 recommended for additional work, that should be "reducing
25 incidence of cracking." In other words, we should see to and

1 do what the NRC can do to see to it that cracking is reduced.
2 Items under that are possible water chemistry control and, as
3 you heard this morning, it is not absolutely certain that de-
4 aeration is going to help, or how much it is going to help.

5 The staff can not make that judgment today, to make
6 everybody out there put in \$100 million deaeration equipment,
7 when there is still disagreement or uncertainty as to whether
8 it will do any good. So we have to wait until the results are
9 in.

10 Obviously, we can take a look at system design to
11 minimize stagnant or low-flow piping; the evaluation of new
12 materials, evaluation of new process methods. This sort of goes
13 along with the body of 313 where certain materials and pro-
14 cesses were considered acceptable by the staff, and there
15 are others that have to be looked at further.

16 MR. BENDER: Is there anything that I might infer
17 from that list that is different from what I heard this morning
18 when the BWR owners group made their presentation concerning
19 what they were doing to reduce the incidence of cracking?

20 MR. HAZELTON: Nothing I can think of right offhand.

21 MR. ROSSIN: We have not emphasized minimizing
22 stagnant or low-flow piping.

23 MR. BENDER: I didn't hear anybody saying that we
24 ought to make Susquehanna cut off some piping, for example.

25 I don't know what "minimizing" means today. What does it mean?

1 MR. HAZELTON: I guess we are not sure exactly what
2 it does mean. That's why we have this as an item that we want
3 to continue to look at. I could be very simple about it and
4 say we should look at whether we are going to let these people
5 have the bypass lines; but it isn't that simple.

6 MR. BENDER: How would you decide?

7 MR. ROSSIN: I told you --

8 DR. SHEWMON: You may elect to do a local option?

9 MR. ROSSIN: No. On the other hand, we considered
10 the options. We decided both were viable. Leaving them on
11 the one pair of reactors, taking them off the other, that
12 neither one was a bad decision and we could do one in one and
13 the other in the other, and watch it and see what happened.

14 MR. BENDER: I think you made your decision on the
15 basis that if you got in trouble, you could always cut off the
16 lines that were left.

17 MR. ROSSIN: That was one consideration. But our
18 major consideration was that we didn't believe that low flow,
19 or stagnant flow, was really a significant contributor.

20 MR. HAZELTON: Perhaps intermittent flow would be
21 worse, in my opinion. The reason these items are on here is
22 because as of today, when we put out NUREG 313, we haven't
23 come to any conclusions. And that is where we are today.

24 MR. BENDER: There is nothing in Item D, E, F, or G
25 that represents anything very new.

1 MR. HAZELTON: That's correct.

2 MR. BENDER: It is the same old story we have been
3 hearing for several years, at least.

4 MR. HAZELTON: That's right.

5 MR. BENDER: So it wasn't learned in the past year,
6 that's for sure.

7 MR. HAZELTON: That's right. And I don't know quite
8 what your problem is with that.

9 MR. BENDER: Well, I guess my problem is mainly if
10 we are trying to resolve something, the impression I get is
11 that this doesn't represent part of the resolution. This is
12 part of the deferral of the resolution.

13 DR. HANAUER: I don't think that is quite true,
14 although there are some areas that can not be resolved with
15 today's knowledge, so we have to get some more.

16 DR. SHEWMON: Maybe we should get on to the third
17 or nonexistent one that says indeed what we have decided to
18 do differently from last year. Maybe he is starting at the
19 wrong end.

20 (Laughter.)

21 MR. BENDER: That might be my problem. I heard Steve
22 saying that you are going to have some more inspection. One
23 of these days I will find out what the inspection will do for
24 you; but go ahead.

25 MR. HAZELTON: A third item is -- I have called it

1 "evaluation of consequences of cracking." That is really two
2 subjects, and one is what we call the "leak-before-break"
3 concept.

4 The staff is not convinced that we have all of the
5 answers, so we are proposing some additional work. And Ron
6 Gamble will talk about that in a just a moment.

7 In addition, the Task Group on Bulletins and Orders
8 is reevaluating the adequacy of the systems emergency proce-
9 dures and operator training, et cetera, to cope with the small
10 LOCA. This is again something that covers one of the items
11 in the ACRS concerns.

12
13 1334 158
14
15
16
17
18
19
20
21
22
23
24
25

end
T13

1 That is part of item 3?

2 MR. HAZELTON: Yes. This particular item was not
3 in NUREG 0313, so it didn't have a number.

4 (Slide.)

5 MR. HAZELTON: Right at the moment, then, let's go
6 to Si Cheng and let him give us a little more detail on 0313.

7 DR. SHEWMON: You guys can change places, but let
8 me discuss things out loud for a moment. There are various
9 exercises going on to clean up generic items, I guess, for
10 half administrative, half cosmetic and political reasons, as
11 I see it.

12 If I can address a question to Mike here, what we
13 are supposed to be doing here is to at least be sure that we
14 can report back as a committee to what the status is, rather
15 than resolution?

16 MR. BENDER: My impression is that the Committee
17 needs to find out whether there is a way to get to a reso-
18 lution on these generic questions. Presumably, these task
19 action plans are intended to provide a resolution; and they
20 may. I think we need to find out whether they do or not.

21 MR. HAZELTON: I would like to make a comment here.
22 Task Action Plan A-42 was clearly narrowly directed. I think
23 perhaps Si can address any questions you have on that. It
24 didn't presume to solve all of the BWR cracking problems.

25 MR. BENDER: What we need is not to solve the BWR

1 cracking problems because we never will, but to establish that
2 we have a way of being sure that there is no public safety
3 problem left because of it, and to be able to show that to the
4 public. That is what is troublesome about this thing.

5 While I haven't read it in detail, Steve, I have
6 looked at it enough to know that it has some "icing" on it for
7 the "cake," but there is a lot of chit-chat in it about things
8 that we may do in the future that tend to confuse the practi-
9 calities of the thing with wishful thinking.

10 MR. HAZELTON: The two things that I think address
11 specifically what you are talking about is this (indicating).

12 (Slide.)

13 MR. HAZELTON: If you let us --

14 MR. BENDER: Go ahead.

15 MR. HAZELTON: -- Si and then Ron Gamble will tell
16 you what we are doing about these.

17 DR. SHEWMON: There is still the question of -- if
18 I may rephrase it, or as I understand it, of what is your
19 argument that it is indeed safe to continue operating BWRs.
20 If that is the resolution of the generic items, then this is
21 nice, but not responsive. We will get back to that before we
22 get done. Go ahead.

23 MR. HAZELTON: All right. I believe you will find
24 the answer to that in the Task Action Plan A-42, which tells
25 us why it is safe to operate BWRs until everything is fixed.

1 MR. CHENG: I am from the engineering branch of
2 the Division of Operating Reactors. Perhaps before I start,
3 I should show this slide to show the chronological events,
4 what actually A-42 intends to do.

5 (Slide.)

6 I think we may have problems regarding the A-42
7 task action plan. Of course, let me go back to the initial
8 NUREG report.

9 The first NRC pipe crack study group issued their
10 NUREG report back in '75 regarding the IGSCC, and based on that
11 NUREG report, in '77 we issued the original 0313, the implemen-
12 tation document, that is essentially -- It took the study group
13 report recommendations and put them into the staff position.

14 After the issuance of the original NUREG 0313, we
15 know that the IGSCC continued to occur, in particular, the
16 large diameter pipes in some of the safe ends. So last year,
17 we established the second NRC pipe crack study group to look
18 at more recent incidents.

19 And in February of this year, we came up with the
20 NUREG 0531 report. In June of this year, A-42, which is clas-
21 sified as the unresolved safety issues; the task force was
22 formed in June with two objectives. As the first, it took
23 the NUREG 0531, recommendations of the pipe crack study group,
24 and looked at their recommendations to see which recommendations
25 can be put into the implementation right away. We know some

1 of the recommendations might take a year, two years, three
2 years, or five years to reach a staff position; but some of the
3 recommendations which we can implement immediately.

4 And that was the first objective of A-42: To take
5 those recommendations and put into the revised original NUREG
6 0313, and try to implement those immediately. That was the
7 first objective.

8 Again, it was the objective of the A-42 to identify
9 among all of these recommendations from the study group which
10 items required further study; that we have to establish staff
11 positions. That was indications of those items, the general
12 recommendations in the 0313, Revision One.

13 Now, I guess we could have other groups who could
14 establish NRC's staff positions. But at the moment, we haven't
15 established that group yet.

16 MR. BENDER: I hate to be the devil's advocate here
17 today, but somebody has to be the devil's advocate, and it
18 might as well be me.

19 (Laughter.)

20 MR. BENDER: When I look at what you have talked
21 about doing, the only question that stands out in my mind as
22 being one that needs an answer is: What do we have to do in
23 order to continue to run BWRs?

24 DR. CHENG: Yes.

25 MR. BENDER: I read into what I have been told so far

1 that there are not very many things you can do in the short
2 term. You can inspect more frequently, perhaps. Perhaps you
3 have some method that will detect certain kinds of cracks; and
4 perhaps there are some materials that can be replaced.

5 Now, I don't think there are any other things that
6 can be done in the short term. But I have some difficulty in
7 discerning which of those things need to be done for which
8 reactors, and when. That is what I am trying to find out right
9 now. I don't care about what is going to be done five years
10 from now.

11 DR. CHENG: Those items you just mentioned are all
12 included in Revision One. I will run through that one and see
13 if you agree.

14 MR. BENDER: Go ahead.

15 MR. NOONAN: If I could offer one comment, some of
16 your questions that you are raising right now will be answered
17 by Ron Gamble when he makes his presentation. And then I plan
18 to make a little followup presentation after Ron. So if you
19 could allow us that much time, we will try to answer as best
20 we can.

21 MR. BENDER: I will try to stop asking questions and
22 let you answer the questions I have asked.

23 MR. NOONAN: We will answer to the best of our
24 ability.

25 DR. CHENG: Revision One was printed last Friday and

1 is going out for public comment, for 60 days of public comment,
2 and also requesting the ACRS comment. It hasn't actually gone
3 out yet. It will be published in the Federal Register.

4 (Slide.)

5 DR. CHENG: I guess the question was asked that --
6 Mr. Bender wanted to know if there was anything new in
7 Revision One. He reached the conclusion of perhaps nothing new
8 here; but here I tried to summarize some differences between
9 the original NUREG 0313 and Revision One.

10 The first item there is that Revision One extends
11 to cover the Class 2 piping which was not addressed in the
12 original 0313.

13 The second item includes safe ends, nonconforming
14 safe ends, which was not included in the original 313.

15 The third item is inspection requirements in terms
16 of samplings based on the original old Section 11 code require-
17 ment. For this one, we updated that to the more recent Section
18 11 code requirements.

19 The fourth item is the one you have the problem with:
20 Those areas which require further study. The staff can not
21 come up with implementations.

22 MR. BENDER: Do the first three up there represent
23 enough to satisfy the concerns about BWR pipe cracks?

24 DR. CHENG: Yes.

25 MR. BENDER: Is that what you are saying, Steve?

1 DR. HANAUER: Yes, sir.

2 MR. TOBOTA: It should be made clear that these are
3 the differences between the revision and the original NUREG
4 report.

5 The original NUREG report requires that you use low-
6 carbon stainless steel and you use clad, resistant cladding,
7 when you made repairs. Those requirements are an integral part
8 of the overall NRC fix. If you consider the fact that there
9 were some original requirements that are still in effect, then
10 I think the answer is "yes."

11 MR. BENDER: I want to come back to the in-service
12 inspection sampling, but let's go on.

13 (Slide.)

14 DR. CHENG: Revision One, following the same format
15 as the original 0313, the first item covered is "additional
16 materials," the additional requirements presented in Revision
17 One. In terms of selection of materials, in Revision One, we
18 identified which materials were acceptable to NRC: Ferritic
19 steels, the L grade and nuclear grade stainless steel, stain-
20 less steel CF-3. The rest of the regular grade stainless steel
21 is in its original conditions. In the original 313, I guess,
22 all that is specified here is that the stainless steel with
23 carbon less than .035 percent would be acceptable.

24 We tried to show some difference between -- in the
25 two 313s. There is the .035, the L grade, in the sensitized

1 position. You do not allow it in the fully sensitized position,
2 do you, just the weld; you put a specification of solution-
3 treated on the greater than .035, but on less than .035, you
4 wouldn't want it fully sensitized.

5 MR. ROSSIN: You mean zero sensitization.

6 DR. BERRY: You don't say -- You say on regular
7 grade; you don't say it for less than .035.

8 MR. ROSSIN: You don't necessarily want to have to
9 solution and anneal the low carbon.

10 DR. BERRY: You don't to further sensitize because
11 GE's results show that it's bad.

12 DR. CHENG: The solution anneals.

13 MR. TOBOTA: I think the distinction here is that we
14 would permit welding on the low carbon material but would not
15 permit welding on the regular grade material. So when we say
16 "solution annealed," we mean, "will permit welding."

17 DR. BERRY: But the material itself is heat treated.

18 MR. ROBOTA: Right. The standard spec requires it,
19 in the annealed condition before, in order for it to reach
20 ASME standards.

21 (Slide.)

22 DR. CHENG: The next is testing of materials. This
23 shows the difference between the original 0313 and Revision One.
24 In Revision One we endorsed the ASTM to six tier, which
25 was recommended by the pipe crack study group. But in the

1 original 0313, it is a reference to the Reg Guide 1.44, but
2 was not specified as a requirement.

3 Now, in Revision One, in terms of the service sensi-
4 tive lines --

5 DR. SHEWMON: Would you go back and translate that
6 first item into words that a simple professor can then explain
7 to his students?

8 DR. CHENG: Number 2?

9 MR. BENDER: Here we go again.

10 DR. CHENG: Practices A and E of ASTM A-262 are
11 required for all newly-installed regular grade SS.

12 DR. SHEWMON: The average junior doesn't understand
13 that. What are practices A and E?

14 DR. CHENG: "A" is for residual material, to see if
15 the material is sensitized or not.

16 DR. SHEWMON: It shall not be sensitized as defined
17 by --

18 DR. CHENG: ASMT. "E" is more of the 24-hour test.

19 DR. SHEWMON: Another sensitization test.

20 DR. CHENG: Right. But a 24-hour type of test.
21 That is the way I understand it.

22 DR. SHEWMON: That says it will not be sensitized
23 as defined by these tests.

24 DR. CHENG: That's right.

25 DR. SHEWMON: That is the "as received" material; or

1 is that the welded material?

2 DR. CHENG: If you use the regular grade stainless
3 steel.

4 DR. SHEWMON: We are testing a welded piece of
5 material, or as-received piece of annealed material?

6 DR. CHENG: As-received material.

7 DR. SHEWMON: Thank you.

8 DR. CHENG: Next, on the leak detection requirements,
9 this one is revised to include the requirement, instead of
10 the four hours and the cumulative rate exceeds the tech spec
11 limit, it would be acceptable but here we extend the four hours
12 into 24 hours.

13 In the 24-hour period, if the cumulative leak rate
14 exceeds the tech spec, 2 gpm, instead of the standard test
15 of 5 gpm --

16 MR. BENDER: Can I continue the student's education
17 process? Let's go back to "3" for a minute, because it is a
18 little confusing, too.

19 It says that all service sensitive lines were and
20 will be designated by NRC. And then it says, "examples include
21 the following additional systems." I take it in the original
22 Reg Guide there were a number of examples to be included among
23 others.

24 DR. CHENG: That's right.

25 MR. BENDER: You have added three more?

1 DR. CHENG: Two more.

2 MR. BENDER: All right. Do I infer from this that now
3 you have got them all?

4 (Laughter.)

5 MR. BENDER: Why did you add these two, unless the
6 original list --

7 DR. CHENG: In addition to the original list, we
8 added two more systems into the category of the service sensi-
9 tive lines.

10 MR. STAHLKOPF: The sensitive line is one in which
11 cracking has been found, and cracks were found in both the
12 recirculation lines and reserve pipes of BWRs in Japan; and
13 of course, recirculation inlet, we have already covered this
14 morning.

15 MR. BENDER: This is a list of everything you have
16 found so far?

17 DR. CHENG: A service sensitive line.

18 (Slide.)

19 MR. DANKO: On the first item up there, I am very
20 surprised that you are continuing to specify A-262, Practice
21 A and Practice E. But under an NRC-sponsored program, the
22 electrochemical, potentiokinetic reactivation technique pro-
23 vides for sensitivity exceeding A-262. And that could be
24 misleading, Practice A. I don't see any indication that that
25 particular procedure should be considered before the checking

2/acc

1 of materials.

2 DR. CHENG: EPR --

3 MR. HAZELTON: This is one of the recommendations for
4 follow-on work as soon as we have some standard that we can
5 apply. We would expect to use EPR --

6 DR. MUSCARA: We have finished the development of the
7 EPR test this fiscal year. We have final results and the
8 results will be transmitted in a regional information letter,
9 and the ASTM committees will adopt it. And then the staff --

10 DR. CHENG: At the moment when we issue this -- I put
11 it in a general recommendation category.

12 MR. ROSSIN: You might modify your wording to include,
13 quote, "or equivalent test." That is an absolute requirement
14 if you leave the words that way. It doesn't leave you any
15 for anything better.

16 DR. CHENG: If you read the document, the document
17 did mention some of this on a case-by-case basis.

18 MR. ROSSIN: Let me finish that. Does that mean that
19 those words as they stand now are not the ones in the document?
20 Those are abbreviated for the slide?

21 DR. CHENG: Right.

22 (Slide.)

23 DR. CHENG: This is the augmented in-service inspec-
24 tion requirement for those systems which we classify as the
25 nonconforming system. Then we have two classes. One is the

1 nonconforming service sensitive line and nonconforming, non-
2 service sensitive line. Those are the two requirements of the
3 augmented in-service inspection requirements.

4 For nonconforming and nonservice sensitive line, what
5 we require is the code requirements that they require certain
6 inspections over 10-year periods. We shortened that period
7 to 18 months for the enhancement of more frequent inspection
8 for service sensitive lines, in addition to the original
9 requirement in 313, we have the class 2 piping in this category;
10 also the safe end. This was discussed this morning. It is
11 included in these requirements; in the in-service requirements.

12 So for the operating plant with that kind of con-
13 figuration, the original, for the attachment weld, would be
14 required to augment the in-service inspection under the
15 Revision One requirement.

16
17 1334 171
18
19
20
21
22
23
24

End
Tape 14

1 DR. CHENG: The Class 2 is in revision one, including
2 the attachment welds to the safe end. That is a new require-
3 ment compared to the original 0313. And then there is the
4 nonconforming surface sensitive lines. And we also point out
5 the effectiveness of the Code, the UT procedure, in detecting
6 the IGSCC, and require, if they try to inspect, the ISI will
7 have to use available techniques; not the Code requires, but
8 the UT procedures.

9 MR. BENDER: How good is the improved UT technique?
10 What kind of cracks will it detect and why is that good enough?

11 DR. CHENG: They are using improved from the conven-
12 tional UT technique. You don't stick the base on the Code of
13 the evaluation criteria. The Code requirement is anything
14 exceeding 100 percent has to be evaluated. If we have
15 100 percent, we will be okay. The improved technique,
16 you forget the 100 percent evaluation criteria and anything
17 above the background level you ought to look into to see if
18 that is a crack or not. That is an improvement.

19 MR. BENDER: It is certainly a more stringent test.

20 MR. PITZEL: With all this noise here in the last
21 15 minutes and people leaving, I am confused as to what you
22 are calling nonconforming class two, pressure boundary
23 piping. What is nonconforming piping?

24 DR. CHENG: The regular grade stainless steel
25 piping.

1 MR. PITZEL: You are sanctioning across-the-board
2 total ISI of all Class 2 piping systems for all BWRs; is that
3 what I am hearing?

4 DR. CHENG: If your plant had the Class 2 system,
5 we are requiring augmented inspection for the ten-year period,
6 whatever the Code requires you have to inspect over the ten-year
7 period. That inspection would be complete within an 18-month
8 period.

9 MR. PITZF: What about systems that are ordinarily
10 exempt altogether?

11 DR. CHENG: If they are non-surface sensitive lines,
12 they are not required here; only Code-required inspections for
13 non-service sensitive lines. But if they are service-sentivie,
14 they would be covered here.

15 MR. ROSSIN: It is still not clear.

16 MR. BENDER: Let me get back to the question we were
17 trying to answer a little while ago.

18 MR. NOONAN: I wonder if you'd allow Joe Collins to
19 talk about the UT procedure since he has been involved from
20 the -- what is being done in the field, and what we call
21 better UT procedures. Joe?

22 MR. COLLINS: There are a number of things that
23 have to be taken into consideration in terms of what you call
24 improved techniques. One of them specifically is the Code
25 callibration techniques under which you are required to do

1 specific things in terms of setting of your amplitude curves
2 and evaluating your signals as you see them from the piping
3 conditions, general reflectors and evaluating them.

4 The second thing is, spoken to this morning, is the
5 difficulty in evaluating the different geometrical profiles of
6 the various welds, simply because in the absence of Code
7 standard joint designs, there is a total spectrum of joint
8 designs that one can encounter in these different types of
9 welds. That is from a counterbore of various profiles up to
10 zero counterbore and simply may encounter back ranging in some
11 of your piping systems.

12 In this sense, some of the improvements that EPRI
13 is working on now -- and I don't want to speak for them, but
14 what we are hearing now in the way of improved techniques is
15 some signal processing equipment which the operator of the UT
16 equipment will be able to better discriminate between what is
17 the energy of a reflector coming from a geometrical or boundary
18 condition, or what is actually coming from a crack condition.
19 This discrimination must be made, because one has to make an
20 interpretation, made on the signal-noise ratios based on two
21 factors.

22 One is metal path distances and amplitudes. And
23 those are the only two parameters one has now within the
24 techniques to interpret what they are seeing in the volumetric
25 scanning condition.

1 MR. STAHLKOPF: Do I understand you to mean that you
2 then are going to require that either confirmer or adapting
3 learning type techniques be used for inspections?

4 MR. COLLINS: No. I am saying these are the improve-
5 ments that, as I understand it, are attempting to be made for
6 this type of work.

7 MR. BENDER: What I am trying to get at -- I will
8 try one more time -- is what are we going to require in the
9 short-term. I think the techniques you are talking about are
10 probably good techniques and they probably ultimately will be
11 developed. They are not here yet, as I understand it.

12 MR. STAHLKOPF: They are in prototypical stages. We
13 are not ready to go to the field with them yet. They are not
14 a long way off, but they are within -- I would say they are
15 within a year or less of field evaluation.

16 MR. BENDER: There are two things that need to be
17 sorted out with them: One is whether they in fact discriminate
18 in the right direction and don't hide things you want to find;
19 and secondly, whether they are practical to use. I think we
20 don't know whether either one of those things are true yet.

21 But my question is, we are putting out that require-
22 ment; what does it mean to the people that are trying to use
23 it? It doesn't mean the thing we just talked about.

24 MR. HAZELTON: I would like to say a couple of
25 words, if I could. The staff is doing a lot of things, trying

1 to determine specifically, what shall we tell the guy to do.
2 We didn't come here expecting to say two and a half megahertz
3 at 67-1/2 degrees, et cetera. What I can say is, there is
4 work going on in standards development and actually in DSS.
5 We have contracts with independent people, independent from
6 EPRI, and we have actually three, four reports now dealing
7 with improved UT examination for IGSCC.

8 One of the evaluations of NDE methods for
9 Intergranular Stress Corrosion Cracking in austenetic stainless
10 steel lines, by Reinhart of EG&G, was issued in September '78,
11 and not only went into detail, but it had an Appendix A which
12 was intended as a proposed Code revision that can go in the
13 Code.

14 The NRC people on the relevant Code committees have
15 given this to the Code committee. They have been mulling it
16 for about a year. I think everybody agrees something ought
17 to be done, but it is very difficult to get specifics changed
18 in the Code. I think a lot of them are still kind of waiting
19 around to see what EPRI is going to come up with, to come up
20 with a magic black box.

21 Well, it would be much easier. But the staff is
22 trying to do something to resolve the question.

23 Now, the other thing that I should say is that these
24 improved methods that we are talking about are in general use;
25 I can't say in complete use, but in general use out there in

1 the industry today. They are doing things above and beyond
2 the Code to try to detect and characterize Intergranular
3 Stress Corrosion Cracking. You have to realize that about half
4 a dozen UT firms are doing this. Some of them are using special
5 techniques developed through EPRI programs, using special
6 transducers so developed, et cetera. Others sometimes are not,
7 but using other methods.

8 So we don't feel that the situation is all that bad
9 out there now in the real world. The problem, of course, that
10 we have is that we don't have any requirements for these. We
11 really can't be sure that the best techniques are being used.
12 So we would like to see something in as a requirement. It takes
13 a little time to do this.

14 As you know, we have people from Oak Ridge and
15 Sandia helping us on this, and we didn't expect to go into this
16 kind of detail here today, or perhaps we could have.

17 MR. BENDER: I am not sure I expected you to, either.
18 I think there was -- the issue that we had hoped this NUREG
19 would answer was explicitly what we were doing to resolve the
20 dilemma we are in, in which we are having a recurrence of
21 cracks in stainless steel piping, some of which people are
22 concerned about, and not having a definitive method of inspect-
23 ing for them and being able to tell people that that will keep
24 the plants out of trouble from a safety standpoint.

25 I don't think I heard today anything that told me

1 we have an answer yet.

2 MR. GAMBLE: I would like to make a comment on that.
3 I think we are drifting here.

4 MR. BENDER: I don't think we are, but go ahead.

5 MR. GAMBLE: If we can step back a moment to the pipe
6 crack study group -- and one of the things the pipe crack study
7 group was asked to do was to assess -- one thing we did do was
8 assess the consequence of BWR pipe cracking. Could you operate
9 BWRs today safely, and what did you have to do to do that? The
10 pipe crack study group answered that question. They made
11 analysis, did review, and they came to the conclusion in that
12 report that, yes, we have significant incidence of cracking,
13 but in our evaluation we felt the BWR pipe cracking was not
14 a safety hazard to the public if certain things were done.

15 What happened was A-42 was supposed to take the
16 recommendations, review the recommendations of the pipe crack
17 study group and the conclusions, and come up with a document
18 that implemented that.

19 Now, I think the staff -- as a matter of fact, it
20 says in Revision 2, NUREG-0313, I guess it is, the staff agrees
21 that in fact BWR pipe cracking will not present significant
22 safety hazards or a hazard to the public today. I don't think
23 the staff is saying additional steps have to be taken to get
24 to that point. The staff believes that we are at that point
25 today.

1 A-42 I think makes quite clear, if you do certain
2 things, that you do not have a safety hazard, you do not
3 present a safety hazard to the public with BWR pipe cracking.
4 It outlines the materials that one can use that are acceptable
5 to the staff. It outlines the processes that can be used that
6 are acceptable to the staff. It says what to do if you do not
7 have those materials or processes in your plant, what do you
8 have to do to assure that you have adequate levels of safety.
9 That document outlines all of those things.

10 The long-range things that Warren pointed out do not
11 have to be done to guarantee that we have adequate safety
12 margins for BWRs. Those items, in staff's opinion, should be
13 done to reduce the incidence and increase the reliability of
14 incidence of cracking and to increase the reliability of crack-
15 ing BWRs.

16 We don't like to have leaks coming out of the primary
17 coolant pressure boundary in nuclear reactors. But based on
18 our analyses and everything else, we do not believe, even if
19 those cracks are there, that it is a significant safety hazard
20 to the public. That is our conclusion. We have made that
21 conclusion.

22 DR. SHEWMON: Let me pick up the line for a minute.
23 So the staff has decided what -- why and under what conditions
24 they think BWRs are safe to operate. This A-42 document is
25 not a reg guide, as I understand it; is that right?

1 MR. GAMBLE: That's right, it's not.

2 DR. SHEWMON: So what is the status, if we get right
3 down to what the regulations are, with regard to what instruc-
4 tions the utilities have? Has any letter come out of the task --

5 MR. GAMBLE: I think, as Vince outlined before, what
6 will happen is this particular document is going to go out for
7 public comment for a 60-day period. That will go out for
8 public comment. The revision -- after 60 days, we will take
9 the comments that have been received. We will consider them
10 and either modify or leave the document alone, based on the
11 comments.

12 Then we will take the document. It will be considered
13 completed at that time. Then we will take it, and I think
14 Vince mentioned before, we will send that document out to all
15 of the licensees and applicants for CPs.

16 DR. SHEWMON: This then becomes a reg guide.

17 MR. GAMBLE: We will say, demonstrate that you need
18 this document, or what plan do you have for meeting this
19 document.

20 DR. SHEWMON: We do that instead of writing reg
21 guides. When do we write reg guides and when do we promulgate
22 NUREGs?

23 MR. ROSSIN: They can send us a letter that says,
24 licensee do this or show cause, or whatever.

25 MR. HAZELTON: That is what we did the last time when

1 0313 came out. We sent it out, and then asked each utility
2 what they were doing to implement the staff's positions.
3 Before we got around to finishing the circle on that, we had
4 a new pipe crack study group, and so now we have a new one.
5 But that is our intent, is to send out a letter.

6 DR. SHEWMON: This goes out for comments first.

7 MR. HAZELTON: Yes.

8 DR. SHEWMON: That is probably an improvement.

9 DR. HANAUER: This is scheduled for discussion with
10 the full Committee next Friday at 1:30. But it would be useful
11 to have some of this discussion now. We have managed to add
12 so much -- so many steps to the bureaucratic minuet involved
13 in getting out a reg guide that it now takes two years. It
14 is impossible to contemplate taking two years to get out the
15 document, once having decided that this is an unresolved safety
16 issue.

17 This document therefore has some of the properties
18 of a reg guide and some properties that are not appropriate
19 for a reg guide. In particular it lists requirements, whereas
20 reg guides have only acceptable ways of doing things. This
21 public comment period, however, fulfills the Commission's
22 promise to the public and to the industry that we would not
23 adopt significant new requirements without an opportunity for
24 public comment.

25 Since this and most other resolutions of unresolved

mte 11

1 safety issues do in fact impose new requirements, then, like
2 this one, we anticipate that they will go out for public comment
3 and that the comments will be received and resolved before any
4 final Commission action imposing these comments. However, in
5 some cases -- and this I don't believe is one of them -- the
6 new requirements will have enough urgency that we will begin
7 asking hard questions of licensees and applicants before the
8 final imposition, which has to wait for the public comment
9 and for management, and even in some cases Commission, review
10 of the new requirements.

11 This document is therefore not exactly a reg guide,
12 although it has some of the same characteristics.

13 DR. SHEWMON: Than you.

14 MR. BENDER: I think I would like to make a brief
15 observation about what is going on.

16 DR. SHEWMON: All right.

17 MR. BENDER: I think the argument is being made that
18 BWR pipe cracks are an acceptable condition and probably that
19 is a practical observation. That is, they exist and unless
20 we are really concerned about them, they probably are going to
21 be acceptable.

22 The problem that appears to remain is how to inspect
23 for them and when to decide that they are of concern. My
24 belief is you are asking for more frequent inspection and
25 probably some improved inspection technique. But I will be

1 darned if anybody can tell what you are asking for in this
2 reg guide or from the conversation here. My impression, from
3 what I have learned from the industry people that are here,
4 is they aren't sure either that they know what you are
5 requiring.

6

1334 183

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

e-15

mgcBWH

1 This may be a useful document, but not for
2 regulatory purposes. It is just arm-waving, and I think we
3 ought to do something about it. That is the end of my
4 observation.

5 DR. SHEWMON: Vince, let me ask whether you think
6 we are on status of BWR pipe crack program or in-service
7 inspection of RCPB now.

8 MR. NOONAN: I think we are on both.

9 DR. SHEWMON: If we aren't on the second one, now
10 I rule you out of order, and we will go on. If we are, I
11 will let you talk about whatever you want to talk about.

12 MR. NOONAN: Let me talk one or two minutes here.
13 We kind of got off of the schedule here. I would like Ron
14 Gamble to get up, and I think he could address a lot of
15 Dr. Bender's concerns that he has been expressing here. One
16 thing -- I was going to bring this out later, but the
17 appropriate time is now -- we are in the process of doing
18 two things at the Engineering Branch level. One is at the
19 Division of Operating Reactors level, and that is, we are
20 forming a group -- and I hesitate to call it a pipe study
21 group, a third pipe crack study group --

22 MR. ROSSIN: Don't call it that.

23 MR. NOONAN: I won't call it that.

24 (Laughter.)

25 It is basically a group of people including staff

mgcBWH 1 and consultants which will review integrity of piping in
2 general, primary coolant piping. This group is
3 chartered -- I cannot tell you what it is because it is
4 basically in draft form, and it is going through many
5 revisions -- this group of people would be available to us
6 on an on-call basis to review new problems that crop up,
7 regarding whether it is BWR or PWR piping. It would be
8 available to look at public comments on the NUREG Revision
9 1-0313.

10 It would be available to us to assess any piping
11 problem that we feel is necessary to have a group of experts
12 look at in addition to the staff. That group has been --
13 Mr. Eisenhut has asked me to assemble this letter and
14 formulate this group by the middle of November, so that we
15 can be prepared to address, like I said, the public comments
16 that have come in on NUREG-0313 plus any other piping
17 problems that might formulate.

18 I can see the group being about four or five staff
19 members, plus maybe about four or five consultants. The
20 only consultant right now that has been contacted officially
21 has been Dr. Bush, who has agreed to serve on this. The
22 only other name I haven't talked to but am willing to
23 formulate a name is Dr. Weeks. Those are two of the
24 possible consultants that would help us.

25 This group, again, would be available to us to

mac3WH 1 answer any questions regarding piping, whether on BWR or PWR
2 piping.

3 One other statement regarding another subject on
4 the steam generators. I am in the process of formulating a
5 Branch Review Group at the Branch level to look at problems
6 that we are now encountering on our steam generators --
7 leaking tubes, ruptured tubes, et cetera. This group I
8 anticipate to be myself and my three Section Leaders,
9 basically to look at each problem and then to determine what
10 kind of manpower one would extend -- whether it is a
11 materials problem, a mechanical problem, or corrosion
12 problem or whatever.

13 We would then look at this on a weekly basis.

14 DR. SHEWMON: Let's come back. You know who you
15 want to get up here this afternoon, and I think we probably
16 have taken up most of Simon's time with our questions.
17 There are five or six more pages here. Where do we go now?

18 MR. NOONAN: Let Si finish the one.

19 (Slide.)

20 Tobota will talk about our problems with the
21 stagnated lines.

22 DR. CHENG: The last item is on the
23 implementation. This will be covered in the Class 2 piping
24 system. That is the only difference from the original
25 0313. The general recommendation has already been covered.

mgcBnd 1 DR. SHEMMON: Thank you.

2 MR. GAMBLE: Let me just make one more comment
3 about safety significance. Let me make a general comment
4 about safety significance in the pipe study group.

5 The results of the pipe crack study group really
6 define what we thought about cracking incidents and what had
7 to be done about them. And to briefly summarize, I want to
8 say that the pipe crack study group felt that undesirable
9 BWR pipe cracking, as we knew it and as we know it now, does
10 not present a significant safety hazard to the public. We
11 still believe that. NUREG -- Revision 1 of 0313, we
12 indicate things that have to be done to maintain that
13 division for operating plants, for plants under
14 construction, for plants applying for CP.

15 Those things are done, and those are indicated in
16 the first part of the report. Those are the things that we
17 are implementing or will try to implement in a very short
18 period of time after the public comment period is over, and
19 we have resolved any comments we have received.

20 As I mentioned before, there are maybe ten long
21 term issues that are identified in the latter part of the
22 report which made very clear in the report that the NRC
23 staff does not feel that these have to be done because they
24 are necessary for safety, but that it is desirable to reduce
25 even further the incidence of pipe cracking in BWRs. We

mgcBWH

1 just don't like leaky pipes or significant cracks in the
2 coolant boundary of nuclear reactors. That is why we are
3 suggesting that the long term items be implemented.

4 We feel we are in a safe position now. We don't
5 think we have to implement those long term things to get
6 there. We feel we are there now.

7 With that little summary, I will go on.

8 (Slide.)

9 I want to present our fracture mechanics piping
10 integrity program that we have. These are the main elements
11 of our program. These are the highlights. I just want to
12 touch on the highlights; I won't really talk in detail about
13 any of these.

14 I also want to point out that this is not
15 all-inclusive. There are additional programs within the NRC
16 on fracture mechanics piping integrity. They don't
17 necessarily fit into the scheme of things. We hope to have
18 these things completed within 19 or 24 months. Some of the
19 things that are going on within NRC and within industry are
20 longer term than that, so we are having the program to
21 develop evaluation methods and licensing criteria in that
22 time frame.

23 This will be our basic approach. Just very
24 briefly before I get into some details, this is assessment
25 of integrity evaluation methods. There are various

mgcBWH

1 methods -- linear elastic fracture mechanics, limit load
2 analyses. This was an assessment that the NRC is in the
3 process of doing. I think the conclusion is set of which
4 one of these particular methods should be used by the NRC
5 for evaluation and licensing criteria.

6 We have already made our decision, and I will
7 point that out later. The second aspect, of course, is a
8 review evaluation and integration of industry programs --
9 not only the programs you have heard today this morning
10 sponsored by EPRI and General Electric, but also specific
11 analyses which have been done for specific problems such as
12 asymmetric blowdown loads, LOCA blowdown, and others. This
13 is across the board on light water reactors -- not only
14 boiling water reactors, but also pressurized water reactors.
15 Our program is for light water reactors, not just boiling
16 water reactors.

17 The third aspect is application of elastic plastic
18 analysis methods. One that is described in the pipe group
19 study analysis for BWR and pipe cracking. That was one of
20 the things that we used to make the judgment that there was
21 no safety hazard associated with BWR pipe cracking. The
22 second aspect of this is the generic application for light
23 water reactors.

24 The fourth aspect is licensing criteria
25 development, and then the fifth one is something very

mgcBWH 1 recent — full scale verification of light water reactor
2 piping integrity. This is a program that we are asking
3 Research to initiate for us.

4 I am not going to talk about the first two. I
5 think they are straightforward. There is really nothing to
6 be said that hasn't been said. I will talk about the last
7 three items.

8 Application of elastic plastic fracture mechanics
9 analysis, just very briefly, we have already applied elastic
10 plastic fracture mechanics analysis in the pipe crack study
11 group. It was the first time we did something like that.
12 In that particular instance, we analyzed what I called the
13 Duane Arnold pipe flaw. You would take any pipe of any
14 diameter — it doesn't have a ten-inch line like Duane
15 Arnold. It is a pipe that has 270 degrees part-through
16 crack three quarters of the way through the wall, 90 degree
17 segment that is through the wall. That is typically what is
18 found at Duane Arnold, and that is what our analysis was
19 based on.

20 We considered axial bending loads, bending or
21 large loads, assuming you had something like a small
22 earthquake load. The conclusion of the analysis was that
23 the pipe must be longer than 200 feet in order to have what
24 we would call rupture before burst. That is a very long
25 length. BWRs typically have pipes in order of magnitude

POOR ORIGINAL

mgc3WH

1 less than that. That is the main basis we used for drawing
2 the conclusion that cracking incidents even as bad as you
3 saw at Duane Arnold and even with earthquake loads do not
4 present a safety hazard. You are just not going to have
5 burst conditions. You will have leak before burst generic
6 applications.

7 We are in the process of doing that now. We have
8 some technical assistance programs to the tearing stability
9 analyses for flaw and load conditions. We complete these
10 analyses; we use this as the basis for evaluating flaws in
11 operating reactors and also for development of a licensing
12 criteria for operating at new plants.

13 MR. BENDER: Before you take that off, one
14 question about the Duane Arnold analysis. Presumably the
15 loads that are used were some that were either typical of
16 Duane Arnold or some bracketing load. What did you do?

17 MR. GAMBLE: It was a bounding load. It is one
18 part of the analysis that there is a gap in. It was
19 difficult for us to assess, because unless you go ahead and
20 do a very detailed analysis of the loads that might be
21 applied, we couldn't define the actually applied loads.
22 What we did was, we said, let's assume that we have a
23 bending load, a small earthquake bending load. We will use
24 the maximum allowable stress that the code would allow if
25 you were designing the plant.

1334 191

mgcBWH

1 We kind of back calculated, and we found out, if
2 you in fact had a load that large, that the deflections in
3 piping systems would be such that you would destroy most of
4 the unflawed pipe anyway. So we said the bounding condition
5 is such that flaws -- you just have yourself a tremendous
6 problem. That was the way we looked at it. We tried to
7 bound it that way.

8 It was difficult to do because we did not have
9 specific analyses for the earthquake. We tried to use a
10 bounding load by the code allowable.

11 One reason we are continuing to do this is, we
12 think we have a very conservative analysis. We think that
13 this, again, is another indication that you don't have a
14 problem, but we would like to pin it down numerically better
15 than we have done. That was a rather quick analysis.

16 (Slide.)

17 Let me just outline what the elements of our
18 licensing criteria development are right now. Again, this
19 is something that is under development. It isn't really
20 finished yet and won't be, probably, for another 12 to 18
21 months. I will just outline the approach.

22 The approach we are using is deterministic
23 analysis. There are people who are trained to do
24 probability analysis. We are not trying to do that. We
25 don't think we can be successful doing that. Our goal is

mgc3WH

1 to have something in the 12 to 18 month time frame. The
2 second is, we are using J-integral analysis, which is one of
3 the elastic plastic methods available.

4 The failure criterion that is associated with that
5 particular method is tearing stability. These particular
6 assumptions -- and this particular methods is the same
7 method using in the pipe crack study group report. A
8 detailed analysis is presented in NUREG-0838. If you want
9 more detail on the analysis, you can look in those reports.

10 Right now, we are assuming, because we don't
11 believe -- we don't believe that you will be able to say in
12 the immediate future that you won't have throughwall flaws
13 in piping. One of the things you have to do is to show
14 they can tolerate a large throughwall flaw. They will
15 postulate large flaws, large enough so we don't have to
16 worry about fatigue analysis for the event.

17 Whatever safety factors we end up using will be
18 determined by frequency of event. In other words, if we
19 have small earthquakes, that would have a safety factor
20 associated with it. And that would be larger than some
21 large earthquake that has lower probability. So we will
22 take frequency of event into account somehow.

23 (Slide.)

24 The last item is something that we have done in
25 the last six weeks or so. There had been questions about

mgcBWH

1 load carrying capability of field degraded pipe. To gain
2 increased confidence in the analyses that we have done, we
3 wanted to actually do full-scale verification of piping
4 integrity. Again, this is not just BWRs; it is also light
5 water reactors.

6 The first thing we hope to do is measure load
7 carrying capability of field degraded pipe.

8 MR. ROSSIN: What do you mean by field degraded
9 pipe?

10 MR. GAMBLE: We are talking -- on Item 3, we are
11 talking about taking the remaining Inconel safe-ends and
12 testing those in some manner, using bending and axial loads
13 which would simulate normal operating conditions and
14 transient event loadings, earthquakes, and also ferritic
15 piping if we can get our hands on it, cracked ferritic
16 piping in the pressurized water reactors. We want to
17 actually take feedwater, cracked pipes, and the Duane Arnold
18 safe-ends and test those.

19 DR. CORTEN: Will they have specific degradation
20 crack sizes?

21 MR. GAMBLE: We know what Duane Arnold looks
22 like. Basically, it looks something like this.

23 (Slide.)

24 This is a 90 degree throughwall segment. There is
25 a crack segment that goes the rest of the way around the

mgcBWH

1 circumference. That is approximately three quarters of the
2 way through. Of course, that varies in the real pipe. It
3 is anywhere from 25 percent to three quarters of the way
4 through the wall.

5 We know in the Duane Arnold case that the real
6 cracks were something like these illustrated here.

7 DR. CORTEN: But will you know in each case what
8 you are dealing with?

9 MR. GAMBLE: Yes.

10 MR. BENDER: Just like you did in Duane Arnold.

11 MR. GAMBLE: Exactly.

12 MR. BENDER: Well, then, answer his question.

13 MR. GAMBLE: We know what Duane Arnold looks like,
14 because several of these have been cut open. The other
15 thing we will do is try to do NDE of each section that we
16 test beforehand to get some indication of what the crack
17 looks like beforehand.

18 (Slide.)

19 The purpose of the program is verification of the
20 tearing stability and analytical method, and we propose to
21 continue to use --

22 DR. CORTEN: That assumes you know what the flaw
23 is.

24 MR. GAMBLE: Yes.

25 DR. SHEWMON: The Duane Arnold pipe crack, if it

mgcBWH 1 had been halfway through, then how would — if you keep
2 increasing the 270 degree part, how far can you go before
3 you get in trouble?

4 MR. GAMBLE: If you are going to develop a
5 criterion, you have to make that judgment. You are going to
6 have to make an assumption on what kind of flaw you are
7 going to postulate. And you are going to try to prove,
8 based on the postulated flaw, that you can in fact maintain
9 leak before burst.

10 For stainless steel or any other material, I can
11 always postulate a flaw in a loading condition where I won't
12 have leak before burst. So now if you are asking me if I am
13 going to postulate a Duane Arnold type flaw that didn't
14 leak, that was 360 degrees around the circumference and was
15 totally symmetrical and that flaw grew out to 99 percent of
16 the wall thickness and I didn't find it, and you are going
17 to ask me, will I get burst conditions in stainless steel,
18 my answer is yes because you made me postulate that flaw.

19 DR. SHEWMON: I didn't; you did.

20 (Laughter.)

21 MR. GAMBLE: So I postulate it. Under that
22 condition, there is no way that you can demonstrate leak
23 before burst, and you ought to do something then to admit
24 you are going to have it.

25 DR. SHEWMON: Vince, do you have a copy of the

mgcBNH 1 agenda for today?

2 MR. NOONAN: Yes.

3 DR. SHEWMON: Would you get one in front of you.

4 This is interesting, but I have no understanding of how it
5 fits into the agenda. Would you enlighten me?

6 MR. NOONAN: We are talking about, under Part II,
7 the status of the pipe crack program. We kind of got a
8 little bit off the track when Si was up there, and we got
9 into the in-service inspection program, but Ron is basically
10 addressing Part II of the agenda.

11 DR. SHEWMON: Okay.

12 MR. GAMBLE: Well the way Part II was explained to
13 us, it was the significance of cracking.

14 DR. SHEWMON: Do we have more on Part II before we
15 get to Part III?

16 MR. NOONAN: We are basically done with Ron's
17 presentation in Part II.

18 MR. BENDER: May I comment?

19 DR. SHEWMON: Yes.

20 MR. BENDER: If I understand correctly, what you
21 are saying is, your analysis has shown that it isn't
22 important to inspect for these cracks from the standpoint of
23 public safety because you will get leaks before the crack
24 propagates catastrophically .

25

J1BWH 1 MR. GAMBLE: It is important to inspect, and in
2 the pipe crack study report we require inspections to be
3 done.

4 MR. BENDER: Why is it important to inspect if the
5 analysis shows you will get a leak before the crack
6 propagates?

7 MR. GAMBLE: It is likely that pipes are going to
8 leak before we have a crack that extends uniformly, 360
9 degrees around.

10 MR. BENDER: I think we all agree with that, and
11 Duane Arnold showed it, as a matter of fact. But I think
12 what I am trying to get it is if you think it is important
13 to find the cracks before the leak occurs --

14 MR. GAMBLE: No, I didn't say that. We thought --
15 it is always important to find the crack as soon as you
16 can. It is not essential that we find all cracks before we
17 have a leak. I don't think we said, and I don't think we
18 mean that. It is a question --

19 MR. BENDER: Somewhere along the way you have to
20 tell us what your criteria are for deciding when your crack
21 detection capability is adequate. That is really what we
22 are trying to find out. The analytical argument is very
23 good and very useful. It tells us something about what the
24 risk is.

25 MR. GAMBLE: You are saying -- are you looking for

JLB/H

1 a statement by the staff that says if you can detect a flaw,
2 let's pick a number, 25 percent through the wall -- you can
3 detect a flaw before it gets 25 percent through wall, that
4 that is acceptable to the staff; is that the type --

5 MR. BENDER: That's a kind of thing that I think
6 anybody would like to have, so people who are doing
7 inspecting know what to shoot for.

8 MR. GAMBLE: I will make a comment on that, and
9 maybe somebody else can address it. But in the pipe crack
10 study group the conclusion of the pipe crack study group was
11 that the methods -- I can't tell you what methods were being
12 used out there today, but the methods that were being used
13 today for in-service inspection of stainless steel piping --
14 it was felt -- and I don't remember the number, Warren; was
15 it something like 20 percent, that cracks that were
16 20 percent, whatever that number was; it was not greater
17 20 percent -- that cracks, 20 percent let's say, could be
18 reliably detected by UT methods today.

19 The conclusion of pipe crack study group was that
20 that was adequate. I think your question has been
21 addressed. It may not have been addressed explicitly in
22 this document, but it is in the pipe crack study group
23 definitely.

24 MR. BENDER: I am looking for it -- it's addressed
25 as it relates to the particular tasks that we were trying to

POOR ORIGINAL

JLB:WH

1 resolve.

2 MR. GAMBLE: That document does not pick up and
3 make a statement that the staff feels the UT methods you use
4 have to do that. The pipe crack study group made a
5 statement that if felt they -- they thought our consultant's
6 evaluation and staff evaluation that current methods could
7 reliably detect flaws of that size.

8 MR. BENDER: It wouldn't be unreasonable for us to
9 expect as a result of this meeting the staff will come back
10 and tell us what it thinks an acceptable sensitivity
11 capability for the inspection technique is and which
12 technique meet that requirement so we know what you are
13 really asking for.

14 MR. GAMBLE: I think the staff is going to address
15 those questions. I don't think you are going to get that
16 answer back in a few weeks though.

17 MR. BENDER: I don't know when I am going to get
18 it back. We have got a letter from Mr. Denton that says
19 you are working on it.

20 MR. NOONAN: If I could address that, when the
21 0313 is out for public comment, which is the next 60 days,
22 we will take all of those comments. We would like to
23 receive those types of questions.

24 In addition, what I will do, I will go through the
25 transcript of today.

1334 200

JLB/H

1 Any questions -- if we haven't satisfactorily
2 answered, and I think there are quite a few, we will make an
3 attempt to answer them.

4 MR. BENDER: I think I have made my questions
5 amply clear. I don't need to ask them again.

6 DR. SHEMMON: Let me bring up one other point on
7 this. And I backed you into an untenable situation with
8 regard to the zero wall, 360 degree break a minute ago.
9 What you have addressed, as one research man to another, is
10 a set only of stability criteria.

11 It would seem to me if you were going to look into
12 that and convince yourself that reactors were safe, I would
13 be a little bit happier if you would look at some of the
14 criteria which -- or phenomena which give rise to 180 versus
15 360 degree and see if indeed you can begin to eliminate some
16 of the things that give rise to the 360 degree crack
17 phenomena.

18 I am convinced that the stresses don't end up that
19 way. The crevices do sometimes.

20 MR. GAMBLE: I agree. But what we are trying to
21 do in developing the licensing criteria -- that is based on
22 resistance to flaws, is not not different from what we have
23 done in reactor vessels. I think people feel today, with
24 justified confidence, that they can build reactor vessels
25 without flaws that are two inches deep. But yet we make

POOR ORIGINAL

1334 201

JLB:MH 1 make people who postulate flaws that are two inches deep to
2 establish a certain margin against the flaw-induced
3 fracture.

4 That is the same kind of approach that we are
5 taking here. We are postulating large size flaws, but not
6 because we don't anticipate that the incidence of cracking
7 is going to be reduced and we won't have those anymore.

8 DR. SHEWMON: Look at what your CE/GP friends are
9 doing. I think they have a more interesting program in that
10 regard.

11 MR. NOONAN: We can continue on to the TMI-1
12 borated pipelines.

13 MR. HAZLETON: I have one slide on the in-service
14 inspection. This is included in NUREG-0313. And basically
15 what are we doing about the Duane Arnold syndrome?

16 DR. SHEWMON: Is in-service inspection all it
17 should be? You can call it after-post Duane Arnold if you
18 want to, or have we changed anything since?

19 MR. HAZLETON: The only thing that is different
20 about Duane Arnold was that the weld that cracked didn't go
21 all the way through the pressure boundary. It was inside,
22 and there was a crack starting from that weld, so the
23 question has been, when we have a situation like that, what
24 are we going to do about it regarding in-service inspection,
25 because that weld is not required to be inspected?

J18:WH

1 So 313 has addressed that, and essentially here is
2 the story.

POOR ORIGINAL

3 (Slide.)

4 It might need a little bit of interpretation,
5 augmented ISI of all internal attachment welds at safe ends
6 that are not throughwall welds, but are welded to form part
7 of the pressure boundary. Augmented ISI -- Brunswick 1 and
8 2 internal attachment welds, that has been done.

9 (Slide.)

10 There is a Duane Arnold type 1-A. The crack went
11 through from this weld. Where is the Brunswick, the 1-B?
12 It is the same kind of a thing, the same little capillary
13 crevice here. And to really differentiate, here is another
14 type where you have a weld to the pressure boundary, but not
15 through it, where you have an annulus, not really a crevice.

16 And here is another type, called the tuning fork
17 type, where this weld is way out here. And this is a solid
18 piece of metal, so this weld is not to the pressure boundary
19 part of that.

20 DR. SHEWMON: This is all internal attachments at
21 safe ends. It does not cover internal attachments anyplace
22 else.

23 MR. HAZLETON: That's right.

24 DR. SHEWMON: All right.

25 MR. HAZLETON: And there is -- let's see,

1334 203

j1BNH 1 essentially what 313 says is that if you have a crevice
2 there, you have to consider it a service sensitive area.
3 And it throws the in-service inspection into the category of
4 service sensitive components.

5 If you don't have a crevice there, then it puts it
6 into the category of welds that you must inspect in
7 accordance with the normal augmented ISI program. So it is
8 addressing those. Welds of that nature must be inspected;
9 that is covered in 0313.

10 DR. SHEWMON: Good.

11 Why don't we take a 10-minute break since we are
12 -- the schedule calls for one at 3:00. Then we will come
13 back.

14 (Recess.)

15 DR. SHEWMON: Can we come to order?

16 What I would like to do at this point -- I think
17 in view of where we are in our schedule, or aren't -- is to
18 skip the borated lines item in the feedwater cracking
19 situation. As I see those, those are -- I am tempted to say
20 benign. That is probably not a good choice of words, but
21 they are problems we don't have a complete answer on, but
22 are getting words, and they probably won't cause us great
23 embarrassment in the interim.

24 So why don't we pass on down to the tech specs on
25 control of water chemistry.

POOR ORIGINAL

J18WH

1 By way of background -- or at least my perception
2 of this, the staff has recently moved to take tech specs on
3 secondary water chemistry or the control of what secondary
4 water chemistry out of the tech specs, because trying to set
5 the general tech specs here has been particularly -- at
6 least irritating, and maybe counterproductive with regard to
7 the utility's operation of the reactor.

8 My particular concern is that its impurities in
9 the secondary feedwater, which has given rise to the trouble
10 in steam generators, or at least they are a major
11 contributing factor here, and I would like to be assured
12 that the staff indeed has a fair idea of what they are doing
13 to put in its place and that they have some assurance that
14 we are likely to end up chewing up steam generators at least
15 no faster with their new procedures than we did with the
16 old, and hopefully might evolve into procedures that would
17 make steam generators last a little bit longer.

18 MR. NOONAN: Dr. Weeks is here to address
19 generically the technical specifications of water
20 chemistry. I will let him go ahead and start the
21 presentation.

22 DR. SHEWMON: As I understand it, you people will
23 decide whether or not the new procedures which were sent in
24 to you are acceptable?

25 MR. NOONAN: On the secondary side? Yes.

1334 205

J1BWH

1 DR. SHEWMON: You will tell us what criteria you
2 are going to use before you quit? Will John speak on that?

3 MR. WEEKS: No, I am not going to speak on that.

4 MR. NOONAN: We will address that.

5 MR. WEEKS: I have prepared a very brief -- where
6 is the pointer -- I am John Weeks of Brookhaven Laboratory.

7 I have prepared a brief discussion of the
8 situation, Paul, the idea being what is the problem
9 associated with tech specs? Why do I think perhaps at this
10 state we shouldn't have it?

11 The possible technical specifications you might
12 conceive on the secondary coolant in a PWR relate to the pH
13 of the coolant; it's conductivity, which can be correlated
14 to the in-leakage of imperatives; oxygen, which can be a
15 promoter of corrosion or stress corrosion cracking of
16 various materials; and chloride.

17 The question that one comes up with was: What are
18 the problems associated with this? How low should we make
19 these things? How low can we make these things?

20 If you make a tech spec for chloride sufficiently
21 low that you have reasonable assurance there won't be any
22 onset of denting or stress corrosion cracking, you are
23 probably kidding yourself for the very simple reason there
24 are concentration factors in the steam generator of greater
25 than 10 to the 4th possible, and in very secluded regions.

JLB:WH 1 And I don't think of the steam generator designs in vogue
2 today -- exclude such areas.

3 Therefore, if one wants to set a meaningful
4 technical specification that has a basis in fact that you
5 can't get -- that the chloride never gets above that, you
6 won't have any problems. I think we are kidding ourselves.

7 Then we have the question of if there is an
8 excursion in one or more of these things, what is the best
9 thing to do about it? Does it make sense always to shut the
10 plant down?

11 Admittedly, if there is a harmful impurity that we
12 think might be hiding out in a crevice, then reducing the
13 power level at least is one way of flushing it out, one way
14 of flushing it out of that crevice.

15 But other excursions that one might make, can
16 conceive of, might be better -- to keep the plant running
17 while correcting the situation in the condensor.

18 Therefore, one comes up with the conclusion that
19 it is not necessarily practical to do it at the present
20 time.

21 (Slide.)

22 This is the fourth one in that package. This
23 should have been my first one. I wanted to review briefly
24 the history of the various machinations that have been going
25 on regarding the need for technical specifications.

JLBWH 1 You will recall the early PWR steam generators
2 adopted the model treatment when they had in-leakage of
3 impurities. That was at an in-land plant, Beznau.

4 The vogue then switched to the low
5 phosphate treatment. It was carefully controlled. At least
6 at some units -- and Ginna is one of the better examples in
7 this country -- it was possible to avoid stress corrosion
8 and to avoid wastage with a very careful control.

9 However, quite frequently, for one reason or
10 another, particularly if there was a small leak in a tube --
11 crevice, as happened at Robinson, the utility was concerned
12 about radioactivity getting into the lake. So they sealed
13 blowdown and allowed the phosphate chemistry to go wild.

14 It was suggested -- and I wrote such a memorandum
15 about six and a half or seven years ago, suggesting that
16 perhaps a technical specification based on the low phosphate
17 treatment might in fact be a way out of the problem. Such a
18 specification was actually drafted, and I believe it is
19 still in vogue at Robinson.

20 I think the representative of Carolina Power &
21 Light left, but because of the problem they went to a higher
22 phosphate. Going to the high phosphate eliminated the
23 swings do to condensor leakage that helped with the stress
24 corrosion but led to wastage. Then there was a conversion
25 to AVT, which is the process of the conversion, caustics

JLBWH

1 developed into units, more stress conversion. There was
2 some continued wastage staying on AVT, or plants started on
3 it had denting and some stress corrosion cracking of the
4 piping.

5 So it certainly seems that in a technical
6 specification one might have written this year, this year,
7 this year would be definitely counterproductive because
8 it gets into a portion of the plant's license. This is a
9 learning process; it may be almost a learning -- tragic
10 learning process we have been going through in this area,
11 but based on which it seems rather unlikely that any
12 technical specification we could write today -- and I have
13 an example; this is on my third viewgraph.

14 (Slide.)

15 This comes from the testimony of Ray MacCary at
16 the Prairie Island hearings. And I believe this is -- if
17 you notice, Prairie Island technical specifications are the
18 pits. I think we need some humor at that time in the
19 afternoon.

20 (Laughter.)

21 They talked about primarily controls on the -- in
22 the cation and in the condensate, the pH and the blowdown,
23 and the hydroxide in the blowdown. These were recommended
24 at those years; I believe, I am not certain, that they are
25 still in vogue at Prairie Island. Prairie Island has not

JLB:HR
1 had any denting. It has not had an wastage. It has not had
2 any stress corrosion cracking that I know of to date. It
3 also is on a fresh water plant, does not have any copper
4 alloys in the feedwater train, which is one of the
5 contributors to denting.

6 The use of these technical specifications on a
7 universal basis may not make sense. The fact that they were
8 in vogue at Prairie Island at one time may not be the reason
9 why Prairie Island has avoided difficulties.

10 (Slide.)

11 Finally, if we look at what the cause are of the
12 principal problems that have developed in the steam
13 generators, the cause of the denting is chloride
14 in-leakage. This can be reduced or minimized by technical
15 specifications. But, as I said earlier, I question that it
16 can be reduced enough to be meaningful. A low pH swing,
17 associated with chloride -- this has happened at the
18 seawater plant in the presence of the copper or nickel ions.

19 If we have a seawater-cooled condensor, if any
20 leakage at all occurs, chloride and low pH will come in, and
21 there is a copper feedwater tubing, it may be impossible to
22 set a water specification that will totally prevent, in my
23 opinion, denting developing at some time in the course of
24 the operation of that plant.

25 1334 210

POOR ORIGINAL

1 I think that is all I have to say on the subject.
2 The point I am trying to make is it would be awfully nice if
3 we were smart enough with the existing plants that we have
4 and the combinations of material and alternate cooling
5 water, that we have at these plants, we could invent some
6 plant-specific technical specifications on secondary water
7 that would minimize the probability of difficulties
8 developing in the steam generator. I personally think that
9 if it is written as a tech spec, unless it is tight enough
10 to prevent the problem, it is meaningless. Then if it is
11 that tight, I don't think the utility can live with it,
12 simply because there are always slight excursions of one
13 type or another.

14 DR. SHEWMON: Thank you. I guess my question to
15 you, Vince, is -- okay, the old procedure wasn't perfect.
16 What evidence do we have that your new procedure won't be
17 meaningless, to use the phrase John used? Or are you giving
18 up and saying, "Gee, whiz. Utilities lose a lot of money
19 when they have to burn up all of those workers and replace
20 the steam generator, and that is motivation enough for them
21 to worry about it," or what?

22 MR. NOONAN: I would like to have Dr. Almeter
23 address that. He was in on our decision to take off the --
24 recommend taking off the tech specs on the secondary water
25 chemistry. Frank has a lot of background in that area.

kapBWH 1 Frank? Would you take the stand?

2 DR. ALMETER: If you would restate your question
3 again.

4 DR. SHEWMON: What are you going to put in place
5 of this thing? What basis do you have for thinking it is
6 going to be an improvement, or have you quit trying?

7 You figure there is enough motivation for the
8 utilities to worry about it, and you are going to let them
9 chew up steam generators whenever they feel it is
10 economically -- or whatever, useful?

11 DR. ALMETER: I don't know.

12 (Laughter.)

13 I would start with the last statement. I don't
14 think we will let them chew up steam generators.

15 DR. SHEWMON: Are you going to try to inhibit
16 them?

17 DR. ALMETER: Yes.

18 DR. SHEWMON: How?

19 DR. ALMETER: I would like to start out -- one of
20 the reasons I think John Weeks has pointed out -- the events
21 that led up to certain requirements for water chemistry, we
22 did impose a similar tech spec that was proposed for Prairie
23 Island on one plant. That was Beaver Valley. That was a
24 new plant starting out, and it turned out that they were
25 having very much difficulty in starting up. They couldn't

KapBWH

1 get out of hot shutdown on this type of specification. It
2 was loose enough, but they were basically holding to the
3 NSSS requirements. During the startup period, we were
4 noticing that they were running into conductivity mode of
5 something like 50 micromodes. It took along about two
6 months to bring it down to 25 micromodes. They were
7 operating in this range and still were not out of hot
8 shutdown. We had to revise and we -- on our initial
9 requirements we let down about two micromodes, to about
10 15, in order for them to get into an operating condition.
11 This was a condition -- we realized we were going to have to
12 redo this on every new plant during startup.

13 DR. SHEWMON: You aren't speaking to my question.
14 You are bringing out your violin about how bad the old
15 procedure was.

16 DR. ALMETER: Yes, realize that these were in a
17 mode or a condition where they would have to report a
18 licensee event report. It did not cure the problem of what
19 they were having. That was a mode where they could not get
20 out of this condition of even keeping within tech specs.
21 Then realize that the number of shutdowns they would have to
22 do -- there was an EPRI report that showed that every time
23 they shut down, they would deposit frozen product into the
24 generator; in other words, they were not keeping a mass
25 balance every time they shut down.

1334 213

kapBWH

1 They could not keep a mass balance because of
2 this. They didn't allow adequate blowdown in this
3 mode. Then we learned that any tech spec that we would
4 require on the secondary side may affect the steam purity
5 factor, or eventually the turbine. So if we require a low
6 chloride, perhaps .5, which did not show --

7 DR. SHEWMON: When are you going to answer my
8 question, Frank? Come on.

9 DR. ALMETER: We are going to ask the utility to
10 set up a monitoring program to make sure that he is
11 monitoring this water chemistry. And we have asked --

12 DR. SHEWMON: Is that different? You didn't have
13 to have a monitoring program before?

14 DR. ALMETER: That's right, we never had a
15 monitoring program. We had a requirement that was a review
16 plan, a standard review plan, that would ask them to look at
17 certain parameters, but there was never a requirement that
18 he had to monitor this. That is why it came up as a
19 technical specification.

20 We introduced the technical specification. So
21 now, we are asking him to monitor this secondary water and
22 put this as a licensing condition.

23 DR. SHEWMON: Do you have a monitoring program in
24 for Surry-2 yet?

25 MR. NOONAN: No.

BWH

1 DR. ALMETER: Yes, we have a list of plants that
2 responded to our request, that was sent out last fall.

3 DR. SHEWMON: Can you put it up so the rest of us
4 can see it?

5 DR. ALMETER: I don't have a slide. I can read it
6 off. It is very short. There are about a dozen plants that
7 responded so far. Some of them have rejected our licensing
8 conditions. Two of these, so far, are Connecticut Yankee
9 and Millstone Unit 2.

10 The facilities that have adopted or accepted our
11 monitoring requirements are Arkansas Unit 2; Beaver Valley
12 Unit 1; Braidwood Units 1 and 2; Byron Units 1 and 2;
13 Farley 1 and 2; Maine Yankee; North Anna Units 1 and 2;
14 Rancho Seco Unit 1; H.B. Robinson Unit 2; Three Mile
15 Island Unit 1; San Onofre Unit 1; Surry Unit 1 and 2;
16 Yankee-Rowe and Midland.

17 Now, Midland, North Anna and Byron and Braidwood
18 are still in their licensing procedure at the moment. They
19 have not been turned over to the operating reactors
20 division. I have tried to collect kind of a head count of
21 those that feel, Yes, they realize that they need a
22 monitoring program, they will accept our licensing
23 condition.

24 DR. SHEWMON: So they give you a monitoring
25 program, so what?

1334 215

kapBWH

1 DR. ALMETER: They have sent those in for our
2 review and we are in that process, reviewing each one of
3 these.

4 DR. SHEWMON: What are you looking for?

5 DR. ALMETER: I am looking for a program that will
6 monitor condenser in-leakage, a program that will monitor
7 the feedwater control, as whatever their plant procedures
8 require --

9 DR. SHEWMON: Let's say Surry-2, which happens to
10 hold a track record for chewing up steam generators,
11 currently, hands down, isn't taking part in the EPRI steam
12 generator study group, so it is not sure where they are
13 getting their wisdom on how they should do this. What are
14 you going to use for criteria? Let's say they monitor it,
15 they have procedures of what they did before, but they meet
16 all of your requirements; don't they?

17 DR. ALMETER: Not necessarily. They never laid
18 out a program.

19 DR. SHEWMON: You say they have agreed to whatever
20 you asked them to do.

21 DR. ALMETER: But we never saw the program before,
22 of what they were doing.

23 DR. SHEWMON: What are you going to do now? What
24 are your criteria?

25 DR. ALMETER: We are reviewing their program and

kapBWH

1 what they plan to do in control on their secondary water.
2 If that is going back and keeping a tighter condenser, if
3 they have installed demineralizers, and if they are
4 actually doing some program as far as administratively to
5 control - if they do run into a problem -

6 DR. SHEWMON: A minute ago you said you had -- you
7 had asked them to put in a monitoring program, and they had
8 agreed to it. Now, a monitoring program is not full line
9 full demineralizers. Now you are bringing in other things.

10 DR. ALMETER: Each utility has laid out a program
11 of what they intend to do and they are submitting that to
12 us. And we are reviewing it.

13 DR. SHEWMON: What are your criteria, then?

14 DR. ALMETER: Looking at the conductivity;
15 looking at the pH; looking at the total solids like copper,
16 iron; looking at chloride.

17 DR. SHEWMON: You still haven't given me
18 criteria.

19 MR. BENDER: Let me try a different tack.

20 DR. ALMETER: The limits they tend to hold to, they
21 intend to hold to?

22 MR. BENDER: If I understand correctly, Ginna has
23 a very successful program for monitoring their water
24 chemistry, and clearly their steam generators show it. What
25 do they do that's so good?

kapBWH

1 DR. ALMETER: They haven't submitted it, but I
2 will give you what I know about that.

3 MR. BENDER: They ought to find out, if they are
4 the only ones that are doing a good job -- you better find
5 out what a good job is.

6 DR. ALMETER: Back in 1977 they installed a
7 complete demineralizer system on the secondary side. That
8 was a complete facility in addition to what was already
9 there. I think they did some retubing of their condensers.
10 They have a tighter control on the amount of condenser
11 in-leakage that they will tolerate.

12 MR. BENDER: The fact that they are pumping out
13 using cooling water out of the Great Lakes, is that an
14 influence on why they are so successful?

15 DR. ALMETER: That may be a factor, sir.

16 MR. BENDER: I think the problem is you are saying
17 you are going to require something, and you are being very
18 unclear as to whether you would know whether what is
19 proposed is useful or not. There is no model program that
20 you can hold up and say, "this is a good program." My guess
21 is that you need one for systems that are operating from
22 fresh water supplies and another for systems that are
23 operating with salt water cooling supplies. And probably,
24 you need different ones for different kinds of steam
25 generator configurations.

K. BWH

1 But for the life of me, it is hard for me to see
2 how you can just develop these things out of thin air.
3 Somebody ought to be trying to develop some model bases.

4 DR. SHAO: I think it is a legitimate question. I
5 think the answer is -- I don't think, really, we have
6 definite criteria. I think everybody is in the learning
7 process. Maybe there are many variables. We really don't
8 know if a certain content beyond a certain percentage is any
9 good.

10 DR. SHEWMON: We agree to that. We are wondering
11 what you are doing to find out.

12 DR. SHAO: What we are doing is a learning
13 process. Certain areas we know, and certain areas we don't
14 know. We don't know the whole story. I think just like a
15 doctor looking at pictures doesn't really know if the
16 disease is bad or good -- but from this program hopefully in
17 the long term we will learn.

18 DR. SHEWMON: How many steam generators do you
19 think it will take?

20 MR. HAZELTON: I want to make one comment. We
21 have received these detailed procedures that we asked for on
22 some plants. When you look at them they are much more
23 detailed than we had ever proposed doing in a technical
24 specification. I think after we have a little bit of
25 experience in seeing what these different plants are doing,

kapBWH 1 then maybe we can make some judgments that you are talking
2 about.

3 I think the important thing to steam generator
4 integrity is not to have specifications that shut them down
5 when they have a big in-leakage of chlorides; it is to keep
6 the chlorides out. So I think that is the important part
7 regarding steam generator integrity. Regarding what kind of
8 details in the procedures would be required, I think we
9 already addressed that point. I think we ought to address
10 it by saying we don't know enough on any individual plant
11 what the detailed procedures should be, therefore just
12 because we make a tech spec on the basis of ignorance
13 doesn't make it any better.

14 As I said, some of the procedures that I have
15 seen, these have just started to trickle in, some of them
16 that I have seen are real good. They are a heck of a lot
17 tighter and more all-inclusive than we would have thought of
18 putting in the tech spec. So we are in a learning process
19 right now.

20 DR. SHEWMON: You are taking a page from the
21 professor's handbook, that says you don't have to know as
22 much to ask a question in order to know that you are getting
23 a straight answer, as to answer it yourself.

24 MR. BENDER: The point I was going to make -- or
25 along those lines but in a different direction. Conceding

kapBWH 1 that you may not know what to require, then the next move is
2 to say, How do you know the people that are specifying it
3 are qualified to specify? Do you have any requirements for
4 the chemistry capability of the organization? Do they have
5 to have any experience? Do they need any experimental data
6 to back up their decisions? What approaches are you using?

7 MR. NOONAN: Maybe I can address that a little
8 bit. Clearly, when we took off the tech spec requirements,
9 off of the plants, that decision was discussed quite
10 intensively. We felt at that point in time that we were
11 doing more harm than good by having tech spec requirements.
12 We felt, just because they exceeded the tech spec and had to
13 bring the plant down, it wasn't doing that plant any good,
14 from the standpoint of economics. It is up to the plant --
15 it is beneficial to the plant to have a very good secondary
16 water chemistry program.

17 It is just common sense that says that the plant
18 will do that. We are now looking at these responses. We
19 don't have any pat answers. We don't know what the criteria
20 should be. No, I don't know whether people who are setting
21 up these programs are experts. We do have the people who
22 can review these programs and they can look at these
23 programs and say, "This guy, indeed, is trying his damndest
24 to put together a program where we can assure ourselves we
25 are going to have the minimum amount of steam degradation

BWH

1 due to the secondary water chemistry," or "This plant is not
2 going to do his job."

3 That, basically, falls within the responsibility
4 of Frank and Dr. Weeks.

5 DR. WEEKS: Can I inject one other thing? I think
6 we are making the observation that the EPRI steam generator
7 owners group has extensive programs in trying to determine
8 what would be acceptable water chemistries under those
9 conditions. There is no one here at the moment who is
10 representing the EPRI steam generator owners group who could
11 perhaps fill you in on the details of what they are. I
12 certainly cannot, but I am aware that these programs are
13 underway, that their results are being made available to the
14 NRC -- you are shaking your head, Paul.

15 DR. SHEWMON: That is a separate point, though.
16 They have told us they will give them to us when they write
17 them up, and present them to the public, but they are doing
18 something. So that is good.

19 DR. ALMETER: I can give you a slight overall. I
20 know what they are doing.

21 DR. SHEWMON: So can I. I read their published
22 papers in the open literature.

23 DR. ALMETER: They are looking at the different --
24 one of them -- they are looking at demineralization. They
25 are looking at the condenser problem.

kapBWH

1 MR. STROSNIDER: I am involved in the unresolved
2 safety issues regarding steam generators. I think the
3 approach, while the approach we are taking in the unresolved
4 safety issues is regarding technical specifications on water
5 chemistry -- it is not clear how much they will do you,,
6 because even if you have them set, if you don't stop
7 condenser leaks and if you don't stop intrusions of these
8 chlorides and things like that, it will not do you any
9 good.

10 Our position is you have to attack it at the
11 source. I think the way the task action plans are going to
12 address it is in the context of: what can the NRC do to
13 guarantee condenser integrity in order to keep copper ions,
14 copper-based metals out of the condenser tubes, feedwater
15 heaters and things like that.

16 I think that is the only way you can really solve
17 this problem, is to attack it at the source.

18 DR. SHEWMON: That is not a solution. That is a
19 way of surviving while it exists.

20 MR. STROSNIDER: Wait a minute. If you come in
21 and put on a tech spec limit on chlorides and you have a big
22 condenser leak --

23 DR. SHEWMON: I am not suggesting that. I am
24 willing to admit the tech spec approach is not a good one.
25 I don't think it is a good one to say, "Can't do a damn

KOBWH

1 thing about it, so we will try to keep them from rupturing
2 too many tubes," or we will make them plug tubes as soon as
3 the denting gets bad enough to where we have got so much
4 contraction.

5 MR. STROONIDER: I am not talking about failure of
6 steam generator tubes. I am talking about condenser
7 tubes. The only way you can keep chlorides out is, for
8 instance, to stop the condenser leaks. Whether you have a
9 tech spec or not, it won't do you any good unless you have a
10 good condenser integrity.

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1334 224

CR8031
ACRS
11/5
Tp 18
pwa-1E

1 DR. SHEWMON: Maybe I heard you say "steam generator"
2 when you said "condenser." Do you want to back up and say some
3 of the other things you said then?

4 (Laughter.)

5 MR. STROSNIDER: The approach of the Task Action
6 Plan is that in order to solve the denting problems you have
7 to attack them at their source, which is condenser leakage and
8 copper-based alloys and heat exchanger tubes, feedwater heaters,
9 to keep those bad actors out of the system.

10 The point I am making is to have the tech spech limit
11 on chlorides, for instance, won't do you any good if you have
12 condenser leaks and you are going to exceed the limit anyway.

13 DR. SHEWMON: We all agree on that.

14 MR. STROSNIDER: That is a long-term sort of thing,
15 but that is something that is going to resolve the problem.
16 I think that is an important point to be made.

17 DR. ALMETER: I might go further. I think when Jack
18 and I finish on the Task Action Plan, the recommendation will
19 come out that we are going to have to go back and make other
20 requirements on the condenser. They have better materials than
21 that; and we will require, perhaps, on the feedwater, but this
22 would be on new plants. What we will do on the existing plants
23 I am not prepared to say, but there is --

24 DR. SHEWMON: Actually, Salem and Turkey Point have
25 both gone back and retubed, when they had trouble with their

1 condensers. I understood Schnabel said Salem was on an opera-
2 ting plant footing in full-flow demineralizers.

3 DR. ALMETER: Many are doing that.

4 DR. SHEWMON: It is not out of the question. They
5 may not like it when you tell them, but if they are enlightened
6 enough to do it themselves --

7 DR. SHAO: They do it voluntarily.

8 DR. ALMETER: I would like to point out something,
9 to say that this is an absolute "cure-all," if we go and say,
10 this utility is putting in condensate polishers, that this
11 is going to control the problem 100 percent and prevent any-
12 thing, because of the problems that you are going to have with
13 those condensers, you could have -- There is a good deal that
14 has to be done on the resins, preventing sodium throw, silica
15 throw, which can all add to this.

16 Now if they have a problem, and they have a condenser
17 break through, we are right back to the same situation. They
18 have contaminated.

19 DR. SHEWMON: The only thing, I don't care about
20 what I hear from the staff is that since nothing is perfect,
21 why do anything? That is what I hear part of the time, and
22 that I don't care for.

23 DR. ALMETER: I don't think we are doing nothing.

24 DR. SHEWMON: Good.

25 DR. ALMETER: I think that this is a step, but that

1 we have never had a requirement that they force the utility to
2 monitor that secondary water. I think the first step is the
3 licensing condition.

4 Now, to go back and say that that utility has the
5 qualified staff to do this program, I think it is a regulation,
6 in our regulations, that there is adequate staff to run that
7 plant, in some part of the codes. I can't specify that.

8 Now, after the TMI problems are reviewed, there may
9 be new regulations on what staff are going to do what, as far
10 as the utility.

11 DR. SHEWMON: There will be several after TMI.

12 DR. ALMETER: This is where we stand, at this stage.

13 DR. SHEWMON: Are there questions on this? Is there
14 anything else on this?

15 DR. MUSCARA: On the monitoring, is the philosophy
16 to be able to get operating experience with particular levels?
17 We are not putting limits on the materials.

18 DR. ALMETER: We don't know what the limits are.

19 DR. SHEWMON: The answer is "yes." We are getting
20 experience.

21 DR. ALMETER: It is a learning program, but it isn't
22 designed for that specific purpose. It is designed to make
23 the utility aware that they are apt to have a problem.

24 DR. BERRY: You have to judge each one on its indi-
25 vidual merits.

1 DR. ALMETER: Indeed we do. Each utility is coming
2 in with something different.

3 MR. BENDER: They need a few chemists. The problem
4 is still the same one.

5 MR. NOONAN: Are there further questions, Dr. Shewmon,
6 on the secondary water chemistry?

7 DR. SHEWMON: No.

8 MR. NOONAN: I would like to have Jack Strosnider
9 get up and talk about the steam generator problems very briefly
10 that we have seen recently.

11 (Slide.)

12 MR. STROSNIDER: I am with the engineering branch of
13 Operating Reactors. I have been asked to give a summary of
14 the recent operating experiences in steam generators.

15 In that respect, there are four significant incidents
16 that I would like to go over quickly:

17 (Slide.)

18 The tube leak at Prairie Island that occurred on
19 October 2nd; Point Beach; the U-bend tube failure at Doel, a
20 foreign reactor; and U-bend tube leaks at Trojan.

21 MR. BENDER: Can I ask a question? Have there been
22 any significant problems with the once-through steam generator,
23 this kind of problem? There are vibration problems, I know.

24 MR. STROSNIDER: On the open cape (phonetic) line is
25 the major problem. There have been reports of erosion corrosion

1 phenomena on a very small scale affecting a dozen tubes or so.

2 (Slide.)

3 A little background on Prairie Island: Westinghouse
4 steam generators start operation in December of '73. Operated
5 on phosphates until fall '74. They changed to AVT. No
6 pluggable tubes found in any previous inspections.

7 On October 2nd, there was a steam generator tube
8 failure. The leak rate was approximately 390 gallons per
9 minute. The inspection following shutdown at the plant
10 revealed that R4-C1 had burst in a fishmouth fashion about
11 3 inches above the tubesheet.

12 This was a periphery tube. It is the fourth row out
13 from the flow slots, right on the periphery.

14 The third tube out was 65 percent throughwall
15 thinned, and the second tube was 20 percent throughwall thinned.

16 The cause of the failure was a loose part, specifi-
17 cally, a steel coil spring which was trapped under a flow
18 blocking device in the steam generator. The flow blocking
19 device sits on the open flow lane. It is lifted up during
20 inspections to move it out of the way, and apparently it was
21 set down on top of this spring. One end of the spring was
22 pinned under the blocking device and during normal operation,
23 the flow, moving the spring against the tubes, wore through
24 the tubes.

25 Remedial actions were to plug the tube and surrounding

1 tubes, including the 65 percent throughwall; 12 percent
2 eddy current inspections in both generators -- the reason for
3 doing that was to see if there were any other loose parts --
4 and also visual inspection of the peripheral areas.

5 No generic implications other than the QA during
6 steam generator maintenance operation. The spring was
7 believed to be from a suction hose used in sludge lancing.
8 Westinghouse now uses plastic hoses; no springs to loosen.
9 That's Prairie Island.

10 (Slide.)

11 Point Beach, another Westinghouse steam generator
12 operating on phosphates until fall '74. It changed to AVT.
13 August 5th, the plant was shut down because they exceeded their
14 tech spec leak rate limit which is .35 gallons per minute.

15 The cause of the leaks was determined to be deep
16 crevice cracking of three tubes. By "deep crevice cracking,"
17 I am referring to cracking of tubes within the tubesheet. This
18 crevice we are referring to is between the tubes and the tube-
19 sheet, where the tubes are not roll-expanded.

20 Remedial action was 100 percent hot leg inspection
21 of A and B steam generators. That was up through the first
22 support plate. 52 defective tubes were plugged in each steam
23 generator. All the defects were deep crevice cracking. They
24 were all within the depth of the tubesheet.

25 Now, the significant thing is during their current

1 refueling outage, they went back in to look at the steam
2 generators again. Information is still coming in on this.
3 In fact, the staff is meeting with Point Beach, or they did meet
4 with them, this afternoon. This is not complete.

5 When I last talked to them, they had done 100 percent
6 of steam generator A. They found 73 tubes with deep crevice
7 cracks, and 73 tubes were plugged. In steam generator B, eddy
8 current testing was in progress. They decided to remove three
9 tubes from steam generator A for examination.

10 The steam generator B inspection could potentially
11 result in a plugging of, in plugging, that would put them over
12 their 10 percent assumption, using their ECCS analysis.

13 The staff met with them in the afternoon. I don't
14 have any more details than that.

15 MR. NOONAN: The point to be made on this, the dis-
16 turbing point, is the fact that in August they did 100 percent
17 inspection. They plugged all of the tubes that had any indi-
18 cation of deep crevice cracking. Two months later we are back
19 in the same mode, and we now find another 73 tubes that have
20 to be plugged.

21 MR. BENDER: How many months later.

22 MR. NOONAN: Two.

23 MR. STROSNIDER: Two to three.

24 MR. NOONAN: It is disturbing from that standpoint
25 that three months later we are finding this many tubes, 73, that

1 now require them to go back in and plug them.

2 MR. BENDER: When did they go on AVT?

3 MR. STROSNIDER: Fall of '74. It implies two things.

4 Of course, they did have an extensive wastage problem before
5 that, but it implies that they have a very fast rate of
6 degradation or the eddy current testing is not seeing all the
7 cracks; as I say, I don't know which explanation. We will
8 probably get some information this afternoon.

9 MR. MUSCARA: Do they use the same method for
10 inspecting?

11 MR. STROSNIDER: They should be able to go back.
12 That is something I would be interested in seeing: How it
13 correlates with previous inspections. They looked at 100
14 percent, so they have looked at this tubes before.

15 DR. ALMETER: Point Beach, I think we know the his-
16 tory on that plant and what is happening there in the tubesheet
17 crevice. For a long period they were on phosphate, and back in
18 1974 or '75, I think it was also '73, they had many tubes that
19 cracked due to high caustic. And then they changed over to
20 AVT. If we can imagine what is happening in the crevice zone
21 with the deposit of phosphates in there, I think we can imagine
22 that has gone to a high pH, and perhaps it has been on the
23 sodium side for some time. And we postulate that the time
24 for stress corrosion cracking and caustic, we could --

25 MR. BENDER: It seems like it has taken a long time

1 to get there.

2 DR. ALMETER: The number of years, sir, I think the
3 French have been doing quite a bit of work on this, and it takes
4 something like -- It depends on the concentration of sodium
5 hydroxide. It takes over 1000 hours or more to do this.

6 MR. BENDER: That I guess I would agree with. But if
7 it went on it in 1974, it seems to me like it should have shown
8 up earlier than it did. The fact that it didn't is a surprise.

9 MR. STROSNIDER: They are removing tubes for labora-
10 tory examination. Maybe we will get more information from
11 that. I would like to point out that not all Westinghouse
12 generators have that crevice. I don't know the exact number,
13 but the majority were full expanded.

14 This is applicable to a few plants. I can't tell you
15 which ones they are right now. Doel Unit II --

16 (Slide.)

17 This is located in Belgium, in Antwerp. It is in
18 commercial operation. In November '75, two Westinghouse
19 designed steam generators that Westinghouse did not manufac-
20 ture -- the tubes were manufactured by a German company which
21 I heard the name of but couldn't write down. I didn't under-
22 stand it. It was not manufactured by Westinghouse.

23 Exclusively AVT secondary water treatment, full flow
24 demineralizers.

25 On June 25th, 1979, they had a tube rupture, 135

1 gallons per minute, in steam generator B. The failed tube was
2 a Row 1, 24. Inspection revealed it was a longitudinal crack
3 at the top of the U bend.

4 The significant thing here is, we had similar experi-
5 ences at Surry, the significant thing is that there was no
6 denting or tube support plate hourglassing; that is, no flow
7 slot deformation in the upper tubesheet or in any of the
8 tubesheet support plates.

9 They have had indications in the crevices. They
10 remedial action was to do ball gauging and plugging of all
11 tubes with excessive ovality and the tube and cross section,
12 50 tube testing -- You can't get the probe through; you have to
13 go to the smaller probe sizes.

14 So to better quantify the degree of ovalization, they
15 used a ball gauge which went through the tubes, and they
16 determined that a number of tubes had ovality in excess of the
17 fabrication specifications.

18 Their remedial action was to plug those tubes at --
19 That was 50 tubes in steam generator A and 42 in steam
20 generator B. The Doel Unit II operators attributed the tube
21 failure to stress corrosion cracking resulting from an increase
22 in tensile residual stresses due to excessive tube ovality
23 from improper fabrication.

24 There are high residual stresses in the U bends. They
25 say that these were fabricated, the process, they had excessive

1 ovality and even higher residual stresses.

2 DR. SHEWMON: And then the ovality was there from
3 Year One?

4 MR. STROSNIDER: Yes.

5 DR. BERRY: Did this occur after a shutdown and start-
6 up? It is the sort of thing -- You are sitting there for four
7 years and nothing has happened and then all of a sudden --

8 MR. STROSNIDER: I am not real sure. I don't know if
9 they were returning to power or not.

10 DR. SHAO: It is coming from the residual stresses
11 only at Row 1?

12 DR. BERRY: But the residual stress has been there
13 from Day One.

14 DR. SHAO: But it takes time.

15 DR. BERRY: But why did it occur at this time?

16 MR. STROSNIDER: I have the information.

17 DR. WEEKS: If we extrapolate the data on this so-
18 called "pure water," depending on the amount of cold work and
19 the exact temperature and the heat of the material, it extrapo-
20 lates to anywhere from two to 20 years, from slightly higher
21 temperature data. So it is not surprising that it would happen
22 in about four years, based on that, on our results.

23 Maybe there is a little bit of straining during
24 heatup and cooldown that adds to that, but --

25 DR. BERRY: I would bet my money on that.

CR 8031
WHITLOCK
t-20 mte 1

1 MR. STROSNIDER: There may be some differential
2 expansion in the hot leg and cold leg. But the U-tubes are
3 free to expand. These are not locked into the support plate
4 as dented tubes would be. So it is true there may be some
5 thermal stresses involved. I can't quantify them. I don't
6 think they would be that much.

7 DR. SHAO: It would not be very large, but most of
8 the stresses -- Surry 2 had the same problem, the hourglassing,
9 and it was at the crevice.

10 DR. DILLON: Do we know if it is at the U-bend?

11 DR. SHAO: At the top of the U-bend.

12 MR. STROSNIDER: They were at the top of the U-bend.
13 They were skewed toward the hot leg side on the extruders,
14 the very top.

15 (Slide.)

16 MR. STROSNIDER: Trojan. This is Westinghouse. That
17 began operation in '76, exclusively AVT condensate demineralizers.
18 In June '79, they detected steam generator leak, 15 to 20
19 gallons per day, a small leak rate. It fluctuated, with a
20 maximum rate of 180 gallons per day, until shutdown, October '79.
21 They went in.

22 The hydrostatic tests revealed four leaking tubes in
23 A, one in D. All leaks were in Row-1 tubes in the U-bends.
24 These are believed to be not right at the top of the U-bend,
25 but perhaps down in the tangent point, where you start going

mte 2

1 into the bounding. They detect that by lowering the water
2 level to see when the leakage stops. That is how they
3 determine the elevation. It is not perfect, but it is in the
4 U-bend.

5 Again, no tube denting or support plate deformation
6 in the Trojan plant.

7 The remedial action: They are performing eddy current
8 tests of the U-bends and small or ball gauging is being per-
9 formed similar to what was done at Doel. Interesting point
10 not stated here is the tubes which were leaking were ball
11 gauged. They did not show excessive ovality.

12 The final remedial actions are under discussion.
13 Their plant is shut down right now. Staff is talking to them
14 what they are going to do.

15 DR. WEEKS: This one developed in service, not during
16 heatup or cooldown?

17 MR. STROSNIDER: Yes. It was over a long period of
18 time. It is also significant that these -- this leak rate
19 developed slowly and stably. All of the other U-bend experiences
20 we have had -- Doel, Surry -- were sudden. There was no leak
21 before burst. In this case they had quite a lot of operating
22 time.

23 MR. NOONAN: The tech spec requirement for shutdown
24 is 500 gallons per day.

25 MR. STROSNIDER: They were under the tech spec.

1 DR. SHEWMON: What is their condenser experience?

2 MR. STROSNIDER: I don't have any specific details,
3 but their water chemistry has been very good, comparatively
4 speaking. Full-flow demineralizers, I believe. I don't know
5 if they have full-flow blowdown, continuous blowdown, or not.

6 DR. WEEKS: I believe they had trouble with it in the
7 early days. I believe they had condenser leakage problems
8 early. Some repairs were done. I don't have the facts here.

9 MR. BENDER: Is Trojan still shut down?

10 MR. STROSNIDER: It is currently shut down. They
11 also have a problem involving walls and piping supports, seismic
12 design piping supports. We are discussing with them what their
13 actions will be. Westinghouse was talking about removing a
14 tube. It is not clear when they will do that. We are talking
15 to them.

16 DR. BERRY: Do you think you are beginning to see a
17 generic problem of cracking with AVT?

18 MR. STROSNIDER: The staff is very concerned about
19 Row-1 tubes. The way these things are manufactured, they have
20 an internal mandril. They are bent. There is no stress
21 relief. We know that the residual stresses are high. We just
22 don't know what the incubation time is for stress corrosion
23 cracking.

24 DR. SHAO: When Surry happened, Surry 2, there were
25 six plants had had very severe denting, the rolling tubes.

mte 4

1 But now it seems like even plants that have denting, the rolling
2 tubes have problems.

3 MR. STROSNIDER: We are concerned about rolling
4 tubes.

5 MR. BENDER: Are they manufactured the same way as
6 previous tubes or is this some new technique?

7 MR. STROSNIDER: To my knowledge, all of the operating
8 steam generators right now, Westinghouse generators, were
9 manufactured by this process. The new design steam generators
10 are stress relief.

11 DR. DILLON: Isn't the popular assumption that this
12 process originates on the primary side? What is the consequence,
13 then, of the AVT treatment? I don't quite see it?

14 MR. STROSNIDER: I put the water chemistry in here
15 as background. I am not sure that is significant at all to
16 this problem.

17 DR. WEEKS: I don't think we know which side it
18 originated on at Doel. I don't think we know what side at
19 Trojan yet.

20 DR. SHAO: It is mostly inside.

21 DR. WEEKS: Surry was inside.

22 MR. STROSNIDER: Doel did not remove a tube, and of
23 course, we haven't looked at any from Trojan.

24 DR. BERRY: You have no high-purity water in either
25 one of them.

mte 5

1 DR. WEEKS: We did some U-bend tests with AVT as
2 opposed to high purity water. It reduced the time to failure
3 somewhat, not a great deal. It wasn't better than pure water;
4 it was worse.

5 DR. BERRY: B&W operates under AVT and they have
6 stress relief tubes.

7 DR. DILLON: What is the effect of the boric acid?
8 Is anything known about that, on the initiation process?

9 DR. WEEKS: I don't think we have seen an effect yet.
10 If it is similar to AVT, the hydrogen and/or the hydrazine,
11 either one of those decreases -- decreases time to failure on
12 a few specimens.

13 DR. MUSCARA: We are planning on doing the boric
14 acid, also.

15 MR. STROSNIDER: The license was asked about that.
16 We asked them to see if there was any relationship.

17 MR. NOONAN: Dr. Shewmon, that finishes us up for
18 the day. There are two other handouts that you have in your
19 possession. One is on the finished piping problem, where we
20 had the longitudinal split reported by a plant in Finland.
21 And there is also reference in that same report made to
22 similar events in a Swedish plant a year earlier. There is
23 also a report on the French under the clad cracking problem.
24 We are going to be talking to the French Thursday. We don't
25 have much more detail than presented in that handout.

mte 6

1 DR. SHEWMON: Well, the Finnish one was a temperature --
2 this was just below a mixing?

3 MR. NOONAN: Downstream of the valve where two
4 different temperatures of water, a six-inch pipe downstream.
5 We don't have much more detail than what is in the handout.

6 DR. SHEWMON: All right. I guess this does us up.
7 Is Surry going to come back in again to the full Committee, or
8 do we have a Subcommittee meeting with that before they go up
9 again, or do you know?

10 MR. NOONAN: I don't know. I know my staff is
11 prepared now to start writing whatever we have to write regard-
12 ing any kind of safety failures.

13 DR. SHAO: They had the steam generator and the
14 seismic.

15 MR. NOONAN: Well, 2 will be down longer than
16 anticipated.

17 DR. SHEWMON: I guess -- are there any other
18 questions?

19 (No response.)

20 The meeting is adjourned.

21 (Whereupon, at 4:35 p.m., the meeting was adjourned.)

22

23

24

1334 241

25

e-20