SCHEDULE TERA (1) UNITED STATES NUCLEAR REGULATORY COMMISSION In the matter of: MEETING OF THE ADVISORY COMMITTEE ON REACTOR SAFEGUARDS, SUBCOMMITTEE ON THREE-MILE ISLAND, UNIT 1 NUCLEAR POWER PLANT POOR ORIGINAL 1937 254 Place: Middletown, Pennsylvania Date: February 1, 1980 Pages: 283 - 392

> INTERNATIONAL VERBATIM REPORTERS, INC. 499 SOUTH CAPITOL STREET, S. W. SUITE 107 WASHINGTON, D. C. 20002

202 484-3550

UNITED STATES

1

2	NUCLEAR REGULATORY COMMISSION
1	
4	
5	
6	American Legion Hall
7	137 East High Street Middletown, Pennsylvania
8	Friday, February 1, 1980
9	
:0	
11	The Committee on Reactor Safeguards, Subcommittee
12	() Three-Mile Island, Unit 1, Nuclear Power Plant,
13	convened at 8:30 a.m., in Middletown, Pennsylvania,
14	Harold Etherington (Chairman of the Subcommittee),
15	presiding.
16	PRESENT:
17	
18	Dr. Stephen Lawroski
19	Mr. Jesse Ebersole
20	Mr. William Mathis
21	
22	
23	1939 255
24	. 1757 255
25	

INTERNATIONAL VERSATIM REPORTERS. INC. 49 SOUTH CAPITOL STREET. S. W. SUITE 107 WASHINGTON. 2. 2. 2002

PROCEEDINGS

1

2

1

4

5

6

MR. ETHERINGTON: This is a continuation of an open meeting of the Advisory Committee on Reactor Safeguards Subcommittee on Three Mile Island Unit 1.

I would like to start with a short caucus which will be off the record.

7 (Whererupon, a discussion was held off the record.) 8 MR. WALLACE: We are prepared to discuss with the 9 availability of -- we're prepared to discuss basically four 10 items that were on yesterday's discussions, so, not necessarily 11 in this order, the instrument air service air cross-connect 12 and its advisability in Unit 1; the augmentation of our 13 materials technology chemistry sections in the new organization; 14 the as-built drawing program for modifications; and we 15 have some additional statements we'd like to make on the 16 long term items from Table B of NUREG 0578 to supplement 17 what we said yesterday.

Shall we proceed? I'd like to introduce Mr.
David Slear who spoke yesterday who will address the as-built
drawing program for modifications and also, has some additional comments on long term items. 1939 256

MR. SLEAR: I want to clarify some points on the long term requirements of NUREG 0578. Staff pointed out that my slide was deficient in that it only had seven line items when, in fact, there are something like thirteen

> INTERNATIONAL VERBATIN REPORTERS INC. 48 SOUTH CAPITOL STREET, S. H. SUITE 107 WAEHINGTON, G. C. 33333

Modification-type long term committments that are required. I guess that I'd like to point out and the Staff mentioned that, I think, it is water level indication and the technical support center were among the items that he specifically mentioned that he felt weren't covered.

1

2

1

4

5

6

7

8

9

10

11

12

13

25

There are seven line items on this slide and the last line item really covers two of the requirements, so, by my count there's eight long term committments on the slide that I used. And in addition, I previously discussed our committments in the area of the hydrogen recombiner safety grade emergency feed water flow indication and safety grade emergency feed water auto-start indication. So, I felt that I had covered eleven of the thirteen.

14 The two that were specifically mentioned, the reactor 15 vessel water level, I think, was discussed in a fair amount 16 of detail yesterday and I don't think I see a need to go into 17 that any further right now. And as far as the technical 18 support center, we are proceeding on a schedule which would 19 allow us to complete the requirements, the long term require-20 ments by January of '81 and we have not yet ordered all of 21 the appropriate equipment that might be required as such, 22 but pending any equipment availability problems, I would 23 perceive that we would be able to meet that kind of schedule. 24

With regard to as-built records, we will have updated prior to restart the as-built records for all of these

> INTERNATIONAL VERBATIM REPORTERS. INC. MI SOUTH CAMTOL STREET, S. W. SUITE 107 WARMINGTON, D. C. 2000

1	modifications that we're proceeding with as part of the
2	TMI 1 restart program.
1	Are there any other questions in those two areas
4	before I leave today that the Committee has?
5	MR. ETHERINGTON: I think not, thank you.
6	MR. WALLACE: I would like to introduce Mr. Dave
7	Kauffer who will speak to the augmented materials technology
8	capability that we've added to the organization.
9	MR. KAUFFER: I manage the materials technology
10	section that was formed last summer in the reorganization.
11	The concentration of materials, materials evaluation and
12	analysis, inservice inspection, and non-obstructive examina-
13	tion of all the engineering. The organization right now
14	is a headquarters technical support group with a section
15	head in Parsippany, designed support with Waulding Engineering
16	materials engineering, materials lab in Reading with four
17	materials engineers, three technicians.
18	Another group for inservice inspection planning
19	and non-obstructive examination that will have a level three
20	and a mechanical ISI planner and we support the sites in
21	those districts, as well as Waulding Engineering, materials
22	engineering, non-obstructive examination, inservice inspection,
23	and materials analysis due to
24	MR. ETHERINGTON: Are there any questions in this

area?

25

0

1939 258

INTERNATIONAL VERGATIN REPORTORS, INC. 48 SOUTH CAPITOL STREET, S. W. SUITE 107 WARHINGTON, G. C. 2002

1 DR. DILLON: You're talking about compositional 2 analysis, I assume, not analytical in terms of --1 MR. KAUFFER: As well as analytical, yes, sir -- to 4 respond to the onsite operations for inservice inspection 5 findings take the lead in evaluation according to the code, 6 the right to report, to make the recommendations to plant 7 management on corrective action where repairs are required. 8 DR. LAWROSKI: How familiar are these people as to 9 the details of the plan. 10 MR. KAUFFER: They are people out of many experience 11 levels. In that discipline, or so we hear, that all of them 12 for the most part are senior types; I have one e jineer that's 13 about two years out of school and he does a lot of plant 14 work, operates the labs, directs the technicians. The re-15 mainder of the people are senior-type engineers. 16 DR. LAWROSKI: How well does each know the plant? 17 MR. KAUFFER: The plant, interface with the plant 18 would always be through onsite personnel; he doesn't know 19 exactly where something is, he's working through an operations 20 type maintenance type. We are always called into the job 21 when the need arises for an evaluation, so we're working 22 with people onsite that are totally familiar with it. 23 We provide the analysis work and we provide a 24 level three, for instance, we go in and assist in non-obstruc-25 tive examination of a finding that's already been detected 1939 259

1 by an onsite group, okay. We support the investigation of 2 a finding to satisfy our needs for the interface with the design for where stress analysis is required. My own 1 personal experience is 16% years in the nuclear industry. 4 I just joined GPU from an NSSS supplier about 2 months ago. 5 6 I am a member of Section 11 Boiler Code. 7 We have, as I said, the engineers in my group are 8 all degreed engineers and with the exception of one junior-9 type, they are all seniors. 10 DR. DILLON: You have your staff in place now. 11 MR. KAUFFER: Yes, with exception of the ISI/NDE 12 group; that group is -- we have open ROP's to hire those 13 people. I satisfy that need. 14 MR. ETHERINGTON: No further questions? 15 Thank you. 16 MR. KAUFFER: Mr. Chairman, two of our members are 17 not yet with us this morning and I would like to defer discussion on some of the other supplemental items and pro-18 19 ceed on to the pipe cracking discussion. 20 MR. ETHERINGTON: As I mentioned yesterday, 21 Mr. Arnold was unfortunately called away because of a death in the family and Mr. Herbein had a prior longstanding arrange-22 23 ment that prevented him also from being present today; so 24 that the topic on organizational changes will be presented to 25 the Full Committee if the Full Committee meeting is held next 1939 260 INTERNATIONAL VERSATIM REPORTERS. INC. SOUTH CAPITOL STREET, S. W. SUITE 107 WASHINGTON, J. C. 2002

1	week, but is will not be heard by the Subcommittee.
2	MR. WALLACE: Mr. Chairman, on the subject of
3	organization changes, we will have available for the
4	Subcommittee copies of the releases which announce that
5	organizational change which give a brief description of
6	MR. ETHERINGTON: Just a handout, but no presentation
7	is that it?
8	MR. WALLACE: Yes, sir; that is correct.
9	MR. ETHERINGTON: Good.
10	MR. SILVER: Mr. Chairman, if I might.
11	The Staff has some people on their way up to this
12	meeting who should have been here already and have not yet
13	arrived. One of them, specifically, is knowledgeable in the
14	area of pipe cracks and most likely could contribute to
15	this area. I have no idea what's happened to them or why
16	they are not here.
17	MR. ETHERINGTON: So, if it's agreeable to
18	Mr. Wallace, we'll pick up something else first?
19	MR. SILVER: That would be my suggestion, but I
20	we seem to have conflicting problems in this area.
21	MR. WALLACE: Yes, sir. That would be agreeable
22	if there's something else that you would like to cover. We
23	do not have our other presenters available right at this moment
24	other than Mr. Croneberger to talk about the pipe cracking.
25	DR. DILLON: May I ask another question then

-_____

INTERNATIONAL VERSATIN REPORTERS. INC. 48 SOUTH CANTOL STREET. S. W. SUITE 107 WASHINGTON, D. C. 2002

1	regarding this materials center.
2	Do you have plans or any interest in a supplementary
3	capability in the chemistry area? Are you thinking anything
4	like that's needed?
5	MR. KAUFFER: With regard to materials
6	DR. DILLON: Yes.
7	MR. KAUFFER: With regard to impacts on materials,
8	yes. I think that there's no question that we could have at
9	our disposal the chemistry lab. The materials lab and the
10	chemistry lab are located both of them are located in Read-
11	ing. And we have chemistry input as well as the design of
12	stress analysis input that is being required by the code.
13	We have resources.
14	DR. DILLON: Who's in charge of the chemistry
15	activity?
16	MR. KAUFFER: It's under Dr. Long. Bob Hopkins.
17	is the manager of the chemistry law.
18	MR. WALLACE: Mr. Dillon, we anticipate that there
19	will be someone here this morning to speak about the chemis-
20	try technology section.
21	DR. LAWROSKI: How many chemists on site do you
22	have?
23	MR. KAUFFER: I can't speak for the chemistry lab.
24	I'm not that familiar with the lab.
25	DR. DILLON: Steve, I talked to a gentleman yester-
	INTERNATIONAL VERSATIN REPORTERS INC. 1939 262

0.

ATERNATIONAL VERSATIM REPORTERS. INC. 40 SOUTH CANTOL STREET. S. R. SUITE 107 HADNINGTON, D. C. 2002

1 day, Reed, that gave me some information. 2 MR. WALLACE: Mr. Chairman, Mr. Michael Ross who is the supervisor of operations arrived and will be able 3 4 to address the instrument air service air cross-connect and 5 its advisibility; if you'll allow him a moment to take his 6 coat off and come in. And, then we can proceed with that 7 portion of the program. MR. ETHERINGTON: I can't hear very well --8 9 MR. WALLACE: I'm sorry: Mr. Ross has arrived and 10 as soon as he comes into the room and takes his coat off, we'll be able to proceed with the discussion of the instru-11 12 ment air service air cross-connect. 13 MR. ETHERINGTON: Good. DR. CATTON: Excuse me. One of the things left 14 over, you were going to bring in the training manuals for us 15 to take a look at? They're as illuminous as you say; I don't 16 17 see them anywhere. MR. WALLACE: Yes, sir; they are also on their 18 way. We've checked on that this morning. They'll be here 19 20 momentarily. 21 DR. CATTON: Is a semi comming? 22 MR. WALLACE: That may be the delay. 23 24

0

25

NTERNATIONAL VERLATIM REPORTERS. INC 40 SOUTH CANTOL STREET, S. N. SUITE 107 WAEHINGTON, D. C. 2008 MR. LAWYER: With respect to part of an answer that we got, that some of this talent -- I guess it was on capability of materials examined, it was located at Redding, is that correct? MR. WALACE: Yes, sir.

100

1

2

1

4

5

6

7

25

MR. LAWYER: Is there a reason why it's that far away from here? That's not exactly --

MR. WALACE: Sir, the GPU System Laboratories are
 located in Redding, which include the material technology
 and chemistry sections.

They provide services for a large segment of the GPU Systems, including the phosphorous stations. They do a good bit of conventional metallurgical analyses in that laboratory and they have all of the equipment centrally located within the system for that reason.

MR. ROSS: Good morning, gentlemen. I'm Mike Ross
of Metropolitan Edison. I would like to address the
questions you all raised on service air gets in an air
cross connector. In front of you are drawings showing our
service air pertains to an air cross connector.

21The points I would like to make on that cross22connector is one, it's not a normal system cross connector.23The cross connector is only functional if a low pressure24exists in the instrument air system.1939 264

INTERNATIONAL VERBATIM REPORTERS. INC. 49 SOUTH CAPITOL STREET. S. W. SUITE 107 WASHINGTON. D. C. 2002

The second point I'd like to make is in that cross

•	connector reexisting is an oil filter and both systems
2	have moisture removal ability or aid to do the thing.
3	Therefore, the air is virtually the same.
4	I'm open for your questions on that particular
5	item.
6	DR. LIPINSKI: This automatically connects at
7	low pressure?
8	MR. ROSS: Yes, sir, that's correct.
9	DR. LIPINSKI: What's the transferrence now we
10	enter PSI and the instrument air?
11	MR. ROSS: The instrument air is roughly a hundred
12	PSI. The set point I believed I've marked there for you is
13	about 75 PSIG.
14	DR. LIPINSKI: Oh, yes. I see that in your note.
15	Do you have any restrictions as to what goes on
16	in the plant with the service air? I know you're not putting
17	water in it today. Is there anything they say you can't put
18	water in your service air tomorrow?
19	MR. ROSS: We change them a lot no matter whether
20	it's a major or a minor must be approved at the minimum in
21	the on site engineering group.
22	DR. LIPINSKI: I'm not thinking of the change in
23	mode as some temporary jury rig. It is required based on the
24	work of the day. It may not be permanent.
25	MR. ROSS: Temporary jury rigs are also looked at
	INTERNATIONAL VORBATIN REPORTERS INC. 1939 265

SOUTH CANTOL STREET, S. W. SUITE :07

in the same light. Temporary jury rigs -- something, would have to have a work request or a special operating procedure. All of this must have some level of approval.

1

2

1

4

5

6

7

25

DR. LIPINSKI: With all the considerations of what it might mean in the way of a compromise. The service air gets connected to the instrument air, because instrument air pressure dropped.

MR. ROSS: In the worse case you would still have
moisture removal traps. You would still have an oil filter,
a pair within those suited through the existing instrument
air dryer to be dried. All the air would still be the same
within the receivers in there.

DR. LIPINSKI: Are you implying then that TMI 2 do not have the filters and the traps as to why the water gets down to the values?

MR. ROSS: I'm implying the reason the water gets
in the values in the Unit 2 is they have a gross volume.
They had a total cross connector to the water to the air
system.

DR. LIPINSKI: Well, that's what I'm talking about in this case here. Today you don't have this water on your service air. Will there by anything that prevents you from having water in your service air at some point later in time. MR. ROSS: Just our local controls will prevent it.

> INTERNATIONAL VERBATTIN REPORTERS. INC. 40 SOUTH CAPITOL STREET, S. W. SUITE 107 WASHINGTON, D. C. 2002

No controls in that we do not hook anything to our air system

1	without either changing one or work request or something
2	that allows a guy to do that.
1	DR. LIPINSKI: Okay. You're saying that you would
4	never consider an interconnection of the systems that would
5	admit water into the air system?
6	MR. ROSS: No, sir. I don't think we ever considered
7	that since Unit 2.
8	DR. LIPINSKI: Okay.
9	MR. ETHERINGTON: Are there any further questions?
10	Let's see, was there something else, Mr. Walace?
11	MR. WALACE: Mr. Chairman, we do not have the
12	person to make the discussion on the chemistry area and that
13	completes the other items that we rentioned we would address.
14	We're ready to proceed with the pipe cracking discussion
15	why Mr. Silver's
16	MR. LAWYER: I have a question, and I'll start
17	first with the staff. How satisfied is it with the extent
18	of the separation of Units 1 and 2?
19	MR. SILVER: We have
20	MR. LAWYER: considering that there will be
21	large numbers of people involved in the attempts for
22	restoration of Unit 2 or rather diverse
23	MR. SILVER: Pecple, I'm not sure understand that
24	thrust of your question. 1939 267
25	MR. LAWYER: Well, how satisfied are you that the

-____

INTERNATIONAL VORBATIN REPORTERS. INC. OF SOUTH CANTOL STREET. S. W. SUITE 107 WAEHINGTON, G. G. 2005

1	plan separation is adequate to protect Unit 1 personnel
2	access in particular?
3	MR. SILVER: The question of security is that the
4	direction you're going?
5	MR. LAWYER: Yes.
6	MR. SILVER: Is under review separate from the
7	order? However, it is in fact, being considered and I at
8	this moment do not have information that I can give you on
9	this . But, I certainly will have it if we do have a full
10	committee meeting.
11	MR. LAWYER: Well, I'd like to ask Met Ed
12	his remarks on that.
13	MR. SILVER: I'm sorry sir I didn't hear the
14	original question.
15	MR. LAWYER: The extent of the separation of Units
16	1 and 2 with respect to personnel access from the standpoint
17	of protecting Unit 1 against unauthorized entry or whatever.
13	MR. HERBEIN: Mr. Jack Thorpe?
19	MR. ETHERINGTON: Perhaps you might tell us what
20	normal connections there are between the two facilities.
21	MR. THORPE: We've established two separate and
22	distinct security systems on the island for the two units and
23	we have attempted, with respect to security, to isolate them
24	as much as possible.
25	There is a controlled access between the two units
	INTERNATIONAL VERBATIN REPORTERS INC. 1979 268
	40 SOUTH CANTOL STREET, S. W. SUITE 107 7. 7. 7. 7. 7. 7. 7. 7. 7. 7. 7. 7. 7.

*_____0___

1	But, you know, In order to pass that access you have
2	to have the proper identification badging. We have separate
3	badging systems. In other words, a badge that will get you
4	into Unit 1 appropriately, will not get you into Unit 2. You
5	have to have a special badge for Unit 2. So, we are maintain-
6	ing them as separate as possible.
7	There are people on the island who have only access
8	to Unit 2, some who have only access to Unit 1, and then
9	some people who just for their needs have access to those
10	units.
11	MR. LAWYER: Could you tell me how many people will
12	have access to both units?
13	MR. THORPE: Gee, I'm not sure that I know that.
14	MR. LAWYER: Is it going to be 10? Is it going
15	to be a hundred or 200?
16	MR. THORPE: I would say it was more like the
17	hundred number but it's mainly the management type people
18	from the TMI Generation group.
19	MR. ETHERINGTON: Is the direct access from one
20	unit to the other truly for the convenience of senior
21	management personnel or is it a necessary access? Why couldn't
22	you completely close the door? 1030 269
23	MR. THORPE: I'm not sure I can answer that question,
24	but it would make travel in many people in there function who
25	must go from one unit to the other. It would make that
	· 이상에 해외되었습니다. 이상에 다 이상에 다 이상에 가지 않는 것이다. 이상에 가지 않는

INTERNATIONAL VERBATIN REPORTERS. INC. 40 SOUTH CAPITOL STREET, S. W. SUITE 187 WARHINGTON, G. C. 2005

1	travel very difficult, because the main entrances to the two
2	units are almost diametrically opposite from one another.
3	MR. ETHERINGTON: Well, now I'm surprised that you
4	say many people have to go from one to the other.
5	MR. THORPE: Well, it depends on your word of what
6	you mean by the definition of the word many.
7	MR. WALACE: Mr. Chairman, the distinction I think
8	is principally one of function as Mr. Thorpe said. There are
9	a large number of contractor personnel on site, some dedicated
10	to Unit 1, some dedicated to Unit 2 and those people by and
11	large do not have authorization to both sides of the units.
12	There are people in the Met Ed GPU Organization
13	because of their specific functions who do have responsibili-
14	ties in both units and because of their location on the
15	island, the physical location of their office space and
16	facilities are required to go either into Unit 1 or into Unit
17	2 and therefore have the capability to go back and forth.
18	In general, I would say that the majority of
19	people who have the authorization into each unit are company
20	people. There are NRC people who have similar authorizations
21	and each one of those people, regardless of whether they are company
22	people or NRC, have gotten specific review of their job
23	function and authorizations have been granted by senior
24	management at TMI. 1939 270
25	MR. ETHERINGTON: Perhaps we should see at sometime

-_0__

INTERNATIONAL VORBATIN REPORTERS INC. 48 SOUTH CAPITOL STINET, S. W. SUITE 107 WARHINGTON, J. C. 2005

the number or categories of people who have responsibilities with respect to both units. Because we somewhat got the impression that Unit 1 was treated almost like a separate plant.

1

2

1

4

Are there any further questions in this area? MR. WALACE: Mr. Chairman, if you would like at this point while we are waiting for the staff's personnel to arrive before we go into pipe cracking, we could provide you with some comments with regard to our interest in going to full committee meeting next week.

MR. SILVER: My people have arrived, Mr. Chairman. MR. ETHERINGTON: They have? Well, which would you prefer Mr. Walace?

MR. WALACE: At your discretion we could do is either.

MR. ETHERINGTON: Why don't you continue as long as you're prepared to.

MR. WALACE: With the pipe crack discussion?
 MR. ETHERINGTON: Yes.

MR. WALACE: Yes, sir. I'd like to introduce Mr.
 Don Croneberger. He is the manager of Engineering Design for
 the TMI Generation.

MR. CRONEBERGER: My name is Don Croneberger. The
handouts that you're being given now are copies of the slides
I will be using for the presentation.

INTERNATIONAL VERBATIN REPORTERS. INC. 40 SOUTH CAPITOL STREET. S. W. SUITE 107 WARHINGTON, 3. C. 2002 First, I'd like to review the history of the pipe cracking that was experienced at TMI 1. Back in April of 1979 plant personnel did detect one thru-wall leak in an 8-inch schedule 40S Type 304 Stainless pipe in the Spent Fuel Cooling System. The evidence was crystallization of boron on the outside of the pipe.

0

1

2

2

4

5

6

As a result of that discovery, further visual examination of the stainless piping containing borate of water was performed. The results of that were finding five more thru-wall leaks in the balance of the Spent Fuel Cooling System and there was one leak discovered in the Decay Heat System, this being the suction off the borated water storage tank.

There were metallographic studies of the first
leak specimen extracted. This examination of that failure
resulted in the conclusion that there was intergranular
stress corrosion cracking in the sensitized area of the heat
effective zone.

 19
 Attempts were made for confirming the intergranular

 20
 stress corrosion cracking by radiography and those attempts

 21
 were not successful. The radiography did not pick up the

 22
 cracking.

 23
 MR. ETHERINGTON: You didn't mention the size of

 24
 the leak in the crack and the Decay Heat System, did you?

 25
 MR. CRONEBERGER: As far as size, most of the sizes

INTERNATIONAL VERBATIN REPORTERS. INC. 40 SOUTH CANTOL STREET. S. W. SUITE 107 WARHINGTON. 2. C. 2002

of the thru-wall crack were on the order of fractions to an inch and a half or something like that. What exact length of the crack is in the Decay Heat System, I forget. It was probably approximately an inch was the exposed portion on the outside of the pipe.

t

2

1

4

5

6

7

8

9

10

11

MR. LAWYER: What kind of leak rate did you --

MR. CRONEBERGER: There was no visible observance of moisture. The detection was in fact just the boron crystals on the outside of the pipe. It wasn't really water on the floor that was observed. It was simply the crystals on the pipe.

As a result of those visual examinations, it was concluded that we should be going in and nondestructively examining all of the joints in piping systems which I'll describe later. Attempts were made to develop an ultrasonic technique that would permit us to detect the cracking similar to that which produced the thru-wall cracks.

Various configurations were tried and fundamentally
as shown on this slide the best procedure was one which used
a 60 degree stainless steel block transducer frequency as
shown on this slide. The configuration of both the methods
that were used are shown on this slide.

This slide also depicts the typical joint detail, the BUTT joints that were being looked at. On each case on the three or four stainless pipe one had a counter bore in

> INTERNATIONAL VERBATHA REPORTERS. INC. 49 SOUTH CLATEL STREET, S. W. SUITE 107 WARMINGTON, S. C. 2005

this particular area and the actual specimens which were extracted indicated cracking initiated in the counter four region in a heat effected zone.

0

1

2

1

4

5

6

7

8

11

14

16

17

One of the difficulties in developing an appropriate UT technique was one which would avoid the geometric reflectors associated with that counter bore. The final conclusion as far as the most appropriate examination methods is this one over here.

9 Of the initial seven leaks which were determined, six were from one specific heat of steel, one was from another 10 heat of steel. This is a chemical analysis of the heat 12 which was the dominant one as far as the thru-wall cracks 13 were concerned. This specification did satisfy -- this analysis which was performed did show that the materials 15 satisfied the specification requirements for 304 stainless.

You will observe that the results are high on the carbon side.

18 Continuing in this evaluation, to explore the 19 sensitivity of that particular steel to sensitization, we 20 have simply plotted on the steel chart where that particular 21 heat of steel fell relative to this equation. This simply 22 shows that indeed the material that was used is susceptible 23 to stress corrosion cracking.

24 DR. DILLON: Excuse me, what heat were you looking 25 at on this particular spot you got here?

> INTERNATIONAL VORBATIM REPORTERS INC. WASHINGTON . . C. 2002

MR. CRONEBERGER: The heat which I showed, which was represented by this chemistry. Now as I said, this chemistry that I've elected to show here was the one in which of the seven leakers that were found six of the leakers came from this heat.

1

2

1

4

4

6

7

DR. DILLON: Okay, well you don't happen to have the heat number, do you?

MR. CRONEBERGER: I can give that to you in just
a minute. I should check to make sure my quote is right.
That heat number -- if the information I have here is
correct -- was heat number 334165, which was an Alleghany
Ludlow.

DR. DILLON: Yeah, that's the one I think it is,
but we have seen other analyses for that same steel at a
somewhat lower carbon concentration then that. I don't know
whether it's significantly different, but somewhat lower,
.069.

MR. CRONEBERGER: That could be. Now, I do know
the other heat where the leak occurred was again Alleghany
Ludlow and I want to say 334164, and that had a somewhat
lower carbon than what I'm showing here. This was our
analysis for that particular heat I quoted.

As a result of these determinations, we reviewed
which systems in the plant contain borated water. Particularly we
would expect it to have reasonably highly oxigenated water

INTERNATIONAL VERBATHA REPORTERS. INC. 100 SOUTH CAPITOL STREET, S. W. BUITE 107 WASHINGTON, D. C. 2002

and some other cases here and contain the 304 stain'ess steel.

1

2

3

4

5

6

7

10

11

25

The systems that were examined by the UT Technique which was developed or shown here -- again, Spent Fuel Cooling which was the one evidencing the major initial problem Decay Heat, Building Spray, Make-up, Core Flood, Pressurizer Spray and Surge System.

It should be noted that in the Core Flood System 8 that was -- at this point in time we didn't discriminate 9 between 304 and 316 Stainless. Our recollection is that all of the piping and Core Flood System was 316. There was occasional use of 316 in one or more of the other systems.

12 As far as the variables which were investigated in addition to the basic UT Examination was an investigation 13 of Heat Number and Chemistry, Shop vs. Field Weld, individual 14 welders, an investigation of the environmental flue 15 16 conditions, and with the Heat Number the investigation of the 17 Carbon Content for that specific heat.

18 MR. ETHERINGTON: With a composition referring to 19 the susceptible area, why do you assume that boric acid is 20 an important factor in the failure.

21 MR. CRONEBERGER: Again, the conclusion is that we need a susceptible material for the stress corrosion 22 23 cracking. We need a stress propagation with that cracking --24 we need a corrodent.

MR. ETHERINGTON: Then, you don't have oxygen

INTERNATIONAL VERBATIM REPORTERS. INC. SOUTH CAMTOL STREET. S. W. SUITE :07 -----

1	as for BWL, so you're looking for something else.
2	DR. DILLON: Oxygen is present in
3	MR. ETHERINGTON: Well, then I'd repeat my question.
4	Why is boric acid is that a known promoter of the intergranu-
5	lar stress corrosion?
6	MR. CRONEBERGER: To my understanding that the low
7	temperatures we were talking about for these systems and all
8	of these systems are basically low temperature systems with
9	maximum design temperatures of a 140 degrees to my knowledge,
10	there has been no evidence that I'm aware of where the low
11	temperature borate of water has been a contributor to inter-
12	granular stress corrosion cracking.
13	We're talking in the past, particularly with the
14	BWR experience for higher temperature rules.
15	MR. ETHERINGTON: I'm sorry I didn't understand.
16	I thought you said there was no evidence of boric acid being
17	the bad acid.
18	MR. CRONEBERGER: To my understanding that where
19	the borated water has been a contributor to intergranular
20	stress corrosion cracking, this is occurring where the borated
21	water is at some elevated temperatures. In this particular
22	case, essentially all of the lines that we're looking at
23	contain water which would normally be at a temperature of 75
24	to 100, hundred plus degrees, with actual design temperature
25	being 140 degrees.
	INTERNATIONAL VERSATIN REPORTERS INC. 1939 277

INTERNATIONAL VERSATIN REPORTERS INC. 48 SOUTH CANTOL STREET, S. 4. SUITE 107 WAEHINGTON, D. C. 2000

1 To my knowledge, there have been no previous 2 indications of stress corrosion cracking associated with 3 low termperature borated water. 4 MR. ETHERINGTON: Could you comment --5 DR. DILLON: Would you like me to --6 MR. ETHERINGTON: Yes, would you try and identify 7 for me. 8 DR. DILLON: All right, let me say this, that since 9 the first discovery of this cracking situation there have been 10 a number of laboratory attempts to produce stress corrosion 11 cracking in simulations of the cool storage chemistry . 12 environment. We have looked at a number of fairly sensitive 13 tests. 14 For example, the cost of extension test, which are 15 such as to induce stress corrosion cracking under maximum 16 conditions of stress. With very few exceptions, one of 17 which occurred in our laboratory, we've been unable to produce 18 stress corrosion cracking in pure low temperature boric 19 acid environments typical of fuel storage situations. 20 MR. LAWYER: But, it appears to me that's its 21 also oxygen free or air free. 22 DR. DILLON: No, it's not oxygen free. It's 23 exposed to air as would be the conventional fuel environment. 24 We have in a few instances run cost extension rate tests 25 in combinations of boric acid and small amounts of chloride 1939 278 INTERNATIONAL VERSATIN REPORTERS. INC.

1 up to 10 or 15 parts per million of chlorodine. We 2 have scill had trouble in inducing stress corrosion cracking 3 under these circumstances.

4 Right now the preponderance of evidence on cracking 5 studies in the laboratory have seemed to indicate that we are 6 not in a stress cracking regime in pure boric acid solutions. 7 Now, the only exception to that, is the experiment that was 8 run in our laboratory with a specimen cup from one of these 9 effected pipe wells. At very low strain rates, we were 10 able to produce something that was akin to stress corrosion 11 cracking. Maybe two or three grains deep. But, we have 12 seen no other evidence of it. We've been unable to reproduce 13 it in later experiments in our laboratory.

Our present studies are related to somewhat lower strain rates than those we've been able to use up to this point and they have been quite low. The evidence in my mind suggests that there is a synergism perhaps between boric acid and some as yet unidentified contaminant in the pool.

Now, the subject of oxygen is a very difficult one, because we're dealing with a service environment which to my knowledge has never been accurately described. It represents a stagnant environment in the pipe and I hope you'll discuss the matter of how often this system is exercised so that we have some basis of estimating how long the solution is in that pipe if such evidence exists.

HITERNATIONAL VENAATHA REFORTERS INC. 449 BOUTH CAFICA STREET, B. W. BUTE 107 449 BOUTH CAFICA STREET, D. C. BOUT 307

But, oxygen represents an unknown quantity. You can make some back of the envelope calculations that suggests given enough time, that this could have been a more or less oxygen free environment because of the diffusion of oxygen to the reactive metal surface and the slow depletion of oxygen with this kind of a device.

1

2

2

4

5

6

7

9

10

11

25

So, the situation is largely unknown in terms of 8 the chemistry in the pipe during the cracking process, because of the inability to get analyses in the local environment for the piping crack because of an unknown situation on the oxygen environment.

12 So, at this point, nobody is really sure about 13 what the process is itself. It appears that based on other 14 storage conditions of which I might point most reasonably 15 to boiling water reaction fuel storage environments where 16 no cracking has been observed and where no boric acid is 17 present.

18 You begin to wonder about some significance in the 19 presence of boric acid. But by itself, it doesn't seem to be 20 an adequate promoter of stress corrosion cracking to induce 21 the effect. Therefore, we think in terms of the synergism 22 between boric acid and some unspecified contaminant.

23 MR. ETHERINGTON: Is this composition sufficiently 24 abnormal to be an important factor --

DR. DILLON: Well, I hope we can get around to

INTERNATIONAL VERSATIN REPORTERS. INC. WASHINGTON, 3. C. 3000

that. If you go through the information here on the analyses of the fuel pool over a period of time, there are a few periods of reported increases in chlorodine which might have a relationship, but I think the evidence is mixed on whether those analyses are real or not.

MR. ETHERINGTON: Well then I probably should let --

1

2

3

4

5

6

7

15

18

25

MR. LAWYER: But, referring to your figure that's
with title Susceptibility of Type 304 Stainless Steel to
Sensitization, if I had all the points around that line what
kind of a band would I have, instead of that nice straight
line that separates susceptibility to resistance? Things
dan never be that nice, so how big is the margin of error
here? You understand what I'm asking?

MR. CRONEBERGER: Yes, I think so.

You're not interested in the real scatter but what would be a tolerable scatter?

MR. LAWYER: A real scatter, yeah.

MR. CRONEBERGER: We haven't plotted that data.
We do have, again, the major element in here being carbon.
My recollection is that we have a scatter with some of the
heats being on the left of that line, but the majority of
the heats of the 304 Stainless that we were looking at would
be on this side of that line. I don't have them plotted.

MR. CLARK: Mr. Chairman, I think --

INTERNATIONAL VERBATIN REPORTERS. INC. 49 SOUTH CAPITOL STREET. S. W. SUITE 107 WAEHINGTON. D. C. 2002

I	MR. LAWYER: Under the subject of corrosion I
2	would expect the scatter to be pretty bad. But isn't
3	MR. CLARK: I think we'd like to and we do agree
4	with Dr. Dillon that the cause of this corrosion is not well
5	understood. The Company has a fairly extensive ongoing
6	program to further investigate it.
7	Information being presented today is not in our
8	view a definitive answer, but is indicative of the kinds of
9	things which we are pursuing to find an answer. So, I don't
10	want to give the context that, you know, this is what's
11	causing it. We don't know. We're trying to find out and
12	in the interim we're carrying out an inspection and repair
13	program and an ongoing surveillance program to find any
14	additional cracking.
15	MR. ETHERINGTON: Thank you. But, I think
16	I'm guilty of having interrupted your full presentation.
17	MR. LAWYER: Bob, would you have a guess of
18	DR. DILLON: You mean our mail data?
19	MR. LAWYER: this scatter.
20	DR. DILLON: Well, our mail is data. Of course,
21	I don't have immediate access to it, but I'm sure there is
22	a substantial scatter.
23	MR. CLARK: The straight line is somebody's
24	equation.
25	MR. CRONEBERGER: That is correct.
	INTERNATIONAL VERBATIM REPORTERS INC. 1939 282

-____

1	ND Concern
	MR. CLARK. That's not intended to be an imperical
1	line.
3	MR. LAWYER: I understand. I
4	DR. DILLON: But, the straight line is just a
5	straight line.
6	MR. CRONEBERGER: We have all of the chemistry to the
7	various seats.
8	DR. DILLON: But, in terms of the title of it, it
9	has to have a band of some sort. I'd estimate that most of
10	the 304 in this system would be well to the right of the
11	curve.
12	MP LAWYER, The center would be The mostly
13	MR. LAWIER: The scatter would be I see mostly
14	to the right?
	DR. DILLON: I'd say most would be on the three-
13	fourths of the data.
16	MR. CRONEBERGER: Again, there may be different
17	values for this particular point, but my recollection is that
18	this heat involved the greatest departure from that line
19	of any that we have. 1939 283
20	What I'll do now is to summarize the results of
21	the UT Examination. You must appreciate that we went through
22	slightly more, but basically two cycles in ultrasonicly
23	examining each of these joints.
24	One was using that first method which did not
25	permit us to adequately discriminate between entry
	INTERNATIONAL VERATIN REPORTED INC.
	SOUTH CAMTOL STREET. 1. W. SUITE 107

reflectors and cracking and that is this column. The column which we're using now in accessing our repair and inservice inspection needs is included under these screen indications. So, that you find as I indicated before six of the tnru-wall cracks were in the Spent Fuel Cooling System.

1

2

3

3

7

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

In further examination VIA ultrasonic techniques we found a total of 22 which included those 6 leaks.

MR. ETHERINGTON: Just hold it a moment.

MR. CRONEBERGER: Further by the UT Examination are where the additional indications four leaks were found.

Furthering the next few slides give more details of the indications as to specific locations and some of the other variables which were looked at and consequently evaluated. A number of conclusions from this examination were that in accessing the indications of Shop vs. Field there were a high proportion of the indications found in the Field Welds and of the Field Welds a higher proportion that were associated with a repair of Field Welds which suggests from a standpoint of residual stresses that the welding procedures that were used heat input, et cetera obviously may have contributed to higher residual stresses on those repaired Field Welds.

You will find that as far as locations, we were looking to see if in these joints there was cracking on the pipes -- or not the cracking -- indications on the pipe side

> INTERNATIONAL VERSATIM REPORTERS. INC. 49 SOUTH CANTOL STREET, S. W. SUITE 107 WASHINGTON, D. C. 2002

of the joints or on the fitting sides in essentially all
 cases the cracking occurred at a pipe to fitting joint.

You will also see here that there are occasionally from the examination indications which appear to be on the fitting side. To date in the repair process when we've cut these out, we have not confirmed in any case that the cracking was indeed on the fitting side.

8 You see also here which was used in subsequent 9 evaluation of breakdown of heat number for each of the pipes 10 of these joints and the associated carbon content. If you 11 scan down through here as far as carbon content is concerned, 12 although there are I think some exceptions, I believe you will 13 find from the heat that I described before which was this 14 334164 was on the high side and we have some which go down 15 to about .054 on this slide.

MR. ETHERINGTON: What is the condition of the MR. ETHERINGTON: What is the condition of the Pipe? Is it quenched or annealed or -- Can you answer the --DR. DILLON: Can you post weld? MR. ETHERINGTON: Pardon? DR. DILLON: You may for a life of DR. DILLON: You may for a life of

DR. DILLON: You mean after welding? MR. ETHERINGTON: No, as supplied. Is it quenched or annealed?

23 MR. CRONEBERGER: I can't answer that. I can 24 get the answer to that question and give it to you.

MR. ETHERINGTON: All right.

1939 285

1	MR. CRONEBERGER: Continuing down on the it's
2	further summary of the findings of the UT Examination and
3	what we were able to discriminate as to the variables I
4	discussed before. This is simply a complete tabulation of
5	the indications that were investigated or examined.
6	Now one of the investigations that was performed
7	were exploring the number of indications vs. heat. I'm
8	sorry, I think I may have given you the wrong information.
9	I believe that heat that we have that chemistry for wasn't
10	this 334164 but may have been this 165.
11	MR. LAWYER: That's what you said.
12	DR. DJLLON: Yeah, that's what you said the first
13	time.
14	MR. CRONEBERGER: Yeah, did I say 165. Okay, that
15	meant the 165. This is a summary of the total number of
16	joints in the system that were investigated, the percentage
17	in the total population, basically, the number of indications
18	that would have been expected and the actual number that were
19	encountered. You do see that where, in fact, there is a
20	reasonable population of the indications that are defined
21	here, it's a relatively few number of heats which culminate.
22	Another summary of the information is a summary
22	of the actual number of indications. Again, when I'm talking
24	about indications it's indications by the UT Examination
25	plus the set of leakers. You again find a dominance of the

INTERNATIONAL VERBATIM REPORTERS INC. 48 SOUTH CAPITOL STREET. S. W. SUITE 107 WASHINGTON, J. C. 2002

1	indications occurring with the carbon on the high side.
2	Now, to try to respond to one of the questions,
3	a substantial number of the leaks and indications occurred
4	in the Spent Fuel Cooling System. If in fact, there was one
5	location which dominated as far as the leaks and the
6	indications on that Spent Fuel Cooling System it was associated
7	with a portion of that piping system which was used for
8	mid cooling of the what I call the refueling transfer
9	canal area a portion of the system which would normally
10	only be used, in fact, would only be used at each refueling.
11	So, that the normal service for the lines where the dominant
12	indications/leaks occurred is a line which during the
13	approximately seven years that the unit has been in operation
14	have been exercised I believe approximately six times.
15	Is that fundamental with the area you were
16	interested in?
17	DR. DILLON: You have any idea what the interval
18	was before you discovered the How long was it between
19	the discovery of the cracking and the last time it was
20	exercised?
21	MR. CRONEBERGER: It would have been exercised
22	basically within a month or two of when it was found. We
23	were refueling what was that January through March?
24	MR. ROSS: We shut down for last refueling February
25	16.

INTERNATIONAL VERBATHIN REPORTERS. INC. 40 SOUTH CANTOL STREET. S. H. SUITE 107 WARHINGTON, D. C. 2002

1 MR. CRONEBERGER: February 16th? 2 MR. ROSS: -- was the time off we were back off 1 March 27th. 4 MR. CRONEBERGER: Okav. 5 DR. DILLON: That was a month? 6 MR. CRONEBERGER: So, it was March 27th --7 MR. ROSS: Six weeks. 8 MR. CRONEBERGER: -- and we discovered the leak April 4, 1979. So it was something approximating a month 9 before the discovery of the leak that the system would have 10 been last used. It would have been used I believe six 11 refuelings or five? 12 13 MR. ROSS: We're on a fifth core which means 14 we loaded six times. 15 MR. CRONEBERGER: Six times. 16 MR. ROSS: Counting initial. 17 MR. EBERSOL: May I answer the question about the character of the leaks in one sort of summary aspect. I 18 look upon leaks as a desire of supportive revelation 19 of potential structural failure. As a matter of fact, I'd 20 like to see leaks occur long before structural integrity 21 in a more comprehensive sense as implied. 22 Have the leaks that you've seen occurred at a point 23 where there was still extensive margins to general structure 24 failure or have they occurred at a point in which structural 25

> INTERNATIONAL VERBATIM REPORTURS. INC. 40 SOUTH CAPITOL STREET. S. C. SUITE 107 WASHINGTON, J. C. 2002

1	failure might have been imminent. I'm talking about gross
2	failure, do you follow me?
3	MR. CRONEBERGER: Yes.
4	MR. EBERSOL: I want to include the big pipes
5	and the castings that make up pumps and valves and so forth.
6	MR. CRONEBERGER: In each case where we have found
7	leaks we have investigated the stress analyses that were
8	performed for the basic service loads. In each case, our
9	interest was to determine if in fact that stress contribution
10	would have been contributing to the leaks. In each case,
11	the calculated stresses are quite low. We're talking about
12	low temperature lines and my recollection of the small
13	thermostresses, dead weight stresses, result in numbers
14	which are like 5000 PSI and low. Very low stresses as far
15	as the normal service loads were concerned.
16	DR. DILLON: Could I interject here? I have a piece
17	of paper here that is apparently something developed by
18	a users group that had somewhat similar problems to this.
19	In reference to this specific pipe section, which concerns
20	us most at the momemt, there is a point made here that there
21	is evidence that very poor fit up was common in these
22	systems. So, that you had high stresses associated with
23	the fabrication of this system.
24	MR. EBERSOL: I see.
25	MR. CRONEBERGER: Again, it was our conclusion

INTERNATIONAL VERSATIN REPORTERS. INC. 48 SOUTH CANTOL STREET, S. W. SUITE 107 WASHINGTON, O. C. 2002
	318
En Tanz 2	PAGE NO.
ددودم دو	
yp fis ay 1	because of the low stresses for the normal service loads,
2	that the stresses were those for residual stresses, stresses
1	associated with the installation of welding the joint.
4	2 2 2 2 2 2 2 2 2 2 2 2 2 2 2 2 2 2 2
5	2019년 2019년 1월 19일 - 1일
6	철생감 물건 것 같은 것 같
7	같은 것
8	방법 이 가슴 등 것은 것을 알았는 것은 것이 가슴을 가지 않는 것을 받았다. 같은 것이 같은 것은 것은 것은 것은 것은 것이 같은 것이 같은 것을 알았는 것을 알았다.
9	
10	
11	
12	
13	
14	
15	
16	
17	
18	
- 19	
20	
21	
22	친구는 물건을 다 가지 않는 것이 없는 것이 없는 것이 없는 것이 없다.
23	
24	
25	1939 290
	INTERNATIONAL VERBATIM REPORTERS. INC. 40 SOUTH CAPITOL STREET, S. W. SUITE 107 WASHINGTON, D. C. 2002

TAPE 3/1

- SG o no

1	MR. CRONEBERGER: Again, it is suggesting that
2	if you amplify the results of the stress analysis.
3	In the spent fuel cooling systems, we did
4	a stress analysis to ascertain for the worst location in the
5	system and the normal service loads plus the extreme
6	environmental loads, namely the earthquake, how much
7	of the metal section would be lost, and we concluded
3	that one could have a 360°, 50% loss of metal section
9	and it would still satisfy the code stress criteria
10	which was used.
11	We have been specifically looking at what
12	the significance of the loss of something approaching
13	let's say an inch and a half for a through wall crack
14	on those service loads, but I would estimate that
15	the resulting stresses even for the design loading
16	conditions, not the loads that were actually experienced,
17	but the design loading conditions which suggest there
18	is a very substantial margin.
19	DR. LAWROSKI: Are you aware of anybody
20	else experiencing this with their plants?
21	MR. CRONEBERGER: To my knowledge, no.
22	I have not heard any results of the examinations
23	which I believe others are pursuing right now.
24	MR. ETHERINGTON: Can the staff enter that
25	answer?
	INTERNATIONAL VERBATIN REPORTORS INC. 1939 291

I	MR. TABOADA. I am Al Taboada from NRC
2	We have a bulletin out requesting people
3	we have a builetin out requesting people
	to examine their piping of similar types where there
1.1	is a stagnant or near stagnant fluorated water
•	MR. ETHERINGTON: At present there is no
6	evidence of a serious problem elsewhere?
7	MR. TABOADA There have been cracks found
8	in other plants. Arkansas, for example, had cracks
9	prior to the cracks that occurred at TMI.
10	They tend to be in the containment spray
U	system. I believe there are a half a dozen or so
12	plants that have had conditions similar to this.
13	but not to the degree that TMI has had, except for
14	Arkansas.
15	MB CRONEREDCED Or other slide the
16	MR. CRUNEBERGER: One other slide I have
	in here to try to summarize some of the data for
17	the investigations performed to date where we have
18	not indications, but confirmed cracking, either by leaks
19	or by radiography or having pulled out the joint and
20	performed a metalagraphic examination, we still of
21	the number of heats which were identified on the previous
22	slide have only confirmed the cracking to have occurred
23	in the two heats which were identified here.
24	I discussed as I showed the three tabulations
25	on the which joints had indications or leaks the

-_____

INTERNATIONAL VERBATIM REMONTERS. INC. 48 SOUTH CAPITOL STREET. S.W. SUITE 107 WASHINGTON. Q. C. 2002 question of the shock versus the field and this tabulation simply summarizes and demonstrates the dominance of the indications or leaks which occurred on the field welds and the relatively high portion of those which are in areas which have been confirmed as being repaired field welds.

1

2

1

4

5

á

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

Now, the various approaches that were looked at for addressing the repair, the actions being taken are where the repair method employs removing the joint with the indication, the replacement materials are type 304-L which will have a hardened content of .035% or lower.

We are performing buttering using the 308-L material on the idea of the pipe to protect the heat affected zone on the type 304 material which will still remain and we are satisfying reg guide 131 requirements as far as welding procedures are concerned.

DR. LAWROSKI: Excuse me, would you go back to the slide of shock versus field welds? Is there an explanation for the core predictability between the second and third lines? I take it that that means predictability?

MR. CRONEBERGER: Yes, if in fact -- 1939 293
 DR. LAWROSKI: It is a rather poor correlation.
 MR. CRONEBERGER: If in fact there would be

INTERNATIONAL VERBATIM REPORTORS INC.

a normal distribution of the indications recognizing what the population of shock versus field welds were we expect to have a larger proportion of the expected number of indications leaks to have occurred under the shock welds and indeed the reverse was the case that it appears that the field welding and particularly the repairing of the field welds is a dominant factor.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

In short, I feel confident that this is demonstrating that the welding procedures or controls for field welds was a dominant factor in the high residual stresses which contributed to this problem.

MR. CLARK: The prediction was a very simplistic one assuming it was all one population. The results seem to show they are two very distinct populations.

DR. LAWROSKI: Do you expect that to influence your practices in it.

MR. CRONEBERGER: Indeed, as far as the repair procedures are concerned it has a very dominant effect on the practices.

MR. CLARK: And surveillance.

MR. CRONEBERGER: Now, one last thing which was discussed these are the steps that we are taking now to address the identify conditions at TMI-1.

In addition, we still have some outstandingwork being done by Batelle Northwest.

ANTERNATIONAL VERBATIN REPORTERS. INC.

1 +	We also have some work which is which we
2	are contributing to being sponsored by EPRI. We also
3	are in the process of developing an in-service, a supplemen-
4	tal in-service inspection program for examination of
5	those joints which we identified being from material
6	or joint types which are not being repaired now but
7	we think should be continued over a period of time to
8	be examined.
9	DR. DILLON: Excuse me.
10	MR. CRONEBERGER: Yes?
11	DR. DILLON: May I make one, an expansion to
12	your comment in reference to the work done at Batelle
13	Northwest. We are indeed working on pipe section from
14	Three Mile Island Piping.
15	The work in subject though, is funded by
16	DOE on a program on fuel storage. It is not a program
17	that is directly funded by Three Mile Island.
18	MR. CRONEBERGER: I believe there was some
19	work done by Batelle Northwest which was directly
20	funded early, but I think as far as anything remaining
21	now, I believe that is correct.
22	DR. DILLON: That isn't my recollection,
23	but it really isn't important one way or the other.
24	MR. CRONEBERGER: And that basically concludes
25	the summary of where we stand.
	INTERNATIONAL VERBATIN REPORTERS INC. 1939 295

SOUTH CANTOL STREET, S. W. SUITE 107

*

We have a specific program for repair t 2 developed now which is being implemented. We have a program for longer term monitoring 3 of the systems, both monitoring environmental conditions 4 and monitoring joints, and we are also pursuing changes 5 in practices as far as use of the systems to assure 6 7 that where the system does permit more frequent active use of the system to avoid the long stagnant periods 8 that indeed those systems will be exercised. 9 DR. LAWROSKI: It would seem to me that 10 11 you have to look for something that is more for giving 12 as regards to the, call it, QA and fields welding. MR. CRONEBERGER: Again, I think as far 13 as the field welding practices we have a uniquely 14 15 developed welding procedure and enhanced quality control coverage of use of that welding procedure for the 16 17 repairs. DR. DILLON: This is a difficult problem 18 because we are attempting to apply criteria as far 19 as elimination of stress codes and cracking are concerned 20 that are developed and understood for BWR kinds of 21 conditions. 22 We are looking for the improvements that 23 might be anticipated in going to low carbon steels 24 and this sort of thing. 25

INTERNATIONAL VERBATIM REPORTERS. INC.

As yet, we haven't really identified what the combination of environmental factors might be that are producing the effect.

1

2

1

4

5

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

So, I must confess that the fixes that are now described by Three Mile Island are perfectly rational in terms of what we know of our stress codes, and cracking under these general conditions, but they have not been satisfactorily demonstrated for the particular situation that we are dealing with.

I wanted to comment a little bit on the environmental work that I believe is being considered by EPRI and which no doubt would be related to Three Mile Island ultimately.

And that includes an attempt to monitor in stagnant areas and in cool areas generally; such factors as the relative passivity of the steel service that would be determined by the appropriate monitors.

That gets back to this general uncertainty about the precise nature of the environment in this stagnant pipe in the absence of any available sampling to determine what might have been present in that solution.

Of course, that is sort of after the fact
kind of information, but it may be helpful in explaining
what is going on and it might explain what caused

INTERNATIONAL VERBATIM REPORTERS INC. 40 SOUTH CAPITOL STREET, S. W. SUITE 107 WAEHINGTON, D. C. 2002

1939 297

the cracking in your particular case.

1

2

1

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I wanted to ask a few questions about the environment, which are going to be necessarily be conjectural, I am sure.

They have to do with first of all with the fact that we may have encountered at one time or another some incidents of high chloride, and we are talking about part per million quantites, I have noted in the handout that at least on one occasion you had something at close to 2 parts per million, which in the cool of the rough size that you are dealing with is pounds of chloride, and I wanted to inquire as to as whether or not there was anything in the history of the client that suggested that you might have gotten chlorides in those quantities in your cool, or should I conclude that the analysis itself was at fault?

MR. CRONEBERGER: In the investigations that were performed on the water chemistry aspects there were some cases where the analyses indicated some upset condition.

To my knowledge those investigations did not discover any reason why those upsets might have occurred. Mike, can you respond?

MR. ROSS: Mike Ross. We know of no reason why we should have any high fluoride contents.

> INTERNATIONAL VERSATIM REPORTERS. INC. SOUTH CAPITOL STREET. S. W. SUITE 107 WASHINGTON. D. C. 2002

1939

There are no unusual events similar to unit two events where they got sodium hydroxide in their system or anything like that, but we are aware of unit one at this time.

1

2

1

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

DR. DILLON: Is there any coupling at all of either your caustic solutions that are used for core spray systems or perhaps thiosulfate leakage into the system which I think were shown to be farily high chloride contaminated and might have been the source of the kind of levels of chloride that you are discovering here.

MR. ROSS: I don't understand the question, sir.

DR. DILLON: Well, I am trying to come up with a rational explanation, if one exists, of how you might have gotten the upset chloride condition in the cool.

MR. CLARK: Is there any inter-connection from your caustic or your thiosulfate systems?

MR. ROSS: The thiosulfate tank and the caustic tank both have inter-connections in there existing systems through closed valves. The valves are operated on neo-signal and when we lock shut, we are down. The inter-connections do exist, the valves are controlled, the possibility would exist

> INTERNATIONAL VERBATIN REPORTERS. INC. 40 SOUTH CAPITOL STREET. S. W. SUITE 107 WARMINGTON D. C. 2004

through that path.

1

2

1

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. CRONEBERGER: To your knowledge there haven't been no identified periods when there has been leakage through those valves. That was the indication of our people who investigated --

MR. ROSS: And I know of no time when we actually had an incident where a valve was opened through neo-signal, we actually took caustic and thiosulfate in our systems.

DR. DILLON: Well, I confess that I am not very much concerned about the caustic because the ph never showed a corresponding change, but the thiosulfate might be a possible entry point. Nobody analyzes for sulfur and with chloride contamination in the thiosulfate was somewhat higher. So, that would be the area of where you would think first to look, and may I ask another question which is not entirely related to this inquiry but is a matter of some concern.

Did any occasion during the unit two problem was there ever a possibility that core spray material could have gotten into the fuel storage tank?

MR. ROSS: If I understand your question right, the question was, was there ever a possibility where the inner tube spray --

1939 300

INTERNATIONAL VERSATIN REPORTERS. INC. SOUTH CAMTOL STREET. S. W. SUITE 107 WASHINGTON. D. C. 2003

1	DR. DILLON: Got into the unit two fuel
2	storage.
3	MR. ROSS: Gov into the unit two fuel storage.
4	DR. DILLON: I realize you have had no problems
5	there it is just a matter that I am not clear in my
6	own mind whether you ever used the core spray system
7	in this incident, and if so, could have it found its
8	way into the fuel storage cool?
9	MR. ROSS: Okay, the building spray system
10	in the unit two was used during the course of the
11	accident and it ran some three minutes and thirty-
12	one seconds.
13	Now, whether or not it could have gotten
14	into the fuel core of unit two, I don't see the path
15	ready and available to me or apparent to me for that
16	to occur.
17	MR. WALACE: There was a short period of
18	mass transfer out of the reactor building after the
19	accident which occurred long before the accuation
20	of the core spray system. Since the actuation of
21	the core spray system there has been, with the exception
22	of a minor sample which were drawn recently, there
23	has been no mass transfer out of the building.
24	So, that water would still be in the reactor
25	building. 1939 301
15.5.10	1/5/ 501

*____0___

INTERNATIONAL VERGATIN REMONTERS INC. SOUTH CAPITOL STREET. S. H. SUITE 187 WASHINGTON, J. C. 2002

1	DR. DILLON: And I assume that analyses
2	are made on a regular basis on the unit two fuel
3	storage pool, so there is no evidence of high chloride
4	or anything in that environment?
5	MR. CRONEBERGER · Again, on unit two you
6	have to appreciate there is no fuel in storage in
7	the inner tube pool, the pools are dry.
8	DR. DILLON: All right. There is not.
9	Excuse me, that was unnecessary.
10	MR. ETHERINGTON: Are there any further
11	questions?
12	MR. WALACE: Mr. Etherington, in answer
13	to your earlier question about whether or not the
14	piping system were quenched, the answer to that question
15	is yes.
16	MR. ETHERINGTON: Yes, what is the answer?
17	MR. WALACE Yes.
18	MR. ETHERINGTON: It is guenched?
19	MR. WALACE: Yes.
20	MR. ETHERINGTON: Thank you
21	I would like to ask the staff this is an
22	item outside of the NRC orders isn't it?
23	MR SILVER, That is correct
24	ME ETHERINGTON. Are there other items sutside
25	the orders? I think there are
	the orders: I think there are.
	AR SOUTH CARTOL STREET, S. 4. SUITE 107 1939 302

0

1 MR. SILVER: Yes, indeed there are. There are 2 items that the staff is reviewing in let us say the normal 3 course of events that are outside the order we can address 4 those. 5 MR. ETHERINGTON: But, we haven't discussed 6 any of those up to now, excepting this one; is that right? 7 MR. SILVER: That is correct, yes. 8 MR. ETHERINGTON: Thank you. 9 Do you have any comments on the latest 10 presentation? 11 MR. SILVER: Yes, I would like Al Taboada of 12 the staff to give us a brief statement of what the staff 13 is doing in this regard. 14 MR. TABOADA: I'm Al Taboada again. I am 15 from NRC staff. 16 We have been following this problem. To date, 17 we haven't had the all the information that I feel 18 we need to make a good judgment. 19 We have been involved in both the non-destructive 20 testing procedures that have been developed by Met Ed 21 to do this work. We have reviewed those and some of 22 our consultants reviewed them and we find that in general 23 they are consistent with the general approach that is 24 used in administering for lengthy examination. However, 25 we have asked Met Ed to do some disruptive evaluation 1939 303 INTERNATIONAL VERBATIN REPORTERS INC. - SOUTH CAPITOL STREET. 1 4. SUITE :07

on those sections of pipe that are being removed and have been removed where the UT examination have determined that the communication system to establish that the UT techniques really do find cracks.

ŕ

2

1

4

5

6

7

8

9

10

11

12

13

14

15

16

25

I think in their initial testing they identified a number of conditions which apparently are geometric dis-continuities rather than cracks.

It was in their second approach that they developed two different techniques.

The initial technique determined that quite a few indications which the second technique later culled down to approximately forty and these forty indications will apparently, as I understand it, will be removed and will be examined disruptively to verify that they are perhaps to establish what they are if they are not cracks.

At that time, we will have a better picture
with respect to what should be done about the overall
surveillance program for the piping.

In addition, we have requested Met Ed to send a section of one of the leaking pipes to one of our contractors at Brookhaven National Laboratory so that they might do an independent metallurgical evaluation of that condition.

The one unique aspect of that particular

939

INTERNATIONAL VERSATIM REPORTERS. INC. 49 SOUTH CAPITOL STREET. S. W. SUITE 107 WASHINGTON. D. C. 2003

piece of pipe that is going to work with them is that it has not been contaminated by cleaning solutions or a liquid penetrant solution. So, in a sense it is a virgin piece of material that still might have the contaminants in the crack.

1

2

3

4

5

6

7

8

9

10

15

16

17

18

19

20

21

So, we are anxious to see what they might discover.

We are hoping we can shed a little light on what the contaminant is that might be causing the crack.

Brookhaven has also been doing some studies
in this area where they have not managed to correct
the stainless steel that has been sensitized using
the straight boric acid solution.

However, it is our understanding that they have at least in early testing cracked it with some thiosulfate additions.

So, it would appear to us in our preliminary evaluation that the corrodent in this case is probably a contaminant. That is what was suspected and reported in the work that was done in Arkansas plant.

I believe it was, well I am not sure who the laboratory was that did the metallurgical evaluation but I was going to say the Batelle Columbus, but I am not sure, however, it was reported it was possibly due

> INTERNATIONAL VERBATIM REPORTERS. INC. 48 SOLTH CAPITOL STREET, S. H. SUITE 107 WASHINGTON, D. C. 3062

PAGE NO. 335

t I guess we do have a request out so the people, the BWR people in general to review this problem 2 in their plants and we expect within the year to have 3 some results on the examination of their piping. 4 5 MR. ETHERINGTON: Why would you assume that the 6 BWR people don't have a problem? 7 DR. DILLON: No boric acid. 8 MR. ETHERINGTON: Not in the pool? 9 MR. TABOADA: The BWR people don't have boric 10 acid, however, we are not sure that --11 MR. ETHERINGTON: And we are not sure that 12 boric acid is --13 MR. TABOADA: The reason we are going with PWR's is because that is where the occurrences have been 14 and I think when we get through examining the problem 15 16 we may have a better insight as to whether or not we 17 should review it and leave that question with the BWR 18 people. 19 There is a requirement that all plants do 20 an in-service inspection on these pipes as part of 21 the overall insert inspection program so it occurs 22 in the the BWR plants that we would expect to find it in 23 the course of time because of those inspections. 24 However, in the case of PWR at the plants 25 the occurrences have occurred specifically in the areas INTERNATIONAL VERSATIN REPORTERS. INC. 1939 306

of stagnant and non-stagnant effluents that have been in the primarily in certain systems and looking at those systems and specifically what we want to look for in them.

> I believe that is all I have. MR. ETHERINGTON: Any questions?

13

1

2

1

4

5

6

7

17

19

20

21

24

25

MR. WALACE: Mr. Etherington --

8 MR. TABOADA: One more point, excuse me. 9 We do have -- the NRC has initiated the PWR or type 10 crack study group who will certainly review this as 11 part of their overall -- they expect to have completed 17 their work in six months.

13 MR. ETHERINGTON: If there had been a complete 14 break in one of these pipes, would the consequences 15 have been serious, would there be plenty of time to 16 rig up an emergency cooling arrangement?

MR. TABOADA: I haven't been --

18 MR. ETHERINGTON: No, it is not your field --MR. TABOADA: Right. It is my understanding that certainly in -- do bu want Met Ed to answer the question?

22 MR. ETHERINGTON: Either, yes perhaps or 23 someone in the staff.

Has this been analyzed as an accident? MR. SILVER: I am sorry, sir, would you repeat?

ANTERNATIONAL VERBATIN REPORTERS INC. 40 SOLITH CANTOL STREET, S. W. SUITE 107 WASHINGTON, 3. 2. 2002

MR. ETHERINGTON: "Supposing one of the pipes had broken completely suddenly was there a major problem or would there be plenty of time to rig up an emergency cooling?

€,

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. TABOADA: It is my understanding that this spent fuel coolant release that this would not be a problem. That there is a redundancy in the cooling systems and in addition to that the -- all we needed is when they are moving fuel and they have time to rig up portable systems such as fire hoses, et cetera.

MR. ETHERINGTON: Yes, sir, that sounds all right excepting when you hear it is an eight inch pipe, that doesn't sound like a very small --

MR. SILVER: It is a ten inch pipe.

MR. ETHERINGTON: Ten inch, is it? Of course, you could let the pool get hot obviously. No problem there.

MR. WALACE: Mr. Etherington, we have in general, these systems are low energy systems and we have analyzed in the past through all crac :s and leaks rather than catastrophic failure. We are going back to look at the potentials and as Mr. Cronebergeindicated earlier he has some analysis on the potential for failure, we are looking at the effect.

We think that there will be ample amounts of

INTERNATIONAL VERBATIM REPORTORS INC. de SOUTH CAMTOL STREET. S. W. SUITE 107 WARHINGTON, D. C. JOBS

time to isolate any particular break location and take remedial action.

20

1

2

1

4

5

6

7

8

9

10

11

14

18

19

20

21

22

23

24

25

MR. ETHERINGTON: Yes, in low energy I think it is only a seismic event that it would be likely to cause a sudden fracture.

MR. CRONEBERGER: If I might just amplify. The design basis for the spent fuel cooling system is again redundant systems with the heat low associated with a full core load. That would be the normal design basis for a spent fuel cooling system.

In the investigation of this problem, we did 12 in anticipation of what would be the requirement if 13 in the repair we have a totally disabled the spent fuel cooling system investigate how long it would take for 15 the cooled temperature to get up to boiling and that 16 time would demonstrate it that we had I thin. it was 17 eight to ten days of key up before we would achieve that temperature, and that temperature in itself would only then start causing a loss of the water in the pool. it was not necessarily a point where there would be a catastrophic occurrence. But, anyway we did that investigation based upon the heat load for the fuel currently in the pool and it was approximately eight to ten days to get to 212°.

MR. ETHERINGTON: Yes, it would be my judgment INTERNATIONAL VERSATIN REPORTERS. INC. SOUTH CLATTOL STREET. S. W. SUITE 107

that there is no serious problem but I think it probably should be looked at.

Any further questions?

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. EBERSOLE: That eight to ten days, that was -- you said would the fuel principally in the pool, what about the worst case of a press charge in the pool.

Let me give you the basis why I ask you.

I recall a case where we were looking for possible boiling in the pool as a final method of cooling and one of the problems was there was about eight feet of concrete around that sheet metal liner and the liner is attached to it and the concrete doesn't move very fast but the cladding does and the cladding was attached to concrete by pin fasteners and it seemed to be a possibility of buckling if the cladding rose much faster and the temperature to the concrete which led to stresses of the points where the testers were attached. What would be the shortest time before you would expect trouble with the differential movement from the cladding to the concrete?

MR. CRONEBERGER: First of all, the investigation that we did was on the basis of what would occur if we hadn't the safety system now. I don't believe we did the analysis that you are suggesting. I would like

> INTERIATIONAL VERBATIM REPORTERS. INC. 40 SOUTH CANTOL STREET. S. W. SUITE 107 WARHINGTON, D. C. 2002

1	however, to suggest that simply because there may be
2	instability of the pool liner, it does not suggest that
3	there is leakage of the pool.
4	That the instability of the liner does not
5	suggest high stresses in the liner.
6	MR. EBERSOLE: You don't think it would pull
7	out the anchor , it may buckle but that wouldn't lead
8	to a leak.
9	MR. CRONEBERGER: It is very similar to
10	the containment liner.
11	MR. EBERSOLE: All right, thank you.
12	MR. CLARK: But, basically, unless and until
13	you disable one cooling system you have redundant systems
14	either one will work all the evidence is that it will
15	leak and not break and that there is a lot of margin
16	you can take the design stresses even with a crack
17	all the way around and half way through. So, you know,
18	we are pretty far down the path before we get anywhere
19	near this problem.
20	DR. DILLON: I am not clear about how much
21	water can leak out of the pool in the event that you
22	lose this line with a guilotine break.
23	MR. WALACE: The pool is designed so that
24	there are no penetrations below a certain relatively
25	high level. They go through a surge tank and an overflow 1939 311
1	INTERNATIONAL VERBATIN FERENTERS INC.

INTERNATIONAL VERBATIM REPORTERS. INC. SOUTH CAPITOL STREET. S. W. SUITE 107 WASHINGTON, D. C. 2002

100 C	
1	at a very high level. So, it is a closed box below
2	that elevation, well above that level of the fuel.
3	MR. ETHERINGTON: Well, it will sighon down
4	to some level or is there another siphoning at all?
5	MR. WALACE: It will drain down into a level
6	and there are anti-siphon features in the design then
7	against siphoning additional water out.
8	DR. LAWROSKI: Is your pool below grade.
9	or mostly above grade?
10	MR. ROSS: The pool in unit one is mostly
11	above grade.
12	MR. ETHERINGTON: Are there any further questions?
13	Thank you.
14	MR. WALACE: Mr. Etherington, before we
15	proceed with the remainder of the program I would like
16	to provide the press releases on our organizational
17	MR. ETHERINGTON: Oh, thank you.
18	MR. WALACE: anticipated organizational
19	changes. If you have any questions which you would
20	like us to specifically address, we will be glad to
21	do it at the full Committee meeting.
22	MR. ETHERINGTON: We will look at those.
23	Item 12 is other questions as indicated by
24	the Committee. This is attached and if we have anything
25	additional to those items as we have discussed
	INTERNATIONAL VERBATIM REPORTERS INC. 1939 312

- SOUTH CAPITOL STREET, S. W. SUITE 107 WARMINGTON, S. C. 2008



1	MR. ETHERINGTON: The next item on the program on
2	the agenda, item 5, is the Committee caucus and selection of
1	items for presentation to the Full Committee on February 8
4	or later meeting if so determines.
5	MR. MULLER: You've missed this item here.
6	MR. ETHERINGTON: Oh, I've forgotten that one.
7	MR. SILVER: You seem determined not to do that
8	one, Mr. Etherington.
9	MR. ETHERINGTON: Yes, I'm ahead of myself.
10	Okay, the Staff's status report.
11 -	MR. SILVER: If I may before we begin that, during
12	the break, I communicated with our security people in
13	Bethesda; and they have brought me up to date on where we
14	stand with regard to the security proposals made by Met Ed
15	with regard to the separation of the two units.
16	A formal second or third submittal actually was
17	made on January 9, by Metropolitan Edison which has been
18	reviewed and essentially accepted by our security people. I
19	do not believe this has been formalized as yet. But, they
20	are satisfied with the measures being taken by Met Ed.
21	There has been one additional item which has apparent-
22	ly not been discussed with Met Ed and there has been in the
23	last couple of days some communication difficulty in getting
24	the people together to pass this along. It has to do with
25	hardening the final access control point, and I'm sure it

INTERNATIONAL VORSATIN REPORTERS. INC. LE SOUTH CAPITOL STREET, S.W. SUITE 107 WASHINGTON, G. C. 2008

1

1939 514

1 will be communicated to Met Ed within hours or certainly, 2 next Monday. 1 With that one exception and there is no problem 4 anticipated with that one, we do not have any problem with 5 the security measures being taken by the company to separate 6 the Units 1 and 2. 7 DR. LAWROSKI: Mr. Silver, have you read the 8 sandia reports dealing with vulnerability of --4 MR. SILVER: Yes, sir, I have. Not recently, I 10 might point out. 11 DR. LAWROSKI: Has anyb dy from Met Ed read those? 12 MR. WALLACE: Sir, I am not personally familiar 13 with that report and I don't believe that we have anyone 14 here who is, but I'm sure we've had people --15 MR. CLARK: We don't have our security people here. 16 DR. LAWROSKI: Well, it's more then just security; 17 I'm interested in whether your management people had read --18 there are about three reports including this so called 19 Michaelson report which I think it would be well to read 20 before coming before the Full Committee. 21 But, these reports are very germane with respect to 22 the hardening of Unit 1 particularly during the rather 23 extensive activities that are going to be occurring at Unit 2 24 for quite some time, including the presence of many contract-25 or personnel, if I heard correctly yesterday and today. 1939 315

INTERNATIONAL VERBATIM REPORTERS. INC. ----

MR. SILVER: As has been indicated a couple of times yesterday and today, there are issues outside the scope of the order which have arisen during the TMI 1 reload evaluation or in the course of events not connected with the TMI 2 accident.

1

2

1

4

5

6

7

8

9

10

12

12

13

14

15

16

17

18

These are not being considered with relation to the restart of TMI 1, except as they may relate specifically to various items in the order; and those that do will be, of course, coordinated closely with the people in organizations doing the bulk of the work.

Dominic Dianni who is the DOR project manager on TMI 1, separate from the restart order, is prepared to give you a status report on these items which we have called just to name the group just to name the group, the back log items.

MR. DIANNI: As Harley said, my name is Dominic Dianni and I'm the project manager for TMI 1 for the back log items. These items were ongoing and I may add that they're common for most of the operating reactors in varying degrees.

Some of these back log items are generic in nature and others are unique to TMI 1. Now, as far as the total number of items that are outstanding, there are 37 items that are outstanding; and I might add that this is pretty much common for other operating reactors. They generally vary from about 35 to in the areas around 40 or so. So, this is not unreasonable.

ANTERNATIONAL VERBATIM REPORTERS INC.

1939 316

If one assumes that the startup will take place in the fourth quarter of this year, our present plans are that we could have 32 of these items complete: five items would be open, but these items are considered not affecting the safety of the plant.

For an example, there is one item which is the cast drop. That problem will be solved after startup since they won't be shipping any fuel before startup. Sc from a priority standpoint, we put those type of open items in that B catagory.

DR. LAWROSKI: Excuse me; how do I interpret that A, the 32, it says number of items scheduled for completion if is permitted. Is that by the fourth quarter or considerably before the restart?

MR. DIANNI: Well, we don't know the exact date of the restart today, so what we're doing is we're --

17 DR. LAWROSKI: Well, what is your anticipated 18 schedule for completing those items? Of the 32, is it going 19 to be 28 of them, is it going to be --

MR. DIANNI: No, it will be all 32.
 Now, I should also mention, at this point, if you
 look at item C, there are some of the items --

DR. LAWROSKI: Could all 32 by the end of the third
quarter in 1980, or well before then?

25

t

2

1

4

5

6

7

8

9

10

15

16

MR. DIANNI: Well, in the fourth quarter.

INTERNATIONAL VERGATIM REPORTERS. INC. 40 SOUTH CAPITOL STREET, S. W. SUITE 107 WARHINGTON, G. C. 3005 DR. LAWROSKI: Go ahead.

.0.

1

2

1

4

5

6

7

8

9

10

11

14

16

17

13

19

20

MR. DIANNI: Well, I guess for planning purposes, we could say that we certainly would have those items completed say, in November of 1980.

Now, some of these items that are in the 32 are items that we consider could be impacted by the hearing or the interrogatories. Of course, if they are impacted, well, then they would be delayed.

An example of this is the -- we have the revision of the filter technical specifications that are in progress now. That could be impacted by the hearing.

12 In the group of the 37 items that are left open, 13 a lot of them were generic and they are a problem to most of the operating reactors that are similar in design to TMI. And 15 that turns out to be 24.

As far as items that are unique to TMI, that turns out to be 13. Now, as far as some of these items that are unique to TMI, I should mention, are revisions to the technical specifications, certain parts and bringing them up to today's standards.

21 My next three slides is a detailed breakdown of 22 these items. Incidentally, here in the comment section, 23 these letters correspond to the catagory items in the first 24 slide. I will go down -- I won't hit each one of these items 25 because some of these are in review by the technical staff,

> INTERNATIONAL VERSATIN REPORTERS. INC. SOUTH CLATTOL STREET. S. W. SUITE 107 -----

1939 318

but I will just go down say, take for an example, the small break ECCS. This was part of the exemption that was issued during the number five reload. And, we expect that item there would be completed by startup.

1

2

1

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

The conversion to the standard technical specification: that would fall under a long-term item which would be not critical to startup, but it will be bringing up the technical specification up to today's standards.

As far as the filter technical specification, this, too, would be bringing up the technical specification, the license, up to meet Reg guide 1.52, revision 2.

Incidentally, if you have any questions on any one of these specific items, I will be glad to answer it if I can; if not, I can certainly get the answers for you.

We talked about the pipe crack problems. This is item number 13 on the list, this is one of the items that although it's not on the order, it will be completed. In other words, the resolution to this problem will be resolved by the time of startup.

As far as inservice inspection and testing is concerned, this is to bring the requirements in the technical specification up to meet the ASME Section 11 code This is item number 20 and is concerned with the valve testing and pumps and item number 21, pertains to the surveillance program of wells.

1939 319

MTERHATIONAL VERBATIM REPORTERS. IN 40 SOUTH CAPITOL STREET. S. W. SUITE 107 WARHINGTON, D. C. 1002 A long term item, which is number 23, is the hydraulic snubbers. This is concerned with -- there are requirements now in existence for the surveillance program for hydraulic snubbers. This would be bringing it up to current standards.

t

2

1

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

27

23

24

25

There was also mentioned yesterday, I believe, the problem with containment purge. This item over here deals with the valves themselves, the purge valves, so that in the event of a DBA LOCA accident, the valves will be able to close.

Now, the licensee has committed to 90 hours of purging per year and there was also another letter that was issued on the 28th of this month where it would limit that when the valves are -- when they are purging, they would limit the opening of the valve to between 30 and 50 degrees open.

We have asked the licensee to commit to this within 45 days of the receipt of the letter.

Is there any of those items on this view-graph that any of the Committee Members would be interested in?

DR. FOSTER: Back on your previous page, item 8, elimination of non-radiological environmental from the test specs, is that because that's being transferred over to EPA to state? 1939 320

MR. DIANNI: That is correct, yes.

MR. ETHERINGTON: Any other questions?

INTERNATIONAL VERBATIM REPORTERS. INC. 49 SOUTH CAPITOL STREET. S. W. SUITE 107 WASHINGTON. G. C. 3384

MR. DIANNI: With regard to the degraded grid voltage problem, this is being worked on also and there is really another part to this one and this is the voltage distribution for the undervoltage problems as occiated with that. And this would be one of the items that, of course, would be completed prior to restart.

Moving on to say, take item number 33 the uneven drawdown of the reactor building: this change will also include the changeover from the use of sodium thiosulfate and in its place we'll be using sodium hydroxide. And this is to assure that during the spraying of a containment, that item 131 is taken up with the sodium hydroxide.

13 DR. LAWROSKI: You presently have been using thiosulfate, did you say?

MR. DIANNI: Well, thiosulfate and together with sodium hydroxide.

DR. LAWROSKI: With sodium hydroxide.

MR. DIANNI: Yes.

1

2

3

4

5

6

7

8

9

10

11

12

14

15

16

17

12

DR. LAWROSKI: But, you plan to eliminate the 19 20 thiosulfate?

21 MR. DIANNI: Yes, and go strictly with the sodium 22 hydroxide. 1939 321 23 Associated with this particular problem is also 24 whether you have several tanks that contains the solution and 25 it is to control also at the nozzels inside containment to

SOUTH CAPTOL STREET, S. W. SUITE 107 WASHINGTON, D. C. 2002

assure that you will have a pH of between 8.5 and 11 ; so, this is another phase of the problem to make sure that whenever you are drawing down, you will have the proper pH at the nozzels.

Items 34, 35, and 36 deal with security and some of these are ongoing programs.

t

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

24

25

Item 37 is -- will illustrate a typical item that is unique to TMI. This had to do with the instrumentation calibration for measuring power level, and these are -- you have to calibrate these periodically together when you do your feed balance and power balance to make sure that they meet. There were some problems in this area. I should say that this has been resolved and is just a matter of preparing the SER.

Another thing that I should also mention here, well, a good bit of these items in here will not result in the test spec change. They will be written off by a safety evaluation report.

MR. MATHIS: One question: what's the significance of item 30 when you look back at item 25 on the previous page: wouldn't that be covered? I guess what I'm really asking; are these things really individual items or are they apt to be duplicates?

> Number 25 is containment leak testing --MR. DIANNI: Oh, yes. 1939 322

> > INTERNATIONAL VERATIM REPORTERS. INC. 48 SOUTH CAPITOL STREET. S. W. SUITE 107

MR. MATHIS: And 30 is containment leakage due to seal deterioration: I guess my question is what's the difference?

1

2

1

4

5

6

7

8

9

10

11

12

13

16

18

19

20

21

MR. DIANNI: Okay. The difference: as far as this item, this is meeting the requirements of Appendix J which it may require an exemption. Whereas, in the case of the seal leakage, this has to do with long term wear of the seat and it may be -- and it's more or less like a probability analysis that sometimes you don't seat the valve properly and you get slow leaks and this may progress with time.

I don't know if I made myself clear on that. MR. MATHIS: I think so. I'm still convinced of the duplication.

Because if you've got progessive leakage, it's going 14 to show up in testing by and large. So, I don't look at this 15 as being two separate distinct entities, as far as cleanup 17 programs are concerned. Maybe I'm getting the wrong impression.

MR. DIANNI: I can look it up for you.

MR. MATHIS: It just looked a little peculiar; it's not worth spending that much time on. Thank you.

MR. EBERSOLE: Could you clarify a point for me? 22 When I look at this list, it appears to be oriented to more 23 or less specific topics that are of the design change charac-24 25 ter or a modification of some sort. And then I look back on

> INTERNATIONAL VERSATIN REPORTERS. INC. WARNINGTON Q. C. SUITE :07

the agenda here and recall the discussion that we've had about procedures and administrative changes in a variety of sorts. And the one I have a particular interest in is the supplementary emergency procedures, which take up the matter of failure, of the same failure criteria, which I understand is in prepartion but by no means finished.

I don't see that you have that identified as a back log open item, but surely these administrative matters must be still open. You don't characterize them on this list as being still open.

Do you follow me?

1

2

1

4

5

6

7

8

9

10

11

12

25

MR. DIANNI: Yes. I think I do.

MR. EBERSOLE: I'm saying you have characterized a number of topics here and more or less indicated these were all of the open items, but I think there a many number -many administrative type items that are still open, including reviews, well, even preparation of review of such procedures that I have mentioned.

MR. DIANNI: I guess I should have mentioned this earlier. This list, or the numbers, change from month to month according to -- if I would have given you this presentation in November, that number up there would have been 44. But, you see, they keep on coming in, and this is in our course of review.

Now, what you are saying is absolutely right: that

1939 324

INTERNATIONAL VERBATIM REPORTERS. INC.

1	would probably be coming up and showing up in our list.
2	MR. LPERSOLE: You mean as added to that list?
3	MR. DIANNI: That's right.
4	MR. EBERSOLE: It's kind of discouraging to see
5	added things to the list; I'd rather see them come down than
6	increase.
7	MR. DIANNI: Well, it did come down from November.
8	MR. EBERSOLE: Well, there certainly must be a number
9	of administrative procedures in other documents in preparation
10	which are still open.
11	MR. DIANNI: That's right.
12	MR. EBERSOLE: But, they're not identified there at
13	all.
14	MR. DIANNI: That's right. Well, as far as admin-
15	istrative procedures, some of these are included in here. It
16	depends on which what you mean.
17	Like, for an example
18	MR. EBERSOLE: Well, let me give you a case in
19	point.
20	I hear that we have an alternate procedure for
21	feed bleed. I don't think it's developed yet.
22	MR. WALLACE: Excuse me, Mr. Ebersole, if I can
23	interject. The procedures which you're referring to in our
24 .	procedure revision program is in progress; it is not yet
25	complete, but it is covered under the order
	INTERNATIONAL VERBATIN REPORTERS INC. 1939 325

- SOUTH CAPITOL STREET. S. W. SUITE 107 WASHINGTON. D. C. SOUL
| 1 | MR. CLARK: Under the order |
|----|--|
| 2 | MR. WALLACE: And would not be listed under this |
| 3 | particular list. |
| 4 | MR. EBERSOLE: Okay, then these are exclusive of |
| 5 | the order item |
| 6 | MR. WALLACE: Yes, sir. |
| 7 | MR. SILVER: I tried to make that clear in my |
| 8 | introduction. These are exclusive items, except that some |
| 9 | of them are related to items in the order. |
| 10 | MR. EBERSOLE: So, this list is exclusive, then, of |
| 11 | those order items. |
| 12 | MR. SILVER: Yes, sir. |
| 13 | MR. EBERSOLE: Thank you. |
| 14 | DR. LAWROSKI: Are you nearly through with this? |
| 15 | MR. DIANNI: Yes, I am. If there's any other |
| 16 | questions, I'm finished. |
| 17 | DR. LAWROSKI: Okay. |
| 18 | MR. THORPE: Could we comment for just a minute on |
| 19 | that subject? |
| 20 | DR. LAWROSKI: Yes, sir. |
| 21 | MR. THORPE: The company is in the process in attemp- |
| 22 | ting to develop a firm schedule that we will work to for |
| 23 | restart. Even recognizing the uncertainties of the hearings |
| 24 | et cetera, we need to have a date towards which we focus all |
| 25 | of our efforts. |
| | INTERNATIONAL VERSATIN REPORTERS INC. 1939 326 |

-____

•

1	To that end, we will be working with the Staff and
2	really need them to identify which items are required for
3	restart, even if it occurs earlier. There's some possibility
4	that our date for restart would be a little earlier than
5	the fourth quarter when we try to set the schedule. And
6	it is going to be important to us to get that identification
7	of which things are required for restart and which can be
8	handled on the schedule consistent with other plans on which
9	the same questions exist.
10	DR. LAWROSKI: Thank you.
11	Did you want to add something, Mr. Silver?
12	MR. SILVER: I would just like to say, of course,
13	that we understand this need and Dominic and I and other
14	people in the Staff will work towards that end to assure
15	that those that we will require, we collectively, will
16	require for a restart are, in fact, identified and trans-
17	mitted to the licensee.
18	There will probably not be a large number of these,
19	that is my guess, that we will require. The number here of
20	32 are simply those that are expected to be resolved. Some
21	of them, in fact, will be required; others will not
22	MR. DIANNI: Thank you.
23	DR. LAWROSKI: Thank you.
24	I guess, Mr. Chairman, we've reached the point
25	where I think we were going to ask both the Applicant and the
	INTERNATIONAL VERBATIM REPORTERS INC.
	1074 327
	1757 561

1	Staff to indicate what it is that they would hope to achieve
2	from a meeting with the Full Committee at this time when,
3	obviously, there is still much to be done.
4	MR. ETHERINGTON: I think that's good.
5	DR. LAWROSKI: So, I don't know which one of you
6	MR. ETHERINGTON: I think we might ask Met Ed
7	first.
8	MR. THORPE: All right. First we recognize that
9	it would be unusual to go to the Full Committee with the
10	number of questions which is presently open; that that would
11	be an unusual situation.
12	We believe, however, that the TMI situation is
13	in total unusual and in at least two respects: one, the
14	review being made by the Staff and in some respects, I think,
15	by the ACRS is more detailed than in the past, and of
16	necessity, can't be completed until later in the process.
17	We need that more detailed work done before it can be re-
18	viewed, et cetera.
19	So, that's pushing the final review off.
20	Second, the TMI accident has caused a great deal
21	of basic re-thinking of safety systems, regulatory require-
22	ments, et cetera, by everybody involved: by us, by the
23	Staff, by ACRS, by Commission, et cetera.
24	Therefore, the review, we think, by the Full Com-
25	mittee has a great potential for getting into undefined areas,
	INTERNATIONAL VERBATIN REPORTERS INC. AN SOUTH CANTOL STREET. S. H. SUITE 107 WASHINGTON, S. C. STREE 1939 328

1 areas where criteria are just being developed. Even if a second review with the Full Committee 2 would be required, it would be our strong desire to have 3 4 the review next week in order to, from our standpoint, attempt 5 to identify those issues which the Committee would have; 6 and perhaps, be helpful to the Committee to have the chance 7 focus more directly on this problem early on while there's a chance to have a little more time to think it over before 8 4 coming to a final conclusion. 10 So we also think that that meeting next week 11 would be consistent with the sense that we have of the Commission's orders and the Board's order to proceed 12 13 expeditiously; that it would be helpful in attempting to do 14 that. 15 MR. ETHERINGTON: In the event there were a meeting 16 next week and the Committee felt that it could not write a 17 letter, would that still be helpful? 18 MR. THORPE: Absolutely. Even if we knew today that it would require two meetings, we would strongly prefer 19 20 to have a meeting next week. It would nice if it could all be settled in one, but we recognize that it may well not be 21 22 possible. MR. ETHERINGTON: I don't think you can assume 23 24 that there will have to be a later meeting. I don't think there's any chance that next week's meeting could suffice. 25 1939 329

INTERNATIONAL VERBATIN REPORTERS, INC. SOUTH CAMTOL STREET, S. W. SUITE 107 VARIANTICS, D. C. 1005

PAGE NO. 359

	And the state of the second state of the secon
	And it might very well be that the Committee might say, we're
2	not prepared to write a letter and the only letter would be
3	written after the second meeting.
4	You say that this would still be useful?
5	MR. THORPE: We would still prefer to have the meet-
6	ing next week and address the items at that time; yes, sir.
7	MR. ETHERINGTON: Does the Committee have any
8	questions?
9	DR. LAWROSKI: I think I very much agree with what
10	you've said, Mr. Chairman.
11	Could we hear from the Staff?
12	MR. ETHERINGTON: Yes, do the other Committee
13	Members have any questions?
14	MR. EBERSOLE: May I ask a question?
15	Suppose that you come to the Full Committee meeting
16	and there's always a limited time period there. I have my
17	own views as to what you might present when you went up
18	there, but maybe you've got a different one.
19	And what we're viewing this whole situation, the
20	TMI incident, is that a few salient things come out of it:
21	one is the importance of the operators. There's some design
22	changes, of course, but I think the operators, now, are
23	have a new recognition.
24	Beyond that, is what can the operators do if, in
25	a broad sense, the single failure criterion doesn't work?
	INTERNATIONAL VERSATIN REPORTERS INC.

And I heard earlier that you have supplementary procedures where you branch out from the normal operating procedures and you have some diversions which, I think, you represented as being in a supplementary document to the emergency procedures.

1

2

1

4

5

á

7

8

4

10

11

It would be my own opinion you would want to sort of talk about things that had never been talked about before like this diversion that the operator can undertake and succeed in doing if the single failure criterion fails and matters of that sort. Now, maybe you have different views.

MR. THORPE: Well, I think we certainly would want 12 to talk about the operator. We would talk about the "what 13 if" thing that you referred to.

14 I think that we would be very glad to have any 15 guidance that the Subcommittee could provide on subjects which you feel would be particularly important to the Full 16 17 Committee; and we would attempt to address those.

18 MR. ETHERINGTON: Do you think that that will come 19 out during the Subcommittee's caucus and we may speak to 20 that later.

21 May we hear from the Regulatory Staff on their 22 position with regard to a meeting now.

23 MR. SILVER: Well, we considered the quality, the completeness, the scope of our safety evaluation at the 24 25 time it was prepared and considered whether it should even

> INTERNATIONAL VERBATIM REPORTERS INC. SOUTH CAPITOL STREET. S. W. SUITE 10 INGTON O. C. KORD

PAGE NO. _ 361

1939 332

be published as it stood; and whether we should proceed in through ACRS and so forth. And we decided that primarily because of the Commission's directive to proceed expeditiously that it should, in fact, be issued.

1

2

1

4

5

6

7

8

21

We realize, of course, there are a large number of open issues. I would suggest that discussion by the Full Committee with a follow-up meeting, if it's necessary, would also work in the direction of expediting the full process.

9 MR. ETHERINGTON: Even though, again, no letter 10 might be written next week?

MR. SILVER: I might suggest that some kind of letter, obviously this is really a suggestion, identfying additional issues that should be discussed, should be examined as part of the restart program might be in order.

MR. ETHERINGTON: Well, I have no feeling whether the Committee would write a letter or not, I'm just exploring this possibility --

MR. SILVER: I quite understand. My point is that
following the idea of the Committee assisting, so to speak,
in the process, this might, in itself, be a useful function.

MR. ETHERINGTON: Well, yes.

MR. SILVER: Just to go a little further, as Mr. Arnold noted yesterday, most of the conceptual ideas have been submitted and, in fact, accepted by the Staff. Most of the open items, as Mr. Etherington himself noted earlier,

INTERNATIONAL VERSATIM REPORTERS. INC.

are minor; they relate to details in design of procedures and so forth which the Committee normally does not get into.

1

2

3

4

5

6

7

8

9

10

11

12

21

For those items where conceptual resolution has not yet been agreed upon, there are very few items in dispute between the Staff and the Applicant: There are some. I said Applicant, I meant Licensee, of course. Met Ed has given us a schedule for submittal of all items which would permit our review in time for a supplement in mid-March.

I would point out that if, in fact, we do issue a supplement in mid-March, the normal time spans would result in a full ACRS meeting in May which constitutes a three-month delay from even a first meeting in February.

13 The Staff does believe that it would be helpful in proceeding with the issues presently covered and in 14 identifying new issues, for the Full Committee to review 15 16 the TMI 1 restart in February.

MR. ETHERINGTON: Let me ask one more question 17 18 then.

19 When must you have a final write-off from ACRS in 20 order to make a fourth quarter startup?

MR. SILVER: That's not clear to me, sir.

22 MR. ETHERINGTON: Well, let's exclude interventions and things like that from consideration. 23

MR. SILVER: Because of peculiarities of this case 24 or the unusual nature, it certainly is not -- this may or may 25 1939 333 INTERNATIONAL VERATIN REPORTERS. INC.

WARNINGTON . . . SUITE 107

T	not feed directly into the Staff's evaluation; we would
2	certainly address the ACRS letter in a supplement, as we
3	normally do; but how the Commission might weigh the ACRS letter
4	or at what time, I certainly have no information on.
5	What affect it might have on the hearing is like-
6	wise not clear to me; hearing boards seem to put different
7	weights on the ACRS review and whether that's a matter of law
8	or practice, I don't know.
9	So, I'm afraid I can't address that.
10	MR. ETHERINGTON: Is there anything else either
11	party would like to say?
12	Well, we'll go into executive session and this
13	will not be recorded. Let's record it, shall we? We'll
14	record it.
15	
16	
17	
18	
19	
20	
21	
22	
23	
.24	
25	1939 334

*____0___

INTERNATIONAL VERSATIN REPORTERS. INC. 49 SOUTH CAPITOL STREET. S. W. SUITE 107 WARHINGTON, D. C. DOM

1	MR. ETHERINGTON: Do any of the members or consul-
2	tants need to leave within the next half hour?
3	Then we'll let's see. I'd like to pass your
4	MR. SILVER: May I make a suggestion,
5	Mr. Etherington?
6	For the record it may be well for the Committee
7	to solicit public comments even though there don't seem
8	to be any members of the public here.
9	MR. ETHERINGTON: Oh, is that something we would
10	do?
11	MR. SILVER: I guess it wouldn't hurt if there's
12	anyone that wants we've had no
13	MR. ETHERINGTON: Is there any member of the public
14	here present who wishes to make a statement?
15	Apparently, not.
16	Dr. Silver, we'd like to have your input as to
17	things that we feel should be presented at the Full Committee.
18	DR. DILLON: All right. I've got a
19	MR. ETHERINGTON: Dillon, Dr. Dillon. Excuse
20	me.
21	DR. DILLON: I have a couple of items here I want
22	to I won't necessarily read them but just let me say
23	that my general impression is that the low-pressure boric
24	acid piping systems don't represent a present danger. I
25	do think that any of the high pressure systems involving
	INTERNATIONAL VERBATIN REPORTORS. INC. SOUTH CANTOL STREET. L.W. SUITE INT VASHINGTON. J. C. 2002 1939 335

*_____0___

.

PAGE NO. 365

low temperature boric acid are a subject of further consideration. The generic problem of boric acid assisted pipe cracking is being studies elsewhere and probably doesn't need any further consideration here.

MR. ETHERINGTON: In other words that couldn't compare to some of the other things that are something of a nonproblem as far as anybody --

DR. DILLON: Well, certainly it doesn't represent any safety problem that I detect.

The second thing that I wanted to mention was the fact that we do need a better information on the chemistry of the fuel storage water. I'd like to see both the analysis and the schedule review for relevance to this cracking process.

14 I think that the problems of sampling an analysis 15 water and gas samples in the event of an accident suggest of 16 that improved shielding of the sample lines and, perhaps, 17 techniques for taking water samples under conditions where 18 less operator irradiation would occur are highly desirable.

19 I've heard nothing that suggests any system-20 atic improvement plan for the clearance of the systems.

21 Those are the principal items that I considered 22 in trying to arrive at what I think are significant items. 23 MR. ETHERINGTON: Does the Subcommittee wish to 24

comment on these items?

1

2

1

4

5

6

7

8

4

10

11

12

13

25

Thank you very much, Dr. Dillon.

ATIONAL VERSATIN REPORTERS INC. SOUTH CAMTOL STREET. S. W. SUITE :07 INGTON. S. C. JOSTI

1939 337

1	Do you have something written there that we can
2	pass along?
3	DR. DILLON: Yes. It's not terribly legible.
4	MR. ETHERINGTON: I think I have a lot of written
5	reports from our consultants and members and I think I would
6	like to ask them to read them and comment from them as they
7	wish as they go along.
8	Dr. Foster?
9	DR. FOSTER: Shall I go ahead?
10	MR. ETHERINGTON: Yes, please.
11	DR. FOSTER: I've focused, principally on the
12	emergency planning particularly from a radiological aspect.
13	One of the things which has come up to my knowledge as new
14	for the first time are these emergency planning zones since
15	this is an implementation of the new Appendix E which is
16	really still in the mill.
17	So, consequently, it is kind of plowing new ground
18	and I'm not quite sure how this really fits into the overall
19	schedule of the NCRP Requirement. But, relative to the
20	emergency planning zones it's quite clear that Met Ed has
21	followed part of the guidance of drawing ten-mile circles
22	and 50-mile radius circles while the State and County people
23	have quite different ideas about implementing a plan.
24	I think that since it is somewhat precedent setting
25	that the NRC's Staff ought to take a real hard look at the

.

-_____

INTERNATIONAL VERSATIN REPORTERS. INC. OF SOUTH CAPITOL STREET, S. W. SUITE 107 WAEHINGTON, G. C. 2005 intent of the Appendix E language and determine whether or not what is being done here is what they really intended.

0

1

2

3

4

5

6

7

3

9

10

11

12

My own view is that it makes no sense to have the ten and 50-mile circles on an emergency plan if that is not, in fact, what the State and County people plan on implementing and it could, in fact, be quite confusing if someone is looking at a ten-mile circle and believing that there will be no need for any evacuation beyond that distance when, in fact, the State people are planning evacuations, perhaps, out to 20 miles.

The second item relates to the ability of TMI to estimate source terms at the time of an accident.

These are -- they are always difficult but there are some special soft spots here which we talked about during the review. One of these is simply whether or not the probe which is in the stack is drawing a representative stack sample of what's going up. Another one is whether what the probe is pulling in is ever really getting proportionately to the analyzers and instruments which are looking at it.

It is my understanding that the source terms as estimated at the plant are supposed to be verified to some extent, at least, in the field.

There is some degree of confusion, perhaps, only in my mind as to whether or not those field measurements are in any way supposed to be quantitative. My feeling is

> ATERNATIONAL VERBATIN REPORTERS INC. 48 SOUTH CAPITOL STREET. S. N. SUITE 107 WASHINGTON, G. C. 2002

1939 338

PAGE NO. 367

if it is intent that the off site monitoring teams are going to make any real kind of a quantative estimate that the capability of that is very rudimentary both in terms of the numbers of people and, perhaps, their training for doing the job that could be set out but also the interpretation of the information and then, of course, a knowledge of where to go within a limited period of time to get any kind of an off site pattern.

1

2

1

4

5

6

7

8

So, I have some substantial doubts about the accuracy
of any near-term estimates of source terms and potential
doses to groups of people based on that information alone.

Obviously, there is going to be early backup material
which is going to be coming in from the State people, from
their home teams and from others that are brought in. This
will, however, take time.

16 One of the things which, again, is especially 17 important in this area is the dose estimates which will 18 be made on the basis of source terms and the field measure-19 ments.

We didn't probe very much into the capabilities of the Met Ed Staff for doing this, my perception is that much of that under emergency conditions would, in fact, result from the emergency implementation plan in a somewhat of a cookbook fashion but that plan is still in process and I think at the appropriate point why the staff should

> INTERNATIONAL VERSATIN REPORTERS. INC. 40 SOLTH CANTOL STREET. S. W. SUITE 107 WASHINGTON, Q. C. 2003

really take a hard look at that implementation plan and the radiological aspect of it and how that is really related to rather significant action which might be based on this as far as surrounding populations are concerned.

1

2

3

4

5

6

7

8

9

10

11

12

Again, perhaps, a small item is that in looking at the new emergency plan I didn't see the liquid pathway aspect described. I understand from the State people that such a plan is, in fact, in place where notifying downstream users. This is a small item, but I think that you should take a second look at that plan to make sure that those liquid pathway items are, in fact, included in the plan.

On the positive side I was very glad to hear of
the reorganization was an upgrading of the radiological
control function so that it now reports directly to Mr.
Arnold, I believe.

I think the Met Ed should be complimented for,
that is be complimented --

MR. THORPE: Excuse me, Mr. Foster. Could we
correct that the Radiological Plan Department reports to Mr.
Herbein, who in fact is a Vice President and in charge of
Unit One. But it is completely independent of operations
or anything else.

24 DR. FOSTER: In fact, I did understand that it
25 was to a Vice President, thank you.

INTERNATIONAL VERSATIM REPORTERS. INC. 49 SOUTH CAPITOL STREET. S. W. SUITE 107 11 ADMINISTON. O. C. 33002

MR. ETHERINGTON: Thank you, very much. Charlie?

0_

1

2

23

24

25

3 MR. MATHIS: Well, in considering a meeting with the Full Committee in response to Harold's suggestion 4 5 as to what would they like to hear, it seems to me that they would be interested in a general status 6 7 report, if you will, on progress that is being made to satisfy the entire list of lessons learned items. 8 9 I think the other items remaining are -- you 10 had a name for it and it slipped my mind, anyway --11 MR. ETHERINGTON: Backlog? 12 MR. MATHIS: Backlog, yeah. And I think some 13 general status on those would be important. But I think far more important would be a discussion of the specific 14 15 items, what I would term in dispute and unresolved, 16 and the most important part of that I think would 17 be as to why there is a difference. Because I think if we are going to make some progress the attempt 18 here should be to get it out on the table and hope-19 fully we can get some assistance and resolutions. 20 A third thing that I am sure they would 21 22 be interested in is the item that Mr. Clark mentioned

for completion of a prestart program.

INTERNATIONAL VERBATIM REPORTERS. INC. 48 SOUTH CAPITOL STREET. S. V. SUITE 107 WARHINGTON, D. C. 3083

a minute ago, and that's the licensee's schedule

4

1	Now, I recognize that there are many variables
2	in that that skip the interrogatories and that sort of thing,
3	but considering design procurement of the conceptual ideas
4	as well as the general administrative thing I think they'd
5	like to hear what your schedule, as you see it, would be
5	for a restart.
7	Harold, I think that is about all I've got.
8	MR. ETHERINGTON: Thank you, Charlie.
9	Steve?
10	DR. LAWROSKI: All right, I'll continue some items
11	that I would suggest for consideration by you for presentation
12	at the Full Committee meeting next week.
13	One would be a discussion of Met Ed's position,
14	including rational as appropriate with regard to the implemen-
15	tation of Reg. Guide 1.97, this has to do with instrumentation
16	that follows, of course, the facts.
17	Secondly, and this is understood because Mr.
18	Arnold had planned to give us that today, but it was agreed
19	yesterday that it would be done at the Full Committee and
20	that at the Full Committee meeting and that's a discussion
21	of the organizational changes in Met Ed that G.P.U. with
22	emphasis on where and how much augmentation has been
23	will have been achieved in regard of technical support
24	in particular areas of technology.
25	As suggested earlier this morning I think that

*_____

INTERNATIONAL VORBATIM REPORTERS. INC. 48 SOUTH CANTOL STREET. S. W. SUITE 107 WASHINGTON. D. G. 2002

1	the Committee would like to have a closed session with the
2	licensee and NRC Representatives to discuss the protection
3	measures to be undertaken to assure the security of the
4	plant against acts of sabotage and so forth.
5	If none of the management people at Met Ed or
6	G.P.U. has not yet read these three or four Sandia classi-
7	fied reports and I emphasized the classified.
8	I think it would be very well for one or more
9	of them to have been so done.
10	MR. SILVER: If I might point out the arrangements
11	can be made for this.
12	DR. LAWROSKI: I think it is important that it
13	be someone in addition to the man who's in charge of physical
14	security because I think that we've seen a deliberate effort
15	already in other areas on the part of management to get
16	more responsibly involved.
17	MR. THORPE: I'm going to read them. Some of
18	the others may have I will read them.
19	DR. LAWROSKI: Okay.
20	MR. THORPE: Assuming I can get them through the
21	system by next week.
22	MR. SILVER: You will have to come down to Bethesda,
23	I'm quite sure. Or downtown.
24	DR. LAWROSKI: And then, I guess, we'll the
25	Committee would certainly like to hear, at least, a summary
	INTERNATIONAL VERBATIN REPORTERS INC. M SOUTH CANTOL STREET, S. W. SUITE 107 WASHINGTON, D. C. 20002 1939 343

*_____0____

presentation on the improvements in the training of personnel both on the operating side as well as those who are involved in the maintenance. I think that the difference is that we'll now obtain as compared to what was the situation prior to TMI-2. I'll think that out a bit here because some of the points have already been covered by others.

1

2

1

4

5

6

7

8

9

10

MR. EBERSOLE: I picked two kinds of topics here one of which I will call a general one I think it's pertinent to the unusual situation we have here. I'll just attempt to, briefly, read those off.

11 I think it might be that the Committee would like 12 to hear a presentation and discussion of what you call the appendencies to the emergency procedures which describe 13 those actions to be taken at each point in the procedures 14 which have the notation verify that, confirm that, and so 15 forth and I expect those actions to be taken if the verifi-16 cation of confirmation shows that a given service is not 17 available. In short, that's the part of the operating proce-18 19 dures which, heretofore, has been absent. They tell you 20 how you are going to recover from conditions that will be 21 on the single failure criteria.

The applicant has stated that a set of such instructions will be available to operators to aid in restoring critical service which may not be available, and if he can give us a sample or for that matter the supplementary document

> INTERNATIONAL VERBATIM REPORTERS. INC. 40 SOUTH CAMTOL STREET. S. W. SUITE 107 WARMINGTON. D. C. 2002

itself, I think it might be helpful.

1

2	I think the basis for that is clear. These are
3	this is information which we normally have not had. It
4	takes up emergency repairs, recovery operations of a variety
5	of sorts that I think it is a point that if you lose the
6	critical service water system for some reason how do you
7	recover that. I am trying to avoid the consternation of
8	the operator which may be present if he has no ordered pro-
9	cedure with which to recover these alternate sources in
10	case they fail to appear when he needs them. That's the
11	general topic. It's the extrapolation of emergency in ab-
12	normal procedures to recover available services should this
13	condition be present when you need such services.
14	As a special topic, I'd like to say I appreciated
15	a very thorough tour by Mr. Hartman on the matter of the
16	D.C. Service System that you have here,
17	I gathered from that that there is possibly a loopy
18	in it, it might be available to you to recover from what
19	might be a bad situation there although it is not clear
20	that you can do it in the allowable time that's necessary.
21	That situation, as you know, it is generic to
22	all power plants and my choice of it as a particular type
23	here is merely to think it out of the generic topics and
24	see how well TMI-1 can possibly recover from this situation
25	and I think it might be worked out very well because I found

INTERNATIONAL VERSATIM REPORTERS. INC. 46 SOUTH CARTOL STREET. S. W. SUITE 107 WASHINGTON, D. C. 2002

that the emergency feed water system may, in fact, be available without any support D.C. which would extend the time to restore this power a great deal beyond the some 20 odd minutes that one would have otherwise.

1

2

1

4

5

6

7

8

22

23

I have the impression you are well along on investigating what could be done in these circumstances which, I think we must, at least, come to some conclusion concerning the consequence which may be a cold metal if not worse.

The basic issue is do you have time to do the
things that you can do before irreversible and severely
damaging consequences result.

Considering that you have to do these manual operations at various switchboards some distance apart in total darkness with a somewhat questionable possibility of having diesels available because they can field flash and with an unknown consequence, an aspect of whether the AC power system fails consequentially when a DC system fails, it may or may not, as I understand it.

I think a first credit that would be worth presenting to the general Committee since it's a topic of some
interest to several of the members.

MR. THORPE: Mr. Ebersole?

MR. EBERSOLE: Yes?

MR. THORPE: I hope we did want the source of
your belief we're far along in looking at that. Last night

INTERNATIONAL VERBATIM REPORTERS. INC. 49 SOUTH CAPITOL STREET. S. W. SUITE 107 WARNINGTON, D. C. 2002 after the meeting we, in fact, geared up and initiated a thorough systematic look at it.

1

2

1

4

4

6

7

8

I think it is unlikely there is going to be much result by the end of next week. We've thought about it, as have a lot of other people, and had, you know, the kind of general ideas that were discussed but I'd be misleading you if we indicated we'd have very much in the way of an engineering systematic study next week.

9 MR. EBERSOLE: Well, even that statement itself 10 is worth bringing to the attention of the Committee since 11 they have been led to believe by the numbered study NUREG 12 305 that somehow there is a time available in which to do 13 things. I think maybe that's not so accurate a picture 14 as we might have otherwise.

15 MR. CLARK: We'll present what we have but it 16 is not going to be very detailed or very far along.

17 MR. EBERSOLE: I think just that presentation 18 confirms a suspicion.

19 DR. CATTON: I think most of the items that I 20 have written down have been covered, but I'll go through 21 them quickly.

22 I think the three most important aspects are control 23 rooms, operator training and procedures.

24 As far as the control room, I think changes in 25 available information contrasting what the situation was 1939 347

INTERNATIONAL VERSATIM REPORTERS. INC. WASHINGTON, 3 C. 2002

before it was now.

1

2

1

4

5

6

7

8

9

10

11

12

13

14

15

16

17

Secondly, the TMI philosophy regarding use of the process computer.

As far as operator training is concerned, I think the goals and philosophy would be important. And I went through your plans and my feeling is that the topics to be covered on heat transfer fuel mechanics which have been a sore point with me for quite a while appear to be well thought-out. It looks sort of professorial.

My guess is that the -- just then a quick estimate -the six week program, this aspect amounts to about 15 percent, and looking through the remainder of the program, however, I find that that part just seems to be left out and I don't know if it is my interpretation of your lesson plans or what but I think that your program would be significant enhanced if application of the basics coming from modular one were incorporated into modules two through six.

18 In any event, I think some of this should be discus-19 sed with the Full Committee. As far as the procedures are 20 concerned at least as I understand your approach which 21 is iterate of this approach with the simulator operators 22 and they're input back into your procedures. To me it 23 seems to be a very good method of developing your procedures 24 and I would think that the Full Committee would like to 25 hear about that, particularly the role of the E&W Simulator

> INTERNATIONAL VERBATIM REPORTERS. INC. 49 SOUTH CAPITOL STREET. S. W. SUITE 187 WASHINGTON, D. C. 2002

	이 이 방법에 넣어 집안 집안에 많은 것 같아요. 이는 것은 것 같아요. 것은 것이 것이 것 같아요. 그는 것 것은 것을 것 같아요. 것이 없는 것이 없다.
1	Operators would play.
2	Dr. Lawroski mentioned Reg Guide 197, I think
3	in particular the rationale for not needing in-vessel liqu'd
4	level would be of interest. The rest of these are kind
5	of secondary.
6	Containment hydrogen, I personally would like
7	to hear where the sensors are going to put and why, and
8	this involves some consideration of in-containment circula-
9	tion.
10	I don't know how you plan to hook the combiner
11	up to the air conditioning ducts but how efficient are they
12	going to be. Is it just attached to the side?
13	DR. LIPINSKI: That's it, in the side.
14	DR. CATTON: Well, is it just attached to the
15	side?
16	DR. LIPINSKI: Yeah, sucking on the side of the
17	circular
18	DR. CATTON: How efficient is this process going
19	to be in getting the hydrogen out of the flow that's circula-
20	ting through your air conditioing system?
21	DR. LIPINSKI: In diluted form.
22	DR. CATTON: Will the hydrogen collect in high
23	spots, and lastly, what kind of a sensor is going to be
24	used and how will it be qualified. Can it be affected by
25	moisture, and so forth?

-_____

INTERNATIONAL VERBATH REPORTERS. INC. 49 SOUTH CAPITOL STREET. S. W. SUITE 107 WAEHINGTON, D. C. 2000

1	I think some discussion of the pressurizer system,
2	things like susceptibility to water problems, namely, the
3	wire where the wire is connected to the heaters. Also,
4	I am not sure what that box was that was on the second level
5	but it looked like it was not water proofed, I don't know
6	what's inside t but how qualified is your pressurizer system
7	to the environment that it will seek?
8	Also, the rationale for placement of the Delta
9	P Cells at six-foot level, youknow, why not ten feet. It
10	seems to me that where you put them or the elevation that
11	they are placed shouldn't be difficult to move or to change
12	if it is not right.
13	Feed and bleed seems to enable TMI-1 to survive
14	everything. I think that deserves a little bit of attention.
15	That's all I have.
16	DR. LIPINSKI: Item 1, we discussed containment
17	isolation occurring at four PSI and a here at 30 PSI
18	and the valves two each at 58 inches are allowed
19	to be opened 90 hours per year which is one
20	percent of the time. So, the question is what
21	break sign is required to develop four PSI when
22	these valves are open.
23	I had given a note to Muller earlier and the plans
24	
25	
	INTERNATIONAL VERBATIN REPORTERS INC. 1939 350

a____o___

for the existing plant computer, what you're proposing to do to it before you go into operation and then your longer-term plans with the new computer system would be of interest. There is one item that we discussed about the operators being able to move through the plant under emergency conditions and it was said that would have to be covered

7 under closed session to discuss how they can move about 9 if your security system presents them a problem.

9 We discussed the remotely operated purge value
10 on the reactor vessel covered and you offered arguments
11 as to why you didn't need that. I think that would be an
12 important item for discussion.

The next item has been covered by Dr. Catton, and where you plan to run the outputs from the high point vents and your general philosophy of hydrogen collection and how you plan to route the collection points to the combiner.

Now, we did see that you did have one of your
collection lines already installed in the side of the ventillation duct to add the input to that recombiner.

We talked about your immediate energency peak order system the fact that the storage tank piping valving assessment requalified, but that your air system is not but you argue that you will fall back on feed

1939 351

HURMANDHAL VERBATHA RECONSERVE, HIC 444 BOURD CAFICOL BEAGER, B. M. BUILE 107 444 BOURD CAFICOL BEAGER, D. C. MARK 20

21

22

23

24

25

and bleed on the primary system and then you counter that argument by saying you still think you do not need reactor vessel level instrumentation redressing. Whole change requires a discussion on parts of emergency peak order system, the fact that the air is not seismically qualified that you would utilize the feed and bleed and if you do utilize feed and bleed you do not think you need level instrumentation.

1

2

3

4

5

6

7

8

9

10

12

13

14

18

19

. 11

The general subject of containment isolation is of interest with your various levels of isolation that you will not have one single signal isolating all lines simultaneously and then the radiation monitors that you plan to install on the affluent lines in terms of being able to tell what is leaving containers.

15 The next item was discussed by Mr. Ebersole and the operating procedures. I think it is good that you have 16 already taken the approach to give the operator alternate 17 courses of action if these first immediate actions aren't an effect of -- I won't say anymore.

Now, we did look at your training manuals and 20 your first module is a 32R module and reactor theory in 21 heat transfer include dynamics. Having fingered those, 22 they look good but I think a discussion as to how you are 23 going to take this theoretical material and apply it to 24 the balance of the training material to show the operator 25

> INTERNATIONAL VERBATIM REPORTERS. INC. - SOUTH CAPTIOL STREET. S. W. SUITE 10 -----

에게 가장 승규는 것 같은 것 같
how this theory applies to the unit that he's operating
would be of direct interest.
That's all I have.
MR. ETHERINGTON: Thank you, Walt.
I think the next question is whether we should
recommend that the Full Committee hear her presentation
next month next week and start on
All right, Charlie, would you like to express
your views?
MR. MATHIS: Well, after hearing Mr. Clark's dis-
cussion of his wishes and also Mr. Silvers, I would say
we go ahead and take this to the Full Committee with the
recognition that there will not be a letter written of any
substance, if you will. We're not going to resolve very
many things.
I think we may get some things out on the table
and possibly introduce some additional subjects, but I
think we would be misleading everybody involved if you thought
there was going to be ony letter that would give you much
guidance come out of it.
That's just my personal opinion.
MR. ETHERINGTON: Steve?
DR. LAWROSKI: Taking everything into consideration
I believe that we should proceed and invite them to the
Full Committee meeting, bearing in mind that they should
INTERNATIONAL VERBATIN REPORTERS INC.
маенинатон. с. зове 1939 353

•

try to stay within the, approximately, four hours allotted at this time, because we do have some very important items that must get finished at the next week's meeting.

I would suggest as soon as the time permits that you look at the transcript and see where some of the presentations might be sharpened up and you might be able to get more material across at the Full Committee meeting in a minimum of time.

MR. ETHERINGTON: Dezi?

1

2

3

4

5

7

2

9

10

11

12

13

14

15

14

17

18

20

21

22

23

24

25

MR. EBERSOLE: Yeah, I would concur this single thing in that you should meet with the Full Committee in the spirit of the fact that I think the Full Committee must look at your attempt to obtain a goal which you get listed and comment on it before you've finished and perhaps furnish some guidance along the way so that when we have the final meeting there will be no obvious need to be writing letters.

MR. ETHERINGTON: The Subcommittee will make that recommendation.

19 What day is held available for --MR. MULLER: Friday morning. MR. ETHERINGTON: Friday morning. MR. MULLER: Starting at 8:30. MR. ETHERINGTON: Now, the time allowed was four hours.

MR. MULLER: This is the chairman's report.

ATERNATIONAL VERSATIN REPORTERS. INC. 40 SOUTH CAPITOL STREET. S. W. SUITE 107 ------

1 MR. ETHERINGTON: Just the Chairman's report. 2 MR. MULLER: No, that's including the Chairman. 3 MR. ETHERINGTON: Including. 4 Well, then we haven't heard Mr. Arnold's presenta-5 tion on the organizational changes. We have the closed 6 session, we have -- I'll cut my remarks down to about five 7 minutes, boldly, ten to the most. 8 So, we're left with something like two and a half hours for what has taken today and yesterday something like 9 10 8, 10 -- 12 hours. That involves a considerable cut down of the content and it's understood, of course, that a large 11 part of this time will be taken in questions by Committee 12 13 members. 14 Looking over the agenda, as we had it today, I don't see anything that really we need to -- we can dispense 15 16 with I think we have to more or less acknowledge every item 17 on the agenda. 18 Does anyone see anything we can, say, cut out 19 we don't want that. 20 MR. MATHIS: With just detail I think we can cut 21 down . 22 MR. ETHERINGTON: We can cut down on detail, that's 23 what I'm coming to but there's no total, there's no individual 24 item that we can cut out, so I would suggest that we follow through the sequence here pretty much as it is here, it 25 ATIONAL VERBATIM REPORTERS. INC.

WASHINGTON, D. C. 2002

can be broken down differently but eliminating detail and letting detail come out largely as a result of Committee questions.

1

2

1

4

5

6

7

8

9

10

11

12

13

14

15

16

19

20

21

22

23

24

25

You will, of course, be well advised to place emphasis on those things which have been read to you or read out during this executive session as the recommendations of consultants and Subcommittee members.

Does the Subcommitte wish to add anything?

MR. EBERSOLE: Mr. Chairman, I think I'd like to ask for somewhat sharpened presentation on item 4E which is the policy on prevention of filling pressurizer solid and the counterpart policy which we have, I believe, of utilizing the feed-bleed method. These are in contradiction to each other and in my own mind it's not altogether clear to me how well these procedures are organized.

When you depart from one to the other and then 17 how you perceive from one set of emergency procedures to 18 another. You can do that with or without the presence of the vessel level gauge, the absence of it makes life somewhat more complicated, I think.

MR. ETHERINGTON: As Dr. Lawroski points out, when the Committee has a pre-meeting with the expectation of a follow-up meeting, it is usually on the basis that there are certain items that you can write off and remove from later consideration.

0

1

2

1

4

5

á

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

We don't really see any such items in this sequence there may be a few, but there are too few to really justify complete write off in view of the large number of unresolved items.

This was one of the reasons, of course, for our hestitancy concerning the -- having the meeting next week.

Do the rest of the Subcommittee or consultants wish to add anything? Then I would like to ask whether Met Ed is clear on the time available and the scope --

MR. CLARK: We understand what you said. We are pleased that your recommendation is to go to the Full Committee.

We are pleased that you are recommending that it go to the Full Committee. We recognize that there will be a follow up meeting, and that there is no conclusion to be reached at this meeting next week.

MR. ETHERINGTON: This is the Subcommittee's opinion, there may indeed be a conclusion reached.

MR. CLARK: 'But, certainly, you are telling us don't expect a conclusion, and we understand that.

INTERNATIONAL VERBATIM REPORTERS. INC. 49 SOUTH CANTOL STREET, S. N. SUITE 107 WASHINGTON, J. C. 2005

1	It would be helpful to whatever extent the Full
2	Committee is willing to put questions or guidance or areas
3	of particular concern, to whatever extent they are willing
4	to put those into a letter or other format, so that we
5	will have the advantage of knowing what those areas are
6	and be able to concentrate on them after next week, that
7	would be very helpful.
8	MR. ETHERINGTON: You mean, do this after the
9	meeting?
10	MR. CLARK: Yes.
11	MR. ETHERINGTON: The Subommittee doesn't usually
12	do it would only do this through a letter to the Com-
13	mission, I believe.
14	MR. CLARK: I understand that. I understand you
15	may not want to do that, but to the extent or if you decide
16 -	to do it, that would be helpful to us.
17	MR. ETHERINGTON: The Committee might do that.
18	MR. MULLER: The Committee's concerns will be
19	in the transcript, if you get questions from the Committee,
20	it will appear in the transcript of the Full Committee
21	meeting, in any case.
22	MR. ETHERINGTON: Does the Staff wish to make
23	a statement?
24	MR. SILVER: No, sir. Except to the extent, to
25	say that we, as I have indicated earlier, I believe we should

INTERNATIONAL VERATIN REPORTERS INC. 49 SOUTH CANTOL STREET, S. W. SUITE 107 WASHINGTON, G. C. 2015

go to the Committee and I am pleased that we are doing t this. 2 I appreciate your patience with the Staff and 1 others in this room during this meeting. 4 MR. ETHERINGTON: I would like to ask the 5 Members of the Subcommittee and the consultants to be 6 sure to turn over the write-ups from which they spoke re-7 cently to Mr. Muller. 8 MR. MULLER: Ivan still had or comment. 9 DR. CATTON: Actually, not a comment, a question. 10 Something that I forgot to ask earlier. 11 Could somebody describe to me how the in core 12 instrumentation penetrations are made in the lower head --13 at the bottom of the vessel? 14 MR. WALACE: Yes, sir. If your question is 15 about arrangement, I think we can probably --16 DR. CATTON: Not necessarily arrangement. What 17 does it look like, is it a welded fitting, is it a --18 just what is it? 19 MR. ROSS: The penetration is a pipe welded 20 fitting in the incore itself is a cable-looking structure 21 that slides through a tubing arrangement, it is like a 22 tubing arrangement slides through the welded penetration 23 pump into the block of the --24 DR. CATTON: Does that pipe inside stick all the 25

> INTERNATIONAL VERBATIM REPORTERS. INC. 49 SOUTH CAPITOL STREET, S. W. SUITE 107 WAEHINGTON, G. C. 2002

1 up into the core?

INTERNATIONAL VERBALINA RECOMPANY INC. HIS DOUTH CAPITOL BINKET, 8. W. SUITS INT WARHINGTON, D. C. 10044

2	MR. ROSS: No, sir. The piping arrangement ends at
3	the bottom of the core, and sticks up into the core as a thermal
4	structure itself or incore structure itself.
5	Thus, making it removable prior to adding fuel.
6	LR. CATTON: So, you if you were to pull one
7	of those out, there would be a hole in the bottom vessel
8	that one could stick a breaker or a pressure cap of some
9	kind.
10	You could replace it then?
11	
	MR. WALACE: Yes, sir. The incore instruments. The
12	housing ware penetrates the bottom of the vessel, the pressure
13	boundary extends out through a relatively lengthy pipe and is
14	terminated up above the elevation of the vessel.
15	MR. CLARK: If you replace it, would it sense
16	primary cooling pressure?
17	MR. WALACE: Yes, the primary cooling battery does
18	extend through this tube to its final entity.
19	MR. ROSS: So the pressure boundary is at the top
20`	or we should be getting on the core.
21	DR. CATTON: Is it conceivable to remove one of
22	those and replace it with a pressure cap?
23	MP WALACE. Yos size I would thigh it would be
24	int. Whinos: les, sit. I would think it would be
	conceivable to do that, since it does receive primary pressure.
25	DR. CATTON: Actually, what I am trying to 1939 360

determine is how much difficulty you would have if you
wanted to put a level gauge across the vessel.
It seems to me that if you replace one of those
DR. LIPINSKI: You don't have to replace it,
you just tap it.
DR. CATTON: Well, you have to pull the wires
that are in it, now.
DR. LIPINSKI: No, you don't. You just tap it.
DR. CATTON: So you don't even have to replace
it?
DR. LIPINSKI: No, just tap it.
DR. CATTON: i see. Thank you.
MR. ETHERINGTON: Does anyone else wish to comment?
MR. EBERSOLE: Since we picked up a little topic
like this I was going to leave this but I may as well
get it here.
I look with interest at your diagram I got a
while ago on the instrument air system, and in view of
its being upgraded to increase the liability, I notice
that it is of course, it is true about water, I guess
the Jacket of the compressor is water cooled and also
you have after coolers.
Is that water pressure system is that treated
water or well water? If it is either of those, then what pre-
ssure is it relative to the air pressure heat? I will tell

1

INTERNATIONAL VERSATIN REPORTERS. INC. 49 SOUTH CAPITOL STREET. S. W. SUITE 107 WASHINGTON. D. C. 2002
you in the end what I am getting at. 1 Is there some potential for gasket failure or tube 2 failure that will charge your instrument air system with water 3 from that source? 4 5 MR. ROSS: To answer your question, the water systems is nuclear service closed, it is a treated water 6 system. There is an emergency backup in the case of an 7 emergency of the instrument air in taking water directly, 8 9 so we do provide a cooling. 10 Pressure when closed is slightly higher than 11 instrument air pressure. 12 MR. EBERSOLE: Doesn't that lead to an undesirable 13 potential that you can easily correct? 14 MR. ROSS: It may lead to an undesirable flaw. We have not experienced any difficulties or major difficulties 15 in that area. 16 17 MR. EBERSOLE: I see. But then since it is treated 18 water, you should have no trouble with it. 1.9 DR. LAWROSKI: Mr. Chairman, may I make a statement? 20 MR. ETHERINGTON: Please do. 21 DR. LAWROSKI: I would like to add one more 22 suggestion to you, with respect to next week's meeting. 23 That is that you consider very seriously, having 24 an appreciable representation from your operating personnel 25 present at the meeting. 1940 002

391

I think, many of those people, I heard from my colleagues who did visit the plant the day before yesterday, felt that those people did very credibly a job in answering questions. I think it would be good to have some of those people, not only as backup for yourselves to answer questions and details, but to get an appreciation of what is involved in these reviews. Thank you, Mr. Chairman. MR. ETHERINGTON: Are there any further comments? Well, thank you, gentlemen. The meeting is adjourned. (Whereupon the meeting was adjourned at 12:05 p.m.) 1940 003





IMAGE EVALUATION TEST TARCET (MT-3)



MICROCOPY RESOLUTION TEST CHART



CERTIFICATE OF AUTHENTICATION

This is to certify that the attached transcript of the meeting of the Advisory Committee on Reactor Safeguards, Subcommittee on Three-Mile Island, Vait 1, Nuclear Power Plant, held in Middletown, Pennsylvania, was held as herein appears, and that this is the original transcript thereof for the file of the Commission.

Sue Glocker Sue Glocker

Janice Smith

han Un sanca

1940 004

Sharon Corsanico

INTERNATIONAL VERSATIN REPORTERS. INC. SOUTH CAPITOL STREET. S. W. SUITE 107 ------

1 to the chloride contamination the crack and corroding, 2 supposedly due to chloride contamination. 3 We also intend to review the proposed corrective 4 actions to date, what has been told to us is that 5 they plan to go to replace the piping when they 6 cut out a piece of pipe will be a three or four cut 7 of stainless steel. 8 In addition to that they will butter the 9 inside surface of the pipe that remains in place to 10 prevent any sensitization of that section of the pipe 11 when they make the weld. 12 That is consistent with what we have been 13 proposing for the BWR --14 MR. ETHERINGTON: When you butter the end of 15 the pipe you don't set up another defective zone adjacent 14 to it? 17 MR. TABOADA: Well, we do it but the buttering 18 technique is done with much more and there is also a 19 much more tortuous staff for the cracking to 20 progress along and as a consequence it is less 21 likely to crack through the piping. 22 It is a technique that has been developed 23 by GE for BWR's, and it seems to be an improvement. 24 It is certainly an improvement over a straight 25 weld.

> INTERNATIONAL VERBATIM REPORTENS INC. 48 SOUTH CAPITOL STREET. S. W. SUITE 107 WASHINGTON, S. C. 2003

1947 005