



**UNITED STATES
NUCLEAR REGULATORY COMMISSION**

In the matter of:

Briefing On Sequoyah Operating License

Place: Washington, D.C.

Date: February 28, 1980

Pages: 1 through 63

INTERNATIONAL VERBATIM REPORTERS, INC.
499 SOUTH CAPITOL STREET, S. W. SUITE 107
WASHINGTON, D. C. 20002
202 484-3550

8008140347

UNITED STATES

NUCLEAR REGULATORY COMMISSION

 :
 In the Matter of: :
 :
 Briefing On Sequoyah Operating License :
 :

Room 1130, Eleventh Floor
 1717 H Street, N.W.
 Washington, D.C.

Thursday, February 28, 1980

The Commission met, pursuant to call, for the
 above-entitled matter, before the Chairman John F. Ahearne,
 presiding.

BEFORE:

- JOHN F. AHEARNE, CHAIRMAN
- VICTOR GILINSKY, COMMISSIONER
- PETER A. BRADFORD, COMMISSIONER
- RICHARD KENNEDY, COMMISSIONER
- JOSEPH HENDRIE, COMMISSIONER

IV 70
2/28/80

P R O C E E D I N G S

1
2 CHAIRMAN ADHEARNE: The Commission meets again on
3 a issue of rather substantial interest, not only for the
4 specific plant, but for the general issue. This is on the
5 Sequoyah Nuclear Station. It is my understanding that it is
6 in that past few weeks the Commission has met several times
7 on this; before I go much further on it, let me ask for a
8 action required by the Sunshine Act, we are have a briefing
9 on Sequoyah Operating License and I would like to take a
10 vote to hold on less than one weeks notice.

11 (Whereupon, there was a chorus o^d eyes.)

12 All right.

13 I was not here at the previous two meetings;
14 Commissioner Gilinsky Chaired it at that time. My under-
15 standing was that the Staff was told to continue its
16 review, whatever the issues they believed were outstanding,
17 and at that time ~~they~~ felt that they had at least resolved
18 the issues from their view to come to us with that resolution
19 and presentation.

20 It is my understanding is therefore having received
21 the request for this meeting, that the Staff is now prepared
22 to do so, unless either Commissioners have comments.

23 Harold?

24 MR. DENTON: Thank you, Mr. Chairman.

25 We are prepared this morning to recommend the

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

issuance of a license for Sequoyah, this afternoon. As you know, we have been proceeding down the path of a stage process to this license. It would consist of a fuel load low power test phase, rather a fuel load zero power test phase than a 5 percent power test phase and then authorization for power. We have not completed our review of operation beyond the operation of 5 percent power phase, and in fact, there are still several outstanding issues to be resolved before beginning the 5 percent test. But, we have completed the review for fuel load and zero power test. And as the last item on today's agenda, I propose that we talk about the format of this authorization and the type of license that should really issue.

I have with me today the license, for one format and we can convert it to license in other formats as we see fit. If I could have the first slide. I will outline--the second slide, please.

I will outline the topics that we would like to cover today. I will go over the progress since the last meeting and the progress is that we have wrapped up all the parts for the review that were outstanding then. We will cover in some detail the results of the pressure vessel nozzle inspection that we required be completed. You may recall that this pressure vessel was fabricated in Rodder Dam and the French had found some problems with their vessels

1 and we wanted to be sure that this vessel did not suffer some
2 of those defects.

3 We will cover a little bit about the turbine
4 inspection, a program of this licensee. There is one
5 pipe well that we want to look at further, and we will go
6 into that further with you. Also, I want to cover the
7 implications of the recent Crystal River accident, with
8 regard to the loss of instrumentation displayed in the
9 control room. This will not happen at this plant. We will
10 go over the differences and designs between Sequoyah and
11 Crystal River for you.

12 There were also some questions raised about control
13 room design that were in a letter that we received from a--
14 in that area. I will also discuss the capability and the
15 implications for ice condensers of evolution with large
16 amounts of hydrogen and then, finally, at the phase we would
17 be prepared to discuss the type of license that you would
18 like to issued.

19 With that introduction, Denny Ross will begin the
20 presentation.

21 MR. ROSS: The next slide. Since the last meeting,
22 we had closed out all of the near term OL items, and when we
23 get to the format of the license, you will see those items
24 appear again in the proposed license itself.

25 COMMISSIONER KENNEDY: When you say "closed amount",

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Denny, what are you saying?

MR. ROSS: That our satisfaction at the--TVA has provided commitments that meet the intent, are the words of the near term OL subset of the Action Plan.

They are documented in our SCR and also reprinted in the proposed licenses. We have three technical discussions, Harold mentioned. The second line on the side concerns the pressure vessel nozzle cracking, and we will start that in just a minute. And Jim Knight has six or eight slides that will discuss the chronology and the work done by TVA and the Staff judgment.

COMMISSIONER BRADFORD: Denny, if they have provided commitments that satisfy you, why does the relief and safety valve test item order the Tennessee Valley Authority to commit to carry out a testing program?

MR. KNIGHT: Yes, sir.

COMMISSIONER BRADFORD: Why are you ordering them to commit to do something that will have already satisfied you?

MR. ROSS: The research, itself, for the relief and safety valve testing is a long and complicated program that could take up to a year and a half. A lot of utilities are going in with EPRI to do the research NEUREG 0578, the short term lessons learned report, which first surface this problem always in vision that it would take a long period of time

1 and the Action Plan clearly stated that what was needed at
2 this point was a commitment designing--constructing the
3 research facilities performing the test to do the analysis
4 took a long period of time. Along the same item, the NRC
5 is proceeding side-by-side through research to provide some
6 of the redundant type test data. A commitment was all that
7 was in vision at this time.

8 COMMISSIONER BRADFORD: But, why would not for the
9 purposes of the license, you just order them to carry out a
10 testing program and let them furnish you with a commitment?

11 MR. ROSS: Well, I think we are in a matter of
12 style, not substance. If we ordered them a license and
13 they came back and said we discharge that function by
14 committing and laying out the program that they are going to
15 participate in, there is no substantial difference, there is
16 just a matter of style.

17 COMMISSIONER BRADFORD: Well, but all of the other
18 conditions in the licensing, say TVA shall establish, shall
19 implement, shall provide, and on this one you say that they
20 shall commit to do.

21 MR. DENTON: I think what Denny is saying is he
22 was following exactly the words in the Action Plan
23 which required a commitment. But, from my standpoint,
24 it could just as well read, shall carry out a safety valve
25 and relief valve test program.

COMMISSIONER HENDRIE: Well, provided the language

1 allows perfectly reasonable option of people who have
2 similar interests in relief and safety valves to gather to-
3 gether into a single, jointly fund--single test program.

4 COMMISSIONER BRADFORD: Yes, but you have that
5 concern whether you are requiring a commitment to do it or
6 whether you are requiring it to be done.

7 CHAIRMAN ADHEARNE: I think you might as well make
8 the change.

9 MR. DENTON: All right, we will make the change.

10 MR. ROSS: We mentioned the third item about the
11 turbine inspection that there should be one before we get
12 into the significant power production. We will have a
13 discussion by Rodney Satterfield on the relationship of the
14 Sequoyah design to the potential--for the Crystal River
15 event of a few days ago. The third technical discussion
16 we propose this afternoon has to do with the ice condenser
17 at Sequoyah with respect to hydrogeneration and mitigation
18 measures should large quantities be present.

19 Then we have also updated the safety--the supple-
20 ment of safety evaluation. That is our progress since our
21 last meeting.

22 COMMISSIONER GILINSKY: Let us see. We also talked
23 about augmenting the operators at the plant with Westinghouse
24 personnel experienced.

25 MR. ROSS: Yes, sir. The SRC reflects, the updated

1 SCR reflects the fact that there will be augmented experienced
2 people working on own-shift alone--

3 COMMISSIONER GILINSKY: Could you comment on that
4 as you go through them, as you get to that point in the list?

5 MR. ROSS: Yes. We have some separate slides on
6 that subject that we can provide at the appropriate time.

7 Okay. I would like Jim Knight to start in on the
8 subject of the pressure vessel nozzle cracking.

9 MR. KNIGHT: May I see the first slide, please?

10 Just a brief chronology of so-called under clad
11 cracking that has occurred through the years. Going back to
12 1970 where a type of cracking was characterized as "reheat
13 cracks" occurred. These were cracks that resulted from the
14 cladding itself. And in 1972 the Kussmaul type cracks were
15 cracks that occurred actually in the welds and then '79, the
16 Framatone cracks.

17 Just speaking broadly of all of this type of
18 crackings, they are all very small, typically very small
19 flaws. The framatone type cracks were the largest of this
20 class that could be seen in this state. Could I have the
21 next slide, please?

22 The brief chronology of how we got to where we are
23 today, here speaking to you on this subject, during this part
24 of the licensing process and starting in September when we
25 heard from the French that they had found these problems in

1 the Framatone vessels through the information memo that we
2 sent to the Commission, the internal Staff actually took
3 place November 15. The operating experienced memorandums,
4 the meetings with the nuclear, with United States Power,
5 because the one vessel that had been fabricated Framatone
6 to was Prairie Island.

7 The consensus of the Staff being that the type of
8 cracking that was experienced Framatone had been prohibited,
9 if you, by processees which were inforced by U.S. manufacturers
10 that is much closer control over the heat input, during
11 putting on the the application of the cladding.

12 On December 13 there was a letter from Westinghouse
13 that informed us that the vessels that had been fabricated
14 at Rodder Dam Dry Dock Company before Westinghouse, were
15 under consideration. This was based on a review that
16 Westinghouse made of the cladding processees, the control of
17 pre-heat or the absense of post-heat and pre-heat while the
18 cladding was being implied. And I show here that February 6,
19 the actual receipt of the January 31 letter, informing us
20 that the Watts Bar Vessel had been examined and there were
21 a number of indications but not Framatone type of cracks.
22 We found a number of indications, themselves, somewhat dis-
23 turbing. Realizing that the UT, ultrasonic inspection
24 technique, being used here is a very sensitive technique.
25 Far more sensitive than that than the one that is normally

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

used. But you would expect a number of small indications that you might not see otherwise. But, still it seemed less that there was enough there to cause us to reconsider our previous feelings that the vessels that we were concerned from the licensing stream were all right. And, I think, the references the internal memo, written by myself, actually saying that we would--February 11, perhaps conclude that we ought to take a look at the Sequoyah. May I see the next slide, please?

And on the 20th we had telecon with TVA to discuss what I think that we can properly characterize, is a confirmatory inspection. At that time TVA had promised-- well, they had looked at one nozzle and saw no Framatome cracksf but they did see re-heat cracks. If you remember that first slide, re-heat cracks were something that we first say back in 1070. These cracks occurred at an intersection of a strip cladding when it is applied to the nozzle.

CHAIRMAN ADHEARNE: Jir, are you going to take a minute at some point to explain the difference between those two types of cracks?

MR. KNIGHT: Yes. Perhaps, it is best to do it at this moment.

CHAIRMAN ADHEARNE: There might be a couple of people who do not know the difference.

MR. KNIGHT: Okay. I have some slide that are on-- perhaps--they are highly scamatic, but they will give a much better feel for the type of cracking that we are talking about.

1 On the 22nd we met with TWA to review Srquoyah and
2 our conclusion based on their techniques that they were
3 using, the results that they had seen to date, was that the
4 Watts bar vessel was just not a good enough sample. The
5 differences between vessels, even the nozzels of the same
6 vessel are sufficient--can be sufficient enough so that
7 prudence dictated, looking at looking at all the nozzles of
8 Sequoyah. And that has been done and the record was filed on
9 the 26th, and we reviewed those reports and, as I will show
10 you in a moment, a number of indications were found but all of
11 them are well within the code allowed. They perturbed some
12 people who were not familiar with the process to realize there
13 are such a thing as allowable cracks. But, in fact, if they
14 are quite small, quite small crack are virtually unavoidable
15 and items like major pressure vessels and years of experience
16 and analytical results, can demonstrate that they will not
17 grow during the life of the vessel and therefore they are
18 innocuous.

19 CHAIRMAN ADHEARNE: So with a 10-year inspection
20 program which might off hand, appear to be very long period.
21 You are saying it is adequate for this type of crack growth.

22 MR. KNIGHT: A very conservative estimate of the
23 size of the crack and its growth rate would indicate the
24 absolute--maximum growth of the range is 4,000ths of an inch
25 over 40 years, and such a growth is totally innoceous. The
10-year inspection interval is, as you say, may seem long, but

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

actually, it is quite conservative. But it would tell you is you, in fact, saw some growth that was unexpected at that date, it still would be very small, but if you did see it, it should be inspected at shorter intervals. But it is simply not a percipitist process. It is a very long term process, if in fact, you see any growth at all. May I have the next, please?

Just to put us in context, we are talking about the reactor pressure vessel nozzles, the roll of nozzles that you see just above the core, indicated on that slide. And the next slide, please?

It is a section of the reactor vessel with one of the outlet nozzles circled. A slight enlargement of the nozzle, itself. And the slides that I will go to in a moment, we are going to look at the inside of that nozzle with the surface cut flattened down and the indications will be shown there. Would you move to the next, please?

Here is where we can talk about the differences in the cracking. There is the inside surface of the nozzle, which has been flattened out. The line you see going from right to left, the horizontal line, right back to--closest to the reactor vessel side, indicates a point where two types of cladding had been joined, the vessel cladding and the cladding of the nozzle itself had been joined by using a manual stick, a electro welding technique. It was at that point, where the so-called re-heat cracking occurred. If you

1 right-hand corner, there is an enlargement of that section.
2 And you will see a number--a very small--linear indications
3 running perpendicular to the line of the welding. This is
4 classic of the so-called re-heat cracking. It occurs when
5 you lay a second bead of weld over an initial bead, which is
6 cool, and in fact,, you bring the surface just under the
7 cladding up to an unfortunate metallurgical temperature, and
8 you will get this small cracks on it. I said it has been
9 reviewed at great length over the years and that type of
10 cracking found to be innocuous.

11 COMMISSIONER BRADFORD: Why was this thought worthy
12 of notice to the French reactors. Was it--had it shown up
13 in more serious form there?

14 MR. KNIGHT: No. This type of cracking, this is
15 a so-called re-heat crackingsp this not what showed up at
16 Framatone. We started off with a concern for the Framatone
17 problem. The first nozzle inspected at Sequoyah did not show
18 the Framatone type cracking, but it did show this which
19 most people reacted to do saying well, okay, we know of that
20 type and that is relatively innocuous.

21 MR. DENTON: This nozzle does not show Framatone
22 type cracking, but we were not sure it was represented.

23 MR. KNIGHT: Okay. Let me see the next slide,
24 please.

25 CHAIRMAN ADHEARNE: You are going to get to the

1 Framatone cracking to answer--

2 MR. KNIGHT: Yes. And I will do it with the next
3 two slides, and then perhaps just a bit of discussion.

4 This was one of the other--this was next to the worse
5 nozzle; there is others to be looked at. Unlike the single
6 nozzle that had been reviewed before, there was no sign of
7 re-heat cracking. But, rather there was this random pattern
8 of indications and each one of those little causes (?) repre-
9 sents a small crack detected by ultrasonic methods laying just
10 under the cladding. And this random pattern is more typical
11 than the Framatone type cracking.

12 In the final analysis, one would say, well, why is
13 a Framatone crack different than a re-heat crack? If you get
14 right to the guts of the matter, there is no difference.
15 They are both cracks and they are cracks in the surface in the
16 heat effective zone, just under the cladding. The question
17 is the process, how did the cracks occur, why did they occur,
18 and do you know enough about that process, do you know enough
19 about the phenomena that is occurring so that you have
20 confidence that this--they are small cracks, they are a
21 category or classified type of crack. Okay, let us see the
22 next slide, please.

23 And this was the worse nozzle. I said that. The
24 other nozzle that I showed you was the next to the worse.
25 This is where there were a large number of these indications.
It is our opinion, at least, the opinion of many members of the

1 Staff, it is typical of the Framatone crack.

2 Now the cracks found by Framatone were larger and
3 that could be from a combination of things. Just that the--
4 it could be the particular cleanliness of the steel of the
5 nozzle forging.

6 CHAIRMAN ADHEARNE: By larger, do you mean the order
7 of magnitude?

8 MR. KNIGHT: No, the largest crack found here was
9 measured at around 5/8 of an inch in length. Some of the
10 Framatone cracks were 3/4 of an inch to perhaps a little over
11 an inch.

12 COMMISSIONER KENNEDY: How deep?

13 MR. KNIGHT: Not--the process--the ultrasonic
14 process cannot give you a direct reading of depth. But, it
15 is pretty difficult to imagine a crack that is any deeper
16 than you would find if you make a given length and you then
17 make a semi-elliptical (?) crack. That would give depths here
18 in the order of tenth of an inch, a little over a tenth of
19 an inch.

20 MR. DENTON: No deeper, I take, Jim, than the depth
21 of the heat effected zone right under the cladding.

22 MR. KNIGHT: That is correct. The phenomena is
23 limited. Again, that is why I made a point about it is im-
24 portant to under the phenomena, it is important to understand
25 what category of cracking that you are talking about here.

CHAIRMAN ADHEARNE: But, you are saying that you

1 ended finding both re-heat and Framatone type cracks.

2 MR. KNIGHT: The cracks, even in this nozzle are
3 showing, because of the size of these, they are all within
4 the code allowable limits--

5 CHAIRMAN ADHEARNE: But as far as the terminology of
6 the type of crack, you did find--

7 MR. KNIGHT: Both types of cracking--

8 CHAIRMAN ADHEARNE: So both are regular ones with
9 this random distribution?

10 MR. KNIGHT: Yes. And, again, as I said, as it gets--
11 as the essence of the question gets to size, once you understand
12 where the process is, and I feel we do and then we can examine
13 the size of the cracks as we did and preclude quite properly
14 that the growth during the surface life of the vessel, even
15 given a very conservative look at the transient that might
16 occur.

17 I think we have just two more slides that go a
18 little further into the definition of a crack, and I do not
19 think it is worth while, unless there are any questions.

20 MR. DENTON: Why don't you go to the one on the
21 Framatone.

22 MR. KNIGHT: All right. What have you got next as
23 a slide? There is a redundancy in this package. Yes, take
24 that down and bring up the next one.

25 MR. DENTON: Why don't you just describe it?

CHAIRMAN ADHEARNE: Why don't you just forget it?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. KNIGHT: It is in the package; it is a slide that characterizes the source of the so-called Framatone crack that results as no pulse from the--testing from a no pulse weld heat treatment. That the first weld deposit was made with the usual pre-heat and post, remember, now, we are talking cladding now, a thin layer of stainless steel laid on the surface of the vessel and the nozzle. And that the first weld deposit is made with a usual pre-heat and post-heat but if the succeeding pass or passes are performed without pre-heat, our post weld heat treatment and they are confined--these cracks are confined to the heat effective zone, they are produced by the second layer of cladding, and they are generally characterized as a cold cracking.

The slide goes on to say that the presence of a induced hydrogen during processing are manganese inclusion or carbon segregation, contributed factors, that might follow as a metallurgical new ounces (?).

In the final evaluation they said your concern has to be based on the size of the crack that is there, your understanding of the growth mechanism, which I think are committed over the past two years to standard practice and the finding that you will not see.

MR. DENTON: We cover this in some detail because there are number of vessels fabricated in that same shop that we will be considering in the future, too.

CHAIRMAN ADHEARNE: I gather as far as this issue of

1 re-heat type cracks, that is something that you are familiar
2 with, as the first slid indicated back in the early '70s.

3 MR. DENTON: Yes.

4 CHAIRMAN ADHEARNE: So, you have seen them in some
5 other vessels that you--

6 MR. KNIGHT: Yes, a number of others. Each time
7 we evaluate each vessel.

8 CHAIRMAN ADHEARNE: Have of those vessels gone through
9 long enough operations so that when you have had a 10-year
10 inspection?

11 MR. KNIGHT: No sir.

12 CHAIRMAN ADHEARNE: Any of the vessels that you
13 know of have been re.inspected to varify this prediction
14 about cracks?

15 MR. KNIGHT: There is no--there has been--perhaps
16 I do not understand the question.

17 CHAIRMAN ADHEARNE: The question is that you seem to
18 know that some vessels have the re-heat cracks in them?

19 MR. KNIGHT: Yes, sir.

20 CHAIRMAN ADHEARNE: And your point is that it is
21 a very small crack, and the understanding of the reasons for
22 it being there, you feel are fairly well understood that the
23 crack growth rate, your prediction is, is very small; therefore,
24 the 10-year cycle is adequate. And my question is do we have
25 any pressure vessel that has been put into operation where it
started out with cracks and that ther has been a re-check at

1 some X period after it?

2 MR. DENTON: There have been vessels which have
3 undergone a 10-year inspection, but I am not usre whether any
4 of those were identified as having re-heat cracks in the first
5 place.

6 MR. KNIGHT: That is right. And there is a second
7 consideration there that some of the cracks are so small that
8 the inspection techniques would not have seen them. That goes
9 with your question as this: re-heat cracking is not only
10 just applied to nuclear cracking, you see them in petro-
11 chemical--

12 CHAIRMAN ADHEARNE: Any time you have a large--

13 MR. KNIGHT: Large vessel of this type, vessels of
14 this type with known re-heat cracks, have been in service,
15 in strenuous service for years without--and that is the
16 background as given in confidence and that one might call
17 innocuous' of that type of cracking to my knowledge and I
18 do not believe that there is any on the record there is failure
19 or even leakage results from this type of cracking.

20 CHAIRMAN ADHEARNE: All right. Any questions?

21 MR. ROSS: To cover the conclusion, the letter we
22 sent today had a brief statement in the cover letter that the
23 flaws were acceptable from our standpoint and under current
24 Commission requirements, but will require periodic monitoring
25 and we included a three-page plus in reference supplemental
evaluation which we will put--issue as some supplemental SCR.

1 CHAIRMAN ADHEARNE: They did mention that the
2 luke one outlet nozzle was the one where it was, I guess the
3 thin wall section--

4 MR. KNIGHT: Yes, the safe end area.

5 CHAIRMAN ADHEARNE: How thick is the wall there
6 compared to your prior testament, I think, you said perhaps
7 two-tenths of an inch deep.

8 MR. KNIGHT: The best estimate--

9 MR. ROSS: The answer is right on the slide.

10 MR. KNIGHT: Ron Gamble?

11 MR. GAMBLE: Three inches.

12 MR. KNIGHT: Three inches at that point.

13 MR. DENTON: Let us move next to a component that
14 we expect not to crack but are inspected. Next slide, please.

15 MR. KNIGHT: Very briefly, we will require that there
16 be a turbine inspection prior to power production before the
17 end of--

18 MR. DENTON: There has been such an epidemic of
19 turbine cracking, we wanted here to look just where the turbine
20 goes into operation and the licensee agree to it.

21 MR. ROSS: This would be true to the other near-
22 term OL plants that you will be seeing later on this year; it
23 is not just Sequoyah item. Next slide.

24 MR. KNIGHT: Slide, please.

25 COMMISSIONER HENDRIE: That is a Westinghouse
turbine at Sequoyah, as I remember.

1 MR. DENTON: Yes, it is.

2 MR. KNIGHT: It is an item concerning a pipe repair
3 that was made on a pressure line--pressurizer leak line. And
4 it is a matter of interest today, primarily because following
5 additional Staff review, to the satisfaction of the team
6 working on that matter, additional questions were raised
7 within the Staff as to the certainty of acceptability of the
8 repair. Let me give you just a little bit of a background.
9 This was a pipe that was off the top of the pressurizer and
10 it is prior to the pressurizer relief valve. During the
11 high functional testing a pipe support, movable if you will or
12 snubber, or type support, malfunctioned when the plant heated
13 up and the pipe was bent. In order to maintain the loop-seal
14 of that pipe, it was designed to be horizontal, the line of
15 the pipe, and it was found necessary to restore it. The
16 manner of restoring it was to use a so-called draw bead
17 technique, a groove, in this case, two grooves and they are
18 cut in the pipe and they are filled with weld metal. They are
19 not cut all the way through, in this case, they were cut
20 two-thirds the way through the wall ground out 270 degrees
21 around the pipe. They are filled with weld metal and the
22 weld metal shrinks and causes the pipe to move. The question
23 here is one of whether or not you caused unacceptable
24 sensitivization of the stainless steel in that pipe by the
25 heat input into the welding. A team from the Staff has
review it. It has been reviewed by our consultant interviewer,

1 people from I&E, and said the consensus was that it was an
2 acceptable process. The critical part was carried out in such
3 a way that you could not have acceptable sensitivi7ation in
4 the material.

5 The questions which have raised are detailed
6 metallurgical questions which I would characterize as borrowing
7 on a rather clasic of differences of opinion you might get
8 between metallurgist as whether this test is a good test or
9 that test is a good test. Whether indeed you have seen
10 enough. Each given individual has seen enough to be really
11 satisfied. We felt here that prudence dictates those
12 questions be answered. And we have Staff metallurgists
13 who have the questions go down to TVA to examine the
14 metallurgical samples and satisfy ourselves that all the
15 branches of the problem are being covered.

16 CHAIRMAN ADHEARNE: I gather from the way that you
17 have described it, I guess that there are some people in the
18 Staff who are not satisfied with the welding technique or--

19 MR. DENTON: Let me say there are some differneces
20 of views among the members of the Staff. What we are having
21 done is some of the members with different views are going to
22 the site or relook at the data--

23 CHAIRMAN ADHEARNE: Fine. That is what I was
24 getting to. Will those individuals, at least, will be involved.

25 MR. DENTON: Absolutely. They will relook at the
data and relook at the weld and it is a type of issue which

1 apparently can be fixed by proper re-heating of the weld, if
2 that is the term to be necessary. So while it is an issue
3 of one that we have to follow up on, I do not see it as a
4 barrier to the issuance of an authorization. That they could
5 be remedied, if re-heating is necessary in place. Maybe you
6 would want to speak, Jim, to the remedial type measures for--
7 and it is not concerning the welds, as I understand it, but the
8 metal that was not welded and the exact metallurgical state of
9 that part of the pipe and whether is sensitized or unduly
10 sensitized or whether it has to be re-heat treated some time.

11 MR. KNIGHT: That is correct. If the grooves are
12 not cut all the way through the wall but the welding process
13 will, of course, heat the walls, the concern was that the
14 inter surface of the pipe might have been brought to an
15 unfortunate temperature range. Some special corrosion tests
16 were run, a mark-up was built and we tried it first on the
17 mark-up. Some tests were run and it is my view, at least, it
18 seems to be largely a matter of the interpretation of those
19 tests, the feeling that they were properly interpreted.

20 CHAIRMAN ADHEARNE: Now, can the--whatever
21 examinations required, retest or whatever your people are
22 going to do, can that be done if the plant is going through
23 this low part?

24 MR. KNIGHT: Yes, if in fact should be deemed it
25 necessary to take corrective action, it could be done anytime
 the plant is in the--

1 CHAIRMAN ADHEARNE: Well, it is not so much to asking
2 whether the corrective action to be taken, can the test be done?

3 MR. KNIGHT: No. The tests are metallurgical
4 laboratory test on samples that are already available.

5 CHAIRMAN ADHEARNE: I see.

6 MR. DENTON: So I have not made a decision on the
7 merits of whether this metal needs a change or additional
8 treatment or not and would propose not to make a decision
9 until the team returns again. But, since it is possible to do
10 it during this phase of the fuel load, I do not see it as a
11 barrier to issance.

12 This concludes Jim Knight's presentation, unless
13 there are further questions for him.

14 MR. ROSS: Let us go to the next slide.

15 MR. DENTON: While we are setting down, I will
16 mention that we discussed yesterday, the Bulletin that was
17 issued regarding the diverse power sources for control room
18 instrumentation. We have looked specifically to see how
19 Sequoyah is arranged with regard to power supplies for in-
20 strumentation in the control room and Ron will discuss the
21 results of that.

22 MR. SATTERFIELD: I wanted to cover the first four
23 bullets there, cover just a few item on the Crystal River
24 within itself. As you know the Crystal River event was
25 initiated by power failure in a eye cabinet. N&I provides
input to the ICS--

1 CHAIRMAN ADHEARNE: Intergraded control system.

2 Some people might not--

3 MR. SATTERFIELD: Intergraded control system and
4 also provided information to the control room display. The
5 intergraded control system uses the information from the
6 non-nuclear instrumentation. The cabinets put together with
7 other information to control the reactor, to control the
8 turbine, and to control the feedwater flow. The N&I failure
9 failed a number of the displays in the control room and that
10 was one of our real concerns as far as instrumentation was
11 concerned. That hindered the operator's ability to monitor
12 the status of the plant after the event.

13 The Sequoyah design is considerably different.
14 Westinghouse uses the outputs of a single reactor protective
15 channel for control purposes. But, in the control room all
16 of the outputs of the reactor protective system are displayed,
17 it is all the critical perimeters that come out of that
18 channel. So that no single failure or a single can initiate
19 a transient, but it cannot disable the other three channels
20 that are displayed in the control room and we believe that is
21 the very important characteristic of the Sequoyah design.
22 I have listed on the slide a number of the perimeters that are
23 displayed from all of the fort (?) of the reactor protective
24 channels. The include steam generator level, steam line
25 pressure, feedwater flow, primary loop, Delta T or change of
temperature, the primary coolant flow rate, pressurizer level

1 in the pressure, and refueling water storage tank level. I
2 think the bottom line is that while a single failure in the
3 power supply can indeed initiate event in a plant like
4 Sequoyah like it can in most plants. There is a fair amount
5 of redundancy as far as instrumentation is concerned in the
6 control room.

7 Questions? Next slide.

8 MR. DENTON: The next slide resulted from the
9 comment, Commissioner Bradford, you provided us a list that
10 identified a number of deficiencies in the Sequoyah control
11 room on the basis of a review that was done last summer.

12 MR. SATTERFIELD: We received this memo late
13 yesterday afternoon, and it list nine human factor deficiencies
14 in the Sequoyah control room. We discussed these deficiencies
15 with both TVA and with our contractor, Essex. Essex is the
16 contractor that helped us in doing the control room design
17 review that was performed earlier this month. Five of those
18 deficiencies were corrected promptly.

19 COMMISSIONER BRADFORD: Corrected promptly
20 yesterday or corrected promptly--

21 MR. SATTERFIELD: No: Four of the deficiencies
22 were corrected prior to the time that we made our visit.

23 MR. DENTON: TVA apparently had this information
24 for some time before we did.

25 MR. SATTERFIELD: Yes, they got it in the middle
of July and they had taken some action. There was three items

1 that they did not correct. They were items that--

2 CHAIRMAN ADHEARNE: Peter, is that your--

3 COMMISSIONER BRADFORD: Yes.

4 CHAIRMAN ADHEARNE: Was that an EPRI consultant?

5 COMMISSIONER BRADFORD: Let us see. An EPRI
6 consultant originally or a TVA00

7 MR. SATTERFIELD: It was my understanding with
8 talking with TVA that the consultant for EPRI is come down--
9 is fellow from MIT who has written an article on control room
10 design, human factor deficiencies which all these deficiencies
11 were included in by him.

12 Going on, there were three items that were not
13 corrected immediately because of TA's concern that they might
14 some negative impact on the operator. These deficiencies
15 wtre also identified by the Staff Essex Group that went down.
16 These include--

17 COMMISSIONER KENNEDY: When did they go down?

18 MR. SATTERFIELD: Early this month, the first week
19 in February. They include the arrangement of displays pro-
20 viding neutron flux information. The problem with uncoordi-
21 nated use of colors on pen recorders for steam generator water
22 level; finally there was some concern about labelling and
23 positioning the safety valve injection--the safety injection
24 valve controls. Again, these were all items that we had
25 found and we I breifed you on our review a couple weeks ago
I indicated that there were certain items which were to be

1 corrected immediately, other items which we corrected later.
2 These fall into the later category. We should receive from
3 TVA the first of next month, excuse me, the first of April,
4 some commitment from them on when and how they plan to correct
5 these deficiencies.

6 CHAIRMAN ADHEARNE: I wonder if you could explain
7 one point. Now you say that three items were not corrected
8 immediately due to possible negative impact on operation. The
9 plant was not in operation back in--

10 MR. SATTERFIELD: The operation was in training then.
11 I think that in fearance, TVA made a judgment that the value
12 to be gained from making some of the modifications probably
13 were not worth the effort.

14 CHAIRMAN ADHEARNE: Changing the colors of pens?

15 MR. SATTERFIELD: In some cases a temperature a
16 hot leg temperature was indicating--

17 CHAIRMAN ADHEARNE: No. I read the points, I am
18 just--

19 MR. SATTERFIELD: Well, we came to the same con-
20 clusion that they really ought to be changed.

21 MR. DENTON: And they have agreed now to make the
22 change.

23 MR. SATTERFIELD: The final item had to do with the
24 numbering of feedwater heater controls. The feedwater heaters
25 are lined up in such a way that the feedwater comes in cold
one end and goes through a number of heaters and comes out

1 hot the other end. The feedwater heat--the heat supplier--the
2 heat source for the feedwater heater is re-heat steam. The
3 steam comes on it in at the other end flows the other way.
4 The feedwater heaters happen to be numbered in accordance
5 with the way the steam flows instead of the feedwater. I am
6 not sure that the individual here will recognize that. I
7 think the numbering steam for the feedwater heater is perfectly
8 acceptable.

9 COMMISSIONER HENDRIE: You are really going to have
10 them change that now?

11 MR. SATTERFIELD: No. What we have asked TVA to do
12 is to address the deficiencies that we found, they plan to do
13 that with a letter to us--

14 COMMISSIONER HENDRIE: Because as I remember those
15 things, they are set up in the right way.

16 MR. SATTERFIELD: They certainly present to us--

17 COMMISSIONER HENDRIE: You got the level stuff
18 on one side and the rate stuff on the other and the sensitive
19 range where you come critical, the source range. You got
20 the level and the rate channels two here, two here, and two
21 in the center. And I do not see a much better arrangement
22 than that frankly. That is, it seems to me that there are all
23 kinds of permutations of that arrangement, but I find that
24 with my own practice, that the one they have got is as
25 reasonable as any.

MR. SATTERFIELD: I am sure that if TVA makes that

1 judgment they will certainly organize it. And, I think, there
2 are a balancing of judgments that we are going to have to make
3 in the future about whether or not these things have to change.

4 COMMISSIONER HENDRIE: Well, the pen colors, that is
5 one I think would be used to be addressed.

6 MR. SATTERFIELD: Yes, it would be.

7 COMMISSIONER HENDRIE: I felt it was one of those
8 things which challenges your instincts and you judge the good
9 operators of how rapidly they can build their intuitions on
10 whether No. 4 red is hot or cold.

11 CHAIRMAN ADHEARNE: That is perhaps not the kind of
12 challenge that you should be concerned about.

13 COMMISSIONER HENDRIE: I think that that is much of
14 the point of the human factors engineering effort to not make
15 those challenges. But the flux instrumentation is a reasonable
16 enough array.

17 MR. ROSS: We would like to go onto the presentation
18 sequenct--

19 COMMISSIONER BRADFORD: Let me address one other
20 question about that. I take it that you have also concluded
21 that nothing that would happen between now and April 1, would
22 make it any more difficult to make whatever corrections. That
23 is obviously true of the pens.

24 MR. ROSS: Yes. Okay, I wanted to put something in
25 your presentation sequence a little bit out of order. Since
we are on the control room, get Bill Cottell to come up, he is

1 resident inspector.

2 There is two matters. In the letter that we sent
3 you today there is a license condition, it is on Page 4 of the
4 proposed license and it is license condition 4C. And of the
5 subject of 4C of shift manning, we note here that the TVA
6 shall provide an additional senior reactor operator on the
7 shift, and this is addition to what is in Table 521 of the
8 technical specifications. I believe that last time we were
9 down here, we were talking about the near-term OL item of
10 two operators in a control room. That is the response to that,
11 and TWA has agreed to that.

12 The other matter on the control room operators that
13 we talked about just a minute ago had to do with the
14 augmentation during the start up and low power tests and I
15 want Bill Cottell to talk about that.

16 COMMISSIONER GILINSKY: Well, there arose from
17 the fact that only two or three of the TVA operators that
18 ever operated in a nuclear power plant--

19 MR. ROSS: That is what Mr. Cottell is going to
20 speak about.

21 MR. COTTELL: That was one of the findings that I
22 managed on it, TVA cooperated in, particularly the Sequoyah
23 site. If I could have the slide marked Tall Collin No. 1 (?).

24 Okay. In an effort to increase the actual operating
25 experience available on sight, TVA has made several changes
to their shift organization in the form of augmenting personnel.

1 I would like to start, now, at the bottom. We had one concern
2 that the operation supervisor of the plant staff had relatively
3 little experience in regard to PWRs. TVA has brought in an
4 individual with nuclear start up services incorporation with
5 some 17 years experience, previously licenses in two large
6 PWRs and two smaller PWR plants and in addition some 12 years
7 of initial start up and operating experience in plants.
8 This individual will act essentially as operations supervisor
9 assistant with an overall management in fuel loading and
10 test referral. I feel that that is an adequate augmentation
11 in that respect.

12 For the concern of inadequate experience on part of
13 the shift personnel, we move to the middle portion of the
14 slide. TVA has brought in individuals from nuclear services
15 incorporation who will act in the own shift capacity, advisor
16 ro the senior reactor operator. It is not the shift technical
17 advisro, this is in addition to the licensee shift technical
18 advisor.

19 There is a summary of the experience of those
20 individuals; they have all been licensed with PWR type plant
21 and for the most part participated in either start up test
22 programs or extensive experience in re-fueling and low power
23 testing programs.

24 In addition to that, the shift will be augmented
25 at least for the fuel load and zero power test portion of the
program that they are now approaching by Westinghouse

1 engineers. The slide shows the special augmentations support
2 from Westinghouse, that is not a loading for each shift, that
3 is the approximate total number of the special Westinghouse
4 engineers that will be brought in. In addition to that there
5 will be some Westinghouse assistants engineers. Such that
6 there will be shift coverage by Westinghouse personnel as
7 well. We feel--

8 CHAIRMAN ADHEARNE: Well, the nuclear services
9 that group in the middle, there will be one in each shift?

10 MR. COTTELL: One on the shift.

11 MR. DENTON: I plan the satisfactory in compensation
12 in this case. The next few plants that will come along will
13 be operating plants, where we will not face this issue of
14 a fresh crew without operating experience and I will try to
15 readdress this issue by the time we face another plant that
16 does not have a prior operating experience. I think that you
17 have raised a good concern and , in fact, in recent order on
18 Indian Point, you may recall, that we required that the the
19 beginning and mid-year, all the new candidates for SRO must
20 at least have some experience in ROs.

21 COMMISSIONER HENDRIE: I think we will want to return
22 to this point when we discuss going to full power.

23 MR. ROSS: Yes.

24 COMMISSIONER GILINSKY: I think we will want a report
25 on--

MR. ENTON: Well, my thought of a full power

1 consideration would involve a review of a plant's procedures
2 and the performance of the operators and take a whole listic
3 view toward the entire operation during the low power program.
4 We certainly include this as part of that.

5 CHAIRMAN ADHEARNE: You might even consider dis-
6 cussing with TVA the possibility of getting some operators
7 full time with previous experience.

8 MR. DENTON: Yes.

9 CHAIRMAN ADHEARNE: Could I get a copy of this memo?

10 MR. DENTON: Certainly.

11 MR. ROSS: Anything else that the resident could
12 help you with?

13 COMMISSIONER HENDRIE: I assume you will be working
14 all three shifts during the start up period, Bill?

15 MR. ROSS: The overtime text spec does not apply to
16 the resident.

17 MR. DENTON: Well, that is good that you should
18 mention that we do have some help.

19 MR. COTTELL: We do have a second resident inside
20 now and he is almost completed his training program. In
21 additon, for example, the fael-loading we will probably have
22 two regional inspectors up out of the Atlanta office and will
23 cover at least a portion of each shift, Dr. Hendrie.

24 MR. ROSS: The next subject we discuss is the
25 hydrogen implication for this type of ice condenser contain-
ment. The Staff supplemental evaluation report in Section II

1 Paragraph B7, under the subject Containment Inerting, does
2 provide a discussion and, I believe the Commission has re-
3 cently received a memorandum from Mr. Denton on the subject
4 of a proposed hydrogen control requirements. What we see
5 as far as Sequoyah is concerned and as far as low power
6 operation is concerned, is that hydrogen is almost essentially
7 a non-profit. If you do look in advance, a 100 percent
8 operation you can be more specific. Before--

9 COMMISSIONER GILINSKY: Let us see. You are saying
10 it is a non-problem at this point?

11 MR. ROSS: 5 percent operation. I believe when
12 we discussed relative risks, operation at 5 percent a couple
13 weeks ago, there was some calculation of how long it take the
14 core to heat up and it takes ten or twelve hours and if you
15 have no emergency core cooling system. It would be very
16 difficult to get hydrogen, especially in quantities that
17 would take to produce a combustible mixture.

18 The regional design basis was five times the
19 predicted metal water reaction from the LOCA analysis. Five
20 times point three percent of these on and half percent. Of
21 course it would give a less in a combustible mixture of
22 hydrogen, should that occur.

23 The Three Mile Island accidents results would
24 certainly give a combustible mixture in the ice condenser
25 containment and our slide shows about 12 percent. If this
was of a result of a LOCA that produced steam, and the steam

1 tend to suppress the hydrogen burning.

2 COMMISSIONER GILINSKY: Let us see, that becomes
3 an explosive mixture, doesn't it?

4 MR. ROSS: You would have to look at the chart of
5 air, steam, and hydrogen to get the technical mixtures, is
6 that on the Commission paper?

7 MR. DENISE: Yes.

8 MR. ROSS: There is a triangular chart and they
9 should, if it is complete, we will look and have it in a
10 minute.

11 COMMISSIONER GILINSKY: I am thinking of the high
12 pressure case; I am sure the numbers are the same here. Why
13 do not you go on.

14 MR. DENTON: Okay. With the best of my memo
15 on hydrogen, was to recommend that we do inert the small GE
16 type containment that are not inerting. That we establish
17 rulemaking for consideration of remedial measures of ice
18 condensers and large containments and maybe other types
19 that fell into that intermediate category. Certainly for
20 low power operation, there is little potential for fuel
21 heat out and even less for hydrogen generaton. But this is
22 an issue I expect to have to--that we will resolve going
23 above a 5 percent power operation.

24 COMMISSIONER GILINSKY: You said burning hydrogen
25 from 25 percent cladding reaction would not fail containment.
Does that mean it would not exceed the rating of the

1 containment?

2 MR. DENTON: I believe that that is up to three times
3 the design pressure. Let me ask Dick Denise; is that the
4 number?

5 MR. DENISE: Yes. Commissioner, the 25 percent
6 metal reaction would take the pressure up to about 36 pounds
7 per square inch guage and that would be three times the
8 design. Our assessment shows that it would not fail at that
9 point but it would exceed the design. It would take 15 per-
10 cent metal reaction to bring it up to the designed pressure
11 of 12 PSI.

12 COMMISSIONER GILINSKY: And what is the relationship
13 beteen design and three times design? How firmly established
14 is that? I mean your conclusion is that it does not fail--

15 MR. DENTON: That is a number for our engineering
16 branches who look at that as an ultimate strength and I
17 think that that is a disadvantage--

18 COMMISSIONER GILINSKY: Their estimate, is that
19 a generally accepted estimate?

20 MR. DENTON: Well, let me ask Jim Knight to
21 answer it.

22 COMMISSIONER GILINSKY: At what point would it
23 fail?

24 MR. DENTON: This was looked at in several of the
25 safety studies and it has been a number that has been
commonly accepted for this type of containment would be three

1 times the design. Does anyone want to address the origin
2 of that factor?

3 MR. KNIGHT: If I may. We recently have also done
4 some very specific analysis of license type ice containment.
5 And we find that the factor like three to, is a quite conser-
6 vative number from Shelleys, the standpoint of Shellet's shock
7 will even go higher than that. If at that point where you
8 could get to concern yourself, places around the shellet
9 that ridgidize (?) by penetration of this type or thing.
10 So we feel that is a very good number, it is not a judgment
11 number because--

12 COMMISSIONER GILINSKY: What is the rating of the
13 containment ?

14 MR. DENISE: 12 PSI gauge.

15 MR. DENTON: Now, to keep it in conttxt, there are
16 two operating boilers that are not inerting yet, inerted as
17 a result of fuel boilers to date. There is one ice condenser
18 operating that is not inerted. Four ice condensers, there
19 are several remedial measures that we have under consideration.
20 One would be to inert that would have operational disadvantages.

21 COMMISSIONER BRADFORD: Are there inert ice
22 condensers?

23 MR. DENTON: No, there is only one ice condenser
24 now, and it is not inerted.

25 COMMISSIONER BRADFORD: McQuire is not?

MR. DENTON: They are not operating.

1 So another would be the addition of some sort of flammability
2 suppressant and perhaps that would have to be combined with
3 some sort of containment vending, also to keep the pressure
4 under control. But, I would anticipate we would obtain the
5 advice from the ACRS for this class of plants and for the
6 large dry condensers in the course of a rulemaking proceeding
7 or some other process that we recommend. But I do not see
8 it as being a significant issue for 5 percent Sequoyah.

9 MR. DENTON: Let us go the next slide. To focus
10 our attention on the license conditions, we have done a stage
11 review and it is the issue that we began with is what should
12 this vehicle be? We are prepared today to authorize today
13 fuel loading and zero power testing. We think we could
14 interpret in the license the four conditions that must be
15 met before we go to 5 percent power testing and therefore
16 could issue an authorization that would include the 5 percent.
17 We are not prepared today to go beyond the 5 percent until
18 we get the advice from the ACRS on power operation until we
19 complete some other items such as the hydrogen and the control
20 issue. But, the Commission discussed this the last time
21 and did reach a conclusion as to your preference in this
22 matter.

23 COMMISSIONER HENDRIE: I thought we were leading
24 pretty well toward a single instrument that would carry us
25 through the low power phase and be appropriately conditioned
so that your approval was required to come off at a zero

1 power level and go on up to 5 percent or whatever would be
2 appropriate maximum authorization in the instrument. And I
3 presume that you could let us know when that occurred and
4 if that we were interested in hearing how things were going
5 we could your briefing. That seemed to me--it does seem to
6 me to be a more useful step to take than to issue only
7 an authorization for fuel loading and zero power testing and
8 then we will have to come back and repeat the whole formal
9 process in order to allow five--operations up to 5 percent or
10 what is it a 170 megowatts you determine would be an appropriate
11 level for the natural circulation tests that we want to
12 include in this phase.

13 MR. DENTON: The four issues that need to be com-
14 pleted before we are prepared to go from the zero power test
15 to a 5 percent, were supplied to the Commission but let me
16 rename them. They were developing the procedures for the
17 UHI system and the second one was completion review of
18 vender review of the low power test procedures. Our own
19 review of the test program and looking at the one question
20 about what bought some monitoring instrumentation was on.
21 So these we would be the four conditions that would have to
22 be added to the package for zero power, they would specify,
23 they would have to be met before we be prepared to go above
24 the zero power.

25 CHAIRMAN ADHEARNE: I wonder if I could, I gather
we are now shifting into that type of discussion. I would

1 ask ACRS to have a representative here and Dave Okrent is here.
2 I would like it, at least, since I was not at the previous
3 meetings to ask Dave just to refresh us on what the ACRS
4 position was with respect to Sequoyah at the present time.

5 Dave?

6 MR. OKRENT: Well, December 11, 1979 there was a
7 letter sent to Commissioner Ahearne signed by the then
8 Chairman Max Carbine, related to intro-low power operations
9 in Sequoyah Unit 1 and the Committee excluded that there was
10 reasonable assurance that the Sequoyah could be operated on
11 entrance basis up to power levels, about 5 percent of fuel
12 power, without under the health and safety of the public.
13 And there were certain petitions mainly that the Staff was
14 only to review the experimental program and insure itself
15 that well safety related aspects were being dealt with
16 appropriately. I am not aware of any reason that the
17 Committee would have different view than it expressed in its
18 letter of December 11.

19 CHAIRMAN ADHEARNE: So as far as you can tell it
20 would be fair to say given what Harold as proposed today,
21 that is consistent with what you recommended?

22 MR. OKRENT: Yes, it is.

23 CHAIRMAN ADHEARNE: Thank you.

24 COMMISSIONER GILINSKY: I thought we had pretty
25 well agreed to the proposition that Bill had layed out here
that we would go with one instrument part of avoid and

1 pilaphration (?) and authorizations, but that Harold would
2 come and give us reasonable warning to what it is that he
3 proposed to do. As far as moving into the low power test
4 phase from the zero power test phase. It seems to be a
5 reasonable approach to me.

6 COMMISSIONER KENNEDY: I agree.

7 COMMISSIONER BRADFORD: I would like to check
8 off of some sort at the--between the low power and the zero
9 power and the 5 percent limit. It simply has to do with
10 my efforts to sift through the NTOL conditions, the SCR and
11 the license itself, and get clear in my own mind just where
12 the differences are and what the Staff's basis is. There
13 has been some sort of a blizzard on this in the paper in
14 the last week or so and I can raise examples of the kinds of
15 concerns that I have. None of them would stand in the way
16 of fuel loading and zero power testing, and maybe none of
17 them stands in the way of 5 percent either, but I would like
18 to have a check off list done.

19 MR. DENTON: I would propose the 5 percent vehicle
20 and let me come back and brief you when we are getting near
21 the decision on the change and I also plan to brief the ACRS
22 on our review of the test program, for example.

23 CHAIRMAN ADHEARNE: Well, that is part of what
24 they requested. Peter, would that--

25 COMMISSIONER BRADFORD: Yes. Let me give you an
example of the kind of question that I had in mind. I gather

1 you do not plan to go right down this slide, let me just jump
2 to the third--Denny, can you explain in general terms in
3 some cases of the license you actually reference the SCR
4 and in other cases, take for example your condition H, this
5 is on shift release turnover procedures. You have quite a
6 detailed type of check list in the SCR, but quite general
7 language in the license itself and what I would like to do
8 is get some feedback for why in some of the conditions you
9 would reference the SCR, specifically, and as to others
10 you would have a fairly specific section in the SCR but a
11 very general section in the licensing.

12 MR. ROSS: Let me get Dominic Vassello to get
13 a little supplement information.

14 MR. VASSELLO: This was H?

15 COMMISSIONER BRADFORD: H, yes. H is an easy one.

16 CHAIRMAN ADHEARNE: Please use the microphone.

17 MR. ROSS: I believe the one point that we ought
18 to start with is putting this type of license condition in
19 is somewhat of a learning period for us also. We intended
20 to try to summarize the parasology of the Action Plan. It
21 maybe that in each case we mark consistently with respect
22 to depth in material. In any case, the depth of the material
23 is deeper here than it has been in other places.

24 MR. VASSELLO: Right. What was intended was in the
25 very beginning of that part 4 we tried to make clear that
each one of those items does refer to the SCR, even if it is

1 not specifically called out. And so on H we meant to imply
2 there that you go to IC.2.

3 MR. ROSS: I turns out that I, roman numeral IC.2
4 is an SCR part and it is a near-term OL thing and that have
5 the same designation.

6 COMMISSIONER BRADFORD: Okay. So what you are
7 telling me is that the inspector as he looks through to see
8 what has been done will be inspecting against the SCR--

9 MR. VASSELLO: Yes, because it was difficult unless
10 you wanted to reproduce enerything in the SCR. And so we
11 tried to devise some scheme for tying each of the near-term
12 operating license items to something that an inspector could
13 go to.

14 COMMISSIONER BRADFORD: And now let me ask the
15 question. Supposing that the licensee wants to change the
16 check list that is referenced here, does he now have to go
17 through the process of in effect, amending the license?

18 MR. VASSELLO: Yes. He cannot change that without
19 requesting that from NRC--

20 COMMISSIONER HENDRIE: Is the check list in the
21 SCR?

22 MR. VASSELLO: I would have to check.

23 COMMISSIONER HENDRIE: If it is not, then presumably
24 you would not, you are simply required to have one. But if
25 it was, then you would be stuck.

COMMISSIONER BRADFORD: But, there is more detail in

1 the SCR by quite a lot than there is--

2 MR. ROSS: If the SCR is not going to reproduce the
3 check list, then I think within reasonable grounds the
4 licensee could make a change, the resident would be informed.
5 But I do not think a reasonable change would need a license
6 amendment. If he dropped the practice altogether then, yes,
7 that would be a violation.

8 MR. DENTON: I would see if he could change the
9 check list provided the intent and the SCR description was
10 met for the inspector's satisfaction.

11 COMMISSIONER BRADFORD: Provided that we provide
12 it was consistent with the language within the SCR?

13 MR. SHAPAR: I guess the only tie in for the
14 provision in the SCR is the reference IC2; is not that right?
15 If you wanted to tie it further, I do not think that that is
16 a good enough--if you really want to tie them down, that is
17 good enough to do it at least without some ambiguity. Look,
18 if I understand your point, the way to do it would be to say
19 somewhere in the body of it in accordance with the provision
20 of IC2, if that is what you want.

21 MR. BICKWIT: That is what you have done in some
22 cases and not in others.

23 COMMISSIONER KENNEDY: That it says at the beginning
24 each of the following conditions references the appropriate
25 section of part 2 of the supplement to No. 1 of the safety
evaluation report.

1 MR. BICKWIT: I would not read that as saying
2 incorporates all the terms of the SCR by reference.

3 MR. SHAPAR: I would not either.

4 MR. VASSELLO: Well, it can be done but that was the
5 intent.

6 COMMISSIONER BRADFORD: Has ELD been involved in--

7 MR. ROSS: The structure of these licensed conditions
8 is a participatory effort between Mr. Vassello and ELD
9 representative and the worked a couple of weeks very hard
10 to get up the nerve to mention the enforceability job of the
11 inspector easier.

12 MR. DENTON: If you would like, we can have Howard
13 give us clarifying language for that and--

14 COMMISSIONER KENNEDY: Before we do that, now what
15 is the effect of doing that?

16 CHAIRMAN ADHEARNE: According to Don that is what
17 is making it consistent with they intended.

18 MR. VASSELLO: I believe that was--the intent was
19 to have each one of these conditions refer back to--

20 COMMISSIONER KENNEDY: Refer back, I know it does.
21 But, was it intended then by reference to incorporate all
22 of the text of the SCR?

23 MR. VASSELLO: Yes. It is my understanding--

24 CHAIRMAN ADHEARNE: Of the sections of the SCR.

25 MR. SHAPAR: The section that it refers to it.

MR. VASSELLO: The section that refers to it, yes.

1 MR. DENTON: We were certainly more careful in
2 writing the technical specifications of the licensing condition
3 than we--in terms of the legal import of them than we usually
4 are in our descriptive material in the SCR. And I think that
5 you raised a good point. The text of the SCR may not be
6 in all cases as precise, at normal license conditions.

7 COMMISSIONER HENDRIE: Or it may be a trifle to
8 detailed for a reasonable licensed conditions.

9 COMMISSIONER KENNEDY: It maybe so detailed that the
10 licensee will not be able to make reasonable changes in his
11 operating procedures even without him getting a license
12 amendment. And I do not think that that is what our intent
13 would be.

14 CHAIRMAN ADHEARNE: Let me reiterate the answer I
15 got. The question was was it the intent. So my understanding,
16 the answer was when that license was written and the SCR that
17 goes with it, it was really intended that that--

18 MR. DENTON: Well, that is certainly true, but
19 let me finish the introduction. The only point I was making
20 is that we have had discussions about how lengthy in detail
21 the technical specifications were becoming and the SCR is
22 another 100 feet of document or something. That where this is
23 we have carefully crafted the Text Specs to reflect the
24 condition. Now in the SCR we are going to reference another
25 100 pages or something through this--let me clarify. Certainly
I do not disagree at all with what our intest was it is just

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

a question--

CHAIRMAN ADHEARNE: Could I at least ask the author?

MR. VASSELLO: Well, part author, yes.

This cover, part 2 of the SCR and for each one of those near-term operating license requirements, there was a position and in a number of cases there were clarification of that, of those positions which were sent out to all operating licensee and the near-term operating license applicants. Then there was a discussion as to how the Staff interpreted those and how we approved those. And so the intent was to go to that place of where the Staff stated it interpretation of resolution and have that implement that item.

MR. ROSS: Let me give you a good example--

COMMISSIONER HENDRIE: I suspect since a number of these items are an ongoing developments in terms of the Action Plan and the Staff interpretations and so on, that you do not mean to fix at this time permanently for Sequoyah whatever the interpretation is at 3:40 p.m. on 28 February on a given item. But, rather if a given item develops as these things have a habit of doing, for their elaborations, I would like to see some of the better ways to get the thing done and so on, you would hope to have Sequoyah do it the better. It raises the question then as to how precisely do you want to incorporate the language of the--specific language to each of the present SCR supplement 1 here as a licensed condition. I would think

1 on those matters which are pretty specific to the low power
2 test phase and hence, have a rather limited life in terms of
3 the license for the plant of a long term, that you could
4 stand to suffer some inconveniences, but I would think it would
5 not be a good thing to build in a form that would have to
6 endure for many years in the license of this plant, material
7 which will get out of date rapidly and then have to altered
8 by an amendment process which turns out to be cumbersome
9 enough to give us some problems in processing and the
10 licensee some problems in reasonable flexibilities.

11 So, there is a--you are working between two horns
12 of a regulatory dilemma. On the one hand you like good
13 specificities so that the inspectors have a fairly complete
14 and specific list of items to inspect against and force
15 against; on the other hand to the extent that you do that
16 in great detail, you make the license a very inflexible
17 and incumbersome object to deal with considering the fact
18 that our only mechanism for changing it are also fairly
19 cumbersome and in an administrative procedure sense.

20 CHAIRMAN ADHEARNE: All too, Joe, but we are only
21 addressing a license up to 5 percent.

22 COMMISSIONER HENDRIE: Well, I wonder how--whether
23 I just suggest to the Staff that there are items here which
24 will clearly carry on and apply for the longer term than they
25 exercise a certain amount of caution and how much language
in whole part from the SCR at the current, the SCR supplement--

1 MR. DENTON: To avoid the need for us to go back
2 and rewrite the SCR I would propose that we make the Part 1
3 binding here for the short term license I think would not be
4 undue burden for the period of operation that we envision.
5 We will have to take a more careful look at it the next time.

6 COMMISSIONER HENDRIE: My concerns really relate
7 to the full term, full power area and anything that carries
8 from this part into that.

9 MR. VASSELLO: It was intended that way for the time
10 being that we use that approach.

11 COMMISSIONER BRADFORD: You are both right; that is,
12 that this license for this period of time for this plant at the
13 same time, the dilemma that is being discussed is for all
14 plants. For their length of their life. And my own sense
15 of the balance between enforceable conditions and flexibility
16 and commitments, the drift is it has been a little too
17 much on the unenforceable side in the past, so it is an
18 area that I do have a continuing interest to see tighten up.
19 But for purposes of today's discussion, I think the point
20 that has been made this applies that is license for this time
21 is a perfectly good basis to go ahead.

22 MR. DENTON: Could you perhaps ask what you see in
23 OLD that would provide the text that would tighten it up--

24 COMMISSIONER BRADFORD: Let us see. You may be
25 all right.

MR. BICKWIT: I would change the word reference to

1 to incorporate the terms of the SCR bylaws.

2 MR. SHAPAR: Or just say--

3 CHAIRMAN ADHEARNE: Yes, I think that should be
4 dealt with within their capability.

5 MR. BICKWIT: With little struggle.

6 COMMISSIONER BRADFORD: Certainly either one
7 individually.

8 COMMISSIONER HENDRIE: It may not be within their
9 capabilities, it may not be within their joint capabilities.

10 COMMISSIONER KENNEDY: Let me ask, since we have
11 now--

12 CHAIRMAN ADHEARNE: Why don't you speak up?

13 COMMISSIONER KENNEDY: Since we have discussed two
14 separate licenses, that is this one for this period with
15 presumably a second new one for anything beyond this point.
16 What is the administrative procedure associated with that?

17 MR. BICKWIT: My view would be that we would not
18 have a licensing action in the sense that it would to be
19 noticed depend opportunity for hearing would have to be
20 provided.

21 COMMISSIONER HENDRIE: It would not.

22 MR. BICKWIT: I would not. That has been done with
23 respect to full power operating license, a full power
24 operating license state many years ago that will serve to
25 ride through the process.

CHAIRMAN ADHEARNE: Ed, did you have some issues

1 that you wish to raise?

2 MR. HANRAHAN: Yes. There were two issues that I
3 think that we should keep in consideration as we decide on
4 this. The operator training experience and emergency
5 preparedness. I think on the first, you should have a
6 clear discussion on that, and I think a good deal of that
7 arises from the lack of clarity of percision on our own part
8 in the requirements that we were seeing. The decisions were
9 made last fall on a Staff Paper, the Action Plan is called
10 for improvements and operating training and qualifications
11 have tended to be footnoted and grandfathered in certain
12 ways and we have taken a lot of credit.

13 CHAIRMAN ADHEARNE: I have circulated a memo to the
14 Commissioners to see if I can kind of get an agreement on
15 that to clarify that.

16 MR. HANRAHAN: On the other hand, TVA has fulfilled
17 the requirements that were placed at any one time, so they
18 certainly cannot be faulted for not doing the right thing.
19 On the other hand, one might be disappointed with TVA since
20 they have operating nuclear means. They did not choose
21 to staff Sequoyah with the age-a-deric (?) own experience
22 personnel.

23 The only outstanding thing that they have
24 scheduled is that we retest some of the operators to meet the
25 latest criteria by April. Another point there is whether we
choose to wisr to make that commitment on their part or

1 requirement of the license be issued.

2 In emergency planning, I think we should specify
3 the power limit, if it is 5 percent or to whatever it is to
4 which the present plant is adequate.

5 COMMISSIONER GILINSKY: On that earlier point,
6 do you have any comment on the augmentation of the control
7 room staff to the addition of a number of experienced persons?

8 MR. HANRAHAN: Well, I think that should alleviate
9 the lack of experience by having the experience people there.
10 The only problem that rises, is that they are of a mind of
11 people, they are advisors, but that is in an operation mode
12 where that should be accurate.

13 COMMISSIONER GILINSKY: Do you have any thought
14 about requirements to moving to full power should that staff
15 be augmented on a permanent basis through the addition of
16 operators with experience in other nuclear plants?
17 Or is it satisfactory that the operators gain the six-month
18 experience or whatever it will be.

19 MR. HANRAHAN: If you have that amount of experience--

20 COMMISSIONER GILINSKY: Because if we feel the
21 first ought to happen we ought to be warned by TVA now. That
22 was your point earlier.

23 CHAIRMAN ADHEARNE: Yes.

24 COMMISSIONER GILINSKY: And it sounded like a
25 good suggestion to me.

MR. DENTON: Well, there are three ways to get

1 experienced operators. You can hire them from another company,
2 or take them out of your own operation, you can recruit them
3 from the Navy - which I would not recommend--

4 COMMISSIONER KENNEDY: I would not even recommend
5 hiring them from other companies where you are putting
6 requirements on them so that they are all import (?).

7 MR. DENTON: Or you can have a bottom entry program
8 which is what TVA had which tends to grow their own so to
9 speak. This has been permitted in the past. I think the
10 historical record in the case, is that there are less
11 turnover in the TWA type program when people are augmented
12 from the bottom. We will not face this issue--

13 CHAIRMAN ADHEARNE: Really, I think Ed's point was,
14 at least as I understood was, that perhaps TVA might consider
15 putting of their Browns Ferry people --

16 MR. DENTON: But they would have to go through--

17 COMMISSIONER HENDRIE: I think it would be a bad
18 idea. I do not think that you want to pull people out of a
19 boiling water reactor operating rescheme and try to cram them
20 over to this PWR on the basis of having one set of controls
21 of a nuclear power plant, you are now ready to drive all
22 nuclear power plants; it just does not go.

23 COMMISSIONER GILINSKY: Well, let us see. If that
24 is right, then there isn't nobody on that stuff with experience
25 in operating the kind of plant--

COMMISSIONER HENDRIE: Nobody has experience

1 in operating Sequoyah.

2 COMMISSIONER GILINSKY: Well, nobody there has
3 experience operating a PWR, at least that is what we have
4 been told.

5 COMMISSIONER HENDRIE: The augmented staff from
6 nuclear services--

7 COMMISSIONER GILINSKY: Oh, right--

8 COMMISSIONER HENDRIE: --Westinghouse have a lot
9 of time on Westinghouse plants for loop plants in particular.

10 COMMISSIONER KENNEDY: Can we confirm that in fact,
11 I do not recall having been told that none of those qualified
12 operators had ever operated on a PWR. Now, that maybe true--

13 MR. ROSS: That is what we told you, yes, sir.
14 We have two of the license people were Brown's Ferry people--

15 COMMISSIONER KENNEDY: Okay.

16 MR. ROSS: --and I think some of them had had some
17 old experience but nothing of a recent PWR--

18 MR. DENTON: And, of course, they have all at least
19 spent three months in training at operating PWRs.

20 MR. ROSS: But the so-called observation training--

21 COMMISSIONER HENDRIE: My impression is that this
22 Sequoyah operating group had been in training so long that--

23 COMMISSIONER KENNEDY: If they do not go to work
24 they are going to lose their skills.

25 COMMISSIONER GILINSKY: No. I think to get back
to your other point, I think that getting these extra

1 experienced individuals, was a very useful product of our
2 discussion.

3 COMMISSIONER HENDRIE: I think it is and I think
4 that it is the kind of support that each new station
5 needs as it come along. But I really think the group that
6 has been trained by TVA for this plant, including Watts more
7 simulated time, their own facility that has even been ruled
8 in the past and some time half operating PWRs, of course, is
9 their training. By the time they come through this four to six
10 months of low power work that additional advisors on hand,
11 why I have confidence that they will be in good shape and I
12 do not think it would be helpful--the real comment I am
13 making is that in view of that I think it would be unhelpful
14 to the organization to impose further requirements for
15 deviated pullovers and boiler water people from Brown's Ferry
16 just because they have benefit control of a live machine. It
17 is substantially a different machine and they have to face
18 a years training before they become--

19 CHAIRMAN ADHEARNE: Joe, do you feel similarly
20 that it would be unhelpful if they were to hire people with
21 PWR operating experience?

22 COMMISSIONER HENDRIE: I expect any operation would
23 be glad to have additional people with good experience. Most
24 organizations are glad to get people with good experience.
25 If you propose to cram those people in and push down in the
hierarchy, people who have been in training for Sequoyah

1 itself, for four or five years, I think that is apt to have
2 a very depressing effect on the operating staff around, be a
3 negative for safety. My impression is that they have a
4 pretty good coew down there and in terms of effective
5 management and leadership that human organizations do not
6 do violence to it. It ain't broke. Don' fix it.

7 CHAIRMAN ADHEARNE: It has not started yet.

8 MR. HANRAHAN: I did not--I want to make clear.
9 I was not suggesting that the Brown's Ferry people ought
10 to be transferred over to Sequoyah, that was not the point.
11 The point is that, you know, some time in the past those
12 things could have happened.

13 CHAIRMAN ADHEARNE: Well, I still think it would
14 be useful for inspiration of how could they get some people
15 with operating experience of PWRs?

16 MR. DENTON: I think by the time that they complete
17 the low power testing program with national circulation and
18 loss of offsite power and eight other abnormal conditions,
19 they are going to be better trained for some of the aspects
20 that we are interested in than people who have sat at the
21 controls.

22 CHAIRMAN ADHEARNE: Ed, you had one other.

23 MR. HANRAHAN: That was to specify how the limit
24 we believe that the emergency plan is adequate for and it is
25 understood.

 CHAIRMAN ADHEARNE: I think that is specified in the

1 txcrange of letters; isn't it?

2 MR. HANRAHAN: No, I do not think it is.

3 CHAIRMAN ADHEARNE: You mean the percentage. It
4 was--

5 MR. DENTON: Well, I think it has been implicit by
6 5 percent all the time that is what all the discussion
7 has been about.

8 COMMISSIONER BRADFORD: You passed over a
9 recommendation earlier with regard to the retest program,
10 that that should be --the commitment already exists, but
11 that it should be in the license--

12 MR. HANRAHAN: We have considered doing this, yes.

13 COMMISSIONER BRADFORD: Any reason that we ought
14 to do that?

15 MR. DENTON: Well, the recall program is necessary
16 through some other mechanism, automatic recall program, I
17 think a year after you gotten your license--

18 MR. ROSS: Well, we point out that the recall
19 program that TVA is committed to it, it is on Page 132 and it
20 is coming out soon and we are going to monitor the
21 examination and the new criteria is going to be used and this
22 is only about six weeks away.

23 MR. DENTON: But the recall program is spelled
24 out in some Reg Guide or some other place.

25 COMMISSIONER BRADFORD: Their commitment to it

1 as a basis in present NRC regulations apart from the licensee.

2 MR. DENTON: Let me ask Don Skovholt for what were
3 some of the basis of the recall program is?

4 Don?

5 MR. SKOVHOLT: The requirement to have a recall
6 qualification program is inherent, as far as giving you
7 our regulations and TVAS submitted a document describing the
8 program which is run satisfactory.

9 CHAIRMAN ADHEARNE: Any other questions?

10 MR. BICKWIT: I have some small ones that I think
11 could be dealt outside this room. They are small technical
12 questions involving the wording of the license.

13 CHAIRMAN ADHEARNE: Okay.

14 COMMISSIONER BRADFORD: Were you going to take up
15 the policy statement as well?

16 CHAIRMAN ADHEARNE: Well, I was actually--my list
17 of people, I had ACRS, OPE and then OGC. I was going to
18 turn and ask that question but Peter if you--

19 COMMISSIONER BRADFORD: No. I just wanted to know
20 if you were going to take it up before, after, or not at all.
21 If your way of picking it up is to turn to Len, I will just
22 keep right on rotating.

23 CHAIRMAN ADHEARNE: Len, you had been working on
24 a policy statement in the event that we did take action,
25 where do you stand on that?

MR. BICKWIT: We have three concurrences with respect

1 to language which is very similar. I do not know where the
2 other two offices stand.

3 CHAIRMAN ADHEARNE: I see.

4 I think the issue before us is then to address
5 the authorization to go to the rescheme of the zero power
6 test and low power up to 5 percent. The information that
7 I have read, heard, I read the transcripts of the previous
8 meetings leads me to believe that I would go for the
9 authorization.

10 Vic?

11 COMMISSIONER GILINSKY: I would approve.

12 CHAIRMAN ADHEARNE: Dick?

13 COMMISSIONER KENNEDY: I would approve.

14 CHAIRMAN ADHEARNE: Joe?

15 COMMISSIONER HENDRIE: Very much so.

16 CHAIRMAN ADHEARNE: Peter?

17 COMMISSIONER BRADFORD: Well, I would approve with
18 the understanding that Harold will be back--

19 CHAIRMAN ADHEARNE: Will be back, yes.

20 COMMISSIONER BRADFORD: Also with the point that is
21 certainly made in the policy statement but I would not want
22 to loose it here either that as far as I am concerned at least
23 this autrorization is not, and while I cannot help what the
24 otuside world makes of it, the Staff and the licensee should
25 not interpret it as being the end in the holt in licensing.
To me that is conditioned on the Commission's business, sorting

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

its way through a host of other actions including further
ACRS review, including the action of other areas and I
certainly would not want this very limited approval that
has been taken--that the Staff, anyway as an indication that
the licensing holt was over.

CHAIRMAN ADHEARNE: Well, I think it is very clear
We have been very explicit, I believe, on what we have
approved. The ACRS and their recommendation was very explicit
and they have not yet come back to us with that additional
kinds of statements.

All right. Thank you.

(Whereupon, the meeting was
adjourned at 3:40 p.m.)