

NUCLEAR REGULATORY COMMISSION

---

IN THE MATTER OF:

THREE MILE ISLAND  
SPECIAL INQUIRY DEPOSITION

DEPOSITION OF: THOMAS M. GERUSKY

**POOR ORIGINAL**

Place - HARRISBURG, PA.

Date - September 19, 1979

Pages 1 thru 59

---

Telephone:  
(202) 347-3700

ACE - FEDERAL REPORTERS, INC.

*Official Reporters*

444 North Capitol Street  
Washington, D.C. 20001

NATIONWIDE COVERAGE - DAILY

8001 240 592

T

NOR-4895

em

## UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION'S

TMI SPECIAL INQUIRY GROUP

(Oral deposition of THOMAS M. GERUSKY)

## APPEARANCES:

## NRC SPECIAL INQUIRY GROUP:

ROBERT CHIN, ESQUIRE  
MALCOLM ERNST  
FREDERICK HERR  
ROBERT SHAMBERGER  
PETER SICILIA, JR.

## TAKEN AT:

HOLIDAY INN  
2nd & Chestnut Streets  
Harrisburg, Pennsylvania

1:00 p.m.  
Wednesday, September 19,  
1979

I N D E X

<u>WITNESS</u>	<u>EXAMINED BY:</u>	<u>PAGE NUMBER</u>
Thomas Gerusky	Mr. Ernst	4 - 56
	Mr. Chin	56 - 58
	Mr. Herr	58 - 59

EXHIBITS

<u>Number</u>		<u>Marked</u>
1	Letter of confirmation to Thomas Gerusky from the NRC TMI Special Inquiry Group	3
2	Resume	4
3	Seven-page document, "NRC Procedures for Decision to Recommend Evacuation"	29

P R O C E E D I N G S

THOMAS M. GERUSKY,

was called as a witness and, having been duly sworn, was  
examined and testified as follows:

BY MR. ERNST:

Q Please state your full name and title for the record.

A My name is Thomas Michael Gerusky. I am the  
Director of the Bureau of Radiation Protection, Pennsylvania  
Department of Environmental Resources.

(Exhibit No. 1 marked.)

MR. CHIN: I would like to put into the record  
a letter from the NRC to you and put it into the record as  
Exhibit No. 1. Is this the document?

THE WITNESS: Yes.

MR. CHIN: Do you understand the information  
set forth in this letter including the general purposes of  
this inquiry and the fact that you may have an attorney  
present if you desire and the fact that the information may  
eventually become public?

THE WITNESS: Yes.

MR. CHIN: Are you represented by counsel today?

THE WITNESS: No.

MR. CHIN: I would like to note for the record  
that Mr. Gerusky is not represented by counsel today.

Mr. Gerusky, if at any time during the interview



1 you feel that you need counsel or have counsel present, please  
2 advise and we will adjourn the interview to give you an  
3 opportunity to make arrangements. Is this procedure all right  
4 with you?

5 THE WITNESS: Sure.

6 MR. CHIN: I would like to note here as Exhibit  
7 No. 2 a resume of two pages entitled "Thomas M. Gerusky."  
8 Is this the document?

9 THE WITNESS: Yes, it is.

10 (Exhibit No. 2 marked.)

11 MR. CHIN: Thank you.

12 BY MR. ERNST:

13 Q Mr. Gerusky, the first question we have, I guess,  
14 relates more to the general responsibilities of BRP at TMI  
15 and also the interphases subsequently with DOE and EPA and  
16 HEW. And regarding the collection analysis and dissemination  
17 of radiological data, and maybe this is a time-dependant  
18 question. Who is so-called in charge and how was the effort  
19 coordinated?

20 A Well, during the first two days of the accident,  
21 the data that came from our staff and from the DOE staff, the  
22 RAP team, was collated by our office. But on about Saturday,  
23 I believe when we realized that the -- that would be the 30th --  
24 when we realized the data was just too much to handle and  
25 beginning to be too much to handle, then our office, we

1 requested the DOE team which was set up at the Harrisburg-York  
2 Airport, to collate all the data from all the agencies and  
3 hold a briefing and -- daily on all the data that they had  
4 obtained during the day. That was done and carried out for  
5 approximately the next three to four weeks until they left.

6 Q Based on your experience in this area, is there a  
7 more effective process for handling this function, or would  
8 there be a better way from the start to handle it? Or do you  
9 have any general observations?

10 A Well, I don't think we got very much data from the  
11 utility and/or the Nuclear Regulatory Commission. The input  
12 into the other -- into the pool of all the data wasn't very  
13 great from the utility and the NRC people, mainly because  
14 they were not there to do the kind of environmental surveil-  
15 lance work that -- that the other agencies were.

16 The aircraft data, for example, all of the utility  
17 and of the NRC was not made available. Only the aircraft  
18 data from DOE was made available. So there is some outstand-  
19 ing data even though all the data is all supposed to be  
20 reported to EPA and they have just come out with a document  
21 that collates all the data. I haven't gone through all six  
22 volumes. I have the first three volumes. There are some errors,  
23 but I don't think all the data is there that the utility and NRC  
24 collected particularly. I haven't gotten to the point in the  
25 data about DOE information, so I can't comment on that either.

1 I don't know what they submitted yet.

2 Q Were you not getting data from Met-Ed and the NRC  
3 during the first three days?

4 A No, we were getting data over the phone, and we  
5 have -- and I believe you have a copy, I guess, of our log  
6 books with all the data that we were getting mainly from the  
7 utility. But that information wasn't being fed by the utility  
8 to NRC who then would turn it over to the DOE people for  
9 collation at the end of the day, I don't believe.

10 Q But you were getting it directly?

11 A We were getting it directly from the plant on an  
12 open line on a routine basis. They would call in and give  
13 readings of all their data.

14 Q Generally, what type of information were you  
15 receiving the first three days from Met-Ed and the NRC?

16 A We were receiving data from radiation surveys, on  
17 site and off site, and airborne radio activity levels for  
18 iodine in particular off site and -- off site only.

19 Q I gather then you were collecting most of the  
20 information from DOE and Met-Ed and NRC, but to whom -- What  
21 analysis function did you perform and to whom did you send  
22 data and the results of the analysis?

23 A Well, the data was being scanned for anything  
24 abnormal. What we were finding in the environment -- what  
25 everybody was finding in the environment was Xenon-133 and

1 and some small quantities of radio iodine in the air samplar.  
2 So that -- and there were samples of milk, soil, vegetation,  
3 everything you could think of, animals that were being  
4 analyzed by a variety of people. And most of the people were  
5 coming up negative. The only things that we were seeing was  
6 radiation levels measured with a Geiger counter -- open  
7 window Geiger counter and some small increases in milk samples  
8 in iodine. Nothing else was being found.

9 So, I don't know how -- it is awfully difficult to  
10 say -- only with the small amount of -- a large quantity, but  
11 very -- but it was one isotope that was causing our problem.

12 Unless we saw something different in the data that  
13 the -- the iodine data or the air sample data or the milk  
14 data, or just high radiation levels, we weren't -- there was  
15 no real cause for concern because off site levels were in the  
16 range of one to 10 mr/hr, and we were told about hourly that  
17 that would go down to zero within the hour from both the  
18 utility and the NRC people on site, that the problems had  
19 been solved and the releases would stop until Friday.

20 Q So, there wasn't any widespread dissemination of  
21 this information unless you saw something untoward or differ-  
22 ent?

23 A We didn't try to put the information in one location  
24 and hand it out to everybody. We tried to summarize it at  
25 press conferences and to our people and to people that called



1 in and asked for the data. But not collating and handing it  
2 out to reporters. There wasn't anything wrong with it. We  
3 just didn't have time.

4 Q How many professionals do you have on your staff  
5 roughly?

6 A Oh, I think with the laboratory people there are  
7 19 now, and we had two vacancies of professional health  
8 physicists.

9 Q And about how many of these were used in response  
10 to TMI?

11 A 18.

12 Q 18?

13 A Yes. There were people from our Pittsburgh office  
14 and our Reading office that were called in to assist.

15 Q Are all of these what you might say qualified in  
16 their ability to evaluate radiological hazards and nuclear  
17 power --

18 A No, not all of them. We have got certified health  
19 physicists. The three main people who are involved in eval-  
20 uating the incident were Margaret Reilly, Bill Dornsife,  
21 our nuclear engineer, and myself. Maggie and I are both  
22 certified health physicists. We have an additional certified  
23 health physicist in our office in Harrisburg and one in  
24 Pittsburgh. However the one in Pittsburgh did not come into  
25 Harrisburg to work.

1           The rest of the people have been mainly involved in  
2 the x-ray inspection program, and prior to that time it was  
3 very difficult to get them interested in reactors because  
4 they believed what everybody was saying about there is no  
5 problem with nuclear power. And just to try to get them to  
6 come in and attend a reactor emergency course was tough  
7 because they just -- they were more interested in the x-ray  
8 problem than the "real problem" quote-- quote, unquote.  
9 They thought it was a real problem any way.

10           Q     Generally, what kind of equipment do you have  
11 ability to measure different kinds of isotopes in the lab as  
12 well as in the field?

13           A     Well, the laboratory equipment is pretty solid with  
14 multi channel analyzers, low background counting, tritium  
15 counting equipment.

16           The field equipment was lacking, and we did not  
17 have the capability to do iodine monitoring or any air  
18 monitoring with portable equipment. We did not have any  
19 portable air sampling equipment. We were in the process of  
20 getting it, but we didn't have it.

21           So, the first day we had to rely upon -- at 10:45  
22 when they started to detect levels outside on the 28th, we  
23 had to rely upon the data given to us by the utility health  
24 physics people. And when there was some question about that  
25 data because of high background levels from Xenon, then the



1 samples were pulled into our laboratory and analyzed and  
2 found not to be significant in iodine.

3 Q Was your equipment calibrated for Xenon?

4 A No, it was not. Nobody's equipment was calibrated  
5 for Xenon. It was checked afterwards down at the National  
6 Bureau of Standards, and everybody came about in the same  
7 ballpark. As a matter of fact, I believe that the estimated  
8 exposures -- the DOE estimated exposures probably can be  
9 reduced by a factor of three based upon some new information  
10 from NBS indicating that the GM were only a factor of three  
11 high rather than a factor of 10 high. So, probably the  
12 exposures can be reduced -- their estimates of exposures can  
13 be reduced.

14 We were very enthusiastic about the quality of  
15 people that DOE brought in from the various laboratories.  
16 Many of them we had worked with before.

17 I personally had worked with the Brookhaven people  
18 and we had known them very well. We just -- in this kind of  
19 an incident, when health physicists are out there working,  
20 you don't -- you don't ask questions about their competence  
21 if you know them. You know them from experience and dis-  
22 cussions with them and knowing how to handle themselves, the  
23 kinds of equipment they brought in. You just assume that the  
24 information you are getting is close to being correct. Good  
25 for health physics purposes. Good within a factor of plus or

1 two within these levels. That is all we were worrying about.

2 Q I think you said on about Saturday, DOE sort of  
3 took over --

4 A I can't remember. The first three or four days are  
5 all one big day, and I had about two hours' sleep for four  
6 days. Except I do remember Friday morning. Friday caused  
7 the large influx of federal agencies and I believe on  
8 Saturday was when DOE came in force and set up at the airport.  
9 And at that time we asked them to handle the data. It could  
10 have been Sunday. It was early -- it was six months ago,  
11 and trying to remember one day -- one hour was a problem  
12 then. One minute. Minute to minute things changed.

13 Q I think you documented this question in a memo of  
14 April 6th, which we have a copy of.

15 A Yes.

16 Q Was there a formal request earlier than this?

17 A Yes. We had in just general discussions requested  
18 that this be done. And then because of an apparent conflict  
19 between NRC and -- who felt they had responsibility to collate  
20 the data -- and DOE, we felt that we might as well put it on  
21 paper requesting that agency to do it.

22 Q That was April 6?

23 A Yes.

24 Q There was no document before that?

25 A No.

1 Q Was there any problem either physically -- because  
2 of the location of people -- or technically in communicating  
3 with DOE representatives? And I might sort it out at other  
4 DOE regions, and maybe DOE headquarters.

5 A I am not sure exactly what you mean by the question.

6 Q Well, there was -- it seemed like there might have  
7 been a problem with communications when DOE moved in and then  
8 moved out to the airport to set up their headquarters there.

9 I was wondering if there was a physical problem,  
10 people getting together, or some other kind of technical  
11 communication problem or something that --

12 A When they came in, they brought radio equipment.  
13 We also provided them with radio equipment from our forestry  
14 network. So we were able to communicate with them by radio.

15 Q How about communications between yourself and DOE,  
16 not field to DOE but between yourselves?

17 A No, we did that by radio and telephone lines.

18 Q There was no problem with communications from your  
19 office to the airport?

20 A No. As a matter of fact, on Saturday again --  
21 Saturday or Sunday, telephone lines were installed and a DOE  
22 person came in and set at a desk with a tele-direct line to  
23 the DOE headquarters. An NRC person came in and set with a  
24 direct line to the NRC headquarters and I believe to the  
25 trailer on site.

1           FDA came in and had a direct line to FDA headquarters  
2 in Rockville. I think we had three direct lines on top of  
3 the open line to the plant, and they were manned 24 hours a  
4 day.

5           Q     What are your established criteria for recommending  
6 for the various protective actions such as take cover,  
7 evacuation --

8           A     It is in our emergency plans, the EPA --

9           Q     Okay. So that your guidelines would be established  
10 in the plan?

11          A     Right. By the way, the plan that you people have  
12 is our plan, not the PEMA. The plan written for our agency  
13 and not for --

14          Q     It was a DER plan?

15          A     Right, this one (indicating) dated September, '77.  
16 And you have a copy of that.

17          Q     Is that the one we have a copy of?

18          A     And these are the Protective Action Guides, one to  
19 five, twenty-five to seventy-five, five to seventy-five, one  
20 hundred twenty-five.

21          Q     I would have to refresh my memory. I don't remember  
22 if it talked about the use of potassium iodide or not.

23          A     It did discuss that. But the problem was there was  
24 no potassium iodide available to us prior to the accident.  
25 So, it was not included in a procedure because it wasn't



1 available, although we had tried to get it available.

2 Q Any criteria or sheltering or putting cows on --  
3 shelter cows or putting them on stored feed?

4 A I believe that is in there. Margaret Reilly, she  
5 wrote this and -- the methodology is in here, but I am not  
6 sure -- yes, here we go.

7 The dose commitment for the entire episode for a  
8 suitable sample in the thyroid and the affected milk shall  
9 not exceed 1 Rem -- in the affected milk shed shall not exceed  
10 1 Rem. Then by calculation, one can determine that the maxi-  
11 mum milk concentration is 8.3 nanoCuries/liter. That corresponds  
12 to a pasture deposition of 67 nanoCuries/sq. meter.

13 And if that is anticipated, then the milk protective  
14 action options are: removing from pasture, diversion of the  
15 processed food products and confiscation and disposal and  
16 deliberate dilution to acceptable levels. That is in the  
17 document you received.

18 MR. CHIN: I would like to note for the record  
19 that the witness is referring to the Department of Environ-  
20 mental Resources, Bureau of Radiological Health Plan for  
21 Nuclear Power Generating Station Incident, September, 1977.

22 THE WITNESS: And there is an addendum to  
23 that for the Three Mile Island Plant specifically. And there  
24 is no data on that. That was prior to the start of the Three  
25 Mile Island that you also have.

1 MR. CHIN: The witness is referring to "Three  
2 Mile Island Nuclear Station Annex to the Pennsylvania Plan  
3 for the Implementation of Protective Action Guides," undated.

4 THE WITNESS: And it also says "draft" on it.

5 Miss Reilly believed that the plan was going  
6 to be changing so often that every version had a draft on it.

7 BY MR. ERNST:

8 Q The Burgandy request and possible use of potassium  
9 iodide, as I recall there was a little bit of confusion  
10 between your office and the Department of Health. We were  
11 curious though currently who is responsible for supply,  
12 storage authorization, use and distribution and use.

13 A Currently?

14 Q Currently.

15 A The Department of Health.

16 Q For all of this? Anything to do with potassium  
17 iodide is the Department of Health?

18 A Yes.

19 Q But I assume you would make the recommendations  
20 regarding the action?

21 A Right. The problems with the potassium -- well, I  
22 think it is in one of the testimonies that I gave. The  
23 problem -- we just didn't have a resource available to us to  
24 handle the KI problem.

25 And since it was coming in from FDA and they had



1 experts in the Department of Health on drugs and knew how to  
2 distribute medicine, in effect, we felt that the Department  
3 of Health would be the responsible agency -- would be a  
4 responsible agency and do the job and get it out to the people.  
5 We were disappointed that they were not, but it was not put  
6 out in locations where the people were, but it was beyond our  
7 control at that point.

8 Q In one of your testimonies, I recall you indicated  
9 problems in communicating with the press during the apparent  
10 fall-out from bomb tests. I am just sort of curious what  
11 these problems might be and whether they were similar with  
12 TMI.

13 A No, the problems were that we weren't able to do  
14 our work because of having to talk to the press on a rather  
15 routine basis and appear on television shows and so forth.  
16 when what we should have been doing was collecting information  
17 and making decisions and not talking to the press. Someone  
18 should have been talking to the press. A press officer should  
19 have been talking to the press.

20 Our press officer during that -- at that time was  
21 located in another building and was not very knowledgeable  
22 about radiation. It is interesting in this case -- the new  
23 press officer for the department sat in our offices during  
24 the '76 episode just to watch and see how we were handling  
25 the matter. And he realized what the problems were with the

1 press. And as soon as we got hold of him, then all calls  
2 from the press were referred to his office or handled at his  
3 office upstairs.

4 But he was in the building and he was relatively --  
5 but everything -- all the top level people in the administra-  
6 tion, including most of the public information officers, were  
7 new to their jobs in relation to state government.

8 Q You have indicated problems with telephones. Well,  
9 let me pursue press business for one more instance.

10 Some of the same problems, I gather, occurred  
11 during TMI?

12 A Yes. Calls came in from the press immediately.

13 Q And what is the solution? You mentioned the press  
14 officer sitting in your offices. Is that an effective way  
15 to go, or what is an effective way to communicate?

16 A I have no idea. It is just too big a job for --  
17 there has to be a technical person there to answer the techni-  
18 cal questions and to explain to the press officer -- give  
19 technical data.

20 We just didn't have the resource people there who  
21 understood the problem to be able to put that into a perspective  
22 that a newspaper man or even a TV reporter would be able to  
23 then take to the public. It was a difficult situation to  
24 explain, not only what the basics of radiation were, which we  
25 had to do, the basics of nuclear reactors, which is what we

1 had to do, and also explain what the doses meant and how  
2 serious they were and whether or not we believed that they  
3 were serious/ to cause any concern.  
4

5 We tried to get -- to feed our press officer with  
6 all of this information. And every time we had a chance or a  
7 break in any kind of activity, we would fill him in on what  
8 had just happened and then try to keep him up to date on  
9 what our opinions were on exposures and why we didn't think  
10 it was necessary to evacuate and so forth.

11 Q What type of person would it take to provide this  
12 interphase, do you think?

13 A I think it has to someone who has dealt with the  
14 press and is -- probably I would like to see a technical --  
15 a health physicist of some kind who has been around for a  
16 while and knows what to say and what not to say.

17 You are not trying to hide things, but there are  
18 ways of saying things that can be -- that you can give the  
19 same information out in two ways: one to scare the hell out  
20 of everybody or one to be just straight forward and relay  
21 facts and questions. It depends on what you want done at the  
22 time. If you need to scare people to get them out, then the  
23 person should be able to do it. But if you want them not to  
24 go and you don't feel there is a need to move the people,  
25 then it has to be done in a different way.

I think Denton is a classic example of the person

1 who could calm the people down. I don't think that using the  
2 typical -- a typical press officer is the way to do it. The  
3 person has got to be technically knowledgeable. Met-Ed tried  
4 that and it didn't work at all. Nothing worked with Met-Ed.  
5 It didn't make any difference. It had just lost all their  
6 credibility the first couple of days.

7 Q Do you have any opinion as to why they lost their  
8 credibility?

9 A I think it was attitude. The attitude of the  
10 people who were making the statements to the press and to  
11 the public. It was unfortunate. The people were qualified  
12 to make the statements, but the way they made them, down-  
13 playing the interests or the concerns of the public and the  
14 government, and downplaying the -- downplaying the episode  
15 itself as just another little incident when nobody was really  
16 sure at that point whether it was just another little incident  
17 or not.

18 I think they were trying to tell the truth. It was  
19 just the way they told it. I don't think they tried to lie  
20 to anybody. If you look -- hearing what they said, they  
21 were telling what they thought was going on. It is just that  
22 they were not aware of what really was going on either.

23 And I don't think NRC -- the NRC people at the site  
24 were aware of what was going on. That is all in retrospect.  
25 I don't think they were aware of what was going on until



1 headquarters got deeply involved.

2 Q What aspect made Denton credible in your judgment?  
3 You mentioned --

4 A I don't know. He is one of the -- his slow easy-  
5 going style. He was somebody fresh. The President's hand-  
6 picked man. There were all kinds of things. And he told --  
7 went out and told everything he knew, answered all the  
8 questions and was --. He did not downplay anything. I think  
9 that was one of the things. He didn't try to say that the  
10 accident was no big problem.

11 He said it was a big problem and what we were trying  
12 to do about it. But I think -- more his southern, soothing  
13 drawl than anything else that calmed people down. I don't  
14 know how he did it. In the north, that is not a qualification --  
15 normally the people up here don't believe the southern drawl.  
16 So, I don't know.

17 It was different. Probably Vic Stello could have  
18 done the same job. People accepted him because they believed  
19 he knew what he was talking about and he was being honest  
20 with them.

21 Q You had also indicated problems with telephones and  
22 had to even use, I gather, walkie talkies in the offices and  
23 also some loss of communications with PEMA from time to time.

24 I was wondering, at least from your perspective,  
25 what has been done to remedy this situation?

1       A     Telephones are being installed from the utility to  
2 our office, a hot line. These are direct lines, ring, pick-  
3 up-type phones from each utility -- from each control room  
4 at each reactor to our office. And a direct line is being  
5 set up between our office and PEMA offices.

6           In addition, it has been agreed that next time --  
7 next time. I informed my boss if there is a next time, he  
8 has got my resignation right away. Once is enough. -- that  
9 we will station someone over in PEMA headquarters to be able  
10 to explain to them what is going on.

11          Since the evacuation was never carried out except  
12 for the pregnant women and children, we didn't keep PEMA  
13 informed the way we would normally do in an accident. It was  
14 just an oversight on our part by not contacting them and  
15 telling them what the levels were and what we were finding  
16 and so forth. And also the results of meetings with Denton  
17 and the NRC people and meetings in the governor's office.

18          During the first couple of days, they were in  
19 attendance in the governor's office and we didn't feel we  
20 needed to fill them in. But after that, they weren't in  
21 attendance. And we felt that the Lieutenant Governor, who is  
22 in effect PEMA, was informing the PEMA people of what had  
23 happened in the meetings with Denton and the Governor.  
24 Apparently that wasn't the case.

25          So, they didn't have any information and they



1 couldn't get information out to the counties who were very  
2 upset because they were getting all the calls.

3           One of the problems that I saw as a result of the  
4 proposed press conferences, Denton would come in to us and  
5 talk with the Governor before going to a press conference  
6 where he would give out the same information. And then have  
7 available a summary of the information that he was going to  
8 give out at the press conference. That summary was not made  
9 available to us that could be given to civil defense or PEMA  
10 that could put it on the wires to the locals so that that  
11 could be made available to them. Instead of listening to the  
12 press conferences over the air, they could have been made  
13 available of it while it was happening.

14           There was no request for it, although once I was  
15 asked for copies of it, he said, "Come on down to the press  
16 conference."

17           But that did disturb me a little bit. But at that  
18 point I wasn't concerned about public information as much as  
19 they were. I was suspecting that the Governor's office was  
20 probably getting copies. But they did not want information  
21 to go out prior to Denton's release of the information.

22           Q     This was passed out in the Governor's meetings?

23           A     No, it wasn't passed out.

24           Q     It wasn't even passed out to people there?

25           A     No, they came to the meeting -- Denton usually came

1 to the meeting with Joe Bashard\*, and Bashard\* would have with  
2 him a copy of the statement that Denton was going to make at  
3 the press conference. And he would take it with him as far  
4 as I knew. I never saw a copy of it.

5 Q So this is the NRC status report or press release --

6 A That was going to be handed out at the press meeting.  
7 And all the technical information -- it was agreed to by  
8 Saturday that all the technical information would come from  
9 Denton at the site and/or in a joint conference with the  
10 Governor. But the local people, who were really up tight of  
11 what was really going on, never found out except by listening  
12 to the radio.

13 Q You were present at most or maybe all of the  
14 Governor's meetings from Friday on?

15 A Most, not all.

16 Q But most?

17 A Yes.

18 Q And PEMA was not represented by the Lieutenant  
19 Governor?

20 A There was some meetings that PEMA -- where PEMA  
21 was at that I wasn't there where they were discussing evacua-  
22 tion plans and how things were to be carried out. The methods  
23 of evacuation were not our responsibility and so we weren't  
24 involved. I didn't even know that evacuation plans were being  
25 readied for 20 miles until I got home one day and there was  
\*spelled phonetically

1 a little note tacked to the door saying, "This is where you  
2 go if you are evacuated." And that was like Sunday.

3 I had no -- it just didn't occur to me that that  
4 much work on evacuation was taking place up to 20 miles.

5 Q Who put this on your door, do you know?

6 A The Civil Defense.

7 Q Civil Defense?

8 A The Cumberland County Civil Defense.

9 Q It wasn't a business-related note?

10 A No, it was just given to everybody. "This is the  
11 route you will take and where you should wind up." We were  
12 supposed to go to Chambersburg.

13 Q In your view, who was really responsible for  
14 communications, or is there such a responsibility?

15 A There are two kinds of communications. There is  
16 communications to get information back and forth between the  
17 parties who need to know. Then there is communication with  
18 the public.

19 I have a hard time with the public one. I don't  
20 know how to resolve that one. But communication among the  
21 agencies and among each other, I think -- and among the state,  
22 the people who have to make decisions at the state level were  
23 solved pretty well by Friday when we started using the Civil  
24 Defense walkie talkies because telephone lines were tied up.

25 And what we would do is call someone on the walkie

1 talkie and ask them to call us on a certain line that was  
2 open. And that way we could talk over the telephone and give  
3 some information -- say we didn't know anything more, rather  
4 than put the information over the air and have everybody who  
5 wanted to listen to that frequency who was capable. And that  
6 happened during the whole episode, people monitoring NRC fre-  
7 quencies and then giving us a call saying, "What is going on  
8 down there? They are out checking for iodine." It caused  
9 problems.

10 We are getting an additional radio system for our  
11 own vehicles. We have purchased an environmental monitoring  
12 vehicle, a big van, which will have a massive system which  
13 could be used anywhere in the state and can be used as a  
14 massive communication on any kind of disaster and will have  
15 equipment for radiation detection work in the field similar  
16 to the van that NRC headquarters had and what EPA has down  
17 in Montgomery, and New Jersey has.

18 Q There was also -- and I don't know the kind of  
19 communication problem this was -- but there apparently was  
20 a lack of communication in the state police.

21 A Oh, boy, yes, was there. I didn't know about it  
22 until I went to a meeting with all the agencies that were  
23 involved and the state police gave a sequence of events and  
24 what they understood to be happening. And I couldn't believe  
25 what they thought was going on in their official document



1 compared to what we knew was going on.

2 Q Is that the meeting you had in Harrisburg?

3 A It was wild. We have attempted to working with the  
4 state police in getting them up to speed on accidents. There  
5 was -- we had met with them in the past, prior to about three  
6 or four years ago. All activities relating to emergency  
7 planning for reactor accidents were handed out of our office.  
8 They were handled out of our office because the State Council  
9 of Civil Defense, which is what they were called until January,  
10 did not want any part of reactor emergencies.

11 So, all meetings with local officials, all meetings  
12 with state police barracks as to what they should be doing or  
13 as to how they should be acting, all meetings with utilities  
14 were -- and all planning was done by, in effect, Margaret  
15 Reilly, one person in our office. And it was one -- it was  
16 a hell of a job because the State Council of Civil Defense  
17 just didn't want any part of it.

18 After the new director came on board and after they  
19 had received quite a bit of money from one of the federal  
20 agencies to rewrite their disaster plan -- And as part of  
21 that requirement, they had to have a fixed facility radiation  
22 plan, then they got involved and we started having informal  
23 agreements with them as to what we would do for them and what  
24 they would do for us.

25 So, finally things in the last three years -- three

1 to four years, they worked out very well compared to what it  
2 was before. We were completely on our own and nobody --  
3 nobody believed there was a need for an emergency plan for a  
4 reactor in Pennsylvania. It was very difficult to convince  
5 people to get involved, including the local township.

6 We had a meeting of the local people in Dauphin  
7 County, the local civil defense directors in Dauphin County  
8 in the five-mile zone surrounding the plant. And we told them  
9 what the problems were and what the -- what plans they should have,  
10 and they just walked out and never did a thing. Very diffi-  
11 cult to convince local communities to do anything.

12 Q How have you resolved the communication problem  
13 with the state police?

14 A Every Monday a meeting is held in PEMA to work on  
15 new plans that are being -- the ten-mile plans and to upgrade  
16 the present plans. That was up through last Monday. I am  
17 not sure if it is still going on. But state police represent-  
18 atives attend those meetings, and they are now getting informed  
19 on how to write a plan and what their responsibilities are. We  
20 had to work not with the -- we had to work with the individual  
21 barracks, and we never got beyond the barracks level on  
22 emergency planning. We didn't.

23 PEMA or civil defense required each agency to submit  
24 a plan of action for a -- for their role in emergencies  
25 including radiation emergencies. I don't know what happened



1 with the state police. I think they were forgotten about. I  
2 don't recall.

3 Q You indicated this problem in communications with  
4 PEMA, and I gather you have said now this would be resolved  
5 in the future by stationing a qualified individual --

6 A Yes. We have committed to it. I just hope we have  
7 enough people.

8 Q Is this additional staffing or existing staffing?

9 A Well, we have a request in. We did get an additional  
10 \$300,000 in the budget this year, and I know \$200,000 of  
11 special funds for equipment. We are planning on hiring six  
12 people. One will be a nuclear engineer. The rest are health  
13 physicists. The rest will go for increased lab equipment.  
14 And most of the money will be spent on equipment -- on supplies  
15 for the first year. Next year we hope to bring in nine new  
16 people, half of which will be in the laboratory, and the rest  
17 will be in our offices. That would include three additional  
18 nuclear engineers.

19 We would like to have a nuclear engineer per site  
20 so that -- not on site like NRC does, but someone who is  
21 very familiar with the site, and if an incident occurs there,  
22 knows as much as Bill Dornsife knew about this particular  
23 site. He just can't handle all of the problems at each of  
24 the sites now.

25 We are hoping that next year's budget will include

1 that. But we do have approval for one additional nuclear  
2 engineer now and one additional health physicist. And since  
3 our people have been through this, we could take some people  
4 that we didn't think we could use before and use them now  
5 because they have now been brought up to date on what our  
6 problems are. I think it can be worked out.

7 Q When were you first aware that an NRC document  
8 existed which was given to the Governor by Hendrie on Sunday  
9 that analyzed possible future accident scenarios?? And I  
10 believe it is that document there.

11 A I believe we got a copy of it on Sunday.

12 MR. CHIN: The witness is referring to a  
13 document titled "NRC Procedures for Decision to Recommend  
14 Evaluation."

15 THE WITNESS: I didn't pay any attention to  
16 it. I didn't realize it was there, I guess, and I think  
17 possibly Bill Dornsife picked the document up or somebody  
18 else in our shop. But I had not seen it until about a week --  
19 a couple of eks later.

20 Q I see.

21 MR. CHIN: And it's a 7-page document. And it  
22 is now marked Exhibit 3.

23 (Exhibit No. 3 marked.)

24 THE WITNESS: The unfortunate thing is, neither  
25 did civil defense or PEMA receive it, and they are still

1 working on evacuations up to 20 miles.

2 BY MR. ERNST:

3 Q Have you read the document now, at the present  
4 time?

5 A I have read it, but I haven't tried to evaluate  
6 whether or not they are correct.

7 Q Did you find the document understandable?

8 A Oh, yes. Yes, I think it was well done for the  
9 various events that could occur. We were given the informa-  
10 tion verbally in the Governor's office about the time frame  
11 needed to evacuate people, and it kept getting longer and  
12 longer and longer except for certain types of incidents.

13 But I don't know when I first saw that document.  
14 It was in our office, but there were so many pieces of paper  
15 around that I don't know when I saw it.

16 Q Are you aware of a sort of pseudo command center  
17 established in the Governor's office during this time period?

18 A No.

19 Q There were, I gather, a number of people who were  
20 essentially the Governor's closest advisors or performing  
21 that kind of function.

22 A I am not sure exactly what they were doing.

23 Q So, whatever this group was, you didn't know -- have  
24 much dealing with them?

25 A No.

1           Q     On the 28th of March, I guess, at about 2:30 in  
2 the afternoon, I think you were present with Herbein and  
3 Miller and Miller briefed Lieutenant Governor Scranton.  
4 Were there other discussions during this time of steam dump-  
5 ing and difficulty with depressurization of the reactor and  
6 some various sources of releases -- technical information like  
7 that trying to describe the mechanism by which radioactivity  
8 was going into the atmosphere?

9           A     No, I don't believe so. I don't recall very much  
10 of that conversation. I think they came and gave us what --  
11 maybe an update on the status of the reactor that Bill had  
12 already given previously and not much more. I don't think  
13 Bill Dornsife was at that meeting either, and that was  
14 unfortunate because he could have asked some very pertinent  
15 questions about the status of the reactor which was beyond  
16 me at that point.

17                I think it was their attitude that just turned  
18 everybody off in the Governor's office -- in the Lieutenant  
19 Governor's office, I believe. I am sure -- Governor's office.  
20 But it was again downplaying the incident. I was not happy  
21 with the information that we got and -- and I wasn't sure we  
22 got it all. Although I had dealt with two of the people very  
23 closely before and had no problems with them, and I just  
24 couldn't understand what was going on at this time.

25                I wasn't sure I believed them, and I know I wasn't

1 happy when I left the meeting, and everybody was mad. And  
2 that is when the call went in asking for NRC to come up that  
3 evening to fill the Governor and Lieutenant -- to fill us in  
4 on what they thought was going on with the reactor.

5 Q What was the source of Mr. Dornsife's information?  
6 Did he go back to the plant quite often?

7 A No, he worked at the plant -- I don't remember what  
8 time he worked for them, but he worked for a consulting  
9 engineering firm at the plant for about six months prior to  
10 its operation. And so he became very familiar with how that  
11 particular plant was designed.

12 So, he knew more about -- probably the only -- one  
13 of the few off site people -- When Denton got there, he  
14 was Denton's right-hand man filling him in on what was going  
15 on, what the systems were, where things were, because he had  
16 worked there during the construction phase.

17 He has been with us for about three years, so it  
18 was during the early construction phase and trying to --  
19 His comments to us were that he was trying to fix the mistakes  
20 that were made in the design of the plant, to straighten  
21 them out -- back before they got started.

22 Q During the morning of the 28th of March, Met-Edison  
23 vented steam in view of the secondary system. Do you remember,  
24 perhaps not exactly, but when at least by whom you were informed  
25 of dumps of that nature by Met-Ed?



1           A     I don't think we were informed of the steam dumps.

2           Q     Did you understand what the procedure was, the  
3     dumping, why it was being done and things of that nature?

4           A     Not why. I understood what it was. And at that  
5     point, we were concerned that iodine may be getting out  
6     through that route because of the possibility of the -- they  
7     had previously informed us that there may be a breakdown of  
8     the steam generator and/or primary secondary leakage. However,  
9     they told us that that side was isolated and the other side was  
10    fine, so dumping steam really didn't bother us too much unless  
11    it was contaminated.

12          Q     Was this the position you were taking with the higher--  
13    like the Governor's staff?

14          A     I don't recall. I just don't recall what position  
15    we did take if any. I am not sure it made a big impression  
16    on me anyway. It may have on somebody else. We were surprised  
17    to see iodine in milk so early. And we knew the cows were  
18    on pasture. That caused a lot of early concern because we  
19    weren't finding it in the air.

20                We expected -- in a reactor accident, the worst  
21    thing is iodine and that is what you are out searching for  
22    with everything you have got. And it wasn't there. NRC con-  
23    firmed it wasn't there. DOE confirmed it wasn't there in  
24    any great concentration. But then it started showing up in  
25    milk.

1           It wasn't underground. So, it had to be inhaled,  
2 and that is a lot of radioactivity to inhale -- for the cow  
3 inside a barn to get that kind of milk. It was just detectable  
4 levels, but they were there, which surprised us.

5           Q     Were you made aware of any of the steam dumps, such  
6 as the one around 3:00 o'clock Wednesday which apparently  
7 caused a problem at the state level anyway?

8           A     I am not sure what you mean by steam dumps. In  
9 other words, venting from gas tanks --

10          Q     I guess I used the wrong term. Let me go back to  
11 that one. Apparently, around 3:00 o'clock, the Lieutenant  
12 Governor requested that steam venting be stopped.

13          A     So that is where that came from. I don't -- we were  
14 trying to figure out who made that request. We didn't know  
15 anything about that request.

16          Q     So, you are not aware that this was a request by  
17 the state government?

18          A     As a matter of fact, I called the Lieutenant Gover-  
19 nor's office two weeks ago to ask if -- after reading the NRC  
20 report and hearing and getting questions from you guys about  
21 who was making all those calls and getting more and more  
22 concerned. We didn't know who was making those calls.

23                We didn't even know they were being made until after  
24 reading the NRC report on it or, what, a couple of months  
25 ago now. And we tried to find out who it was, and we knew it

1 wasn't anyone in our shop. And I called the Lieutenant  
2 Governor's office and asked if they did it, and they came  
3 back and said, "Nobody in our shop did." I didn't talk to  
4 the Lieutenant Governor directly or his chief assistant. I  
5 can't remember his name.

6 Q Did you or any of your staff accompany the Lieuten-  
7 ant Governor Scranton on his visit to TMI?

8 A No, I didn't know he was going until after he came  
9 back.

10 Q Do you know who he took with him?

11 A No.

12 Q During the day and night of the 29th, plant operators  
13 vented the makeup tanks periodically?

14 A1 Right.

15 Q When and how did you first learn or were informed  
16 of this venting procedure?

17 A I am not sure when we were informed of deliberate  
18 venting. Indications that we got from the NRC people on the  
19 phone and in person was that the majority of the radioactivity  
20 was coming from water that got out of the tanks and was on  
21 the floor in the AUX building, and as soon as that water could  
22 be cleaned up, there would be no problems with releases to  
23 the environment, that the Xenon was coming out from that water  
24 and the inside of the building was so contaminated with Xenon  
25 and other isotopes that the -- the gas isotopes that it was

1 taking a while for the Xenon to get out of that big building  
2 through the filtering and out into the environment, and  
3 slowly it would go down.

4           Until Friday, I don't think we got involved -- We  
5 knew they were indeed -- I knew that they were at least  
6 deliberately opening valves or that valves were being opened  
7 by them because of too much pressure.

8           Q     When on Friday did you become aware of it?

9           A     When the 1500 -- or the 1200 mr/hr was reported to  
10 us and when we talked to the plant and found that they were  
11 -- that there was quote "an uncontrolled release," planned  
12 but uncontrolled.

13           And I think I went to a press conference and said  
14 it was uncontrolled, and Met-Ed went to the press conference  
15 and said it was planned but was not uncontrolled.

16           We have tried to search individual's minds at the  
17 time and nobody seems to recall. Bill was down at the plant  
18 quite a bit on Thursday and Friday. So, I don't know if he  
19 had informed us of that -- that anything he had learned in  
20 this area. I don't -- I didn't -- until Friday, I don't think  
21 we were concerned because we didn't know about routine vent-  
22 ing from the gas system.

23           Q     How about the hydrogen bubble problem? When were  
24 you first informed of that?

25           A     That was a telephone call in the Governor's office



1 by Joe Hendrie, and that was Friday, I believe Saturday --  
2 Friday night or Saturday -- Saturday, I think discussions with  
3 Denton indicated that there was a possibility of an explosion.

4 And by Saturday night or early Sunday morning, I  
5 think we had found out what Stello at the site -- that the  
6 probability was very slim and it wasn't really an explosion.  
7 But it didn't make any difference. The facts had been all out  
8 in the press and everybody was upset about them. We sure  
9 didn't know then the situation, and nothing about the possible  
10 error or the calculations that were being made. We couldn't  
11 figure out why the President was coming. But that caused the  
12 evacuation plan.

13 Q Did you or your staff have any conversations with  
14 Met-Ed or the NRC other than Denton and Hendrie?

15 A Well, yes. I don't know who Bill was talking to at  
16 the site because he was down there for 12 hours. He would  
17 call us and fill us in on what was going on. Either that or  
18 come back for the briefing with the Governor.

19 And he stayed down at the site for a month on a  
20 12-hour basis. But --

21 Q Basically, all the recommendations regarding this  
22 problem were coming from the NRC to the Governor and not  
23 through your office.

24 A Once Denton came on board, the Governor relied on  
25 him completely for information unless we felt that there was



1 something that we felt was more serious than he was giving --  
2 but that was serious enough. We did not attempt at any point  
3 to disagree with him -- to say that his concerns were not  
4 real.

5 Q At one point I believe Governor Thornburg stated  
6 that he had sent a radiation and nuclear radiation expert to  
7 the site.

8 A That was Bill Dornsife. He also told me to go and  
9 we would split a 24-hour shift. Bill could go for 12 and I  
10 would go for 12.

11 And so Bill was down for the first 12, I think on  
12 Thursday. And I went down -- Thursday -- Friday -- and I  
13 went down to find out what he was doing and what kind of  
14 information he was getting. That was prior to Denton arriv-  
15 ing.

16 And we just decided that it wasn't -- that the  
17 information he was getting down there was not enough. We  
18 could get as much back in the office, and it wouldn't -- we  
19 couldn't spare the two people -- two of the chief people who  
20 knew what was going on to be down there rather than back in  
21 the office talking to the Governor and so forth.

22 So, we decided he would stay and I would come back.  
23 But the Governor thought we were both down there. And I  
24 showed up and he said, "How come you are not down there?" And  
25 I told him, and he said okay.

1 Q Shifting a little bit. Apparently, there were right  
2 around 200 people in the federal response involved in the  
3 radiological monitoring. Do you have any comments regarding  
4 their level of response for the TMI incident?

5 A I think it was adequate for the TMI accident.  
6 Because of the 24- -- the need for a 24-hour coverage, that  
7 takes its toll, believe me. It takes its toll.

8 People were very, very tired. I think there was a  
9 need for that many people to get all the data together. Oh,  
10 it might have been over and done after three weeks, but I  
11 don't -- we were still kind of up in the air as to what was  
12 going on at the plant. The plant wasn't going into cold shut-  
13 down. They had to do some crazy maneuvers. And so it was --  
14 I think it was necessary. I know DOE spent a heck of a lot of  
15 money, but they sure provided the services. We would have  
16 been in trouble without them, really in trouble.

17 Q Do you know if there was -- either yourself or other  
18 members of the state -- whether they officially requested  
19 support from agencies other than DOE?

20 A No. We had offers from other agencies. And, as a  
21 matter of fact, EPA showed up and we -- I assumed it was the  
22 Montgomery people from EPA that came in. And we found later  
23 it wasn't. As a matter of fact, Charlie Amato, who is with  
24 EPA now and is a nuclear engineer, had to give them a course  
25 in how a reactor works to explain what was going on when I

1 didn't know that the Montgomery people were available and  
2 were ready and willing to come. But we didn't request EPA's  
3 assistance, at least nobody in our shop did.

4 When they arrived, we took care of them. Somebody  
5 in our office got a call from the Montgomery people saying,  
6 "We are ready in Maryland," and we looked around and we had  
7 so many federal people there we did not need any more. We  
8 were overrun with federal people at that point.

9 If I had known, it sure would have been a great  
10 assistance to our laboratory to run that van right up next to  
11 the lab. And because we were over -- We just didn't have  
12 the lab capabilities to handle all the samples that were com-  
13 ing in.

14 Q Apparently, Met-Ed made a commitment in the NRC  
15 licensing process to provide training and the opportunity for  
16 your organization to participate in such monitoring and  
17 response training in the emergency response training -- in the  
18 radiological monitoring and response area. Are you --

19 A I don't know. We were involved in each major drill  
20 that they had with people either down there evaluating or our  
21 people back in the office, mainly telephone contacts, as to  
22 what would be done, how it would be done and trying to get the  
23 proper information over the phone from the utility and --  
24 concerning the drills that they were having.

25 Q I expect that is the training that is being talked

1 about. But that was the extent? It was just notification?

2 A That's right.

3 Q What kind of information over the phone?

4 A Not -- usually not the kind that we wanted. And if  
5 you notice in the TMI emergency plan, there is a sequence that  
6 was developed of questions that we would ask of the facility  
7 and we would start down those questions, and they would say,  
8 "We don't have any answers for you. We have a little sheet  
9 of papers that have some information, and that is all I can  
10 give you is what is on this piece of paper." And there was  
11 no coordination.

12 Q So, you were asking questions about status and things  
13 of that nature?

14 A And at that point we didn't know what the plant  
15 status was.

16 Q What would they typically transmit to you?

17 A Oh, heck, I don't remember. Not very much. The  
18 plant shutdown. Off site levels are predicted to be so and  
19 so, so and so. Our monitors are out now. That kind of infor-  
20 mation.

21 But, "What is going on at the plant?" "Well, we  
22 had this kind of an accident." "But what is the status of the --  
23 what are the safety guards? What is the pressure in contain-  
24 ment?" You know, all the kinds of things you really need to  
25 know as to how bad that situation is. And that wasn't part of



1 the scenario, at least given to us over the phone.

2 Q What kind of --

3 A And the NRC people were sitting watching the pro-  
4 cedure all along, and local people were invited in to see how  
5 the situation was handled.

6 Q Was there critiques afterwards of these exercises?

7 A I think so, but I was never involved in them.

8 Q You didn't participate in any critiques?

9 A Margaret Reilly did or Bill Dornsife did, but I  
10 didn't. We never got involved<sup>in</sup>/the full scale exercise where  
11 we sent our people out to -- heck, it was easy. If we had  
12 wanted to make a big deal out of it, it was to participate  
13 and show that we couldn't communicate. And secondly, they  
14 said, "Heck, well, you knew ahead of time that you wouldn't  
15 be able to communicate. Why wouldn't you go over and get the  
16 cars and the radios and go out like that?"

17 So, it was between a rock and a hard place in  
18 responding -- If we weren't told ahead of time about the  
19 drill, I think -- And they said some time in the next couple  
20 of weeks there is going to be a drill and we want your full  
21 participation as if there is a real accident, then we might  
22 have found out -- then we might have been able to be credible  
23 when it was reported that we didn't have the things that we  
24 said we didn't have.

25 I testified before the legislature trying to get



1 funds for our program ever since I have been with the state  
2 to get a good emergency response capability including radios  
3 and communications and so forth.

4 Q This is communications, van, people --

5 A Equipment.

6 Q Portable iodine equipment?

7 A Right. And they look at you and say, "For reactor  
8 accidents? No way."

9 Razmussen<sup>\*</sup> came out and said that the probability  
10 was greater of getting killed by a meteorite. You haven't  
11 been killed by a meteorite.

12 Q Did you complain at all other than to Met-Ed, the  
13 operator getting the information, that this isn't the kind of  
14 information you need?

15 A I don't think -- I think so, but I didn't personally.

16 Q Before March 28th, other than the testing problem,  
17 were you aware of any problems between you and the utility  
18 prior to March 28th?

19 A No, we had reasonable rapport.

20 Q You had reasonable rapport?

21 A Yes, and we still have reasonable rapport at the  
22 technical level. The problem is above that and decisions  
23 being made and statements being made to the press where there  
24 is -- where the public gets all upset and we have to answer  
25 the questions and we don't have the answers because we weren't  
\* phonetically spelled

1 informed in the first place.

2 I got a call last night at 7:00 o'clock saying later  
3 that evening they were going to discharge 7400 gallons of  
4 water from Unit I and what the concentrations were, what the  
5 percent of mpc was, and they wanted to inform us ahead of  
6 time that they were dumping. Well, they had been doing this  
7 routinely, and everybody gets up tight all the time.

8 I think there was a guy at Peachbottom the day before.  
9 This guy was having a heart attack at Peachbottom and they  
10 were informing us. We are getting all kinds of crazy calls.

11 Q But to your knowledge, the only identified weakness  
12 between your organization and Met-Ed was one of unrealistic  
13 tests?

14 A Yes, but that was the same in all the facilities.  
15 That wasn't any different at Peachbottom. Peachbottom was  
16 probably less.

17 Q But there wasn't any perceived weakness in planning  
18 or communications, just in information transmittal in a mock  
19 problem?

20 A Yes, it was -- what was really happening, they had  
21 this information; they could answer our questions. We didn't  
22 write the scenario. We didn't review the scenario, so there-  
23 fore we couldn't get our inputs into the scenario to start  
24 with.

25 And the poor guy on the telephone, I wasn't going to

1 blast him because he couldn't give me the answer I was asking.

2 Q Any comments on the overall effectiveness between  
3 Met-Ed and your organization for the first few days or any  
4 temporal changes?

5 A Well, one of the things that we had -- did not do  
6 during the first three days was try to determine very much  
7 about the reactor status after NRC arrived on site. We felt  
8 that NRC people had the responsibility for the on site problems  
9 and we would take care of off site problems.

10 All of the information from that point on that we  
11 from  
12 were getting/the utility were from their health physicists  
13 crew and their monitoring data, not with the control room  
14 operations and what was going on there. Because, you know,  
15 there were nuclear engineers in there and reactor inspectors  
16 there. We thought they were doing their job. We didn't go  
17 in to check to see if they were doing their job. We just  
18 thought they were. And I don't know if they were or not.

19 Q Other than your comments on communications with the  
20 public, do you have any personal perception concerning Met-Ed's  
21 response to the emergency?

22 A Well, I think all utilities -- I think it was lucky  
23 it was Met-Ed rather than Philadelphia Electric because it  
24 would have been five or six hours after release occurred before  
25 we would have been notified. The notification procedures as  
set up were a constant problem from reactor site to reactor

1 site. And we tried to get all of the utilities to come into  
2 compliance with one set of procedures for notification.

3 Philadelphia Electric didn't want any part of it.  
4 They had to go and have a conference call among their top  
5 brass before notifying anybody. And all the utilities wanted  
6 to do it in a different way. Call outside, have their  
7 director of operations make the call to us and so forth.

8 The actual call that came in was from the plant and  
9 from the plant shift supervisor at the time according to the  
10 emergency plan, I believe, that they had to make that call to  
11 us because of the potential for -- that when they declared a  
12 site emergency, they called.

13 And prior to that time, they didn't have to call  
14 immediately according to their procedures. They knew they  
15 had problems and they should have called, but they also knew  
16 that they had problems before and -- I don't think they  
17 realized it was as serious as it was.

18 I don't have any problems with their calling at 7:00  
19 o'clock in the morning. If we had known at 3:00 o'clock or  
20 4:00 o'clock when it started, it would have been just three  
21 more hours of waiting for more data.

22 Q In the overall sense, did you believe that the  
23 state emergency plan was adequate?

24 A Yes, the plan was adequate. I mean the problem is,  
25 can you carry out the plan? You can write -- The overall



1 state plan was adequate.

2 Now, our plan was adequate. The civil defense plan  
3 was not adequate. The local communities' plans were not  
4 adequate. Our plan was adequate for the purpose it was intended  
5 and with the limitations we knew we had.

6 If their -- I mean I didn't realize how bad the  
7 situation was with the evacuation.

8 We had, at the Three Mile Island hearings, the  
9 operating from the hearings, there was a couple of weeks of  
10 testimony on evacuation plans by State Counsel of Civil  
11 Defense, the assistant director and by Kevin Molloy, who was  
12 the Dauphin County director. And the information he gave to  
13 us or he gave to the board was that they could evacuate people  
14 with a reasonable period of time from the five-mile zone.

15 I had<sup>no</sup> reason to question his capabilities. He was  
16 an expert in his field, and I was one in mine. And I didn't --  
17 evacuation wasn't my bag. But he never told us the problems  
18 he was having at the local level.

19 And there is the attitude, the concern that every-  
20 body has brought up about panic if an evacuation is going to  
21 take place. The Governor was very up tight about a possible  
22 panic, and that also came from the White House on Friday, the  
23 concern of panic. That people -- if an evacuation was ordered  
24 when there wasn't really one needed, that it might cause more  
25 problems than help. I don't know. In most disasters, you



1 don't have panic. But this isn't -- this was -- I don't  
2 know what radiation would have done. So, I couldn't comment  
3 to the Governor on it.

4 Q So --

5 A I was concerned that there wasn't a state of disaster  
6 called and that they didn't ask the President for a disaster  
7 proclamation or an emergency proclamation. But apparently,  
8 that was resolved between the White House and the Governor's  
9 house, that that wasn't needed and doing that would scare the  
10 people, that it wasn't needed.

11 Q I gather your testimony on the license hearings and  
12 on the adequacy --

13 A I didn't testify.

14 Q You didn't testify?

15 A No, it was on the evacuation portion. The testimony  
16 was on the evacuation portion of the plan. It was the inter-  
17 venors had raised the contention that evacuation plans were  
18 not adequate. And so it was evacuation only that was being  
19 testified to.

20 Q Okay. Who were your principal NRC contacts during  
21 the thing, and I guess I am talking more about offices. And  
22 let's get it even broader than that.

23 We have the region people on site, the region people  
24 in headquarters. You have got Washington and Washington  
25 people on site. Did you do business primarily with the site

1 people?

2 A Yes, although we were getting calls from headquarters  
3 on Wednesday and Thursday, usually from the Office of State  
4 Program people and the emergency response people. Somebody  
5 told me that I even talked to "Doc" Collins. I don't recall  
6 talking to Doc Collins, but he said he talked to me. I might  
7 have talked to him. I talked to a lot of people. It wasn't  
8 very important, whatever he said, so it didn't stick.

9 Q Did you have many conversations with site people?

10 A Yes.

11 Q Region people at the site?

12 A Mainly with Chick Gallina who we have known for a  
13 long time and trust. And he was usually on the other end of  
14 the telephone or available at the other end of the telephone.

15 Q What was the nature of conversation primarily? Was  
16 it radiological status?

17 A Radiological data. Plant status never came up until  
18 Friday.

19 Q Did you conclude that NRC communications were a two-  
20 way path or one-way?

21 A To us?

22 Q Yes.

23 A I don't know. It is not something I thought about  
24 very much. It was a one-way path from Washington to here. I  
25 think it was two-way communications with the people on site.

1 I went down, spent some time down there talking to Phil Stohr,  
2 another person who was down at the site most of the time who  
3 had brought their van down to get the data and found out what  
4 kind of data they had. There was free flow of information  
5 back and forth.

6 And we had attempted to have free flow of informa-  
7 tion back and forth between the people we were used to dealing  
8 with at NRC. Maybe -- I don't think I had talked to Joe  
9 Hendrie since I was his health physicist at Brookhaven. So,  
10 until the day he called and I told him he was full of baloney --  
11 I didn't say that. Under my breath I said he was full of  
12 baloney.

13 Q What were -- historically, do you think the NRC  
14 provided you with current and complete reports regarding  
15 results of inspections and --

16 A Yes.

17 Q -- and things of this nature?

18 A Yes. We would get daily reports in from NRC with,  
19 you know, thick documents and -- that were -- that had to be  
20 reviewed. And it just got to be a routine and probably too  
21 routine.

22 Q These are the inspection reports and things of that  
23 nature?

24 A And all the correspondence between changes in the  
25 licenses and --

1 Q Would you explain a little more -- when you say too  
2 routine --

3 A Well, it got to be so you scanned it to see if there  
4 was anything really interesting in it instead of reading it  
5 word for word. Like, when Peachbottom first started, every  
6 word was looked at in detail. But not -- we were also getting  
7 copies of the Atomic Energy Clearinghouse and you could see  
8 all the correspondence going among the various utilities. And  
9 it just seemed like that is all NRC did, was put out corres-  
10 pondence. And they didn't mean too much to us after a while.

11 Q What would be a more useful way to communicate?

12 A Well, I think that the documents that are coming in  
13 now are being read again in more detail.

14 Q All of them?

15 A All of them.

16 Q Even those that have something to do with New  
17 England reactors?

18 Is there a more useful way to communicate?

19 A Well, if the same kind -- I think a much more  
20 useful way to communicate is one-on-one. That is why we are  
21 hoping that we can get nuclear engineers to go down to the  
22 site and talk to the NRC on site inspector and to keep up  
23 with what is going on at the plant and key people on inspections  
24 once in a while and get a feel for attitude of the utilities  
25 and the NRC. This was not done. Although it was requested



1 at the regional office and was being set up.

2 We just didn't have time to carry it out, or a lot  
3 of other responsibilities on one nuclear engineer.

4 Q Do you have any general suggestions for improvement  
5 of NRC response following an accident of this nature?

6 A We were always under the impression that NRC would  
7 respond only to handle the -- to look over the shoulders of  
8 the utilities to find out if they were complying with some-  
9 body's regulations. We had -- Maggie Reilly had pestered the  
10 commission, and in particular Collins and his crew, about  
11 their emergency plans. Now, we have to submit our emergency  
12 plans to them. Why don't you submit your emergency plans to  
13 us? We would like to know what you are doing too. That is  
14 Maggie, probably. We really didn't think that they would  
15 respond in the manner in which they did.

16 Now, if it had -- it wasn't a typical accident  
17 either. When we thought of what is an accident, we thought  
18 you were going to have a pipe break, you were going to release  
19 radioactivity. We are going to make decisions bad or good.  
20 We are going to move people or not move people and then  
21 suffer the consequences later.

22 And we always felt that the first big accident was  
23 going to happen in Pennsylvania. We just knew it was going  
24 to. I guess all the other states feel the same way. But  
25 when Maggie called that morning, I said, "Well, here it is



1 the way we predicted. Let's go." It was that kind of an  
2 attitude.

3 We knew we were ready to respond within our capa-  
4 bilities. I don't -- I still don't know what NRC will do in  
5 the next reactor accident. They didn't do well on this one.  
6 I don't like the idea though of NRC by-passing the radiation  
7 people in the state and going directly to the Governor and  
8 making recommendations. I think they ought to work with the  
9 radiation people of the state and together go to the Governor  
10 and together make those recommendations.

11 What Doc Collins did on Friday morning is obscene,  
12 and I just can't imagine him doing that or going to the people  
13 that he did saying we recommend you evacuate without ever  
14 informing us of the reasons for that evacuation. And I hope  
15 that never happens again. That was a dumb decision.

16 Q What other major deficiencies can you identify with  
17 NRC?

18 A Well, I have a feeling and -- from reading some of  
19 the documentation afterwards is that when the regional people  
20 got in right away that they didn't do anything, that they  
21 really -- they didn't take over, which they didn't want to.  
22 But they didn't get involved in the decision making process  
23 as to what was really going on at that reactor. They weren't  
24 looking over their shoulders and saying, "You have got a hot  
25 thermocouple that <sup>you</sup> aren't watching." They weren't trying to

1 be helpful. They were being inspectors. They were trained to  
2 be inspectors and not trained to run a reactor. Stello was  
3 probably the only one that could run that reactor. He knew  
4 enough about the total -- the whole system. And NRC is made  
5 up of experts in system -- in small systems, and they all get  
6 together in one spa and everybody argues, and they all work  
7 it out and it works out well for licensing. But not for  
8 operations.

9           And I think that is the biggest problem. You have  
10 got to get some people who are not generalists but who know  
11 the reactor problems intimately and what -- in the actions  
12 taken by the operators to mitigate consequences of accidents,  
13 this should be something that NRC people would say, "No, don't  
14 do that."

15           Instead, they let them go and do things without even  
16 approving them. Turning valves off. I don't think they were  
17 asked either.

18           I know this is blasphemy, but NRC has been run so  
19 long by lawyers that they are so interested in the legal  
20 aspects of what you are doing that sometimes they miss the  
21 safety aspects. If it is not in tech specs or if it is not  
22 in the regulation, they don't do anything. That is a lot of  
23 crap. And I think that they ought to be able to respond to  
24 an accident, have the authority to direct operations if  
25 necessary and to countermand the actions of operators if they

1 are properly trained to do it. I said if necessary and they  
2 feel competent that they -- that/<sup>what</sup>they are proposing is better  
3 than what the operators are doing.

4 I am concerned in general about the quality of the  
5 staffs at utilities, at small utilities. And I don't know  
6 how to resolve that one. They -- especially the health  
7 physicist staff. We have been trying to upgrade health  
8 physicists at plants and so has NRC for a long time. And it  
9 just hasn't happened. They get a fairly qualified guy, and  
10 they put him headquarters. So he is a liason between the  
11 commission and the reactor. And he doesn't get into the day-  
12 to-day operations. It's a -- maybe combining utilities.

13 There are some good utilities. Some people in some  
14 of the utilities that can really -- that are really sharp and  
15 can handle routine emergencies. I don't think Pennsylvania  
16 has any of those.

17 The people at reactors at the utilities still think  
18 of a reactor as just a different kind of coal-fired boiler.  
19 That is how they came up, through the system, many of them.  
20 And then the reactor operators are mainly nuclear navy guys,  
21 and I have got a question as to whether the nuclear navy  
22 experience on reactors may have had an influence on their  
23 decisions, for example, not to go solid in the pressurizer,  
24 which is something you can't do on a sub but something you can  
25 do at TMI. And they were so ingrained with the Rickover

1 approach to handling the subreactor they may not have -- that  
2 there may have been an overriding concern.

3 Q Anything else?

4 A Maybe they will have to be debriefed. Rickover has  
5 a hell of a training program for his program, but it is not  
6 good enough for the commercial world, or it is not the kind  
7 for the commercial world.

8 MR. ERNST: That is about the end of the  
9 questions we had. Do you have any other observations or --

10 THE WITNESS: I hope you are the last group.  
11 BY MR. CHIN:

12 Q I have a couple of clarifying questions. You men-  
13 tioned earlier during the meeting of Herbein, Miller and  
14 Kunder\* that you --

15 A Herbein and Miller. I don't remember that anyone  
16 besides Herbein and Miller being there, so that is why --

17 Q I think Mr. Kunder\* was manning the phone, staying  
18 in touch with the plant for Jack Herbein.

19 A Right, there was another person there.

20 Q You also mentioned you were dependant on Mr. Gallina  
21 for some of the radiological information. Where were you  
22 getting the plant status information?

23 A We weren't. After NRC arrived, we felt -- unless  
24 there was some change in the plant status that they felt they  
25 needed to tell us, we didn't ask for it, after they arrived  
\*spelled phonetically



1 on Wednesday afternoon in force.

2 Q I see. Was Mr. Dornsife on site?

3 A On Thursday? Not on site. He was on site in the  
4 trailers.

5 Q I see. You mentioned earlier during your discussions  
6 of the Herbein-Miller conversation with Mr. Scranton that you  
7 were not aware of the steam dump.

8 A Yes, I don't remember steam dumps being brought up  
9 at all. It may have been.

10 Q I would like to jog your memory a bit. Earlier  
11 that day, you learned of the releases from the plant about  
12 10:45.

13 A Yes.

14 Q And you elected not to try to communicate this to  
15 Mr. Dornsife who was participating in the press conference at  
16 the Lieutenant Governor's press conference. Do you recall  
17 that?

18 A No, we did communicate with him and inform him of  
19 what the releases were. And at the press conference he -- he  
20 didn't communicate that with the Lieutenant Governor.

21 Q What releases were you talking about at that moment?

22 A At 10:45 we were detecting off site levels. They  
23 were detecting off site levels of 1 to 2 mr/hr and iodine and  
24 radio iodine samples were coming in. We informed him of the  
25 radio iodine anyway because that he mentioned during the



1 press conference, and that shook up the Lieutenant Governor  
2 because he didn't know about it.

3 Q Were those releases that you were referring to  
4 related to the steam release?

5 A No, we weren't told that they were coming from the  
6 steam. We were told they were coming from water that had  
7 been pumped over from containment into the AUX building floor  
8 and the stuff was coming from the AUX building floor. Maybe  
9 somebody can refresh my memory, but I don't remember anything  
10 about steam releases.

11 MR. CHIN: All right. That is all I have.

12 BY MR. HERR:

13 Q On the potassium iodide, I believe you stated that  
14 you were disappointed the potassium iodide was not put at  
15 locations where the people were.

16 A Where people were able to get it.

17 Q You don't mean that it was not distributed as  
18 recommended by HEW but that it was not put in the centralized  
19 locations?

20 A That's right.

21 Q In preparation for distribution?

22 A Right. Okay. One step further. Not giving it to  
23 the people. No, I think that would have been a major mistake.  
24 I wouldn't even request KI for our own people. Once the Health  
25 Department got a hold of it. So, we were thinking of making

1 it up in the laboratory ourselves.

2 Interestingly, all the FDA that were up there had  
3 their own little vials in their pockets.

4 Q Do you know where they got it?

5 A Sure. From FDA as part of the shipment.

6 MR. CHIN: In conclusion, this is an ongoing  
7 investigation, and although I have completed the questions I  
8 have for you today, we may need to bring you back, but hope-  
9 fully not for further depositions. With that in mind, I  
10 would like to recess this deposition rather than terminate it,  
11 but I do thank you very much for your time and patience with  
12 us.

13 (Thereupon, the deposition of Mr. Gerusky was  
14 recessed.)

15 CERTIFICATE

16 I hereby certify that the proceedings and evidence  
17 are contained fully and accurately in the notes taken by me  
18 on the hearing of the foregoing cause, and that this copy is  
19 a correct transcript of the same.

20

21

22

23

24

25

*Nancy O'Neill-Reusing*  
Nancy O'Neill-Reusing, Reporter-Notary Public  
Notary Public in and for the Commonwealth  
of Pennsylvania, with offices located at  
1413 Old Mill Road, Wyomissing, Pennsylvania  
My Commission expires December 13, 1982.



UNITED STATES  
NUCLEAR REGULATORY COMMISSION  
WASHINGTON, D. C. 20555

September 4, 1979

GERUSKY #1  
In Reply Refer to:  
NTFTM 790904-02

Mr. Thomas M. Gerusky, Director  
Bureau of Radiation Protection  
Fulton Bldg., 5th Floor  
P. O. Box 2053  
Harrisburg, Pa. 17120

Dear Mr. Gerusky:

I am writing to confirm that your deposition under oath in connection with the accident at Three Mile Island is scheduled for September 19, 1979 at 1:00 p.m., in a meeting room at the Holiday Inn Town motel, 2nd and Chestnut Streets, Harrisburg, Pa. Please bring with you a copy of your resume and any documents in your possession or control regarding TMI-2, the accident or precursor events which you have reason to believe may not be in official NRC files, including any diary or personal working file.

The deposition will be conducted by members of the NRC's Special Inquiry Group on Three Mile Island. This Group is being directed independently of the NRC by the law firm of Rogovin, Stern and Huge. It includes both NRC personnel who have been detailed to the Special Inquiry Staff, and outside staff and attorneys. Through a delegation of authority from the NRC under Section 161(c) of the Atomic Energy Act of 1954, as amended, the Special Inquiry Group has a broad mandate to inquire into the causes of the accident at Three Mile Island, to identify major problem areas and to make recommendations for change. At the conclusion of its investigation, the Group will issue a detailed public report setting forth its findings and recommendations.

Unless you have been served with a subpoena, your participation in the deposition is voluntary and there will be no effect on you if you decline to answer some or all of the questions asked you. However, the Special Inquiry has been given the power to subpoena witnesses to appear and testify under oath, or to appear and produce documents, or both, at any designated place. Any person deposed may have an attorney present or any other person he wishes accompany him at the deposition as his representative.

You should realize that while we will try to respect any requests for confidentiality in connection with the publication of our report, we can make no guarantees. Names of witnesses and the information they provide may eventually become public, inasmuch as the entire record of the Special Inquiry Group's investigation will be made available to the NRC for whatever uses it may deem

appropriate. In time, this information may be made available to the public voluntarily, or become available to the public through the Freedom of Information Act. Moreover, other departments and agencies of government may request access to this information pursuant to the Privacy Act of 1974. The information may also be made available in whole or in part to committees or subcommittees of the U.S. Congress.

If you have testified previously with respect to the Three Mile Island accident, it would be useful if you could review any transcripts of your previous statement(s) prior to the deposition.

Thank you for your cooperation.

Sincerely,

*Mitchell Rogovin*

Mitchell Rogovin, Director  
NRC/TMI Special Inquiry Group

**POOR ORIGINAL**



Gerusky #2

Thomas M. Gerusky  
Director, Bureau of Radiation Protection  
Pennsylvania Department of Environmental Resources

Born: June 18, 1935, Fort Edward, New York

Present Address: 455 Poplar Church Road, Camp Hill, Pennsylvania 17011

Education:

B.S., General Science, Union College, Schenectady, New York - 1956

AEC Fellowship in Radiological Physics, University of Rochester,  
Rochester, New York - 1956 - 1957

Employment:

1957-1959 Health Physicist, Brookhaven National Laboratory,  
Upton, New York. Responsible for directing radiation safety  
program at the Hot Laboratory and the Cosmotron. Spent approxi-  
mately nine months as health physicist at the BNL Graphite Reactor.

1959-1961 Health Physicist, Squibb Institute for Medical Research,  
New Brunswick, New Jersey. Responsible for radiation safety in  
radiopharmaceutical research and production facilities.

1961 - present Director, Radiation Protection Program, Commonwealth  
of Pennsylvania. Present title: Director, Bureau of Radiation Pro-  
tection, Department of Environmental Resources. Responsible for  
directing a statewide program of radiation safety relating to all  
sources of radiation.

Professional Honors and Responsibilities:

Certified, American Board of Health Physics, 1962

Member, Panel of Examiners, American Board of Health Physics, 1968-72

Member, American Board of Health Physics, 1972-76

Member, Health Physics Society, 1957 - present

Chairman, Membership Committee, Health Physics Society, 1968-69

Member, Radiological Health Section, American Public Health Association

Chairman, Radiological Health Section, American Public Health  
Association - 1971-72

Member, APHA Governing Council, 1972-75

Member, Conference of Radiation Control Program Directors

First Chairman, Conference of Radiation Control Program Directors, 1968-70

Member, Executive Board, Conference of Radiation Control



Professional Honors and Responsibilities: Cont'd.

Program Directors, 1968-1971

Member, Surgeon General's Ad Hoc Task Force on Microwave Ovens, 1970

Member, Industrial and Professional Advisory Committee, School of Engineering, Pennsylvania State University, 1970 to 1978.

Member, American National Standards Institute N-12 Committee on Nuclear Terminology, Units, Symbols, Identification and Signals, 1967 to present

Member, Pennsylvania Hazardous Substances Transportation Board, 1966 to present

Member DHEW Technical Electronic Product Radiation Safety Standards Committee, 1976-1979

Member, Nominating Committee, Health Physics Society, 1976-1978

Who's Who in Government

Who's Who in the East

GERUSKY #3  
APRIL 1, 1979

(2)

Gone to Jessica Tuckman - W.H.  
confirm receipt at site with Gossick or Case

NRC PROCEDURES FOR DECISION TO RECOMMEND EVACUATION

Who Decides

1. Combination of consequences and times require immediate initiation of evacuation: Senior NRC Official on site recommends to Governor.
2. Unplanned event with substantial risk takes place or is imminent or situation judged excessively risky but there is time for consultation. Senior NRC Official notifies Governor and NRC HQ. Chairman makes recommendation to Governor after consulting with Commissioners if possible.
3. Planned event involving significant additional risk. Chairman and Commissioners makes recommendation.

Chmn. Hendrie  
H. Denton  
Van (Site)

Shelbyville  
1, 5, 10 mi circles  
cont'd quadrants  
near 4 hrs generally  
48 hrs for hospitals -  
may need

POOR ORIGINAL

①

# Unplanned Events

EVENT	EXPECTED PLANT RESPONSE	RELEASE AND TIME	WARNING TIME	EVACUATION SCENARIO
1. Loss of vital function or unplanned leaks.	Restore function within 1 hour	No significant change		Possible pre-cautionary evac 2 mi; stay inside 5 mi
<u>Examples</u> Reactor Coolant Pump Trip;	Switch to Alternate Function Involving Primary Coolant in Auxiliary Building	Small leak less than 1 gal/hour		possible pre-cautionary evac 2 mi; stay inside 5 mi
Loss of offsite power;		Large leak 50 gal/min	2 hour	Evac 2 miles Stay Inside 5 miles

Serious possibility of failure to restore a vital function

See 2

Leak in Auxiliary Building

POOR ORIGINAL

- conservative

These tables include a number of assumptions about activity and weather or, chosen realistically. In an actual release, the release rate and weather should be evaluated as they are at the time, and the decision based on those values.

EVENT	EXPECTED PLANT RESPONSE	RELEASE AND TIME	WARNING TIME	EVACUATION SCENARIO
2. Sequence leading to Core Melt	Maintain Containment Integrity (likely) with Containment Cooling	Design Containment Leak Rate	4 hour	Precautionary Evac 2 mi all around, and 5 mi 90° sector, stay inside 10 mi in the 90° sector
3. Hydrogen flame or explosion possible inside reactor vessel	Containment expected to Breach  Mixture in flammable range  Explosion; major damage Core Melt See 2	Significant release of core fission products	24 hour (time for containment failure)	Evac 5 mi all around and 10 mile, 90° sector, stay inside 15 mi
4. Evacuate or Lose Control Room	Loss of Control Treat like major release			Precautionary 2 mi (2) + 5 mi 90° sector 10 mi in the 90° sector Precautionary (3)

POOR ORIGINAL

3



EVENT	EXPECTED PLANT RESPONSE	RELEASE AND TIME	WARNING TIME	EVACUATION SCENARIO
Planned Manuever	Probability of losing vital function	See releases unde loss of vital function	Timing of maneuver can be set to provide as much time as necessary	Precavtionary evacuation 2 miles, stay inside 5 miles PLUS See outcomes under loss of vital function..

POOR ORIGINAL

4

### Action Guidelines

- a. Notify evacuation authorities two hours in advance (if possible) to standby for a possible evacuation.
- b. Projected doses of 1 rem whole body or 5 rems thyroid stay inside.
- c. Projected doses of 5 rems whole body or 25 rems thyroid mandatory evacuation of all persons.

Assumes general warning already that some form of evacuation may become necessary.

**POOR ORIGINAL**

5

### Weather

The table is based on a realistic prediction of the weather for the next few days, based on the April 1 forecast which would result in high doses at a given distance. At the approach to decision time for evacuation, the appropriate meteorological condition will be factored into the dose estimates to determine the evacuation time, sectors, and distances for the evacuation.

NRC is predicting the dispersion characteristics of the region for the currently measured meteorology as the incident progresses. Rain could lead to higher local radioactivity levels.

### Heat Generation

The reactor core is now quite cool compared to the conventional design-basis calculations.

1. The reactor is new, so no fuel has more than 3 months equivalent operation, compared to 1-2 years average for other plants.
2. The neutron chain reaction has been shut down for over 4 days.

It should also be noted that the concrete basemat of this plant is unusually thick.

As a result of the above differences, calculations for this plant at this time predict that the core will not melt its way through the containment.

**POOR ORIGINAL**

## EVENT 1 SPRAYS & COOLERS OPERATION

Time=0 Slow stop CORE <sup>live</sup> WATER START HEAT up  
water start

Time=100 min Core starts to ~~over~~ UNCOVER

Time=150 min Core begins to melt MELT

Time=200 min Molten core is in lower head of reactor vessel, pressure is 2500 psia

Time=210 min Reactor vessel fails, containment pressure goes to 25 psia

Time=210 min Hydrogen burns, containment pressure goes to 67 psia  
Steam explosion possibility - minor consequence

### CONTAINMENT SURVIVES (Failure assumed 130 psia)

Time=10 hours Molten core has melted about 1 meter into basemat

Time=days Major problem - handle hydrogen, oxygen - maintain containment integrity

CAUTION: - Keep sprays running  
- Keep water many feet over molten debris  
- WITHOUT RECOMBINERS Hydrogen continues to build up

### BASEMAT SURVIVES

Event 1 Conclusion: This event should not produce major releases

Event 2 - Sprays and Coolers Failed Before Flow Stops

Time=0 to Time=210 min Same as Event 1 - containment pressure is 25 psia

Time=810 min Containment pressure is 70 psia

Time=1 day Containment fails due to steam (mostly) overpressure -  
about 135 psia

### CONTAINMENT FAILS

Event 2 Conclusion: This event leads to major releases.

**POOR ORIGINAL**

7