

COPY

## Transcript of Proceedings

UNITED STATES OF AMERICA

PRESIDENT'S COMMISSION OF THE ACCIDENT AT  
THREE MILE ISLAND

DEPOSITION OF: BEVERLY W. WASHBURN

Washington, D.C.

August 29, 1979

**Acme Reporting Company**

*Official Reporters*

1411 K Street, N.W.

Washington, D. C. 20005

(202) 628-4888

8001280604

8

CERTIFICATE

I certify that I have read this transcript and corrected any errors in the transcription that I have been able to identify, except for unimportant punctuation errors.

Date:

October 2, 1979

Beverly W. Washburn

Beverly W. Washburn

1 UNITED STATES OF AMERICA  
2 PRESIDENT'S COMMISSION ON THE ACCIDENT AT  
3 THREE MILE ISLAND  
4  
5  
6

7 DEPOSITION OF: MR. BEVERLY W. WASHBURN  
8  
9

Room 714  
2100 M Street, N.W.  
Washington, D.C.

Wednesday, August 29, 1979  
1:00 p.m.

10  
11  
12  
13  
14  
15 APPEARANCES:

16 On Behalf of the Commission

17 STAN HELFMAN, ESQUIRE  
Associate Chief Counsel  
18 2100 M Street, N.W.  
Washington, D.C.

19 On Behalf of the Deponent

20 RONALD K. OLSON, ESQUIRE  
Office of General Counsel  
21 U.S. Department of Energy  
12th & Pennsylvania Avenue, N.W.  
22 Washington, D.C.  
23  
24  
25

I N D E X

<u>DEPONENT</u>	<u>DIRECT</u>	<u>CROSS</u>
BEVERLY W. WASHBURN 3901 Mesa Verde, N.E. Albuquerque, New Mexico 87110	3	74

E X H I B I T S

<u>Exh. No.</u>	<u>Description</u>	<u>Received</u>
1	Resume of Mr. Beverly W. Washburn	3
2 (To be provided)	Question and response regarding operator action and procedures re safety features termination	68 (identified)



P R O C E E D I N G S

WHEREUPON,

MR. BEVERLY W. WASHBURN

the Deponent, was duly sworn and was examined and testified  
as follows:

MR. HELFMAN: Would you please state for the record  
your full name?

MR. WASHBURN: Beverly W. Washburn.

MR. HELFMAN: I see you brought a resume with you,  
Mr. Washburn. Would you hand it to me?

Is this resume an accurate summary of your employment  
and educational experience?

MR. WASHBURN: Yes, Sir.

MR. HELFMAN: I'd like this marked as the first  
exhibit to the deposition.

(WHEREUPON, the document referred  
to was marked for identification  
and received as Exhibit 1 to the  
Deposition.)

MR. HELFMAN: Have you ever had your deposition  
taken before?

MR. WASHBURN: Once.

MR. HELFMAN: Was that in connection with your work?

MR. WASHBURN: A patent case.

MR. HELFMAN: Let me describe to you very briefly

1 some of the characteristics of the deposition that we are going  
2 to take today.

3           Since your testimony is sworn, it will have the same  
4 force and effect as though you were giving it in a Court of  
5 Law, even though the deposition is being taken in the relative  
6 informality of an office here at the President's Commission.  
7 For the benefit of the Court Reporter it is necessary for you  
8 to wait until I've completed a question before you commence an  
9 answer even if you know where the question is going because it  
10 is difficult for the reporter to pick up two people speaking at  
11 once, and for the same reason it is necessary that you give  
12 verbal answers rather than gestures so that she can pick this  
13 up and make it part of the record.

14           It is also necessary for you to try to be as accurate  
15 as possible today with your responses. Although you will have  
16 an opportunity once the deposition is reduced to transcript  
17 form to make any corrections that you deem necessary, if those  
18 corrections are substantial, they could adversely reflect on  
19 your credibility. So, therefore, accuracy today is very  
20 important.

21           It is our custom at the conclusion of the deposition  
22 to recess it rather than adjourn it. In the event we have  
23 any further questions to ask of you, we simply reconvene the  
24 deposition and continue. It hasn't happened yet, and we do not  
25 anticipate doing it, but you should be aware that we maintain

1 that option.

2 Do you have any questions about any of the foregoing?

3 MR. WASHBURN: No.

4 DIRECT EXAMINATION

5 BY MR. HELFMAN:

6 Q Who was your employer in 1974?

7 A Los Alamos Scientific Laboratory.

8 Q Where is that located?

9 A Los Alamos, New Mexico.

10 Q What were your duties there?

11 A I'm a staff member.

12 Q Are you presently employed at Los Alamos?

13 A I am presently employed at Los Alamos.

14 Q What type of duties did you perform when you were at  
15 Los Alamos?

16 A I have worked in a variety of technical fields at  
17 Los Alamos--the nuclear rocket program, the gas laser program,  
18 the reactor safety program.

19 Q Who were you employed with in 1975?

20 A Los Alamos Scientific Laboratory.

21 Q Same employer?

22 A Same employer.

23 Q At some time during 1975 were you assigned to the  
24 NRC?

25 A I was assigned to AEC Regulatory in 1973 which in

1 the Energy Reorganization Act, I believe, became NRC at the  
2 beginning of 1975. So my assignment was with both agencies.

3 Q When you were assigned to AEC, was this a somewhat  
4 unusual event?

5 A AEC Regulatory in 1973 had sought outside temporary  
6 help to handle the licensing of a number of applications that  
7 they had and they expected to receive at that time. I was one  
8 of a number of persons loaned by the laboratories to the  
9 Regulatory Division of the AEC.

10 Q Were there a large number of people who were loaned  
11 to AEC at that time, do you know?

12 A My recollection is that the number was between 65  
13 and 100.

14 Q Did they all come from Los Alamos?

15 A Approximately 20 people, I believe, came from  
16 Los Alamos; the remainder from other laboratories.

17 Q When you were assigned to the AEC, did you come to  
18 Washington? Did you physically change the location of your  
19 work?

20 A That is correct. Work was in Bethesda.

21 Q What particular branch with the AEC were you  
22 assigned to?

23 A It was the Regulatory Division, as I recall, and  
24 under that I was in the Licensing Division.

25 Q What role did you perform for the AEC within the

1 Licensing Division?

2 A I was licensing project manager for Three Mile  
3 Island Unit II during the time I was assigned here.

4 Q Was that the only plant for which you were responsible?

5 A That was the only plant.

6 Q And that responsibility commenced in 1973?

7 A 1973.

8 Q When did that end?

9 A June 1975.

10 Q And the agency at that time was the NRC?

11 A That is correct.

12 Q What was the branch or division at the time it was  
13 NRC?

14 A I believe it was LWR2-2 in reactor projects.

15 Q Is that somehow connected with the department of  
16 project management or the division of project management?

17 A That would be, yes.

18 Q And who was your immediate superior at the time that  
19 you were working for NRC?

20 A Karl Kniel was the branch chief, and Voss Moore was  
21 the AD.

22 Q Assistant Director?

23 A That's correct.

24 Q What training, if any, were you provided, prior to  
25 the time you assumed the responsibility of the project



1 manager?

2       A     At the time I came here I had the experience with  
3 the Rover nuclear rocket program as a background, and in 1973  
4 after being assigned to NRC I attended -- back up. Instead,  
5 it was AEC at that time. I attended a two-week given by  
6 Westinghouse, a short course version of the training program  
7 that they give to operators. This program was conducted for  
8 people from Regulatory, mainly people from I&E but a few  
9 people from Licensing attended.

10       Q     Was this basically voluntary on your part, or were  
11 you assigned to attend this course?

12       A     I was asked, I believe, if I would like to attend  
13 and I took advantage of the opportunity.

14       Q     Was this designed to train you in what a project  
15 manager does?

16       A     No. This course was directed at the Westinghouse  
17 light water reactor system.

18       Q     What prior experience or training did you have for  
19 the role of project manager?

20       A     This was my first experience with a light water  
21 reactor. My previous experience, as I indicated, was with  
22 the Rover nuclear rocket program in 1960 to 1970, approximately.

23       Q     Did you serve as a project manager on that project?

24       A     I was responsible for a number of things in the  
25 facilities and the operations in that program, and I was

1 a participant in other areas.

2 Q Was there a project manager for the rocket program?

3 A We had a test director and a test group leader and  
4 then people with particular responsibilities or job assignments  
5 under that. There were some section leaders, which I was one  
6 for a while when I was in Nevada where the facilities are.

7 Q You have some coordinating experience as a result  
8 of that, I assume?

9 A Considerable.

10 Q With respect to being project manager at TMI-II,  
11 would it be accurate to say that you learned the function on  
12 the job?

13 A The specific concept of the designs of light water  
14 reactor plants was new to me and this was another situation of  
15 learning.

16 Q While you were doing it?

17 A While working.

18 Q The TMI-II facility is not a Westinghouse plant, is  
19 it not?

20 A That is correct.

21 Q Were you given any training on the B&W system prior  
22 to the time you assumed these responsibilities or was it  
23 confined to this brief training course on Westinghouse light  
24 water reactor?

25 A The formal work was strictly with the Westinghouse

1 plant.

2 Q And your familiarity with the B&W design, did that  
3 come about as a result of your actually working on the TMI-II  
4 project?

5 A That is correct.

6 Q Could you describe briefly what the responsibilities  
7 of a project manager are?

8 A The project manager at Licensing was responsible for  
9 the overall management including technical and administrative  
10 coordination of the review and evaluation of the applications.

11 Q It was basically a coordinating function? Would that  
12 be accurate?

13 A Much of it was coordinating, but there were areas  
14 where information needed to be exchanged and differences  
15 resolved between the applicants and the technical review staff  
16 and it was necessary, then, to get these people together and  
17 have some agreeable conclusion arrived at in these areas.

18 Q As project manager, were you responsible for  
19 resolving disputes between the applicant and the regulatory  
20 agency?

21 A I regarded it as part of the work to try to get  
22 these matters successfully resolved without having the  
23 application go to hearings with open items or having appeals,  
24 this sort of thing, to higher management.

25 Q Were you successful in that regard in every case?

1           A     I can't answer that precisely because the review was  
2 not over at the time I left and there may have been some  
3 issues, and I believe there were, that had not been satis-  
4 factorily resolved, and there may have been other issues that  
5 came out of things that were not resolved or still open at  
6 the time I was there. But there were a number that, I believe,  
7 did get resolved to the satisfaction of the staff.

8           Q     At what stage was the TMI-II license application  
9 when you were assigned to TMI-II? Was it at the construction  
10 permit application stage?

11          A     That is correct. They had the construction permit.  
12 Construction was underway.

13          Q     They already had their permit?

14          A     They had their permit at the time I was assigned on  
15 this project.

16          Q     Was there a predecessor project manager?

17          A     Yes.

18          Q     Do you happen to recall the name of the person?

19          A     I can't be sure but I would mention Hans Scherling;  
20 he may have had it briefly before I had it.

21          Q     How would he spell his name--S-h-e-r-l-i-n-g?  
22 Does that sound --

23          A     You'll have to resort to the telephone book. I  
24 believe it is S-c-h-e-r-l-i-n-g.

25          Q     When you took over the project, what coordination



1 effort did you make with him so as to become aware of what had  
2 gone on prior to your involvement?

3 A As I recall, he gave me a few papers and copies of  
4 letters between the applicant and Regulatory, but mainly I got  
5 up to speed in this area by reviewing the docket file from the  
6 time the application came in through the construction permit  
7 review and ACRS letters and open items and the SER at the CP  
8 stage. I do not believe the previous licensing project manager  
9 had the project very long prior to my getting it.

10 Q Is it your feeling that there was a project manager  
11 involved prior to Mr. Scherling's involvement?

12 A There were several.

13 Q Seriatim?

14 A Several.

15 Q Do you happen to know the names of any of those  
16 persons?

17 A Robert Tedesco, I believe, was one; and Brian Grimes  
18 comes to mind as another possible project manager.

19 Q Is it unusual from your understanding for a project  
20 to have so many project managers?

21 A My understanding is that some projects have more  
22 than others.

23 Q Is it uncommon for a project to have a single project  
24 manager that follows it from beginning to end?

25 A I believe there are cases where there has been maybe



1 one project manager or not more than two throughout the  
2 licensing phase.

3 Q In your opinion does it create any difficulty in  
4 managing a project if there are numerous project managers who  
5 are with a project for a short period of time and then turn it  
6 over to another project manager who then turns it over to  
7 another project manager, and so on?

8 A In principle, that could be a real problem. May I  
9 say what I did when I turned it over?

10 Q Yes.

11 A All my notes and records were turned over to my  
12 successor, and --

13 Q Who was he, by the way? Let me interrupt for a  
14 moment.

15 A Harley Silver. In addition, I recall having written  
16 a status of all the open items and items that needed further  
17 review and so, in my opinion, so that he would not have to  
18 search for these items.

19 Q The way you had done?

20 A The way I had to to start with.

21 Q So this was basically a procedure that you developed  
22 yourself to facilitate the transfer?

23 A I thought it was appropriate to pass this information  
24 on.

25 Q Did Mr. Silver have any direct contact with you at

1 the time the transfer took place?

2 A Well, our offices were next to each other and we ate  
3 lunch together frequently, so we had a lot of contact.

4 Q Can you recall if you discussed the transfer of TMI  
5 and the status of TMI at the time it was transferred to  
6 Mr. Silver?

7 A Well, other than explaining to him my filing system--  
8 I maintained a subject file and a chronological file--and where  
9 these things were, records of my discussions with the appli-  
10 cants, and so forth, I believe that was about it; nothing  
11 formal except giving him my lists of the status of the open  
12 items, items that maybe had been addressed and resolved at  
13 that point.

14 Q You mentioned earlier that you reviewed the records  
15 of some ACRS hearings. Were any ACRS hearings conducted while  
16 you were project manager?

17 A No, Sir.

18 Q Were any public hearings conducted?

19 A The last action, next to the last action on my part  
20 here was to attend a pre-hearing conference the 22nd of May,  
21 1975 in Harrisburg. That was the status of the review and  
22 hearings.

23 Q And this pre-hearing conference was attended by  
24 whom, besides yourself?

25 A Harly Silver was in attendance. The attorney from

1 OGC whose name I can't recall; he was assigned to this  
2 application.

3 Q Were any intervenors present?

4 A I believe they were.

5 Q And I assume that you left NRC prior to the actual  
6 holding of these public hearings. Would that be accurate?

7 A That is correct, yes.

8 Q Were you present at the time the intervenors pre-  
9 sented their complaints or their issues?

10 A May I ask: presented to the board?

11 Q They were filed with NRC?

12 A Yes, they were filed during that time that I was  
13 project manager.

14 Q Did you have any responsibility with respect to the  
15 issues raised by the intervenors?

16 A Yes.

17 Q My recollection is that the intervenors raised  
18 thirteen (13) separate points regarding the TMI license  
19 application, one of them involving inadequate radiation  
20 monitoring devices. Does that ring a bell?

21 A I don't recall specific details.

22 Q Do you recall specifically any of the complaints  
23 that were raised by the intervenors?

24 A I think in the initial meeting that I had with them  
25 they raised the question of pressure vessel rupture, for

1 example.

2 Q Yes, I recall that being one of them as well.

3 And the effect this might have on ECCS?

4 A I don't recall that detail.

5 Q Do you recall a complaint raised by intervenors  
6 regarding lack of emergency preparedness, evacuation plans,  
7 the holding of drills, and so forth?

8 A I believe there was a point raised in that area.

9 Q What responsibility did you have with respect to the  
10 intervenors' complaints?

11 A When they submitted, following their submittal of  
12 these points, or whatever they are rightfully called at that  
13 time, to Licensing, I had a meeting in Bethesda with the branch  
14 chief and Chauncey Kepford and a lady that was a member  
15 of the group--Elizabeth, I believe, something; I don't recall  
16 her name.

17 Q One of the intervenors?

18 A Yes. Kepford and this lady represented the inter-  
19 vening group.

20 Q And the branch chief at that time would have been  
21 Mr. Kniel?

22 A Karl Kniel.

23 Q And what was discussed at the meeting?

24 A We discussed these issues raised by the intervenors,  
25 and sought to give them the status and the Licensing opinion

1 about these issues. We provided them, then, with documentation,  
2 background, from what had been done in these areas, what was  
3 being done.

4 Q Did you have any responsibility for these background  
5 materials or the background steps that had been taken?

6 A Not the details. My responsibility was to see at  
7 that point that the intervenors were informed as to what had  
8 been done and what was being done on these issues.

9 Q And what had been done and what was being done were  
10 things that had been done and were being done by persons other  
11 than yourself, is that correct?

12 A That is correct, yes.

13 Q Was there an attempt at this meeting to come to some  
14 sort of a resolution on the intervenors' claims?

15 A That would be ideal, of course; but as I recall  
16 several of these issues that they originally raised, either at  
17 that meeting or subsequently, they were satisfied perhaps by  
18 what was being done. This did not clear up all the issues.

19 Q Did these issues remain open at the time you left  
20 NRC?

21 A Yes. They remained open for the hearing process,  
22 as I understand it.

23 Q And the hearings were actually held after your  
24 departure?

25 A That is correct.



1 Q Did you attend those hearings?

2 A Only the prehearing conference in May of '75.

3 Q Normally, what would be the role of the project  
4 manager at the public hearing?

5 A The public hearing for licensing, as I understand  
6 it, having not been through it, is conducted by the attorney  
7 on the staff of Licensing. The project manager there is to  
8 provide information or testimony as necessary on these issues.

9 Q Did you brief Mr. Silver prior to any testimony he  
10 may have given at these hearings?

11 A I can't say that specifically that the information  
12 that I turned over to him as background and status fully  
13 covered the details of the intervention on the application; but  
14 prior to my departure he had had a meeting with the inter-  
15 venors on my behalf because I had other commitments and could  
16 not attend. So he started out with the intervenors at that  
17 point, also prior, I recall, to this prehearing conference.

18 Q I see. Had you met with the intervenors without  
19 Mr. Silver being present prior to the prehearing conference?

20 A When the issues were originally filed, as I  
21 indicated, yes. Mr. Silver was not known to be my replacement  
22 at that time.

23 Q You mentioned a moment ago that when you assumed the  
24 position of project manager for TMI, you reviewed the records  
25 of the ACRS hearings. Do you recall what, if any, open issues,

1 safety issues were raised by the ACRS and had not been resolved  
2 by the time you assumed your responsibilities?

3 A Pump fly wheels, hydrogen generation.

4 Q Hydrogen generation?

5 A In the containment, as I recall.

6 Q Was there concern about hydrogen generation in the  
7 pressure vessel?

8 A I don't recall that ever being addressed.

9 Q Do you recall whether any concern was addressed  
10 regarding operator reliance on pressurizer level as an indica-  
11 tion of core level?

12 A I don't recall any discussions in that area.

13 Q Were any questions raised by the ACRS concerning  
14 the inability to vent gas trapped in the steam generator side  
15 and its possible effect on natural convection in the B&W  
16 design?

17 A I have no recollection of that.

18 Q Do you recall whether there were any issues raised  
19 regarding PORV, the function that it serves and its reliability  
20 in the B&W design?

21 A Again, I have no recollection of this being addressed.

22 Q How about containment isolation by single parameter;  
23 was that raised?

24 A Containment isolation was a problem with this  
25 application in general. The specific event or condition that

1 initiated it, I have no recollection of the depth of which that  
2 was considered or reviewed. But the isolation itself, indeed,  
3 was a problem.

4 Q Was this raised in the context of the ACRS hearings?

5 A You mean the isolation feature?

6 Q Yes.

7 A Well, would you like me to explain that to you or  
8 just say no?

9 Q Well, say no, and then feel free to explain.

10 A My recollection here was that when the TMI-II design  
11 was originally submitted for the construction permit, it was  
12 a plant that they had intended to locate at Oyster Creek, and  
13 during the review on the construction phase the utility, the  
14 applicants elected to move that design to TMI where TMI-I was  
15 in some planning and licensing phase. So my recollection here  
16 is that the special feature had been proposed at the con-  
17 struction phase of TMI-II wherein not only were the double  
18 isolation valves to be provided in the lines that required  
19 isolation, but there was also to be a fluid blocking arrange-  
20 ment here to provide additional insurance that there would  
21 not be leakage when the containment was isolated.

22 When the applicants came in for the operating  
23 license, they had omitted or deleted that from the designs.

24 Q Had that particular design been approved previous  
25 to their deletion?

1           A     It had been an understanding at the construction  
2 stage that this feature would be incorporated in the TMI-II  
3 design. This was reviewed, as I recall, and specifically  
4 commented on by the ACRS and by the Board at the CP stage. So  
5 my problem now was, gee, there's a long history here and the  
6 construction permit, in part, involved some consideration and  
7 deliberation on the containment isolation.

8           As I recall, the reasoning behind this was concern  
9 for the population density around that particular site.  
10 People were addressing this and said can we improve the isola-  
11 tion of the containment and it is believed it should be done.

12          Q     So as to avoid radioactive emissions into the  
13 community?

14          A     In the event of an accident. So the applicant had  
15 deleted that. So I spent some time urging and finding out  
16 there was no way they could delete that without going to the  
17 hearing and getting a determination finally, and then it is  
18 kind of late in the game, because in licensing we believed that  
19 feature should have been retained. And it turned out as a  
20 result a different design was submitted but the evaluation at  
21 the time I left indicated that the applicant's proposal was  
22 acceptable and did provide an additional degree of assurance  
23 of isolating the containment at TMI-II.

24          Q     Who reviewed this change in the design plan and  
25 approved it?



1           A     As I recall, Brian Grimes, in the accident analysis  
2 branch, was the principal reviewer.

3           Q     Were you involved in the review and approval of this  
4 modification?

5           A     Only to the extent of trying to get an acceptable  
6 solution worked out. We had several meetings and lots of  
7 correspondence on this particular issue.

8           Q     You indicated that you urged the retention of the  
9 original design. How was this dispute between you and the  
10 applicant resolved?

11          A     Well, I would maybe not characterize it as a dispute.  
12 It was a difference of opinion, as you can see when they  
13 deleted the feature from the design after receiving a permit  
14 to construct the plant with that and other features involved.  
15 So it was a matter of convincing them that that was the  
16 appropriate thing to do under the circumstances, to continue  
17 that feature in the design.

18          Q     In your opinion, is this mode of effective contain-  
19 ment isolation a safety related feature?

20          A     It is definitely safety related.

21          Q     Do you recall what the applicant's interests were  
22 or what their arguments were in deleting this feature from  
23 the design?

24          A     I cannot really delineate these. As I recall,  
25 Unit-I had a similar feature, of course. And I don't know the



1 detail of the design, but it was a complicated, complex,  
2 involved approach to providing for this assurance against  
3 leakage when isolated.

4 Q Do you recall whether cost was a factor in the  
5 applicant's reluctance to incorporate this feature in the  
6 second plant?

7 A It is likely that that's mentioned. It comes up  
8 frequently.

9 Q Do you recall whether the number of modes of con-  
10 tainment isolation actuation was an issue at the time?

11 A May I ask what you mean by modes?

12 Q My understanding as a nontechnical person is that  
13 containment isolation at TMI-II was actuated by pressure in  
14 the containment building, and there are other multiple choices.

15 A You mean how do you initiate the isolation?

16 Q Yes.

17 A I was thinking that you knew something about how to  
18 design the isolation, per se, so it would be an improvement.  
19 Well, there are a number of modes, as you say or as I say,  
20 parameters on which one would isolate the containment and they  
21 vary from plant to plant, although there are other plants, I  
22 believe, that use this containment pressure as an initiating  
23 signal.

24 Q It's my understanding that a number of plants use  
25 multiple parameters for initiation of containment isolation--

1 radiation level in the containment, pressure in the contain-  
2 ment, or actuation of ECCS--and using maybe two of those three  
3 alternatives as opposed to just one; whereas at TMI-II con-  
4 tainment isolation was actuated solely by pressure in the  
5 containment. Is that an accurate summary, do you think?

6 A To my understanding of TMI-II, only pressure was  
7 used whereas these other logical possibilities exist.

8 Q Did the question of the number of parameters for  
9 initiation of containment isolation come up at the time that  
10 you were project manager for TMI-II?

11 A That I don't recall, but I seem to vaguely recall  
12 some discussion or consideration of what parameter should be  
13 used or what the level should be.

14 Q The level of pressure.

15 A That's correct; what level of whatever was chosen,  
16 and it apparently was pressure.

17 Q Was there no discussion, then, of the number of  
18 parameters that would be used for containment isolation?

19 A That I couldn't say positively because I don't  
20 recall that much of the detail.

21 Q Do you know if there were plants that were licensed  
22 at the time TMI-II was going through its licensing phase in  
23 which containment isolation was actuated by more than a single  
24 parameter?

25 A I don't have any knowledge of that.

1 Q Are you familiar with a plant known as the Sequoia  
2 Plant?

3 A I've heard of it.

4 Q Are you aware of the fact that it received its con-  
5 struction permit six to nine months after TMI received its  
6 construction permit?

7 A No, that doesn't mean anything to me.

8 Q Are you aware that the Sequoia Plant had diverse  
9 actuation in two-phase containment isolation?

10 A I have no knowledge of that.

11 Q To the best of your recollection was diverse actua-  
12 tion of containment isolation required by the NRC at the time  
13 TMI-II was going through its licensing?

14 A I don't recall anything specific as to criteria that  
15 is applied to that.

16 Q Is it your recollection, then, that there were no  
17 such requirements?

18 A I couldn't say that definitely there were none.

19 Q If there were, you were unaware of them?

20 A Or I don't remember them now.

21 Q Okay. Are you familiar with the SRP, the Standard  
22 Review Plan?

23 A I am now.

24 Q Do you know when the standard review plan went into  
25 effect?

1           A     I believe that this was developed by sections or  
2 chapters over a period of time and that some of these were  
3 published at least in draft form prior to my leaving NRC.

4           Q     Are you aware that the standard review plan requires  
5 diverse containment isolation actuation?

6           A     I have not studied the standard review plans except  
7 as specific questions have arisen since I left there.

8           Q     You didn't refer to the standard review plan in the  
9 course of licensing of TMI-II?

10          A     I don't believe that that was referred during the  
11 time when I was there. We had something at that time that was  
12 a forerunner, perhaps, of standard review plans and a thing  
13 that was incorporated in many of these. This was known as the  
14 branch position.

15          Q     Did the branch position deal with the question of  
16 containment isolation?

17          A     That I cannot say here.

18          Q     You don't recall?

19          A     I don't recall that.

20          Q     Are you aware of whether the standard review plan  
21 was backfitted to plants that were in the licensing process  
22 and had not yet received their operating license at the time  
23 the standard review plan went into effect?

24          A     I believe this gets into an area that was the problem  
25 in the case of TMI-II and other plants, the question of



1 changing regulations and changing regulatory requirements,  
2 changes in the reg guides which are not requirements but  
3 which are acceptable means of accomplishing certain things.  
4 These evolved while TMI was under construction but not yet in  
5 for licensing. So there were a lot of these issues involved.

6 During the time that I was there I don't think the  
7 standard review plan had ~~not~~ been, of course, completely  
8 developed and the sections that were there, to my knowledge,  
9 were not really applied to TMI-II except branch positions that  
10 had evolved that were applied in these areas. So it's a  
11 matter of degree in terminology in part here, maybe.

12 Q Did the standard review plan go beyond the branch  
13 positions in requiring safety components in the design?

14 A Well, I guess the standard review plan, again, like  
15 reg guides, you used the word requirements, and those are  
16 regarded as not requirements but a presentation of designs  
17 or approaches, whatever you wish to call it, that are  
18 acceptable to licensing in these various areas.

19 Q Would it be an accurate summary to say that with  
20 the reg guides and the standard review plan that the licensee  
21 would be obligated to follow the standard review plan or the  
22 reg guide unless they could demonstrate to the NRC that some  
23 alternative approach would produce the same result?

24 A I believe that's correct. They have an opportunity  
25 to take a different approach to the problem or solution



1 provided they can demonstrate that it is equivalent to or  
2 better than.

3 Q Do you know any reason why the standard review plan  
4 was not applied to TMI-II?

5 A During my involvement, as I indicated, the standard  
6 review plans were just under development; there were only a  
7 few sections out. So I would regard that as reason why it  
8 wasn't applied during the time I was involved. And then, of  
9 course, in all specific plans and reg guides and regulations  
10 one encounters the time frame in which these documents are  
11 applied to a given plant, usually based on when they got their  
12 construction permit. So there are degrees in which this gets  
13 applied. It's not uniform.

14 Q In other words, talking from your present knowledge,  
15 you are saying that you are aware that the standard review  
16 plan was not applied to TMI even after your departure as  
17 project manager?

18 A That I could not say.

19 Q You don't know whether it was or wasn't?

20 A I do not know.

21 Q Was the decision to apply the standard review plan  
22 to plants that had not yet received their construction permit  
23 made at the time that you were with the NRC?

24 A Would you repeat that? I was thinking.

25 Q Was the decision that the standard review plan is

1 not to apply to plants that had already received their con-  
2 struction permit made at the time you were with the NRC?

3 A I don't recall any decision like that, no.

4 Q Do you know from your present knowledge whether such  
5 a decision has been made by the NRC?

6 A I do not.

7 Q Do you recall whether either, in your review of the  
8 ACR hearing records or your preparation for the public hearings,  
9 whether the question of the design of the OTSG came up as com-  
10 pared to the recirculation steam generator design of the  
11 Westinghouse or the CE plants? I'm referring specifically to  
12 the rapid boil-on time.

13 A I gathered you were getting to something and my  
14 response is I regard nothing that was pointed at the OTSG  
15 per se.

16 Q Do you recall whether that issue occurred to you,  
17 whether or not in the context of hearings, or review of hearing  
18 records?

19 A No, it did not.

20 Q You indicated at the outset that you were unfamiliar  
21 with the B&W design when you took on this task. In the course  
22 of your being the project manager for TMI-II, did you become  
23 aware of the characteristics of the OTSG or once-through steam  
24 generator?

25 A Not the OTSG, per se.

1 Q What do you mean by that?

2 A That's just one piece of the system.

3 Q Did you gain an impression of the B&W design as a  
4 whole?

5 A Through the comments of others; not because of any  
6 analysis done by myself.

7 Q What sorts of comments are you referring to?

8 A I can't quote these, but you asked me for impressions  
9 so I'm free to take license with that.

10 Q Well, to relate them as accurately as you can.

11 A Several times I believe I heard people whose business  
12 it was to review that plant and system that they didn't know  
13 as much about it as they felt they should know or they would  
14 like to know and they had difficulty getting information. They  
15 were not satisfied with the responses and they tried to think  
16 of questions to ask that would shed more insight in this.

17 Q Are you referring to the reviewers with DSS?

18 A May I ask who is DSS?

19 Q That's the Division of System Safety. My under-  
20 standing is, at least presently, they review the design aspects  
21 of the CP and OL application.

22 A Yes. Well, I wanted to get this back in the right  
23 time frame. These were people in Reactor Systems as part of  
24 the technical review division at that time. So DSS is a new  
25 term.

1 Q Do you recall the names of any of those people?

2 A I can't. They were people who were involved with  
3 the TMI review in the Reactor Systems Branch, as I recall.

4 Q Do you recall the name of Denwood Ross?

5 A Yes, but he was not one.

6 Q Roger Mattson?

7 A Yes.

8 Q Was he one?

9 A No, he was not one.

10 Q Thomas Novak?

11 A He was the branch chief, but I don't recall these  
12 conversations with him. This was at the reviewer level and  
13 people that I was working with on this application.

14 Q James Watt?

15 A That's the name I could not recall; one of them, I  
16 believe.

17 Q Do you now recall that that is one of the names?

18 A That's right; that's one of the people.

19 Q Jerry Mazetis?

20 A I don't recall him associated with this particular  
21 plant.

22 Q Do you recall whether it was James Watt who expressed  
23 some of these impressions about the flow of information con-  
24 cerning the B&W design?

25 A I think he may have been one, and something bothers



(WARREN MINNERS)

1 me--there is someone else<sup>^</sup> that also tended to confirm this  
2 intuition I was getting from these inputs.

3 Q Sandy Israel?

4 A That name is not familiar.

5 Q When you refer to insufficient responses, are you  
6 referring to questions directed at the utility or the vendor  
7 by the NRC?

8 A Yes, in this area I guess perhaps two thing go on  
9 in the review. The specific applications which involve a  
10 specific nuclear steam supply system and vendor have questions  
11 directed at that plant and at the reactor, the reactor system  
12 by the technical review people. Responses then come back from  
13 the applicants. I believe that other reviews of the reactor  
14 designs were conducted and information exchanged directly  
15 between people like the reactor systems branch at that time  
16 and the vendors.

17 So those people received information in two ways  
18 about the designs, is my understanding. So they directed  
19 questions in both directions here and looked at the response.

20 The utility's response, I would add, I believe really  
21 comes from the reactor vendor and the utility and perhaps  
22 varying degree reviews the information supplied by the reactor  
23 vendor in response to the licensing question. So it's a chain  
24 there. I don't know what is added or deleted.

25 Q But essentially the answers to the questions come



1 from B&W with respect to the TMI-II project?

2 A This is my understanding, quite a few of them. The  
3 applicants here did not readily reveal the source of answers  
4 to these questions when you asked. They did not regard that  
5 as a proper question.

6 Q What was the role of the project manager in this  
7 exchange of questions and answers between the utility and the  
8 vendor and the NRC?

9 A Well, the questions would be generated, of course,  
10 by the technical people reviewing a given area or aspect of  
11 the design. Then their branch chief would review the ques-  
12 tions. Then the Assistant Director in that area would in  
13 turn review the questions. The questions, then, come to the  
14 licensing project manager.

15 Q You, for example?

16 A When I was there, to me. *They* ~~These~~ were probably on  
17 paper directed at the AD level, like Voss Moore, but these are  
18 formalities in the paper routing. Then I would review these  
19 questions and summaries and talk with the reviewer to find out,  
20 geez, why are you asking this question? How does it relate?  
21 and so forth, and get some background, you~~x~~ know, where does  
22 this fit in the picture?

23 Then I would prepare a letter and forward this  
24 through the branch chief or the assistant director and the  
25 letter would go to the applicant with the questions.

1 Q And then the questions would come back through your  
2 hands?

3 A They were distributed. The responses are usually  
4 directed, I believe, nowadays to the branch chief. At one  
5 time they were directed to, like the director of reactor  
6 projects or whatever the proper term is--~~NEG~~ *Angie Giambusso* ~~BUSQ~~ (phonetic)  
7 so it varied as to where the letter was really addressed.  
8 But then these were distributed. The copies went to ~~the~~ all  
9 the review branches and I received a copy of the response,  
10 checked to see what the responses were and the status of the  
11 responses, and then I would write an internal note to the  
12 reviewers for two or three reasons, but that note showed  
13 (1) what had been received, (2) whether I questioned that  
14 it was even close to being responsive or not, and comments  
15 like this then to the reviewer. Then I would send that out  
16 and this would alert the reviewer that he should find the  
17 response and do something.

18 Q In the event a response was inadequate, was it your  
19 responsibility as a project manager to obtain an adequate  
20 response from the vendor or the utility, or was that the  
21 responsibility of someone else within the NRC?

22 A Again, it was the responsibility of the process, I  
23 guess I would say, that there would be things, for example,  
24 that I would question and the reviewer would come back and  
25 say, no, that's all right, you don't understand, or something.

1 Then there would be things conversely that I didn't really  
2 raise any significant questions and the reviewer would come  
3 back with more. So we would have this exchange among ourselves.

4 Then these would be ~~forwarded~~<sup>followed</sup> up either with a  
5 second round; if that was the first question that had gone  
6 out, for example, then there would be a second round of ques-  
7 tions or positions. We might take a position then on an issue  
8 in order to clear it up. Say, your response is inadequate; it  
9 is our position that you -- Okay, and then this leads to  
10 either resolution or a firm difference of opinion. It keeps  
11 it moving.

12 Q So your --

13 A So these went out the same way again, okay, reviewed  
14 by the technical review management staff over to licensing  
15 and then out to the applicants then maybe phone calls and  
16 whatever else goes on to make sure -- Well, we'd also conduct  
17 meetings with the applicants during this question process after  
18 we formulated the questions to make sure that they had an  
19 opportunity to discuss with us what we meant by the question  
20 and why we were addressing this or any other thing.

21 Q Did the vendor normally attend those meetings?

22 A In some cases. This was at the discretion of the  
23 applicants.

24 Q Do you recall any questions that you may have raised  
25 about a question that went out to the utility at the time you

1 were project manager?

2 A Yes, I recall one; not too much detail.

3 Q Could you please elaborate?

4 A It was a question that we didn't understand and we  
5 went back and asked why it was being asked and what did they  
6 really mean, and after this discussion we said, gee, that  
7 isn't what you asked in the question. We want to change it.  
8 Oh, you can't change it. It has been approved by the AD.

9 So I think we did make a minor change. There are  
10 these jurisdictional disputes between the author and the  
11 editor, of course. We did make a minor change that we kind of  
12 agreed to, but nobody was satisfied with that question, and I  
13 don't know how to respond. This was right about the time I  
14 was leaving, I think, in the second round question. But I  
15 reflect on that as it is not easy to get things righted once  
16 they are wronged.

17 Q Were you project manager at the time any responses  
18 came back from the utility or the vendor?

19 A Oh, most of the questions and responses, I believe,  
20 came back during the time I was there.

21 Q Did you find that the responses from the utility or  
22 the vendor were adequate?

23 A Not in all cases. That's why I wrote the status  
24 report each time an amendment came in as a result of my review  
25 to let the reviewers know how I reacted to the responses, and



1 then get their judgment.

2 Q Were your comments and concerns directed primarily  
3 towards Mr. Watt?

4 A You mean the comments and concerns regarding  
5 applicants responses?

6 Q Yes.

7 A No. It was directed to everybody involved.

8 Q Which would mean to the utility?

9 A No, in Licensing, to all the reviewers.

10 Q The technical reviewers?

11 A Yes. Because Watt was one of 20 or something, if  
12 I recall the number approximately right.

13 Q As a result of concerns raised by you and addressed  
14 towards the appropriate reviewers, were any questions  
15 reformulated or any demands made to the utility for better  
16 responses that you are aware of?

17 A Yes. If you review, say, the second or third round  
18 questions, you will see lots of comments: Your response to  
19 question so-and-so was incomplete or was not adequate or words  
20 to that effect.

21 Q Were there any inadequate responses to the second  
22 round questions, as you recall?

23 A I can't identify any offhand, but I think that's  
24 likely. Let me think. (Pause) Oh, steam line breaks or  
25 high energy line breaks or something in that area, okay,



containment

1 involved with the ~~commandment~~ systems. That was a big con-  
2 cern, so that is probably an example of what you just asked  
3 here where second round question was inadequately responded to.

4 Q Is the inevitable next step the taking of a position  
5 by the NRC or is there some further effort to get an adequate  
6 response from the utility?

7 A I believe that the approach at this time, when I was  
8 there, that if you reached the point where responses were  
9 inadequate or unacceptable or something at the second round  
10 question stage, what might have been called at one time third  
11 round questions became positions in order to clear up these  
12 items before the hearings. That was the object, so that you  
13 could write a clean SER and not have a lot of open items, the  
14 issues <sup>had</sup> to be resolved.

15 Q Had TMI-II embarked upon the third round of questions  
16 while you were project manager?

17 A Well, may I explain something here?

18 Q Yes.

19 A I believe the third round questions mostly came  
20 after when I was there. The review --

21 Q After you left?

22 A After I left, yes. The review at TMI-II, because  
23 of the licensee's scheduling of responses to the questions,  
24 wasn't done in a nice, neat package from a scheduling stand-  
25 point whereby you could say today we send out round one

1 questions; 60 days we have your responses; and 30 days later  
2 we send you round two. Well, we went through that kind of a  
3 schedule, if you will, except that we had different dates for  
4 their responses to certain sections and certain portions of  
5 the questions and sections in the FSAR.

6           So, as a result, rather than hold up everything  
7 until the last response to round one was in and say, okay, now  
8 we'll start round two, I scheduled everything piecemeal to  
9 accommodate their staggered response schedule. So there may  
10 have been some third round questions in a few areas go out  
11 before all the second round ones had even been asked.

12           So it is not clean enough to answer your question  
13 directly.

14           Q     I see. You mentioned that the effort was to produce  
15 a clean SER. What do you mean by a clean SER?

16           A     No open items I dropped in there.

17           Q     All right.

18           A     You've got everything understood and resolved before  
19 you get to the hearings.

20           Q     What role does the ACRS play in the licensing process?

21           A     Well, after the safety review in Licensing and I  
22 believe the issuance of the SER, or at least the SER in draft  
23 stage, there is an ACRS meeting of the full committee and they  
24 review the licensing review and comment on it and give their  
25 opinion as to whether the plant can be operated safely and may

1 list items where they wish to be kept informed that need to  
2 be addressed.

3           Also, during this review, there is an ACRS sub-  
4 committee that is assigned to the plant or the plant is  
5 assigned to them, however you look at it. They go along and  
6 address the concerns that have been addressed, I guess, or  
7 raised by the full committee and other members of the ACRS,  
8 and interact with the review this way. And they have, I  
9 believe, site visits scheduled there and go and look at the  
10 plant, and so forth. And this is kind of in their review and  
11 background preparing for the full committee review.

12           Q     Does the ACRS normally get involved in the license  
13 review process after the staff's review is virtually completed?  
14 In other words, does the ACRS get involved at the time the SER  
15 is completed?

16           A     Well, this subcommittee of the ACRS that I mentioned  
17 is going along. They start at some point during the licensing  
18 review, so they are going along in parallel. During the time  
19 that I had TMI-II was, of course, prior to the SER, prior to  
20 the ACRS. But I did have several discussions at points with  
21 one of the ACRS staff members that was assigned to that, I  
22 guess.

23           Q     How was the ACRS kept abreast of disputes that may  
24 have arisen between the NRC staff and the applicant over  
25 questions in the first or second round and inadequate responses,

1 and so forth?

2 A To my knowledge, there is no direct formal communica-  
3 tion here other than that they receive copies of the questions  
4 and the responses.

5 Q Were you responsible for directing copies to the  
6 ACRS?

7 A That was taken care of in the distribution process.

8 Q But you recall that that was done?

9 A To my knowledge, it was. They received 16 copies  
10 of everything, if I recall the number correctly, or they used  
11 to.

12 Q They received copies of the questions and the answers  
13 and the FSAR and the SER?

14 A Yes. (Pause) May I add one thing here?

15 Q Certainly.

16 A I never made any attempt to check or verify that  
17 they got their copies of everything, okay. I addressed the  
18 reviewers to make sure they had their information.

19 Q Did you see distribution lists on which the ACRS  
20 was listed as recipients or intended recipients of these  
21 documents?

22 A Oh, yes. Oh, yes.

23 Q And this was while the process was on-going?

24 A That's correct.

25 Q Do you recall whether at any time that you were



1 project manager at TMI-II whether the question of normal  
2 operation computer readouts came up and the fact that the  
3 computer would not provide information during abnormal operat-  
4 ing conditions?

5 A I don't recall that specific concern being addressed.

6 Q Were you aware at the time that this was the case?

7 A No. The last thing I recall there was the question  
8 directed at them about display of information to the operator.

9 Q What was the nature of that question?

10 A I can't say. I vaguely recall something in the dis-  
11 cussion of it though that got into the seismic qualification  
12 of that recorder and ~~it~~<sup>that</sup> became more important ~~in~~<sup>than</sup> having a  
13 recorder that would work.

14 Q Is the recorder a safety related item?

15 A I don't really know, but I doubt it.

16 Q As project manager, were you concerned primarily with  
17 safety related items if not exclusively with safety related  
18 items?

19 A (Pause) I guess I would judge that the majority of  
20 the effort was directed at engineered safety features, items  
21 called safety related, important to safety, this category.  
22 But it was not 100 percent.

23 Q Are these terms of art?

24 A I believed at the time when I was there that  
25



1 terminology "safety related" and "safety grade" were not under-  
2 stood universally as to what was really required, what was  
3 meant, what the significance, and so forth, of things <sup>where or</sup> ~~were~~ to  
4 which these terms were applied.

5 Q Who was responsible in the first instance for  
6 determining which items were safety related and which items  
7 were not?

8 A I don't believe you could name a single individual  
9 or a single branch that had such a responsibility.

10 Q Did NRC have a list of safety related items which  
11 would be presented to the utility or did the utility present  
12 a list of safety related items to the NRC?

13 A I think if you are thinking of a nice clean table  
14 somewhere listing all the items of a specific plant or a  
15 specific generic design where you would find lists of safety  
16 related or important to safety, or whatever the terminology is,  
17 items, I don't recall any such lists. It is, in my opinion,  
18 woven into the review and the FSAR that you will see, maybe,  
19 in the questions, like the regulatory staff position or some-  
20 thing. They will say we regard that as such-and-such system  
21 as safety related based on our review of your FSAR and there-  
22 fore we require this meet seismic one criteria, IEEE-279, and  
23 Appendix B, and whatever is applied.

24 But, again, that's not uniform, so you would have  
25 to really look at each application, each detail to see how it

1 was treated in its entirety.

2 Q Is it your impression that this was idiosyncratic  
3 with each plant?

4 A It was handled in such a way that it could have been.

e 2-A 5 Q Do you recall whether during the time you were  
6 project manager that any disputes arose between NRC staff and  
7 the applicant as to whether a particular component or system  
8 should or should not be deemed safety related?

9 A Well, you know, dispute, in my judgment, is subject  
10 to interpretation. But --

11 Q A difference of opinion?

12 A Yes. I would point out that the auxiliary feedwater  
13 system which was a thing that I had some time <sup>and</sup> ~~an~~ involvement  
14 in communications with the applicant, et cetera, in trying to  
15 get it upgraded, improved in TMI-II. I believe they responded  
16 to one of the questions in such a way that I disagreed with it.  
17 But that was kind of immaterial because we took a position on  
18 it, so we weren't asking for understanding. But in that case  
19 we had asked a question or maybe made the statement that we  
20 regarded it as safety related and therefore we, you know,  
21 required certain things and that we wanted an analysis of the  
22 system's behavior, ~~the~~ following loss of off-site power <sup>and</sup> ~~in~~ any  
23 one of the following things. And the applicant said, gee, you  
24 know, you're out of bounds with the general design criteria  
25 dated 1969, or something, and you know, indicated that they

1 disagreed with the question, or the way we were beginning to  
2 handle or change the feedwater system, if you will.

3 Q How was that disagreement with the applicant  
4 resolved?

5 A I believe they changed the feedwater system.

6 Q And you believe it was upgraded to a safety related  
7 component, system?

8 A I'm not sure <sup>when</sup> ~~whether~~ the final design occurred,  
9 okay, in the aux feedwater system, but it was well along  
10 except for a couple of areas that we may have been waiting  
11 for final details at the time I left.

12 Now, I'll just digress here. I believe the question  
13 that I referred to here is where they sort of took a difference  
14 in opinion about that system, was one of those questions  
15 directed at the TMI application where we were really trying to  
16 find out how that reactor would behave. This is my recollec-  
17 tion. It was a good question, but it was part of this business  
18 of being concerned how the B&W plant would behave.

19 Q Did you get some type of response eventually to that  
20 question?

21 A Oh, they responded, yes.

22 Q What was that?

23 A They said well this was probably something like this  
24 is a highly unlikely and unimaginable event. However, we  
25 present the following results.

1 Q What type of results did they present?

2 A I don't recall the details.

3 Q Did they explain how the B&W design would function  
4 in the event of the loss of all feedwater?

5 A I don't think the loss of all feedwater was  
6 addressed, all right? But I would point out one thing that  
7 was done there. In presenting the results of some of these  
8 analyses, they produced plots or graphs, if you will, of  
9 pressurizer level, hot leg temperature, system pressure, and  
10 so forth. I found they only took those transients out to about  
11 20 seconds, where in some cases I believe there are really  
12 inflection points in those curves and the more exciting parts  
13 are yet to come. My review showed that. The implication of  
14 the response is that everything is all right after that time.

15 Q Did you address your concerns to the technical  
16 reviewer or were these held privately by you?

17 A This point I mention here didn't concern -- I didn't  
18 understand the significance potentially of it at that time,  
19 okay. As I say, afterwards I looked. And this is <sup>in</sup> part, in  
20 my judgment, why people were trying to keep asking some of  
21 these questions and learn about the plant.

22 Q But the deficiency that you mentioned in the response  
23 when they carried the transient out to 20 seconds and nothing  
24 beyond, was this a concern which you formally raised and pre-  
25 sented to the technical reviewer?



1           A     No, because my feeling or impression, understanding  
2 or whatever, at that time, was that everything was all right  
3 after that point, okay. The words that were used, discussions  
4 and so forth, left you feeling that, gee, you went through  
5 that event just with no difficulty at all.

6           Q     Do you recall whether in that context the snort  
7 boil-out time of the once-through steam generator came up?

8           A     I don't recall that specifically during this review.

9           Q     Do you recall what the major saving apparatus was  
10 that was referred to by B&W in the event of the loss of all  
11 feedwater that enabled the transient to be successfully con-  
12 cluded within 20 seconds?

13          A     I believe you mentioned loss of all feedwater. That  
14 was loss of main feedwater in which aux feedwater functions,  
15 for example, okay. I was not aware of the questioning and  
16 thrust of the staff's concerns about feedwater until after the  
17 event at TMI-II at which time I looked into these things.

18          Q     These concerns were not raised and addressed at the  
19 time you were project manager?

20          A     I can't say for sure, but the questions, of course,  
21 may indicate this, because there the questions addressed at  
22 the feedwater, as I indicated, one, to try to get more informa-  
23 tion and understand the behavior of the B&W system, and two,  
24 was the position of ~~the~~ Licensing at that time that that  
25 auxiliary water was indeed safety related, important to safety,

1 and should be made seismic category I in classification and  
2 treatment and the instrumentation controls should be made to  
3 meet the requirements of IEEE-279 for diversity of power sources  
4 and the feedwater system should have diversity of drive for  
5 the feedwater pumps, and so forth. Also then that the system  
6 should be able to take a single line break and still perform  
7 its intended function. So the single failure criteria, and  
8 everything, that is applied to safety related systems was  
9 applied in the design of TMI-II.

10 Q Is it your impression, based on comments you received  
11 from James Watt and other who were in the technical evaluation  
12 involved in technical evaluation, that give you the impression  
13 that perhaps the NRC was in the process of licensing a plant  
14 which it didn't fully understand?

15 A I didn't view it that way. I viewed it that they  
16 wanted more information that apparently they didn't have.

17 Q And were having some trouble obtaining?

18 A And the question -- they were having trouble obtain-  
19 ing it. The route of asking questions of the applicants ~~in~~  
20 ~~these~~ who wanted to license the B&W plant was an avenue, that  
21 was a route, that was a way, see. And they were asking the  
22 questions. I can't answer what the concerns were, okay, except  
23 that they felt they were missing information. They either  
24 wanted to confirm something or that may have been the case,  
25 okay, or they may have just had nothing to confirm and they

1 wanted something to question.

2 Q You indicated a moment ago that a question was posed  
3 concerning how the plant would behave in the event there was  
4 a loss of main feedwater, and you also indicated that some of  
5 the technical people indicated to you that they didn't fully  
6 understand that particular B&W plant design. Would it be  
7 accurate to state that during the course of the licensing  
8 process the NRC was proceeding to license a plant which it  
9 didn't fully understand, and I'm talking only in terms of the  
10 time that you were involved and not what may have occurred  
11 subsequently.

12 A Let me say one thing. You used the term, I believe,  
13 that they were seeking answers for things they didn't under-  
14 stand. They may have well understood them; they were looking  
15 for the necessary confirmation so they could do something  
16 about it. I have that impression, too, from my recollection of  
17 these discussions, okay. So it was back and forth process.

18 I can't comment on what understanding the people  
19 that were reviewing the reactor system and its behavior, say,  
20 under these transient conditions, what really went on in their  
21 minds. I can't.

22 Q Was the B&W design a fairly new design at that time  
23 compared to the GE or Westinghouse designs?

24 A I guess that's a proper statement.

25 Q And that the NRC was learning about the design through

1 the process of licensing plants with that design. Would that  
2 also be an accurate statement?

3 A That was part of the learning process, as I said  
4 before, that they also directed questions directly to the  
5 vendors about the designs. So there were two paths <sup>by</sup> which the  
6 technical people received information about the plant.

7 Q Do you recall whether there was a position indicator  
8 on the PORV at TMI-II?

9 A Not from the licensing experience.

10 Q Why would PORV indication not have come to your  
11 attention at that time?

12 A I don't recall it being specifically addressed.

13 Q Was the PORV considered a safety related item at the  
14 time?

15 A I don't recall that, either.

16 Q Is it your impression that it was not?

17 A Well, my understanding was that it was not ASME Code  
18 Three as applied to the reactor coolant pressure boundary and  
19 therefore there has to be a code Class 3 valve downstream of the  
20 PORV.

21 Q Which would have been the code --

22 A Which would have been a block valve, to <sup>be</sup> ~~relieve~~ the  
23 pressure boundary in accordance with the requirements of the  
24 code.

25 Q Would the block valve have been safety related? Was



1 the block valve safety related?

2 A May I back up the answer to the last question? I  
3 believe I said downstream. It should be upstream. I think  
4 the PORV noncode has to be downstream of the block valve.

5 Q So the block valve would be between the PORV and the  
6 code safeties?

7 A My recollection is that in the top of the pressurizer  
8 there are two manifold arrangements. The code safeties are in  
9 a separate piping arrangement from the block valve and the PORV.

10 Q Is it your impression that the block valve was a  
11 safety related device?

12 A Only from the understanding of the code that I  
13 believe it would have to meet, and that is why I said in my  
14 opinion it would have to be upstream of the PORV and I  
15 inadvertently said downstream.

16 Q Would it surprise you if neither the PORV nor the  
17 block valve were safety related with respect to TMI-II?

18 A (Pause) I have trouble with the term safety related  
19 and the way it is used sometimes. I would say it would sur-  
20 prise me if that was not an ASME Section 3 code component,  
21 okay.

22 Q Apparently you are working with several definitions  
23 of safety related. Perhaps you could state several of these  
24 for the record and distinguish between them.

25 A Well, I mentioned before that I had some doubts that

and  
1 the true significance ~~in~~ real meaning of these terms is  
2 universally understood and I have explored that a little bit  
3 and find, I believe, I just got confirmation through what was  
4 my understanding from the years 1973 to 1975, that the  
5 regulations in Appendix A address component<sup>s</sup> systems and struc-  
6 tures important to safety.

7 Q Is this 10 CFR you are referring to?

8 A Title 10 CFR 50. Appendix B addresses the quality  
9 assurance program that will be applied to systems components  
10 and structures that are safety related. And --

11 Q So, so far we have important to safety and safety  
12 related.

13 A That is correct.

14 Q Are there any others --

15 A These two terms appear in the regulations which is,  
16 I believe, the basis for all things that follow.

17 Q Are there any other definitions or uses of the term  
18 safety related besides those two that you are aware of?

19 A If you review the licensing, the docket file and  
20 the questions that are asked you find that some people use the  
21 term, and we mentioned before the question that<sup>was</sup> directed at  
22 TMI where they said based on our review of the information in  
23 your FSAR we find the auxiliary feedwater system to be safety  
24 related.

25 Q That would be a reference to Appendix 3, I assume.

1 Is that correct?

2 A Yes, that, in some cases, is a reference to Appendix  
3 B, but I think you will find exceptions that Appendix <sup>B</sup> is not  
4 automatically applied.

5 Q Are items which are deemed important to safety  
6 treated differently than items which are deemed safety related?

7 A I believe that's a correct statement, and I would  
8 add that items deemed important to safety per Appendix A are  
9 not all treated uniformly.

10 Q With respect to the loss of feedwater, was it your  
11 attempt to have the auxiliary feed system classed as a safety  
12 related item as opposed to an item important to safety, or  
13 was it an attempt to have it classified as an item important  
14 to safety?

15 A The classification, per se, wasn't as important to  
16 me as how the system design turned out.

17 Q Would there have been a difference in the way the  
18 design turned out based on whether it was deemed important to  
19 safety under Appendix A or safety related under Appendix B?

20 A It could have been, but when you examine how things  
21 are actually treated when the Appendix A is applied, or  
22 Appendix B does not automatically follow, you can't predict the  
23 outcome of this.

24 Q Getting back to the PORV and the block valve, would  
25 you be surprised to learn that neither the PORV nor the

1 block valve were considered safety related as used in  
2 Appendix B?

3 A I would be surprised to learn that, yes. I have not  
4 looked at that and didn't consider it. I would say Appendix B  
5 is the application of the quality assurance program to those  
6 items that have been declared safety related, okay. So  
7 Appendix B itself does not delineate or describe or categorize  
8 anything as being safety related. Once I put that handle on  
9 something and say that Appendix B applies, then --

10 Q In other words, Appendix B does not contain a list  
11 of items?

12 A That is correct.

13 Q Would it surprise you that with respect to the PORV  
14 and the block valve, the PORV was not considered safety  
15 related because it had a block valve in series with it and the  
16 block valve was not considered safety related because it had  
17 a PORV in series with it? You have a look of surprise on  
18 your face.

19 A The logic defies me offhand.

20 Q I'll represent to you that that is the testimony of  
21 Roger Mattson at the public hearings and also in his deposi-  
22 tion, the head of DSS one of whose branches is RSB, the  
23 technical reviewers who review the plant designs during the  
24 licensing process.

25 If the PORV was not considered safety related, would



1 it follow naturally that indication for PORV position would  
2 not be considered safety related?

3 A That is likely, in my opinion, because of the way  
4 these things are handled in the review, that once there is an  
5 agreement that an item is safety related then the other  
6 branches who worry about the electrical wiring to it or the  
7 instrumentation or the power or the quality grouping, and  
8 so forth, they would then look at these areas. So one sort of  
9 follows from the other in the process.

10 Q So would it be correct then that if an initial  
11 determination were made that a particular item was not safety  
12 related that when that item then went to the electrical  
13 engineering people they would not treat it as a safety related  
14 item and then would it also be correct that when I&E enforced  
15 regulations on the plant during the licensing stage and  
16 thereafter they would also not deem it safety related? Is it  
17 a decision that kind of nails it down in cement and then  
18 follows for the rest of the life of the plant as either being  
19 safety or not safety related?

20 A Well, I don't have enough experience with some of  
21 these things and I can only give my impressions or concerns.  
22 But you say do these things follow through from the review  
23 and clear on to the I&E inspections and the applicant's treat-  
24 ment in the field. I believe there are subtle things that go  
25 on here. For example, like where an applicant addresses

1 certain features of the plant or certain responses to licensing  
2 concerns may be indicative of the treatment that is going to  
3 afford that system if not directed specifically otherwise  
4 as far as his maintenance priorities, inspection, quality, and  
5 so forth. And my belief is that with regard to some of these  
6 items the applicant puts some items in the plant on his Q list  
7 which gets reviewed in licensing and certain quality assurance  
8 program of applicant is applied to those items. Then other  
9 items that are not on that list may be included in the appli-  
10 cant's detail plan of the site but not in the FSAR, not reviewed  
11 by Licensing.

12 Now, when the I&E inspectors look at the applicant's  
13 activities at the site, I believe that they review what is  
14 done to a given component or system in accordance with the  
15 applicant's listing of equipment that's included in these  
16 stages of the program.

17 Q In the FSAR?

18 A It would include the things in the FSAR and depending  
19 maybe on the applicant, things in addition to those items in  
20 the FSAR. But there is the possibility here for a lack of  
21 continuity between the licensing review and the significance  
22 attached to these items from a safety standpoint and how they  
23 eventually get treated and monitored by I&E. That's what I'm  
24 trying to say.

25 Q Where do you see this breakdown in continuity? Is it

1 that the I&E people rely on the FSAR and documents generated  
2 by the utility whereas Licensing has stated its position in  
3 the SER? Is that basically what you're driving at?

4 A I'm not sure the use that all of these documents  
5 receive by all the people involved in that chain. As I see it,  
6 the Licensing people are quite familiar with the plant and the  
7 detail design from their review and from their questions and  
8 they have indicated that the applicant, their position that  
9 something is safety related when the applicant either didn't  
10 even mention it or he has it in a place in the FSAR where you  
11 would not expect it to be addressed. As I pointed out, that  
12 carries some possible indication of the applicant's thinking  
13 about the system when you find these things in the FSAR where  
14 you find them.

15 The people then in I&E in the field don't have all  
16 this background information from the review of the FSAR. Sure,  
17 they have an FSAR; you know, they are kept informed, to my  
18 knowledge, by the system and the process. But they take over  
19 then and must review and audit the operations in the field  
20 without all of this appreciation for the system and some of  
21 the detail.

22 Q Do you see a lack of coordination between the  
23 Licensing people and the I&E? In other words, are there meet-  
24 ings and discussions? Is there a paper flow back and forth in  
25 an attempt to give this background to I&E?

1           A     I can't address that in an operating stage, but  
2 during the construction I maintained close liaison with the  
3 inspector.

4           Q     The I&E inspector?

5           A     The I&E inspector on the plant. I made site visits  
6 and inspections with him.

7           Q     Is it your understanding that that was a normal  
8 procedure or is this something that you adopted as seeming  
9 reasonable?

10          A     It may have been done in other cases but it was not  
11 a requirement or a routine thing.

12          Q     Did you arrange for the I&E inspector to come to the  
13 site and tour the plant with you?

14          A     I coordinated it with him and arranged to meet him.  
15 Sometimes I'd meet him there; sometimes I would ride out with  
16 him from Philadelphia.

17          Q     To what extent was experience at other B&W plants  
18 which were already operating incorporated into your coordina-  
19 tion of efforts at TMI-II? Was there any method by which  
20 such experience could be brought to bear or was brought to bear?

21          A     As I recall, I think it was a unit at Oconee that  
22 had started into operation at the time I was working on TMI,  
23 and there was, as I recall, no formal channels where I saw  
24 things like what we call the LERs now or event reports or  
25 abnormal occurrence reports, maybe they were in those days.



1 But I tried to talk to people in operating reactors who were  
2 following the daily operations of that plant with the startup  
3 testings and things like that, the fellow who was the project  
4 manager there, and find out what was going on.

5 Q Was there any formalized or systematic way by which  
6 you were kept abreast of operating experience at other B&W  
7 reactors?

8 A No, the only contact I had was through a friend who  
9 had the Oconee plant as an operating unit, and he kept up,  
10 of course, daily with the occurrences.

11 Q At his own plant?

12 A At his own plant, yes.

13 Q Do you recall what his name was?

14 A Leo McDonna<sup>ough</sup>.

15 Q Were you aware of a transient that occurred at the  
16 Oconee plant Unit 3 on June 13, 1975?

17 A A transient. Could you say something about the  
18 transient? That much doesn't mean anything.

19 Q Were you project manager at TMI-II on June 13, 1975?  
20 Were you still there?

21 A That was about the end, approaching the end. I was  
22 still there, to my knowledge, on that date, yes.

23 Q Were you there until the end of the month?

24 A Near the end of the month.

25 Q Okay. Let me read to you a summary which is contained

1 in a document which bears the number AO-287/75-7 from the  
2 Duke Power Company, Oconee Unit 3. There's a paragraph on  
3 the first page entitled, "Description of Occurrence." It  
4 reads as follows:

5 "Description of Occurrence: On June 13, 1975, a  
6 routine shutdown for maintenance was in progress on Oconee  
7 Unit 3. When reactor power had decreased to approximately  
8 15 percent a minor system transient occurred which resulted in  
9 the opening of the power actuated pressurizer relief valve,  
10 3RC-66. Valve 3RC-66 remained open and a reactor coolant  
11 system depressurization continued until isolation valve  
12 3RC-4 was shut. The reactor coolant system temperature and  
13 pressure were 480 degrees Fahrenheit and 720 psi, respectively,  
14 when the depressurization was terminated."

15 Then in a subsequent paragraph entitled "Designation  
16 of Apparent Cause of Occurrence" it reads:

17 "The apparent cause of this occurrence was operator  
18 error in that the operator did not consider the initial RC  
19 temperature drop which occurred during repressurization when  
20 establishing the subsequent cooldown rate. The reason 3RC-55  
21 remained open was due to boric acid crystal buildup on the  
22 connecting pin of the lever arm of the pilot valve. In addi-  
23 tion, a cellonoid operated plunger was stuck in the open  
24 position."

25 This appears to be a description of a failed open

1 PORV followed by a partial blowdown of the plant. Were you  
2 aware of this occurrence at the time you were project manager  
3 of TMI?

4 A I was not. I recall, I think, a pump seal failure  
5 that bothered me, I believe, in the Oconee plant there.

6 Q A pump seal? Which pump?

7 A a reactor coolant pump.

8 Q Did similar problems develop during the licensing  
9 process at TMI?

10 A I checked and found that it was a pump of different  
11 design and manufacture, so that didn't -- It doesn't say it  
12 won't happen, but it wasn't the same problem.

13 Q Once you discovered that the pump was a different  
14 design, you took no further action in that regard, is that  
15 correct?

16 A I believe that's right. Just to determine what the  
17 differences were, or were they the same; and they were  
18 different. (Pause) With regard to the abnormal occurrence  
19 that you mentioned at Oconee, the boric acid crystals on the  
20 PORV, I recall that occurring some place, but it may not be  
21 this event.

22 Q Do you now know of a transient which occurred at  
23 Davis-Besse in 1977 which resulted in a stuck open --

24 A (Whispered) September.

25 Q (Laughter) September -- Apparently you are aware

1 of that one, which involved a stuck open PORV in part because  
2 of crystallization formation? Are you aware of that transient  
3 now?

4 A Yes. I was aware of it before TMI.

5 Q Before the TMI accident?

6 A Yes.

7 Q After the time that you were project manager,  
8 necessarily?

9 A That's true, necessarily.

10 Q Is that the transient, perhaps, that you were referr-  
11 ing to which involved the crystalline formation on the PORV stem?

12 A Well, I don't remember that detail of that one, but  
13 I think the point is that this may be a thing that has happened  
14 many times before and it is to be watched here in trying to  
15 create a reliable position indicator.

16 Q How did you become aware of the Davis-Besse transient  
17 prior to the TMI accident of this year?

18 A In my recent work I've been trying to address safety  
19 improvement in light water reactors, and of course I fish  
20 around and try to get ideas and think of what people ought to  
21 work on and things like this.

22 Q This is your work at Los Alamos you are referring to?

23 A In the reactor safety program, right. And I sort of  
24 go from one task to the other or pick things up and move to  
25 something and come back and so forth. But I had developed



1 somewhere along the line the idea that safety systems should  
2 never be challenged in a light water reactor plant. You should  
3 run for 40 years and the only time they are ever operated is  
4 when you test them routinely.

5 Q What is the reason for that?

6 A Well, they are a line of defense against serious  
7 accident.

8 Q Would it be fair to --

9 A So if you just let all the safeguards down and say,  
10 gee, I've got these features that will keep me out of trouble,  
11 I think that's not good clear thinking. So my thinking and  
12 approach has always been that, as I said in Nevada, we are  
13 here to run reactors, not to scram them. And that means that  
14 you are in control of the situation; you don't have to rely  
15 on your emergency and safety features.

16 Q How does the Davis-Besse transient fit into that  
17 scenario?

18 A Well, with that basic premise that I mentioned, the  
19 philosophy, I had gone through the LERs looking for all situa-  
20 tions I could identify where the safety features had been  
21 challenged or used in any way during the course of routine  
22 operations and anticipated transients, and that includes all  
23 events prior to TMI-II.

24 I had flagged these things in the process of sorting  
25 and collating and marked the abstracts where I found this as

1 an early phase of my analysis to see what was going on, and  
2 of course, TMI-II occurred and I was distracted and after some  
3 time I went back and reviewed these things. I was going to  
4 pick this idea up again. Of course, the details of that  
5 scenario did 't occur to me at the time of TMI-II, okay. When  
6 I went back and I read it, I was in a state of shock and I  
7 wrote a memo and said call this to people's attention and I  
8 said I am puzzled as to why in Bulletin 79-<sup>05</sup><sub>A</sub> the PNO's I guess  
9 that came out of I&E, that they referred to some other event  
10 at Davis-Besse a couple of months later because the similarity  
11 of the September event at Davis-Besse was <sup>striking.</sup><sub>A</sub>.

12 And the conclusion I drew from this was, okay,  
13 safety is my concern, okay. I flagged that event because of  
14 my criteria that I would like to prevent all situations where  
15 safety features are ever called upon to operate, ~~operational~~<sub>A</sub>  
16 routinely, and so forth. And I said, well, I didn't forecast  
17 TMI. I would have gotten there eventually through this  
18 criteria I was applying. What can we do to stop these things?

pe 2-B

19 That's how I got to Davis-Besse.

20 Q At the time you were looking through the LERs on  
21 Davis-Besse, were you aware that the operator at Davis-Besse  
22 had terminated HPI during the course of the September 1977  
23 transient in reliance on rising and high pressurizer level at  
24 the time he was losing coolant through the PORV which had  
25 stuck open?

1           A     I assume that information is in this abstract that  
2 I have, but that didn't catch my eye and lead to any forecasts  
3 either.

4           Q     Did you obtain these abstracts from the NRC?

5           A     From the OakRidge, NSLIC, is that correct? I don't  
6 know, but they are published periodically and compiled at  
7 Oak Ridge.

8           Q     Were you aware prior to the TMI-II accident of this  
9 year that a number of persons within the NRC staff had  
10 essentially predicted the TMI-II transient based on such  
11 events as the September 1977 Davis-Besse transient? I will  
12 just throw out some names: Cresswell, Israel, Ebersall,  
13 Michelson.

14          A     May I ask the first part of the question again?

15          Q     Were you aware that any of these people prior to  
16 the TMI-II accident had essentially predicted the TMI-II  
17 accident based on such prior transients as the Davis-Besse  
18 September 1977 transient?

19          A     I was not aware of this and only after TMI-II,  
20 awareness of only the concerns of a couple of these people  
21 you mentioned. Pebble Beach was --

22          Q     Pebble Springs?

23          A     Pebble Springs, excuse me -- I keep moving that plant--  
24 was called to my attention by someone in NRC shortly after  
25 TMI-II. I came downtown to the Public Docket Room and got a

1 copy of that question and the response.

2 Q Are you referring to Jessie Ebersall's question  
3 number six to B&W which was unanswered?

4 A 26?

5 Q Well, there were several. My recollection is there  
6 were 6, 12, and 26, and that B&W failed to respond to Jessie  
7 Ebersall's concerns on that score.

8 A You have comments cleaned up. \*

9 Q But this is something you discovered after the  
10 TMI-II accident?

11 A After. That was pointed out to me. I was referred  
12 to that as background after TMI-II. So that had gone on,  
13 however, prior to TMI-II.

14 Q During the course of the licensing process, was  
15 there any systematic or formalized incorporation of operating  
16 procedures or experiences with operator procedures in the  
17 licensing process or the review of the PSAR or FSAR?

18 A Was there any review of the operator actions and  
19 procedures during the licensing review?

20 Q Yes.

21 A Yes, there was.

22 Q To what extent?

23 A In several ways. There was a question that in light  
24 of the event at TMI-II now, this question was addressed to  
25 the applicants regarding the termination of safety features

\* Record makes no sense at all but cannot be corrected  
from memory.



1 actions by the operators --

2 Q Such as ECCS?

3 A I interpret it as any safety feature. The question  
4 was addressed because the applicant's maybe ambiguous or  
5 a statement in the FSAR--I don't know the detail of that--  
6 but the staff did address --

7 Q This question was addressed at the time that you  
8 were project manager for TMI-II?

9 A I believe that is correct, yes.

10 Q Do you recall what the substance of the question  
11 was?

12 A I think they were looking for a commitment out of  
13 the applicant that the operator would not terminate any safety  
14 features actions that were automatically initiated<sup>t</sup>-period.

15 Q Do you recall what, if any, response was received?

16 A I don't recall the specific response or whether it  
17 was acceptable.

18 Q Would there be any way for you to obtain and provide  
19 to us the question to which you have referred and the  
20 response, if any, that was provided in response to this  
21 question?

22 A The question and the response should both be in the  
23 application, in the FSAR, or supplement to it. So I should be  
24 able to provide that to you.

25

1 MR. HELFMAN: Okay. Perhaps we can have a stipulation  
2 that Mr. Washburn will provide that to us and upon receipt of  
3 it, it will be deemed Exhibit No. 2 to the exhibit. Is that  
4 agreeable?

5 MR. OLSON: Yes.

6 (WHEREUPON, the information  
7 referred to will be marked for  
8 identification when received as  
9 Exhibit 2 to the Deposition.)

10 BY MR. HELFMAN:

11 Q Is that the extent to which operator procedures were  
12 taken into account during the course of the licensing review,  
13 as best as you can recollect?

14 A I don't recall any others, but there may have been.  
15 I would add, because the question is kind of general, that in  
16 the review of the accident analyses, if you will, in antici-  
17 pated transients, operator actions may be required at some  
18 time to reset things or turn things off or start pumps or  
19 do something, okay, during the course of that accident or  
20 transient in order to get an acceptable outcome. And these  
21 are generally questioned as to the time at which the operator  
22 must take this action. My recollection here is that they  
23 allow no credit, as they state, for operator actions prior to  
24 ten minutes after an initiating event.

25 Q Was there any review of the procedures themselves to

1 determine their content or whether they were the appropriate  
2 action to take or whether it was possible for the operator to  
3 perform them?

4 A There is really no review to my knowledge in  
5 Licensing of the operating procedures. The operator licensing  
6 branch, I believe it is called, receives a copy of the appli-  
7 cant's emergency procedures, operating procedures, which they  
8 use in examination of the operators. But my understanding  
9 here is that those procedures are accepted as written and they  
10 are treated as proprietary, perhaps is the answer, but they  
11 are submitted in some confidence and the<sup>y</sup><sub>^</sub> are not distributed  
12 to project managers or other reviewers. They are strictly  
13 used by the operator licensing branch to conduct the operator  
14 exam for a given plant.

15 Q Would it then be accurate to say that an operator  
16 procedure, whether correct or incorrect, would be incorporated  
17 in the examination of operator applicants by OLB?

18 A It's my opinion that that would occur.

19 Q Was there any systematic or formal review of control  
20 room design or layout during the licensing process?

21 A Not to my knowledge.

22 Q Do you know what the Response Review Branch is?

23 A No, I don't.

24 Q From your perspective as a project manager, what  
25 was the role played in licensing by the Commissioners, if any?

1           A     Well, I can't think of any examples that would show  
2 that there was a role or how it would relate.

3           Q     Are you aware of the design differences, B&W design  
4 compared to the Westinghouse design and the CE design? I  
5 am speaking generally now of the steam generator side.

6           A     I would say I guess I'm aware of some differences.

7           Q     Are you aware of the comparative boil out times?

8           A     In a qualitative sort of way, I guess I tried a  
9 couple of times to find out about quantities of water avail-  
10 able in the B&W steam generator and all I got was answers in  
11 inches from some place and that doesn't help me at all.

12          Q     Have you become aware of the amount of time it takes  
13 for the B&W steam generator side to boil dry in full power  
14 or after a scram as opposed to the Westinghouse and CE plants?

15          A     In a qualitative sort of way, yes.

16          Q     What is your impression in that regard?

17          A     The steam generators in some of these transients  
18 go dry very quickly, and --

19          Q     Is that true of all three designs?

20          A     In the B&W; my response applies to the B&W. The  
21 others, no, are the order of minutes, if I recall, before you  
22 dry out the steam generator. And I would put the B&W plant  
23 down in the seconds category in this qualitative answer.

24          Q     Is there a correlation between speed at which the  
25 B&W OTSG boils dry and the amount of time an operator has to



1 an emergency or a transient?

2 A There may be. I think there is another aspect if  
3 your concern is how fast the operator must respond, another  
4 aspect.

5 Q Is there yet another aspect that you were thinking of?

6 A The behavior of the primary system, not unrelated  
7 to the steam generator, of course, okay, but it involves  
8 pressurizer, the volume of the pressurizer, the loop seal to  
9 the pressurizer, the location of the pressurizer, the dynamics  
10 of the system.

11 Q Would you agree with the characterization that the  
12 Westinghouse and CE designs are far more sluggish and forgiv-  
13 ing than the B&W design?

14 A That's my understanding, but never having operated  
15 one of those plants, I wouldn't know.

16 Q What advantages can you see in a design which is  
17 very quick to react and relatively unforgiving in the course  
18 of a transient?

19 A That places a lot of demands on everything else--  
20 all the other hardware, the operator, and so forth. That I  
21 can relate to because our nuclear rocket program, we change  
22 power in short periods and high rates, so we can have--no pun  
23 intended--a fast accident. So that's even more of a problem  
24 than, say, like a B&W relative to other designs.

25 Q Can you think of any advantage to the B&W design,

1 recognizing these characteristics, from perhaps the point of  
2 view of the utility or the vendor or the NRC?

3 A Well, I suppose there are differences and pluses and  
4 minuses, but I have no opinion on that.

5 Q You indicated that you left the NRC in 1975. Did  
6 you return to Los Alamos?

7 A Yes, Sir.

8 Q And have you been with Los Alamos ever since?

9 A That's correct.

10 Q You indicated initially that you were assigned by  
11 Los Alamos to the NRC for this brief period between 1973 and  
12 1975. Have you, since you left the NRC, been assigned by  
13 Los Alamos to any other projects or departments?

14 A I have been on assignment to Department of Energy  
15 here in Germantown since last Fall, last October, as part of  
16 our light water reactor safety improvement effort.

17 Q Does that temporary assignment continue to the  
18 present?

19 A The understanding was it would terminate at the end  
20 of this fiscal year.

21 Q Have you in turn been temporarily assigned by DOE to  
22 any projects or departments?

23 A No. I get my direction from Los Alamos Scientific  
24 Laboratory, and I merely exchange information with DOE and  
25 others and do not take direction from the Department of Energy.

1           Q     I see. Has Los Alamos assigned you to any other  
2 departments or projects since you were assigned to DOE?

3           A     I was asked to provide what assistance I could to  
4 the President's Commission on the Accident at Three Mile  
5 Island.

6           Q     Would it be accurate to describe you as bascially  
7 in a consultant capacity?

8           A     That's possibly correct. I don't look upon myself  
9 as a consultant.

10          Q     As opposed to employee?

11          A     That's true in that sense; that's true.

12          Q     Or as opposed to staff member?

13          A     That's true.

14          Q     When did this latest assignment begin?

15          A     Approximately two-and-a-half weeks ago.

16          Q     Would it be accurate to state that you are concerned  
17 with technical matters in your present position with the  
18 President's Commission?

19          A     That's the kind of questions that have been addressed  
20 to me.

21          Q     I have one final question which goes back to the  
22 intervenors which we mentioned at the outset. Was it your  
23 impression that the intervenors had sufficient technial  
24 knowledge and funding to adequately represent the concerns of  
25 the community?

1           A     I don't know anything about the funding that was  
2 available to them or the people really involved. As far as  
3 the technical side, I believe that Chauncey Kepford had some  
4 technical background and that he was a knowledgeable person  
5 and he could ask good questions.

6           Q     He had the technical competence to match NRC  
7 technical people in an exchange during the licensing process?

8           A     I can't make that judgment, but he was an informed  
9 person that, as I say, asked good questions and indicated some  
10 knowledge.

11          Q     Would you put his inquiries on a par with those that  
12 were addressed by the NRC staff reviewers?

13          A     This, I guess, involves a matter of the detail of  
14 one's questions versus the importance of the generalities or  
15 the areas being addressed by the other, and I think we were  
16 looking at apples and oranges there.

17               MR. HELFMAN: I have no further questions. Mr. Olson,  
18 do you have any questions?

19               MR. OLSON: Yes. It might be well just to ask a  
20 couple of questions to clear the record.

21                               CROSS EXAMINATION

22               BY MR. OLSON:

23          Q     Mr. Washburn, you stated early on and then later on  
24 in the deposition that you are employed by Los Alamos  
25 Scientific Laboratory. Is that correct?



1 A Yes, Sir.

2 Q What is Los Alamos Scientific Laboratory? Could  
3 you briefly state?

4 A The Los Alamos Scientific Laboratory is owned by  
5 the Department of Energy and operated for the Department of  
6 Energy under contract by the University of California.

7 Q That's correct. And you work for the contractor,  
8 is that correct?

9 A I work for the contractor.

10 Q And not the Department of Energy?

11 A That is correct.

12 Q And therefore any assignments that are made for you  
13 are made by your employer, the University of California, and  
14 not the Department of Energy?

15 A That is correct.

16 MR. OLSON: Thank you. I have no further questions.

17 MR. HELFMAN: Okay. On that note, we will conclude  
18 the deposition. Thank you very much for your time.

19 (WHEREUPON, at 3:30 p.m. the Deposition was  
20 recessed.)

CA/vfs

21 - - -  
22  
23  
24  
25

REPORTER'S CERTIFICATE

DOCKET NUMBER:

CASE TITLE: Deposition of Beverly W. Washburn

HEARING DATE: August 29, 1979

LOCATION: Washington, D.C.

I hereby certify that the proceedings and evidence herein are contained fully and accurately in the notes taken by me at the hearing in the above case before the President's Commission of the Accident at Three Mile Island and that this is a true and correct transcript of the same.

Date: August 30, 1979

Carol V. Adams

Official Reporter

Acme Reporting Company  
1411 K Street, N.W.  
Washington, D.C.

BEVERLY W. WASHBURN

Education:

University of New Mexico, B.S. EE, 1949  
Stanford University, M.S. EE, 1951

Experience:

Thirty years in diverse technical fields --

1949-1950	General Electric Company, Test Program
1951-1952	Pacific Gas & Electric, Office Engineer
1952-1958	Sandia Corporation, Staff Member-Section Leader, Field Test
1958-1959	Space Technology Laboratories, Assistant Department Manager, Data Analysis Department
1959-present	Los Alamos Scientific Laboratory, Staff Member -- Nuclear Rocket Program 1960-1970 Gas Laser Program 1971-1973 AEC Regulatory/NRC 1973-1975 Reactor Safety Research 1975-present