



**UNITED STATES
NUCLEAR REGULATORY COMMISSION**

In the matter of:

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
SUBCOMMITTEE MEETING ON THREE MILE ISLAND,
UNIT 2 ACCIDENT ACTION PLANS

Place: Bethesda, Maryland

Date: April 1, 1980

Pages: 1 - 285

INTERNATIONAL VERBATIM REPORTERS, INC.
499 SOUTH CAPITOL STREET, S. W. SUITE 107
WASHINGTON, D. 20002
202 484-3550

8004140472

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

-----X
:
In the Matter of: :
:
ADVISORY COMMITTEE ON REACTOR :
:
SAFEGUARDS SUBCOMMITTEE MEETING ON :
:
THREE MILE ISLAND, UNIT 2 :
:
ACCIDENT ACTION PLANS :
:
-----X

Room P-118, Phillips Building
7920 Norfolk Avenue
Bethesda, Maryland

Tuesday, April 1, 1980

The Subcommittee met, pursuant to notice, for
presentation of the above-entitled matter, at 8:30 a.m.,
with Harold Etherington, Chairman of the Subcommittee,
presiding.

BEFORE:

WILLIAM MATHIS

CHET SIESS

ACRS Consultants:

DR. LIPINSKI

DR. ZUDANS

4/1/80 ACRS 1
Tape 1 Rnina
T rcp 000 2

P R O C E E D I N G S

CHAIRMAN ETHERINGTON: The meeting will now come to order.

This is a public meeting of the Advisory Committee on Reactor Safeguard, Subcommittee on Three Mile Island Unit II, Action Plans.

I am Harold Etherington, subcommittee chairman.

The other members present today are Mr. Mathis, on my left; Dr. Siess, on my right. Also present today are consultants: Dr. Lipinski and Dr. Zudans. Dr. Caden (phonetic spelling), we expect, will be in later.

The purpose of this meeting is to continue ACRS consideration of draft III of NRC NUREG 06-60, action plans developed as a result of the Three Mile Island II accident.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act, and the Government -- and the Sunshine Act.

Mr. John McKinley is the designated Federal employee for the meeting.

The rules of participation in today's meeting have been announced as part of the notice of this meeting previously published in the Federal Register on Monday, March the 17th, 1980.

A transcript of the meeting is being kept. And it is requested that each speaker first identify himself or her-

1 self and speak with sufficient clarity and volume so that he
2 or she can be readily heard.

3 We have received requests from the General Electric
4 Company and Vermont Yankee to make oral statements to the
5 Subcommittee. Time has been set aside to hear these state-
6 ments, starting on about 10:00 a.m. tomorrow, April, the 2d.

7 We will now proceed with the meeting.

8 We will have an executive -- short executive session,
9 which will be open, of course, but not recorded -- but I think
10 first Mr. Denton would like to make a statement.

11 Would you like to make that first?

12 MR. DENTON: Yes, I would.

13 CHAIRMAN ETHERINGTON: And will this be on the
14 record, Harold?

15 MR. DENTON: At your convenience.

16 CHAIRMAN ETHERINGTON: Put this on the record,
17 please.

18 Incidentally, I understand that the microfilms are
19 not addressed for the benefit of the recorder.

20 Can people at the back hear fairly well or not?

21 (Brief discussion.)

22 MR. DENTON: What I'd like to do is just outline the
23 forthcoming NRR organization. And I'll go through it rather
24 quickly. This is the first chance we've had to discuss it with
25 the ACRS since we've announced it. It's not in place yet;

1 there are a few administrative details stil pending; but I
2 would like to show you the structure of the reorganization and
3 point out where some responsibilities for the action plan
4 implementation will lie.

5 We pre -- they're shown along the bottom, Division
6 of Project Management, headed up by Darryl Eisenhut, will have
7 the responsibility for all the projects, CPs, OLs, and operat-
8 ing reactors in Project Managers.

9 Pre to the Division of Engineering, which will have
10 the responsibility for what I've called the, the typical
11 engineering areas: mechanical engineering, civil engineering,
12 and equipment qualifications that will also have a responsibi-
13 lity for environmental technology -- we've selected Dick
14 Vollmer to head that division -- division of systems integra-
15 tion will be responsible for doing the systems integration
16 studies of all the reactor systems and all the electrical
17 systems -- that's headedup by Genny Koss.

18 Division of Human Factors is a new division. This
19 one has in it licensee qualifications from a management
20 standpoint, operator licensing, control room design, procedures
21 and testing. This is headed up by Steve Hanauer (phonetic
22 spelling).

23 Division of Safety Technology is our forward-looking
24 division. That's headed by Roger Mattson. It's got un-
25 resolved safety issues; it's got risk assessments, operating

1 experience feedback, coordination of research. So basically
2 the middle three are the engineering part of the organization
3 in terms of the technical capabilities, this is the project
4 management. This is one who looks ahead, establishes standard
5 review plans, serves the function that the old Ratchet
6 Committee used to serve in the organization. So in terms
7 of the implementation of the actual plan items where it is
8 specifically known how to implement it, it will be implemented
9 in one of the three, where it requires future work, it will
10 be Roger Mattson's responsibility to put it in a form whereby
11 it can be implemented by the technical parts of the organ-
12 ization.

13 Let us mention too, we've established a TMI
14 program office, selected Bernie Snyder to head that office,
15 it's to oversee and direct all the activities associated
16 with the recovery of TMI-2, including preparation statements,
17 safety evaluations....

18 I'll go through each of these in a little more
19 detail -- and incidentally we have about eight vacancies
20 scattered throughout this organization; so
21
22
23
24
25

1 if you know about people back in academia or otherwise who
2 might be interested in some of these, be sure to alert them;
3 we're looking for candidates for them.

4 As I mentioned, Steve is the director; we've,
5 we've posted the job for deputy director for human factors .
6 We hoped to find someone from the outside to fill that
7 slot. Human Factors Engineering Branch has mainly the ques-
8 tions of control room design, somewhat broader; that job is
9 being posted. We don't have a branch sheet for that one. It
10 also has the operating licensing branch, licensee qualifica-
11 tions branch, which deals with the whole management approach
12 to the utility and the procedures and test review branch.

13 (Pause.)

14 Safety technology is the one I mentioned that's
15 headed up by Roger. It's got two components. Generic projects,
16 the first branch, is the generic safety issues branch, which
17 includes all those unresolved safety issues activities that
18 were under Steve's direction previously -- the project mana-
19 gers for things like ATWS are here, licensing guidance branch --
20 this branch keeps the books on the standard review plans and
21 on the standardized tech specs, and the research and coordina-
22 tions branch, to be sure that we more effectively utilize what's
23 coming out of research and standards in these areas.

24 Safety Program Evaluation Branch -- this is a branch
25 I'm looking to to do an overall holistic approach to new issues

1 that come up, so that we don't, don't do our changes and
2 requirements piecemeal, operating experience evaluation branch
3 will interact with I&E and Carl Michaelson's group to be sure
4 that we learn our lessons from operating experience and feed
5 them back in the organization; the liability risk assessment
6 branch is a new one for NRR, and we're recruiting for a branch
7 chief in that area.

8 MR. SIESS: I'm a little surprised that the
9 coordination has lumped research and standards together. These
10 are not really at the same level. Research is developing new
11 information, and Standards is simply codifying it.

12 Is it -- is the primary function there just coordina-
13 tion with other people? Or --

14 MR. DENTON: Partially, it works out to numbers. And
15 I'm trying to take the number of people we've given this
16 function and make a branch; but there are two distinct differ-
17 ent activities. One activity is to take all those hundreds of
18 reports that Research generates every year and make sure that
19 we act on them as an organization. The other half is to make
20 sure that our need to interact with standards on new guides and
21 standards is effectively carried out. And we've just --

22 MR. SIESS: Well, what about development of user
23 needs in developing research programs? Would that be done in
24 this branch? Or would that --

25 MR. DENTON: Well, they would -- take, take a new

1 user need coming out of the division of engineering. It would
2 come over to be coordinated by this -- it's really a matrix
3 organization, with the projects group on one side and this one
4 on the other side, with the detail capabilities lying in the
5 middle of the organization, so the user need might be developed
6 by the civil engineering branch; but it would fall to this
7 division to flesh it out, put it in the right form, and make
8 sure it moved on a, on a right schedule, or priorities.

9 MR. SIESS: Would it also coordinate other user
10 needs within NRR? Or would it just accept everything that
11 comes into it as being equally important?

12 MR. DENTON: No, I would hope it would be -- it would
13 serve the purpose that RQC used to serve, that this would be
14 the group who'd put everything in context, and that any, any
15 new requirements that'd come up in the organization would be
16 evaluated for their real impact on risk reduction and safety.
17 And we would not change our standard review plans without this
18 group going, you know, doing a kind of review that should be
19 done and then feeding that recommendation back to the rest of
20 the organization.

21 Roger, are you here?

22 DR. MATTSON: Where does the development -- who has
23 the development of standard review plans? Is that in --

24 MR. DENTON: The development of standard review
25 plans per se is in this licensing guidance branch. The work

1 might be done anywhere in the organization, but this is the
2 group that has to give the final okay for change in our
3 standard review plans.

4 MR. SIESS: And reg guides --

5 MR. DENTON: And reg guides and standard tech specs.
6 So what we really have done is institutionalize many activi-
7 ties that before were somewhat scattered throughout the -- and
8 not focused.

9 And this whole division is new. These, none of these
10 had branch-level organizational status before.

11 DR. MATTSO: I think, Chet, the idea is to put
12 together all of these management and monitoring functions
13 marching to the same drummer with the same sense of priorities,
14 with the spending of resources either for standard development
15 or for research or for changes in regulatory requirements
16 within NRR. It is the same system of priorities, same
17 understanding of what's important and what's not important as
18 is applied in the approval of new requirements and the review
19 of new information.

20 MR. DENTON: From, from my standpoint its big
21 features are that it eliminates this turnover of a plant from
22 DPM to DOR in a different treatment of plants. It collects
23 all the technical talents in big clumps of people like in the
24 Division of Engineering, three main groups: components and
25 structures, materials and qualifications, and then the

1 environmental technology.

2 One new branch, for example, is Environmental
3 Qualifications Branch. You remember we've had a lot of
4 difficulty in the past in this area. We've given this branch
5 the responsibility for both seismic, radiation, chemical,
6 temperature qualifications of equipment. And are staffing
7 enough to, for a frontal attack on the equipment qualifications
8 problems; so that's our sole job here.

9 Chemical Engineering Branch is a branch we didn't
10 have before. It's, it's to address all the problems --
11 coolant chemistry, corrosion in, in a focused manner.

12 The other branches, I think, look largely -- branches
13 you've seen before. And they just pull together, for example,
14 in the mechanical engineering branch all the people who used
15 to be in DOR, in DSS, under one branch.

16 (Pause.)

17 The Systems Integration Branch is, is our attempt to
18 make sure we take a real focus systems look, as opposed to the
19 piecemeal look, so it only has systems in it. We've, we've
20 in some cases split up what the branches used to do where they
21 did both systems analysis and then some engineering, more
22 classical engineering also. So the branches look pretty much
23 the same in these areas. We've made the Systems Interaction
24 Branch that we didn't have before in the organization; other-
25 wise, I think most -- except for that branch - you're familiar

1 with the activities of these branches.

2 But we've called out those activities that can go in
3 engineering, and have chartered this group to integrate the
4 total approach, from a systems management standpoint.

5 DR. ZUDANS: One little question: They look at the
6 AD for reactors, D and AD for plant systems. Should these
7 systems also be interactive -- these two groups?

8 Power systems branch, container systems branch, and
9 power reactor systems branch?

10 They have a common objective. The whole system's
11 interaction really contains these components.

12 MR. DENTON: Yes.

13 DR. ZUDANS: And how is that going to be handled if
14 these are competing branches?

15 MR. DENTON: I don't see that they are competing.
16 We've got them under one --

17 DR. ZUDANS: Normally, they -- you would expect them
18 to cooperate, I agree. They may not happen that way.

19 MR. DENTON: Well, we've got them fairly close
20 together. And the question is one of numbers. This --

21 DR. MATTSON: How many people are in this group, do
22 you remember --

23 MR. DENTON: About 175 people, total, in this area,
24 so you have to give it some, some kind of a structure. But it
25 would be up to the director of this one and these two assistant

1 directors, to be sure that, that even though they're, they're
2 a little broken out for supervisory purposes they do integrate
3 the, because they're quite important --

4 DR. ZUDANS: I didn't know. There's no specific
5 focal point for this interaction except that the division
6 systems integration director level.

7 MR. DENTON: Yes. And, and this branch, whose job
8 it is to make sure that all systems get pulled together.

9 And then finally, the division of project management,
10 which looks the closest to what you've seen before, what we've
11 done is, is put all the operating reactors under an AD for
12 operating reactors. All of the plants that are under review
13 such as CP and OLs, under another AD, but we don't plan to
14 transfer them. We're, as plants get license, for example such
15 as Sequoyah, it will stay in this branch; and eventually this
16 branch will become an operating reactor branch.

17 That, that, you know, we're not going to move the
18 case up to someone else. The same project manager will retain
19 that, that plant; and as we will just fill up branches then,
20 and they'll become all operating reactors eventually, in the
21 absence of any w applications.

22 In this area we've, we've left a operating reactors
23 evaluation branch, which was really a swap team -- it's a
24 small group of technical experts that can be called upon on a
25 crash basis by the operating organization when something

1 happens and they need someone to respond in a rapid manner --
2 we're not going to let this branch build up to a competing
3 technical discipline and we're going to rotate people into and
4 out of it, but need a access to technical people on a rapid
5 notice for operating problems.

6 We also have the SEP function split into two groups
7 here. All the SEP plants are in this operating branch number
8 five. And the technical reviewers who are looking at those
9 SEP plants -- are in this group.

10 And we've left the emergency planning branch down
11 here too, until we can finalize some memorandum of understand-
12 ing with FEMA and see exactly where FEMA is going. You may
13 eventually move this emergency planning branch somewhere else
14 in the organization, but at the moment it's been run by this
15 assistant director, Brian Grimes; and I've left it here so
16 Brian can continue to supervise it till it straightens out.

17 So that, that just gives you a quick overview of, of
18 the organization; and it will probably be put in place within
19 the next couple of weeks when all the paperwork --

20 CHAIRMAN ETHERINGTON: Do you have handouts of those
21 Harold?

22 MR. DENTON: Yes, I do; and we'll be happy to
23 provide them.

24 CHAIRMAN ETHERINGTON: Good. And have you plans
25 for briefing the full committee?

1 MR. DENTON: I'd like to, at the next opportunity
2 that's available. Gary tells me it's been set for Thursday.

3 All right. Well, thank you for the opportunity.

4 (Brief discussion.)

5 CHAIRMAN ETHERINGTON: The Subcommittee will go into
6 executive session, and this will not be recorded.

7 (Executive session.)

8 CHAIRMAN ETHERINGTON: Will you start off then,
9 Roger?

10 DR. MATTSON: I have three things I want to talk
11 about as an introductory matter -- probably going to take most
12 of the next hour.

13 First, the Staff response to the ACRS letter of
14 March 11th, concerning the NTOL list.

15 Second, our development of a response to the Atomic
16 Industrial Forum's report on priorities and resources.

17 And third, a summary of how we're doing in this
18 balancing of resources for the action plan versus the other
19 safety activities of NRC.

20 To do this, you can see I have an enormous pile of
21 paper, several piles of paper, in front of me, your bedtime
22 reading in the greater Bethesda area will be long tonight.

23 I'm going to start by handing you a draft copy of a
24 memorandum from the executive director to the chairman of NRC.
25 We hope this letter's being signed just about right now across

1 the street, and later this morning we'll give you copies of the
2 final version. We got cornered by a VYDEC machine yesterday,
3 and it didn't quite get signed.

4 I'm going to give you an unsigned version that we
5 think is -- I haven't made a whole lot of copies to hand out
6 in the audience on the possibility that there are last-minute
7 changes: but it will suffice to lead a, lead us through a
8 conversation.

9 What I want to do is spend 10 minutes or so just
10 leafing through this 10-page item-by-item Staff response to
11 the March 11th ACRS letter on the NTOL list.

12 First, by way of summary remarks, let me say that
13 there were two kinds of comments in the ACRS letter from our
14 perspective. One kind is a set of comments, both in that
15 letter and in the letter on the Bulletins and Orders Task
16 Force meeting that you had last month, which in essence
17 said, There are some things that concern the Committee. Slow
18 down a little bit. And I'll talk about those in more detail.

19 There was another kind of comment we heard from you,
20 which was, We don't mean to add this to the NTOL list, but
21 here are some things you ought to do a little differently or
22 some things you ought to add to the plan that may relate to
23 items on the NTOL list that are more for consideration on a
24 time schedule not associated with the start-up of new plants.

25 We found no comments that would cause us to add or

1 subtract items from the NTOL list. Now, it may be that you
2 intended a few of them to do that -- and that's the reason for
3 putting this response in front of you here today, so that we
4 have an opportunity for you to see it, consider it this evening,
5 or the remainder of the day, and maybe tomorrow we could take
6 it up in more detail if there are difficulties in this response.

7 We don't think that the NTOL list changes as a result
8 of your comments in the March 11th letter. And this letter
9 says why.

10 Let me summarize them quickly. Starting on page 1,
11 your first two comments concern the evaluation of organization
12 and management improvements. This business of NRC doing some
13 kind of preliminary ad hoc review of management and technical
14 qualifications of new licensees before the plants go into
15 operation.

16 And in comment number one, you say that you think
17 that this must not apply to utility management; it must apply
18 only to plant management. That's, that's an error; we do
19 intend this review to be not only a plant management, but also
20 utility management, the difference being home office versus
21 field office. We mean to include both, and the way they inter-
22 act and support one another in operations decisions.

23 And you go on to say that we need to take time and
24 learn in developing these criteria, and that the criteria may
25 be made as clear as possible; and you see no basis for applying

1 them to new plants, unless it's the first plant of a given
2 utility. Instead, your priority would be to apply them to all
3 operating reactors.

4 We agree that it's important to get on with applying
5 these kinds of criteria to all operating reactors. We agree
6 that one must not move too quickly. think we acknowledged
7 to you last month that we felt we were in an area where there
8 were some learning experience to occur.

9 But I think you have to recognize that we've been
10 looking at licensee, management, and technical qualifications,
11 albeit never before as closely as we intend to look in the
12 future. We view new licensees as -- whether it's a first
13 plant or a second plant -- as taking on a substantial new
14 responsibility, going through a trial or debugging period
15 that's associated with any reactor start-up, and providing an
16 opportunity when we still have their intent, attention in the
17 licensing process to make creative contributions to this
18 learning experience, this learning together as to how we ought
19 to improve management and technical support capability.

20 So with the understanding that we're using draft
21 criteria in a, in a fairly flexible, not yet rigid manner,
22 that is still on a learning curve in this area, we disagree
23 with the Committee's comments on this item insofar as the NTOL
24 list is concerned; that is, we disagree if your intent was to
25 tell us to take it off the list.

1 If your intent was to tell us, Leave it on this list,
2 it's reasonable, but be careful -- we agree with you.

3 So we're not sure exactly what you intended, but it
4 appeared you may be trying to say, Take it off the list. In
5 that sense, we don't agree with you.

6 DR. ZUDANS: How is that different from what you
7 used to do?

8 DR. MATTSON: Well, what we used to do was dominated
9 more by financial considerations than by, by trying to --
10 that is, determining that the utility was financially quali-
11 fied to be able to hire the right people.

12 DR. ZUDANS: More than that, I mean, making --

13 DR. MATTSON: Much, much more than that.

14 DR. ZUDANS: Before -- you tested, for example, what
15 nuclear background they have -- and personnel by person by
16 person, division by division.

17 DR. MATTSON: I don't think we paid that much
18 attention to it, but I'll let Don Skoholt try -- be a little
19 more specific.

20 MR. SCOHOLT: We did do the type of thing this
21 gentleman is describing, but we very much limited our attention
22 to the outside organization.

23 Now, we're looking at the corporate capability as a
24 whole. And certainly in an emergency response situation, the
25 offside components of the company become very, very important.

1 DR. ZUDANS: Well, I guess it might vary from plant
2 to plant, but the ones I sat in -- you looked at the corporate
3 capabilities, although you made a very specific issue as to
4 whom these groups would report to and how independent they are
5 and whatnot. It was pretty deep.

6 . MATTSON: Which, which plant?

7 DR. ZUDANS: Well, many of them.

8 MR. SKOHOLT: We did make some judgments about were
9 there clear lines of authority indicated in corporate
10 organization, but we did almost nothing about trying to assess
11 the capabilities of the people --

12 DR. ZUDANS: Are you going to review the resumes of
13 people in this context?

14 DR. MATTSON: I believe the on-site teams are looking
15 at the people that are filling the slots in the --

16 MR. SIESS: What are your criteria?

17 DR. MATTSON: Yes. We gave you a copy of them, I
18 think, at the last Subcommittee meeting. They have been made
19 publicly available. If you'd like a set --

20 MR. SIESS: This is the kind of thing that says a
21 B.S. degree in engineering, physical science, and three years'
22 experience? Is that a criterion that has no meaning? Whether
23 the degrees --

24 MR. SKOHOLT: That's the type of thing that you have
25 been using; there's a document entitled Technical -- Criteria

1 for Evaluation of Technical Competence, and 16 copies were
2 forwarded to the Committee by Mr. Denton about -- weeks ago.

3 MR. SKOHOLT: That type of thing is in it, but it's
4 not limited to that type of thing.

5 MR. SIESS: What was your standard for that? Did
6 you look at some utility that you thought was real good and
7 said, "Now, everybody should be this good." Did you look at
8 TVA, which has a big back-up organization and never had any
9 problem and said, "Gee, this is the way to do it"?

10 DR. MATTSON: We've got one person who's associated
11 with this part of the program here today right now, Don.

12 We've got, I think, Dominic Vassallo, who's the new
13 branch chief in charge of this business, coming down a little
14 bit later.

15 While Don and you could probably engage in a very
16 useful conversation on this particular subject, I think you
17 might get more of it when we get to chapter 1 at 10
18 o'clock.

19 MR. SIESS: I don't want to get too much -- I'm
20 mainly interested in what kind of criteria, because it seems
21 to me we're getting to the point where we're telling the
22 utilities what to do and how to do it. This prescriptiveness
23 that the ACRS has commented on in the past -- but not only
24 what to do and how to do it, but who to do it with.

25 And I just wonder on what basis we have the knowledge

1 to be that prescriptive in our, in our requirements.

2 DR. MATTSON: Well --

3 MR. SIESS: And so I'm interested in the bases, the
4 criteria of what was the pattern. I don't see how anybody can
5 go in on an absolute basis and judge anybody's organization.

6 DR. MATTSON: I think that's what we're trying to
7 say to you. We think it's very difficult also, and that isn't
8 what we're trying to do in these near-term OLs. It's that kind
9 of thing that we're learning, in applying these criteria to the
10 near-term OLs.

11 And when criteria firm up, having had that learning
12 experience over the course of the next few months, as we say
13 in response to your comment number two, we'll bring those
14 criteria to the Committee for a formal review with you.

15 MR. SIESS: Okay. That's enough.

16 DR. MATTSON: Comment number three was this question
17 of whether the N-triple-S vendor review of procedures ought to
18 be supplemented by an architect-engineer review of procedures.
19 Jesse Ebersole was the origin of this comment, that the number
20 of people on the Committee supported.

21 As we said before, it's a close call, whether you go
22 with or without the architect-engineer, our judgment continues
23 to be that the N-triple-S supplier is more important. Our
24 judgment also continues to be that we're using a very large
25 number of resources, professional engineers, in implementing

1 these near terminal held requirements in the other short
2 term lessons learned on operating plants and that the
3 return on the investment of more architect-engineering
4 time in the review of these procedures is in our judgement
5 not likely to be high in on a close judgement call we tend
6 not to agree with the ACRS and the architect-engineer at
7 this time. We say we keep our minds open. We'll look at
8 these first few NTOL's and if it appears that more could
9 have been done if we involved the architect-engineer then
10 when we go through procedure reviews more generally -
11 procedures revisions more generally, as the action plan
12 says we will in another year or two, then we will involve
13 other people.

14 MR. ETHERINGTON, CHAIRMAN: Do you considering a
15 review by the AE's a major thing? It seems to me if you
16 send the procedures to the AE's for comment this is some-
17 thing that doesn't involve anybody in a great deal of work

18 MR. MATTSON: I think that we understand it much
19 differently than that, Mr. Chairman. The stack of
20 emergency procedures is that high. There in excruciating
21 detail of this valve and that valve of this poke and that
22 poke; this switch and that switch and so. And to do the
23 job correctly does require a large expenditure of resources.
24 We are requiring the job to be done correctly by the NSS
25

1 vendor to go through and detail those emergency procedures .
2 We choose not to require another entity to do the same thing.

3 MR. SIESS: Now, that assumes that the NSS vendor
4 knows the plant and all of the differences that have been
5 introduced to balance the plant, right?

6 MR. MATTSON: Well,

7 MR. SIESS: I mean, he doesn't deal just with his
8 portion of the plant.

9 MR. MATTSON: He has to see how the overall plant
10 design once intergrated and thought about and analyzed
11 feeds back on his more immediate concerns, which is the
12 protection of the core, and the primary system that the
13 NSS vendor supplies.

14 MR. SIESS: The significant differences between
15 Davis Besse and Crystal River in many respects - were
16 those balance differences or were all those NSS differences?

17 MR. MATTSON: Most of those were probably
18 balance and plant differences. In the system we have pro-
19 posed, the utility would be responsible for assimilating
20 and putting those things in the emergency procedures
21 correctly. The NSS vendor would review of procedure would
22 be a double check that when all of those things have come
23 together taking into consideration the balance of plant
24 they did so correctly to protect the core, and the primary
25

1 cooling system the way the vendor of those primary components
2 intended.

3 MR. SIESS: And the utility in effect then, if
4 they are not knowledgeable enough, they will probably call
5 on the AE to help them on balance of plant items.

6 MR. MATTSON: Well, it is our experience that the
7 AE usually helps write the procedures with the utility.
8 That the AE generally designs the control room and develops
9 procedures and those kinds of things in support of the
10 utilities. So that the AE would have been through the
11 procedure development process. The over-lay of the NSSS
12 vendor review is more of a double check. The whole we
13 found when we looked at this business after Three Mile
14 Island is that there were things that could have been
15 found by the primary system vendor if he had only been
16 asked and some utilities had not been asking. Whereas
17 the architect-engineer was more generally involved in the
18 development of the procedures.
19

20 MR. ZUDANS: I was going to ask some of the same
21 questions -- so your decision here is based on the fact
22 that the procedures are developed already by AE and the
23 utility -- they should be accounting for everything that
24 NSSS specifies and this action is only a stamp of approval
25 from the NSSS side.

1 MR. MATTSON: This is closing the loop. It gives
2 NSSS vendor a chance to see how those people have done their
3 work -- sort of a fresh prospective after the process is
4 done. How did it all come together?

5 MR. ZUDANS: Well, I think that's O.K.

6 MR. LIPINSKI: One thing that bothers me is the
7 assumption that the AE's right to procedures is true in all
8 cases.

9 MR. MATTSON: Well, it may not be true. You know,
10 in addition to the NSSS vendor review, we've got the NRC
11 staff review of selected emergency procedures where we call
12 in the vendor the AE and the utility and we sit them down
13 at a table and we say how did you develop your procedures?
14 What were the steps you went through? Who checked? Who
15 double checked, so on and so forth? How did you use them
16 in training? How did you use them at the assimulator?
17 How did you use them at the plan? Now let's go to the
18 simulator and apply a few of them--let's go to plant apply
19 a few of them -- and walks through. And then the staff
20 sits down and says to the applicant for the near term OL
21 this is what we found in conducting that kind of spot-check
22 of the process you use. That's why we have a double-check
23 you see, if we made a mistack in not involving the architect-
24 engineer, the staff review will find that out. The require-

1 ment we are talking about here whether we carte blanc
2 say for every near terminal OL you'll do not only a
3 NSSS vendor review but also a full architect-engineer
4 re-review of emergency procedures. And we think that the
5 payoff for that expenditure resource is not high. We would
6 rather use the architect-engineer manpower on some of these
7 other near term OL requirements.

8 CHAIRMAN ETHERINTON: But isn't it true that in
9 the past niether the AE or NSSS vendor wrote the procedures.
10 It's the utility that wrote the procedures on guidance from
11 their contractors isn't that right? Mostly?

12 MR. MATTSON: If I understand it, it was a case
13 where it was very seldom that the NSSS vendor was involved
14 with the writing or even the checking of the procedures.
15 More often the architect-engineer helped the utility
16 prepare the procedures.

17 CHAIRMAN ETHERINGTON: But didn't review the
18 procedures after they were written, right?

19 MR. MATTSON: There are some utilities but I
20 don't think are in the majority, who in the past did
21 QAing of procedures--double-checked that they worked
22 correctly by asking people to come in, look at the inte-
23 grated package and double-check. Some of them even
24 involving some review by NSSS supplier. What we want to
25

1 do is raise the standard of quality assurances and double-
2 checking improvement of procedures in light of things
3 that we learned about procedures at Three Mile Island.

4 CHAIRMAN ETHERINGTON: As you say some of them
5 did get an AE check of their procedures and others did not.
6 Wouldn't it improve the process -- upgrade the process to
7 have those that didn't go back to their AE's and have them
8 reviewed?

9 MR. MATTSON: You mean the operating plants.

10 CHAIRMAN ETHERINGTON: Yes

11 MR. MATTSON: Our judgement for the operating
12 plants has been that we've changed a number of procedures
13 in operating reactors already. The small break local
14 procedures we're looking generally at at Core uncover
15 whether it comes from small locker or whatever and then
16 in a third phase of analysis over the next year or so
17 the complex transients and accidents other than small
18 break lockers of core uncover. That we'll see quite a
19 bit of scrubbing and re-reveiw of utility procedures.
20 Recall that in that process you do a new analysis the
21 vendor develops new guidelines the utilities writes nw
22 new procedures -- they are reveiwd by the utility and
23 its suppliers and the staff before they are incorporated
24 people are trained against them and so on. Down the road,
25

1 after some studies that are in the plan are completed, and
2 after control rooms are backfed it is our intent that
3 emergency procedures may change significantly in their
4 character. That we may be moving to day of more symptom
5 oriented proecedures using safety monitor consoles and
6 control rooms with different kinds of training, different
7 kinds of displays of data and we may cause all operating
8 plants to revise the format and fundamental character of
9 emergency procedures. What we are afraid of is doing it
10 so many times, that all we are doing is changing procedures
11 in these plants and nobody remembers what he is supposed to
12 be doing from one year to the next. That's our basic logic
13 for not requiring the same things of operating reactors
14 that we are requiring of near term OL's
15
16
17
18
19
20
21
22
23
24
25

1 MR. SIESS: In the present system that the human
2 factors people get involved, I know the utilities think
3 they're doing that because they've had experience, and
4 they probably use their people. You've got a perfectly
5 good procedure, but if the person can't understand it or
6 can't follow it, or doesn't go to the right one -- is
7 that being done now at any stage, or is it proposed that
8 it be done at any stage?

9 DR. MATTSON: It's proposed that it be done in
10 this more thorough going fundamental change of procedures
11 over the long-term. There is no requirement plan that
12 the utilities about to start up the plant engage human
13 factors experts.

14 MR. SIESS: And in effect, you don't think it
15 has been done?

16 DR. MATTSON: No, it has not been done.

17 MR. SIESS: And so if you're going to do it,
18 you've got to factor it in a little more slowly. I agree
19 to that.

20 DR. MATTSON: Well, one thing -- the human
21 factors experts are generally not reactor experts, and
22 the reactor experts are generally not human factors
23 experts. And there's a time required for the meshing
24 of these. And to just arbitrarily shove them into the
25

1 control room today and tell them to do the right thing --
2 I don't think you'd have any guarantee that the changes
3 they'd make would be the right changes. I think the changes
4 will be made as necessary, assuming there are control room
5 design and procedure reviews on these plants. And there
6 are some that we're requiring to be made.

7 Or a simple QA mistake -- people mislabel gauges.
8 Procedures call for a man who stands there and make a
9 decision when the gauge he needed is part of that decision
10 was across the room behind the panel. Those kinds of things
11 that when you think through the use of a procedure in a
12 real accident situation -- that is, you believe in it.
13 And you do walk-throughs that you find --

14 MR. SIESS: Well, the kind of thing that bothers
15 me is the man that executes the procedure perfectly, but
16 it's the wrong procedure for what happened, and is there
17 some systematic review that looks through and says --
18 now, here are two procedures that are almost identical to
19 deal with different circumstances or that they are identical
20 to deal -- or do they develop them one-by-one till they
21 get that stack, and nobody checks to see if there are
22 duplications, completeness, any hierarchy.

23 DR. MATTSON: That's the reason for the long-term
24 program to come for systematically at how procedures are

2/3

1 written. Sort of independent of how you got here, here are
2 the symptoms of what you have. This is what they mean,
3 and here is a hierarchy of possibilities for getting out
4 of this.

5 MR. SIESS: You want uniqueness. You want com-
6 pleteness. You want certain logical things satisfied,
7 and I just wonder if anybody has ever done it.

8 DR. ZUDANS: For the symptom-oriented type of
9 procedures, that means you go in the direction of it.

10 MR. SIESS: Yeah. Well, they can go all
11 directions. That's the trouble. Do they go the right
12 direction?

13 DR. ZUDANS: Well, if it's this size -- if
14 it's this size, I don't know how the poor guy and
15 the operators locate the right procedure. But that's a
16 aside from the point. That's his problem.

17 DR. MATTSON: That's precisely the point of why
18 over the long term we think they probably need fundamental
19 revision in parallel and consistent with revisions to the
20 control rooms, revisions to their training, revisions to
21 their qualifications. They all need to mesh.

22 MR. LIPINSKI: How do you visualize that the NSSS
23 will implement his assignment?

24 DR. MATTSON: How do you?

2/4

1 MR. LIPINSKI: Well, yes. He's going to need
2 specific information and the balance of plant as built.
3 So is he going to be provided with as-built drawings;
4 walk through the plant. How does he go through this
5 assignment? He doesn't have the information in his own
6 offices. He has to get it from the architect engineer.

7 DR. ZUDANS: Well, I mean that's interface
8 information. That's all.

9 DR. MATTSON: Well, he doesn't have the
10 complete balance of plans.

11 MR. SEISS: Anybody who's been involved in the
12 reviewing what the builder at Sequoyah or North Anna --
13 Larry, you weren't involved in that -- were you?

14 MR. CROCKER: I was not.

15 DR. MATTSON: I don't know the answer to your
16 question. We are supposed to have the procedures people
17 come in at ten that were involved in Sequoyah start-up
18 and North Anna review that's going on now. Let me see
19 if I can get the answers.

20 MR. LIPINSKI: Well, the case in hand -- even
21 in TMI-2 did not have complete as-built information at
22 the plant.

23 DR. MATTSON: Well, I doubt that the NSSS vendor
24 review that is being done is a component by component,
25

2/5

1 switch by switch, step by step and so on. It's more, if
2 I understand what they're doing -- are the symptoms stated
3 correctly? Does this procedure comprehend the kind of
4 phenomenology that would be experienced, and the kinds of
5 implications of that phenomenology that would be manifested
6 in the control room from a sort of overall nuclear engineer-
7 ing, reactor-response point of view.

8 MR. LIPINSKI: But a complete review would have
9 to be done based on the assurance that if I perform a
10 function in closing a specific valve that that procedure
11 identify the proper valve and not get mixed in somewhere
12 where it may be some related function, not the specific
13 function.
14

15 DR. MATTSON: There is a distinction between
16 a 100 percent audit or a complete review of work and
17 procedures on one hand and an overall review of various
18 kinds of transients and accidents treated by procedures
19 to see that they have the right symptoms; that they'll
20 take the operator from the indications he has on the
21 console to an understanding of the accident; to the
22 right kind of a remedy.

23 I think it's more the latter kind of review than
24 the former, but let us try to get some people down here
25 who have been involved in Sequoyah to see how it worked

2/6

1 on that first plant and see if that is their understanding
2 also.

3 MR. LIPINSKI: Without the 100 percent audit,
4 you don't find out till the transient is in effect that
5 you do not have the proper procedure.

6 DR. MATTSON: Well, you do and you don't. You
7 know you can use them in drills. You can use them in
8 simulators.

9 MR. LIPINSKI: But the drill is never done under
10 accident conditions. You can do a walk-through, but the
11 plant variables are not responding during that walk
12 through.

13 DR. MATTSON: Well, it's my understanding that
14 the requirement is not 100 percent complete redo of the
15 procedures to ascertain that every detail has been correctly
16 handled. We can find out -- verify that that's the case.
17 I would argue that that needn't be done. You seem to be
18 proposing that it should be done. And that's a difference
19 of opinion.

20
21 CHAIRMAN ETHERINGTON: It seems to me, Roger,
22 that your disagreement should be based on assurance of
23 adequate participation of the AE in the original formula-
24 tion of the procedures. And I don't know that we have
25 that assurance in all cases.

2/7

1 DR. MATTSON: It seems to be the hole in the logic
2 that -- it seems to be the hole in the logic as it
3 is developed here this morning.

4 DR. ZUDANS: It would be necessary for AE to be
5 part of the procedures in order to accept this independent
6 check by operators who are not involved in AE.

7 DR. MATHIS : Well, I think you'll find from
8 experience that most of the AE -- when they have been
9 in ATP with the utility, acceptance test procedure, are
10 going to go through a system. And the procedure is going
11 to be written that says, okay, we'll test the procedure
12 this way. And this is the way it should react.

13 Now, do they go beyond that in a procedure that
14 ties that system to other systems for integration? I
15 would kind of doubt it. I know they go through the first
16 part and quite thoroughly, but it's a system by system.
17 And how this might tie back to the NSS, that's something
18 else.

19 Of course, there's one other problem here,
20 and that is that we talk about emergency procedures. If
21 there is a transient in the plant, the operator is going
22 to react, and he's not going to thumb through a book
23 until he's taken some action. Then, he's going to go
24 back --
25

2/8

1 DR. MATTSON: There is a period of trained re-
2 sponse.

3 MR. MATHIS: Then he's going to go back and then
4 he's going to use the procedure as a check list basically.
5 And if these things are being written with that kind of
6 symptomatic reaction checklist approach, then I think we're
7 making some progress. I don't know the answer to that
8 though.

9 DR. MATTSON: Well, I think the procedures usually
10 contain a step-by-step description of that instinctive
11 trained response period because that's the place where
12 the operator goes in his training and first learns what
13 his prompt response should be. Not so much a matter
14 that he's going to go run and look that up in the first
15 ten seconds of the transient, but that's what he's going
16 to learn in order to pass his exam or run the simulator
17 or whatever. Don, is that basically a correct under-
18 standing?

19 MR. SCHOFIELD: Yeah. That's traditionally
20 emergency procedures, and this is really consistent with
21 the industry's handling of the subject. Have a section
22 called "Immediate Action Steps" and "Subsequent Actions."

23 And the immediate action steps are to be
24 memorized by the operators for the highly safety
25

1 significant kinds of emergencies. They are not to run and
2 look things up. The immediate action steps are supposed
3 to be instinctive. When you get past that, then the
4 paths of action, the desirable action, might diverge
5 depending on the specific circumstances.

6 And at that point, the individual can refer to
7 the procedures and get assistance in diagnosing what to
8 do next.

9 MR. SIESS: Yeah. But the first step is diagnosis.
10 He doesn't know what procedure to go to or what immediate
11 actions to take unless he diagnosed the problem right.
12 And that's the thing that bothers me. It's a thing we've
13 seen happen.

14 If he makes the wrong diagnosis, it's not going
15 to help to give all the wrong medication. You can kill
16 the patient. So first he's got to have the diagnosis.
17 And this gets back into control room design, the systems
18 panel and all of this stuff.

19 But I don't -- if you know what the scenario
20 is, you can write the perfect procedure. But unless the
21 man goes to that procedure, makes the correct diagnosis,
22 we can all be in trouble. So don't leave diagnosis down
23 the line and somewhere after immediate action. The
24 diagnosis may have to be intuitive. Or it may have to
25

2/10

1 be trained into him to where he doesn't have to look up
2 a series of symptoms.

3 DR. MATTSON: You start out with line by line
4 review of procedures, and we've gotten to where the people
5 in the control room are trained to diagnose transients.

6 MR. SEISS: I never did get to the line by line.
7 I got -- that's back to procedures, and how do you get to
8 the right one. I'm assuming somebody knows how to write
9 procedures. I want to know how the operator does the
10 right thing.

11 I mean the paper doesn't help the planner a
12 darn bit. It's the operator that does.

13 DR. MATTSON: And that's more involved with
14 training and qualifications and information availability
15 kinds of things than it is with the review of --
16

17 MR. SEISS: And integrating them all. That's
18 the difficult part.

19 DR. ZUDANS: Well, the procedures are based on
20 assumption that you do know the symptom. Now, you've
21 got the symptom, and what happens?

22 MR. LIPINSKI: North Anna Two had an abnormal
23 pressurizer behavior procedure. The immediate action
24 is close the block valve, but they concluded that that
25 procedure didn't apply.

2/11

1 DR. MATTSON: If you get back to procedures, I
2 think what we're -- what we tried to say is we wouldn't
3 involve the architect engineer on these near term OL's.
4 We would involve the NSSS vendor. And part of the reason
5 is because the architect engineer or the architect
6 engineer in portion of the utility -- something like TVA
7 or Duke or other electric power -- is involved in the
8 writing of the procedures originally.

9 DR. ZUDANS: Well, wouldn't you want to make
10 sure that in every single case the AE is involved in
11 procedure writing?

12 DR. MATTSON: That might be a decent compromise
13 between the two positions.

14 DR. ZUDANS: It has to be that because who
15 is going to be able to handle the systems interactions.

16 DR. MATTSON: You could say that NSSS vendor
17 would be required to conduct this review of procedures
18 unless the architect engineer had not been involved in
19 the writing of the procedures originally, in which case
20 both the NSSS vendor and the architect engineer were
21 required.

22 DR. ZUDANS: No. You don't have to make that
23 complicated. You can say simply that the procedures for
24 operating have to be written with the participation of
25

2/12

1 of all the elements. That the engineer supplies procedure
2 guidelines. They don't -- until now that's all they need
3 to ask. I assume they did not review the procedure
4 that is enumerated on that.

5 Now, if you leave it at that, the engineer
6 supplies his guidelines. The AE supplies its guidelines.
7 And the utility with or without AE writes the procedure.

8 DR. MATTSON: Now you're confusing the short-
9 term -- near term OL requirement -- if we're trying to
10 summarize here -- and the longer term how do you write
11 the procedures better in the future. We're going to get
12 to later when we've gotten through Chapter One.

13 DR. ZUDANS: Of course, I did make that
14 distinction. I didn't make that distinction.

15 DR. MATTSON: I think we've reached the point
16 of diminishing returns on this .

17 CHAIRMAN ETHERINGTON: Yes. Excepting I'd like
18 to know where we're going from here. Is the purpose of
19 this discussion to try to get the committee to change its
20 views or --

21 DR. MATTSON: No. It's to try to give you a
22 flavor of how we responded to your last letter before we
23 go about the tasks of developing your next letter.
24

25 CHAIRMAN ETHERINGTON: And where does that leave

2/13

us? You go ahead on your own views, or --

DR. MATTSON: No. The Commission will have to resolve that.

CHAIRMAN ETHERINGTON: Will have to resolve that.

DR. MATTSON: Yes.

CHAIRMAN ETHERINGTON: And if there were a middle ground, this would be a useful resolution?

DR. MATTSON: Yes. If there is a middle ground I think it would be useful for us to try to propose it to the Commission as they go about considering this letter.

CHAIRMAN ETHERINGTON: Of course, we're now commenting on a committee letter as a sub-committee. Do you have any comment on that?

MR. SEISS: Not to do with writing it.

CHAIRMAN ETHERINGTON: No. But do you think the middle ground would be useful to explore?

MR. SEISS: I think we need to look at the response in a little more detail, and have had time to -- I don't think we're that far different.

CHAIRMAN ETHERINGTON: No, I think not.

MR. SEISS: As to what is in the near term.

DR. ZUDANS: I'll accept for the fact that we have known that the procedures already should have been written by now.

2/14

1 CHAIRMAN ETHERINGTON: Well, perhaps we should
2 go through this rather quickly -- the rest of this.

3 DR. MATTSON: We're talking review now.

4 DR. ZUDANS: Okay. That means that all I
5 personally would be concerned with is making sure that
6 they have their finger in it. That's the extent of it.
7 Because he's the only one that knows the rest of the
8 systems. In fact, you know --

9 CHAIRMAN ETHERINGTON: I think this is the major
10 thinking -- an adequate finger, a whole hand --

11 MR. SIESS: I guess I don't put it that way.
12 If I wanted to state what I think is a minimum, I'd want
13 to say that whoever reviews the procedures have detailed
14 familiarity with the balance of plant as well as with
15 the NSSS.

16 Now, I don't care whether it's the NSSS vendor
17 or the utility or the AE that's reviewing it --

18 DR. ZUDANS: I agree with that statement.

19 MR. SIESS: But he has to have the whole picture,
20 and he can't have it in general.

21 CHAIRMAN ETHERINGTON: Well, you might say the
22 utilities --

23 MR. SIESS: If it gets down to turn valve 2V3
24 well, you darn well better know what valve 2V3 is and
25

1 whether there's another valve right next door to it that
2 you'd want to paint a different color.

3 CHAIRMAN ETHERINGTON: Well, I think we probably
4 should move along rather rapidly on this, Roger.

5 DR. MATTSON: Well, I think we've talk d about
6 both three and four.

7 CHAIRMAN ETHERINGTON: Yes.

8 DR. MATTSON: Item Number Five is series of
9 comments "a" through "e" on some of the steps taken by
10 the Bulletins and Orders Task Force, or recommended by
11 the Bulletins and Orders Task Force.

12 We agree with your comments on some of them;
13 disagree on others. Let me summarize them quickly. For
14 the criteria for early reactor coolant proposal, we
15 agree that that should use some further study. We're
16 going to revise Table C-3 to say finish the study;
17 then decide whether to implement an automatic pump trip
18 and put off the implementation for a period of one year.

19 In the meantime, of course, the current criteria
20 for manual pump trip will continue to apply unless there
21 is shown by the analysis between now and the end of this
22 year to be in error.

23 And the second point: the criteria for high
24 pressure system injection termination -- we think that
25

2/16

1 we've done as much analysis as we're capable of doing.
2 We think that the NSSS vendor has done as much analysis
3 as they are capable of doing.

4 It is from those analyses that the current cri-
5 teria were developed. We don't know of anyone who says
6 those criteria aren't the best we can do today. We don't
7 propose to do anymore analysis at this point or to
8 change the criterion.

9 DR. ZUDANS: Is this the case where 50 degrees
10 of cooling was one of the items?

11 CHAIRMAN ETHERINGTON: Yes, it was.

12 DR. ZUDANS: I think it was Andy Bates that
13 thought you may not be able to achieve that unless you
14 throttle down the HPI injection. It's some PWR condition.
15 Have you received that memo?

16 CHAIRMAN ETHERINGTON: Well, I think that's an
17 internal memo. I think the committee would probably want
18 to review that before they released it.

19 DR. ZUDANS: Okay. That's my question. But
20 then the question still remains, and if that situation --

21 MR. SIESS: It's one we better look at.

22 CHAIRMAN ETHERINGTON: I think it's wrong.

23 MR. SIESS: We'll take a look at that one.

24 DR. MATTSON: Okay. The third point has to do
25

2/17

1 with the automatic isolation of the PORV. You said to
2 make sure if that's the right thing to do. We agreed
3 that it doesn't make much sense to do it the way Table
4 C-3 currently says. That is study it and implement it
5 simultaneously.

6 We've changed the implementation date so we
7 study it first, make a decision, then implement it.

8 MR. SIESS: Well "b" and "c" together can you
9 get into a problem, can't it?

10 DR. MATTSON: Yeah.

11 MR. SIESS: Like Crystal River.

12 DR. MATTSON: Yes. Item (d) concerning the
13 frequency of SCRAMS, we agree that the SCRAM frequency
14 in B & W plants has been increased by changes made since
15 Three Mile Island. It's close to and slightly in excess
16 of the SCRAM frequency for Westinghouse plants. Recognize
17 however it's based on a pretty limited data set.

18 But we are tracking it, keeping track of it as
19 we go along. You know we have another activity underway,
20 another Te Descho task force, if you will, looking at the
21 design sensitivity of B & W reactors. That is having learned
22 everything we've learned about B & W reactors including
23 the Crystal River experience, what more ought we to be
24 doing than what the actual plan says, if anything?

2/18

1 Mr. TeDescho his due to report to one or another
2 subcommittee of the ACRS this week or next, and the full
3 committee next week. We think that we have the SCRAM
4 frequency problem in hand. We don't think it's the safety
5 problem that your letter implies.

6 That is it hasn't become one yet although we'll
7 continue to watch it. Furthermore, we've told B & W
8 than when they feel they've got the PORV set point under
9 control -- that is the ICS interaction, control protection
10 engineer safety feature interaction question back in
11 hand, and they want to suggest revision of the PORV set
12 point we're open to those suggestions.

13 We feel that the ball is in their court on
14 revising the PORV set point and decreasing the number of
15 SCRAMS.

16 DR. ZUDANS: The current SCRAM rate as a result
17 of the change in section-- does it threaten to shorten
18 the life of the plant?

19 DR. MATTSON: No, it's within the design fre-
20 quency assumed in the original design of the plant. Some-
21 body said those numbers to me yesterday. I won't be
22 held to them. They are something like the following.

23 The design number is ten per year; the
24 Westinghouse number through the past four or five years
25

2/19

1 has been seven to eight SCRAMS a year; the CE slightly
2 lower than that; and B & W the lowest out of the four,
3 five, six range per year.

4 Changes made to B & W plants since Three Mile
5 Island put them up in the eight plus SCRAMS per year range,
6 but recognize that we've only measured that over an
7 effective period of less than a year at this point so
8 that's -- we'll have to keep watching it closely to make
9 sure that it isn't higher than what the numbers so far
10 say.

11 MR. MATHIS: But Roger, one of the big problems
12 we had with this is that if you go back to TMI, one of
13 the problems was that you had no good indication as to
14 whether or not the valve was open. Now, that supposedly
15 is being corrected.

16 DR. MATTSON: That will be fixed by the end of
17 this year.

18 MR. MATHIS: All right. And the second thing
19 is that if you've got a means and you know that you can
20 close the blocked valve so that you can isolate, you've
21 got to know that the valve is going to work -- if you
22 have those two things, then it seems to me, and this is
23 what we've discussed a lot, is that a set point can go
24 back to where it was to avoid SCRAMing the reactor as
25

2/20

1 often because SCRAMing a reactor is a very serious kind of
2 thing.

3 DR. MATTSON: There are a number of people who
4 agreed with that line of reasoning. There's a complicating
5 factor that's thrown into it, and that has to do with the
6 allowable, unreliability of the primary coolant boundary
7 and whether it's reasonable to allow a PORV that has a
8 failure rate significantly in excess of what we otherwise
9 thought the small break probability to be all of these
10 years, independent of whether it can be blocked or not.

11 And when you get into that other line of
12 reasoning that it becomes more complicated. What we're
13 saying at this point is we agreed with the line of reason-
14 ing that you're offering now. And that questions about
15 reliability and interaction have to be solved with the
16 integrated control system and the interaction between con-
17 trol and safety systems on the B & W plant generally,
18 in light of its sensitivity to upset the conditions in
19 the secondary plant before we want to move to the kind of
20 change that you're talking about.

21
22 But while those things are going on, we will
23 not move to automatically block the PORV. And we will
24 not change the set point until we've taken time to do those
25 studies and understand those complexities because the

1 SCRAM frequency that we're experiencing is okay. It's
2 higher, but it's still okay. We're carrying water on both
3 shoulders on this question. We probably will continue to
4 do that through the remainder of this year unless the
5 TeDescho study that's about to report says that there
6 are more far reaching changes to the operation of B & W
7 that ought to be considered.

8 MR. SIESS: But you want to be sure you don't
9 impose some procedures that guarantee the safety is going
10 to open. It seems to me that if you don't want the PORV
11 to open, there's a whole lot less you don't want the
12 safeties to open that you can't block.

13 DR. MATTSON: That's another complicating feature.

14 The last one -- the business of
15 sub-cooling meters versus the void meters, we think
16 sub-cooling meters are better because they tell you
17 what you're aiming at in addition to when you've gotten
18 there as opposed to void meters that really only tell you
19 when you've gotten there. And then on a sort of averaging
20 basis.

21 Remember we said we wanted to do some things
22 quickly to improve the understanding in the control room
23 of deteriorating conditions in the primary coolant system.
24 The best thing we could do with available instruments was
25

2/22

sub-cooling meter, and that's been done. The more difficult thing was the general indicator of inadequate core cooling or the vessel level indicator if that turns out to be the way in the primary coolant system.

Now, that may be a void meter. That may be a differential pressure meter. People are still discussing that question. We thought that we had an understanding with the committee that sub-cooling meters was the way to go in the short-term, and the vessel level indicator was the way to go in the long-term. I guess we were surprised by all of this talk about void meters at this point. I thought you understood what we were doing, and there wasn't any debate.

MR. CATTON: The saturation meter doesn't tell you anything about the condition of the core in particular.

MR. MATHIS: Well, the only thing that really you're interested in is keep the core covered. Keep the core cool.

DR. MATTSON: With cool water.

MR. CATTON: Because your saturation doesn't tell you that.

MR. MATHIS: Well, let it sometime be a boiling water reactor.

DR. MATTSON: Then you need a level sensor.

2/23

MR. SIESS: Yes, you do.

DR. MATTSON: Yes. I really don't want to argue the point with you. We've already discussed it. We've been through it for damn near a year now. Why can't we just agree that we've got a short-term thing, and that's sub-cooling meters. And we've got a long-term thing, and that's a level indicator.

DR. ZUDANS: It doesn't do any harm. That I would say. I was curious about other thing. Did you now -- many facilities provide dual scales and saturation listed, and the pressure guage at saturation temperature as a secondary scale of this same instrument? It wouldn't be the very perspective because then --

DR. MATTSON: Well, but that's why we have put a sub-cooling meter on so that they didn't have to carry --

DR. ZUDANS: Yeah. But a sub-cooling meter that interpolates to heat tables and temperatures. But if you have a temperature, a thermometer here, and a pressure guage here -- close to each other -- a dual scale on each of them. You'd have the same information.

DR. MATTSON: That's another possibility.

DR. ZUDANS: And it's very cheap because all you have to is paint another scale. I understood that McQuire had it. That somebody said something about that.

2/24

DR. MATTSON: I'm not familiar with those details.

You know -- we've said to these people we're going to modify control rooms. We're going to improve synthesis of information for operators, and make sure everything is in its place.

And there are a bunch of things in the action plan that do that. When they come to solving the details of specific instruments and specific process variables to try and communicate with an operator so he can make judgments, we'll make a number of choices we'll try and propose.

One that was very important -- people who viewed the accident, quickly -- or in the short-term record was that PWR operators apparently were not provided with sufficient information to make rapid decisions on the sub-cooling or the approach to saturation of the primary coolant system.

The sub-cooling meter was discussed at length, and the way to do that without upsetting a lot of other safety instrumentation; without significant modification in the control room and retraining, it was easy to tell people what it meant. Decisions were made by this hearing room; by NRR; by this committee to move ahead with something.

2/25

1 DR. ZUDANS: Now, I have no disagreement with
2 sub-cooling at all. I would only be very curious to
3 find out how many instruments have you here?

4 MR. SIESS: Good point.

5 CHAIRMAN ETHERINGTON: I think we should proceed
6 on to the next one.

7 DR. MATTSON: Okay. Item Number 6 is really a
8 collection of things. You said in the NG-OL letter refer
9 to our B & O letter so we referred to your B & O letter,
10 and 6(a), 6(b), 6(c), d, e, f -- all up to page six are
11 point by point response to the B & O letter.

12 6(a) is the reactor coolant pump trip high
13 pressure injection which we've already discussed. 6(b)
14 is feed and bleed and whether we're going to rely on
15 it. And if we're going to rely on it, ought we to test
16 it or analyze it more than we have in the past.

17 We agreed that we ought to add an item to the
18 action plan to give more deliberate further study to
19 the feed and bleed motor cooling.

20 We've already participated in a sub-committee
21 meeting on feed and bleed. We're prepared to look forward
22 with you to reason out what ought to be the right thing
23 to do with feed and bleed coolant. I think that's about
24 we can say on it at this point.
25

2/26

1 It is in the action -- it was in the action
2 before and as far as Davis Bese was concerned. This
3 response here says we will broaden it. Challengers to
4 PORV and B & W plant -- we've already discussed that.
5 And that's what this response says.

6 Potential unreviewed safety questions on auto-
7 matic initiation of all feed water systems. We recognize
8 that. The plan recognizes that. It's already in there
9 along with 2-E12. People with that problem have been
10 required to respond to that continuously on review safety
11 question.

12 6E -- business of small break analysis on
13 certain of these and conservatism and making the various
14 revisions and calculation methods and so forth mesh with
15 one another and have the right timing. A good point --
16 we think the plant already does it, and it reports how
17 we think it does it.

18 "F" says -- I guess the bottom line --
19 scheduled for implementation of the B & O recommendations
20 ought to be more flexible. It looks like it was too much
21 too fast in that.

22 The steering group had already reached that
23 conclusion before your March meeting and had changed
24 the implementation dates in Table C-3 by some considerable
25

2/27

1 amount relative to the dates recommended in the B & O
2 final reports. Further changes are being made as we look
3 at the relevant priorities and importance of these matters
4 and the resource exercise that we're going through now.

5 So there has been quite a lot of attention
6 paid to that problem. Item seven, control room habitability,
7 we agree with you. TMI said that the current requirements
8 may not be good enough. We want to take it in two bites.

9 The first bite is implement current requirements
10 on all plants. Then, in parallel, study whether changes
11 ought to be made to the plant requirements. And then
12 make a decision whether the fact that those changes --
13 and the reason we feel we can take the time that's given
14 in the action plan for the second bite is because one
15 of the short-term lessons learned has already required
16 all operating plants to go out and look at where radia-
17 tion could be present and restrict access of people
18 following an accident. That includes the control room.

19 And one of the short-term -- another of the
20 short-term lessons learned required them to have iodine
21 measurement or discrimination capability in the control
22 room so they knew when they had iodine instead of --
23 like they thought at Three Mile -- they had iodine. They
24 only had some gases.
25

2/28

1 We think that the plant as currently written
2 accommodates that ACRS comment. Number eight is one
3 we've already dealt with up above: dedicated containment
4 penetrations. This is the question of whether the
5 recombiner inlet ought to be at points where hydrogen
6 would naturally accumulate.

7 We choose not to address this point at this
8 time on the basis that the recombiners that are there
9 can't cope with large amounts of hydrogen generated
10 rapidly anyhow which is the only thing you're really
11 worried about accumulating because smaller amounts
12 generated more slowly are going to be distributed by
13 systems inside a containment so that the distribu-
14 tion is fairly uninform for the recombiner -- at the
15 recombiner.

16
17 MR. CATTON: How does this fit with the data
18 that's coming out of Catell. That says at 10 degrees,
19 C stratification can cause a great deal of hydrogen
20 concentration?

21 MR. MINNERS: Well, in a reactor, isn't
22 the gradient the proper way.

23 MR. CATTON: What gradient? What are you talking
24 about?

25 MR. MINNERS: Are you referring to the test?

2/29

MR. CATTON: Yeah.

MR. MINNERS: Well, I thought their problem was that when they brought a lot of cold water into the vessel, they kept -- to get the gradient -- the temperature gradient goes toward the vessel because they don't have any contained heater movements.

They're going to tend to get things in the reactor compartment as well. But there are containments when you have heat removal systems in the containments. You're going to get things going from the reactor out. And you're going to tend to get --

So if you don't have containment heat removal system -- you have -- it could be a problem where you would --

MR. CATTON: They don't have continued heat removal procedure.

MR. MINNERS: I don't believe they have safety grade --

MR. CATTON: I'm in no position to respond. I just heard that ten degrees C-stratification and containment environment led to a great deal of hydrogen concentration, and I didn't know whether that --

DR. MATTSON: Ten degree C-stratification with coolers going and all the things --

2/30

MR. MINNERS: You might want to bring that subject up tomorrow after -- on the emergency because we'll have some of the same people here --

MR. CATTON: I will. I would like to find out more about the test. I just heard about them yesterday.

MR. MINNERS: Talk to Bill Minstead. Maybe at lunchtime you could give him a call or something.

MR. CATTON: Will he be here tomorrow?

MR. MINNERS: I don't know.

DR. MATTSON: In any event, we propose that this is a subject that has to be looked at as we move to the question of design bases in excess of five percent metal water reaction. That turns out in the case -- there's a ruling on core melt accidents and put this matter in that context.

The role of NRC in emergency preparedness -- comment number 10 -- we think this issue has been closed and in accord the ACRS advice, and there's a second paper, 80-35 that Don -- you may want to hand to the committee if they no longer have a copy.

As we read your comments, inclosure of this issue in the action plan is consistent with your comment. We've taken some steps to followup on things that Dave pointed us to in the last meeting, and they

VM 3/31

VM

Tape 3/32 1

2 are summarized in this response. The 12th one has to do
3 with IREP and how much licensees would be involved in
4 the initial IREP, Integrated Reliability Evaluation Program,
5 analyses.

6 We've revised the plan; actually we didn't have
7 to do too much revision because it was intended to be with
8 this way. But we made it clear that in parallel with the
9 initial IREP program, the initial six plant study, we
10 will begin to meet with licensees and owner groups, or
11 the AIF, whatever it turns out to be the correct forum,
12 perhaps NSAC, to develop an approach for industry/licensee
13 involvement in these sorts of analysis.

14 We've already got one licensee to come in and
15 volunteer that he'd like to do one in lieu of a lot of
16 short-term lessons learned to prove that they are not
17 necessary for his unique, somewhat older design.

18 Other people in industry have expressed an in-
19 terest in getting involved. We'll work that in parallel
20 with the initial six-plant study which should yield
21 decision quicker in initiation of the studies in industry
22 sooner than the year that's currently estimated in the
23 action plan.

24 The next one said -- the next comment said we
25 ought to get licensees to study hydrogen control and

3/33

1 filter designs post-haste rather than waiting for some
2 kind of rule making to be concluded. Now, as it says in
3 the action plan, we're considering requiring in the
4 immediately effective portion of this two-step rule
5 making, requiring that licensees develop designs for
6 both hydrogen control measures and filtered bending.
7 That is conceptual designs for realistically evaluating
8 instability and such things.

9 We think that's responsive to your comment.
10 The next one you said, as you have said for some months,
11 that we take a broad perspective on the things that we
12 learned from Three Mile Island, and that we also be
13 careful not to interrupt work that was otherwise ongoing
14 and important to safety by things that have the appeal
15 of the Three Mile Island action class that might be
16 less safety significant. We think that's what this
17 research prioritizing is all about.

18 And having reached page ten from this document
19 I'm about ready to give you some other papers which show
20 you more about research prioritizing and how we're
21 addressing the implications of some of the things we've
22 had to defer or reprogram in order to do the more im-
23 portant Three Mile Island thing.

24 If you have any other comments on this letter

1 I'll confirm for you later today when it is signed, and
2 then I'll await your feedback as to whether you want to
3 discuss it more tomorrow in advance of the full committee
4 meeting next week when you may want to have some comment
5 on it.

6 CHAIRMAN ETHERINGTON: The next item on the
7 agenda is the staff response to AIF study.

8 DR. MATTSON: Yes.

9 CHAIRMAN ETHERINGTON: I would like to feed this
10 in as we go along in our review of Table 1. Is that all
11 right?

12 DR. MATTSON: All I want to do at this point,
13 Harold, is hand you a piece of paper which is a point by
14 point 20 page accounting of how we are responding to the
15 AIF comments either in Draft Three which has already
16 been published or further response in Draft Four which is
17 still under development. So this will give you at least
18 a picture current to today of how we responded to the
19 AIF stuff.

20 CHAIRMAN ETHERINGTON: All right.

21 DR. ZUDANS: Would that of necessity cover all
22 items in Table 1?

23 DR. MATTSON: No, the AIF addressed 51 action
24 items. There are 177 in the action plans. It does not
25

3/35

1 address all. I believe we have arranged here in numerical
2 order. Do we not? Yeah. These are all arranged in
3 numerical order so you should be able to follow along
4 as we go through the action plan.

5 CHAIRMAN ETHERINGTON: Good.

6 DR. MATTSON: Follow along with these comments.
7 And in the left-hand column we talk about how we agreed or
8 disagreed with the AIF on the description of the task.
9 In the middle column, we talk about how we agree or dis-
10 agree on the implementation of the action. And in the
11 third column, how we agree or disagree on the estimate of
12 the resources required to accomplish the task.

13 CHAIRMAN ETHERINGTON: All right. We'll hold
14 this as a reference then.

15 DR. MATTSON: Yes. I do not intend to bring it
16 out as we go through. You can eyeball it, and if you
17 read this and you find things that you don't understand
18 why we did one or another on it, you can bring it up
19 yourselves.

20
21 I want to interject one thing that's not on the
22 agenda. We had said the last couple of months there needs
23 to be some kind of understanding or policy on how items
24 in the action plant that are not contained in the near term
25 OL requirements list -- how those things will eventually

3/36

1 be implemented. We call this an implementation policy for
2 future requirements developed in accord with activities
3 described in the action plan.

4 For example, there are activities in there which
5 have not produced criteria yet, but which will produce
6 criteria in the next six months, in the next year or the
7 next two years: the control room design, procedures, further
8 upgrading of the qualifications of operators and so forth.

9 What I just handed you is a two-and-a-half page
10 proposed statement of implementation policy which the
11 steering group intends to include in the final draft of
12 the action plan.

13 And what this policy proposal boils down to the
14 is that because we have acted with some urgency in the
15 past year in the implementation of short-term requirements
16 flowing from Three Mile Island and now with some urgency
17 on the application of the near-term OL list for new reactors
18 that having acted in that way for the past year, we now
19 can afford to be a bit more deliberate with the implementa-
20 tion of future requirements.

21 Now, there's a parallel argument that says
22 having done all the things we've done in the past year,
23 we've used up a lot of the qualified resources and we
24 better slow down a little bit or we'll be causing changes
25

3/37

1 to occur without taking time to study them enough because
2 there are a lot of people busily engaged doing the things
3 we've already decided upon. That's another reason for
4 the kind of implementation policy that we have laid out
5 here.

6 It has four ingredients. I won't read them to
7 you. They start on the bottom of page two. We would like
8 you to take a look at this two-and-a-half pages, ask any
9 questions you may have in the course of the next two days,
10 and put it on your agenda for discussion with the full
11 committee next week because we'd like the committee's
12 advice on this implementation policy for future require-
13 ments coming out of the action plan and related to TMI,
14 not intended to be a replacement of the old RRRC ratchet
15 committee criteria for back fit of regulatory guides.
16

17 This isn't intended to be the Commission's
18 general back fit policy. It's intended to be an im-
19 plementation policy for those things in the TMI action
20 plan which come after the near term OL requirements.

21 That's another item if you have questions
22 over the next two days, I'll leave it up to you to bring
23 the questions to me at the close of today or tomorrow.
24 But we would like to see it on the full committee dis-
25 cussion next week, if we could.

1 CHAIRMAN ETHERINGTON: Many of these items will
2 be covered in Table 1, won't they? I mean you have a
3 schedule in Table 1 that is not NTOL -- only NTOL.

4 DR. MATTSON: That's right. Good point. If
5 this policy is eventually approved based on our argument
6 for it and your comments on it, and the Commission's
7 consideration of it, then it would govern the implementation
8 dates shown in Table 1 for all of those matters that are
9 not NTOL matters.

10 So insofar as it might disagree with those dates,
11 those dates would be changed. For example, if there is
12 a date there that says implemented a complete -- or
13 change out of all control rooms by 19 -- by June of 1980
14 -- I'll pick something that's obviously ludicrous, right?
15 This policy would say -- wait a minute -- that's a not on
16 the NTOL list. I have to select implementation deadlines
17 for such additional matters since I've already done the
18 short term things that buy me some time in a more leisurely
19 or deliberate manner so I can make sure I do them right,
20 and so that I reduce the cost. Therefore, increase the
21 value impact ratio of these additional changes.

22 And June 1980 is too soon for something of
23 that magnitude. I'll pick something that can be reasonably
24 accomplished, and without additional shut-downs and without
25

3/39

1 delay in start-up of new machines. So that's a good point,
2 Harold. Those interact with those dates in Table 1.

3 Okay. last thing I wanted to summarize --

4 MR. SIES: But the dates for the NTOL items
5 you consider history?

6 DR. MATTSON: Yes. History except that the
7 Commission has to consider this letter that we've just
8 reviewed summarizing how we reacted to your comments,
9 make some decision on the NTOL list, decide that it's
10 necessary and sufficient, and then the issue will have
11 been decided.

12 Okay. Resources. You referred to a letter that
13 we sent to the office director -- we, the steering group
14 of the action plan -- sent to the office director and
15 said please comment on Draft Three, give us your con-
16 currence or your changes you would suggest in order for
17 you to concur in Draft Three of the Action Plan; and
18 tell us how you would implement using the resources that
19 you command -- the highest priority things in the action
20 plan and what that requires you to reprogram that's in
21 your normal operating plan.

22 We discussed this with the sub-committee and
23 the full committee in March insofar as the reprogramming
24 necessary to accomplish only the near-term OL requirements.
25

3/40

1 Now, since then we've sent this letter -- you
2 have a copy -- and the offices have developed their
3 responses to that letter. Unfortunately, they are not
4 signed, sealed and delivered. We have them in draft,
5 however.

6 We have had them for several days. And the
7 document I'm handing to you now should be thought of in
8 a preliminary sense because the final concurrence of the
9 office director was not available, but I expect it's pretty
10 close.

11 The first couple pages are descriptions of the
12 keys that involved. I think you can skip over those.
13 And if you'll turn to the first tabular page, you'll find
14 an old friend. It's Table 1 with the far right-hand
15 column changed. The new columns indicate via "x" the
16 year in which the lead office -- that is NRR standards,
17 Inspection and Enforcement, whoever -- intends to initiate
18 action given resource restriction and the safety significance
19 of other things that have to be done with our resources.

20 So if you look -- thumb through the pages, you'll
21 see there are some things that begin in Fiscal Year '80.
22 Some things that begin in Fiscal Year '82. And very few
23 things that begin in Fiscal Year '81. The reason for
24 that, of course, is that there is so little time. This
25

3/41

happened a year left in '80. It's saying it starts in '80 or '81 is approximately the same thing. So a check in the first two columns means it starts sometimes in the next few months, if not already ongoing.

A check in the third column means it's been deferred, and it won't be started until sometime in or beyond Fiscal Year 1980. So what this document gives you, as go through the action plan, is an indication of whether, having considered the priority of each of these matters, and having considered the priority of other responsibilities, the office directors recommend that these actions should be started now or later.

Now, you'll find -- and you'll see it in the final responses from these office directors when they're available, and I hope we're going to be able to xerox most of them late this afternoon or early tomorrow and give them to you so that you have them to read before the full committee meeting.

DR. ZUDANS: The priority group three we should expect "x" in FY '82 --

DR. MATTSON: That's what I was about to say. You will find that the officers are concentrating their resources in '80 and '81 on the priority group one matters.

DR. ZUDANS: And they are priority three here

3/42

1 FY '80 --

2 DR. MATTSON: Let me say what I mean by that.
3 That means that NRR will be able to initiate action on
4 all priority group one matters in FY '80 or '81. On some
5 priority group two matters, they will initiate action in
6 '80 and '81. But by no means the majority.

7 And on practically no priority three matters
8 will work begin in Fiscal Year '80 or '81. Now, you're
9 looking and if you're finding some you may be finding a
10 mistake in the table because I read Mr. Denton's note
11 pretty closely.

12 DR. ZUDANS: 1D6 -- 1D6.

13 DR. MATTSON: That's complete.

14 MR. BLAHA: It's already completed.

15 MR. SEISS: Which one is that?

16 DR. MATTSON: Oh, 1B6.

17 MR. SIESS: Does that just meant it had a wrong
18 priority, you see -- after they thought about it they
19 figured they shouldn't have done it.

20 DR. MATTSON: No, that's not necessarily true.
21 Remember that the high waiting in the priority system
22 goes on safety significance. That's conflict that took
23 something less than a half a man year for NRC to participate
24 in its organizing with IEEE, and it brought together
25

3/43

350 experts in advance electro-technology and control room for human factors from DOD and NASSA. So to begin to talk about some of these problems.

DR. ZUDANS: There are 15 priority three items that are listed here.

DR. MATTSON: You have to see whether some of those are NRR or not. I just summarized NRR. I & E will do better. It will be able with its resources to go further into some of these matters and standards will be able to be somewhat better, I think.

MR. BLAHA: So is research is going to --

DR. MATTSON: Research is basically going to do all of it.

CHAIRMAN ETHERINGTON: Is this planned as a revision of Table -- the old Table 1?

DR. MATTSON: No, this is a plan that tells you when things are going to start. It uses the same format as Table 1. We will not replace Table 1 with this one.

We'll probably have a resource appendix in the back of the Action Plan -- maybe Appendix B or something by the time we're done, and this table will probably appear in Appendix B.

MR. SIESS: What it doesn't tell us is what they're postponing in order to do these things.

3/44

1 DR. MATTSON: Right. That's the next thing.

2 (Laughter.)

3 MR. SIESS: Because everything is relative.

4 DR. MATTSON: Now, I can't do as well here
5 because I don't have all of the information back from the
6 offices, but this is typical of what I am going to be
7 receiving, or the steering group will be receiving tonight
8 or tomorrow morning.

9 And let me describe this one. This one happens
10 to be a draft of NRR 's. One beauty of being on a steering
11 group and being the NRR representative is I can use their
12 draft material more freely than the offices.

13 The left hand column says -- here's an item that
14 is in our FY '80 operating plan. It's our budget. What
15 we had planned to do for the action plan. You'll notice
16 that those items are listed in the inverse priority array
17 as they were in the summary piece of paper we gave you at
18 our last sub-committee meeting.

19 The middle column says what we propose now to do
20 with the item in the left-hand column. The right-hand
21 column says -- and what does that mean? How serious is
22 that? This AD or the licensing responsibilities, or what
23 have you? Now, if you look in the middle column, you'll
24 see after each item there is a parentheses that tells the
25

3/45

1 person how many professional man years are saved by
2 accomplishing that reprogramming action. Let's take the
3 first one. The first item says in essence -- the stop
4 work order on site review.

5 And what that saves is five professional man
6 years. The only implication of that is there is only one
7 early site review in-house. It's Carroll County, and
8 we wouldn't do it. That's how you would read this table.

9 Now, the first two pages of this thing are
10 Fiscal Year '80. The next two pages are Fiscal Year '81.
11 And what you get when you add up the central column -- if
12 you will look on page two. Any one professional man years
13 that can be saved in the NRR for the remainder of Fiscal
14 Year '80 -- that is 162 fulltime people -- professionals --
15 I mean engineers who can be put to work on items in the
16 TMI action plant.

17 And Mr. Denton's letter will say when it's signed
18 later today and early tomorrow, enough professional man-
19 power to do the priority group one's, some of the two's,
20 and I don't believe any of the three's. There may be a
21 couple three's. Okay. The list will be available later
22 in any event.

23 Similarly, in FY '81, 105 professional man years
24 priority program action shown on the fourth page. You

3/46

1 see the number at the bottom of the middle column to do the
2 things that Mr. Denton's letter says ought to be done in
3 FY '80 and '81.

4 Now, you can see those things preliminarily if
5 you look at this first long table I handed you. All of
6 the NRF things with an "x" in '80 or '81 are the things
7 that he's talking about doing if those '81 professional
8 years in remainder of Fiscal Year '80 and the 105 man years
9 in Fiscal Year '81.

10 Now, when you look at the implications column,
11 I think if you're ACRS member, you may be troubled by some
12 of the implications, but you don't really get upset until
13 you get to the last one.

14 MR. SIESS: You hope.

15 (Laughter.)

16 DR. MATTSON: When you get to the last one, you
17 get to the technical project, the work on generic issues.
18 You have -- I'm going to hand out -- just so you have one
19 that you can use -- another copy of the document I
20 handed out last month which is this listing of generic
21 issues which shows first page, the unresolved safety
22 issues; and then the second page, the high priority --
23 some work going on, but not dedicated resources like the
24 unresolved safety issues.
25

3/47

1 And then on subsequent pages, the remainder of
2 the list of 133 generic issues. So again, you have a
3 prioritized array of the kinds of things that are in
4 difficulty from a resource standpoint because of repro-
5 gramming to accomplish high priority things in the TMI
6 action plan.

7 So when you come, for example, on page two of
8 this draft document of the NRR implications, the far right
9 hand column of the last entry which says defer work on
10 generic issues other than unresolved safety issues. In
11 the far right-hand column it says this programming has
12 been in effect since the TMI accident.

13 What that means is that everything other than
14 the first place of this last handout is, in effect, not
15 being worked on in NRR today, nor will it be worked on
16 for the next six months, with one exception.

17 That exception is the adequacy of safety-related
18 EC supplies on which there was a special meeting with
19 Mr. Ebersole and members of the staff last week, and
20 action and activities will continue on that matter.

21 MR. SIESS: Now, on the second page in the 140
22 group, you've got instruments to follow the course of an
23 accident. That's Reg Guide L97. That's a TMI item.

24 DR. MATTSON: Right. I forgot that qualifying.
25

3/48 1 It won't go on unless it finds itself also in the TMI action
2 plan and of sufficient priority for NRR to be working on
3 it.

4 MR. SIESS: Okay.

5 DR. MATTSON: That particular one -- I have to
6 hedge a little bit and say there is a controversy at the
7 moment about the use of resources to implement Reg Guide
8 1.97. You see these priority schemes that we've all
9 talked about so much -- they can get you in a box.

10 You see, they all give weight to priors as
11 Sibrowsky from NSAC calls it. That is if you take an
12 action early it discounts a longer-term, more far-reaching
13 action in the sense that it buys you time. Well, the way
14 it buys you time puts a lower priority on that thing.

15 MR. CATTON: Only if the action is the correct one.

16 DR. MATTSON: And the difficulty is that we took
17 quite a few actions in the short-term on your advice and
18 ours, in the field of instruments to follow the course of
19 an accident, and in some people's judgment that has
20 significantly discounted the need for the priority to
21 implement 1.97 urgently. Now, that's one school of thought.

22 There's another school of thought that says
23 hog wash. We ought to get on with some more stuff of
24 1.97 pretty rapidly. We have to resolve that discussion
25

3/49

1 ourselves, and we'll talk about it in a minute.

2 MR. SIESS: I think doing it right is more im-
3 portant that doing it fast.

4 DR. MATTSON: Yes.

5 MR. SIESS: And when that list gets as long as it
6 is in Reg Guide 1.97 I think there's some suggestion to
7 slow down and see how you're going to do it.

8 DR. MATTSON: Well, that might be the possible
9 area for compromise between the two positions. I agree
10 with you. There has been a third school of thought that
11 suggests that's the way to go. I think I've run out of
12 things to hand you.

13 MR. SIESS: On this last handout -- let's see --
14 there's a formal term you used: the unresolved safety
15 issues. Are these different than those, or I forget how
16 you would classify it now.

17 DR. MATTSON: I'm sorry?

18 MR. SIESS: These are not all the unresolved
19 safety issues?

20 DR. MATTSON: Yes, they are. Well, there's one
21 on the next page.

22 MR. SIESS: Okay. What you're saying is that the
23 first 20 items of the unresolved safety issue.

24 DR. MATTSON: Well, 19 of the first 20 are, and
25

3/50

there's an extra one in there -- B-6, loads, load combinations are not an unresolved safety issue but does have priority to the same scale as the unresolved safety issue.

MR. SIESS: Okay. The rest of them are just plain generic items?

DR. MATTSON: Yes. Everything below the top 20 are just generic issues from the original possibilities we listed.

MR. SIESS: Including all the "D's"?

DR. MATTSON: Yes -- no, no--

MR. SIESS: No, just a few "D's" in here.

DR. MATTSON: "A, B's and C's" -- right?

MR. SIESS: Yeah. There's a couple of "D's" here.

DR. MATTSON: Okay. Do you remember -- is that all "D's"?

MR. SIESS: No, there's just a couple in there.

DR. MATTSON: There weren't many.

MR. SIESS: Through three, I guess. One, two and three.

DR. MATTSON: That may be all there were.

MR. MINNERS: I don't think the staff computed this list agreed.

DR. ZUDANS: This point here -- is this the

3/51

same one that's used in action plans?

DR. MATTSON: No, the one in the action plan -- we took the one that was included and modified it somewhat. And this one that was done several years ago -- there was actually list assessment analysis made for each generic item. That wasn't done for the action plan. A lot of the things in the action plan weren't amenable to that kind of analysis. And these were fractured over into equipment oriented. These were 99 44/00 percent equipment oriented.

They are somewhat different. They have the same philosophical approach but different numbering system. Now, one of the tasks for the new Division of Safety Technology that Mr. Denton described earlier came up with the common scheme of prioritizing and ranking unresolved issues of one sort or another either from TMI or from generic issues list, from the new operating experience, or whatever, and putting them in a common system.

DR. ZUDANS: But these points include considerations such as cost?

DR. MATTSON: Generic issues did not, I don't think. I can get you an answer to that before the day is over.

DR. ZUDANS: Just the other one -- the costs --

3/52

1 DR. MATTSON: We'll get you a copy of the
2 description of the prioritizing scheme for these.

3 DR. ZUDAN: The ones that you listed --

4 MR. CATTON: What are the annotations in the
5 margins mean?

6 DR. MATTSON: Yeah. Up on the first page, there
7 is a code in the upper left hand.

8 MR. CATTON: Oh, got it. Got it.

9 MR. SIESS: It doesn't help, but it's there.

10 (Laughter.)

11 DR. MATTSON: It doesn't help?

12 MR. CATTON: When I see safety related operator
13 actions under point total of 50 --

14 DR. MATTSON: Well, you know, I said this was
15 done two years ago. You think there wasn't a lesson
16 learned from Three Mile Island?

17 (Laughter.)

18 DR. MATTSON: Okay. We're prepared to go into
19 Chapter One.

20 CHAIRMAN ETHERINGTON: Then I think we'll take
21 a ten minute recess at this time.

22 (Whereupon, a short recess ensued.)
23
24
25

1 DR. MATTSON: We have chapter heads for the five
2 chapters of the actual plant. Jim Milhoan sitting up here
3 with me is the current chapter head for Chapter I.

4 Jim O'Reilly, whom you may remember from earlier
5 meetings is back at his post as regional director in
6 Region 2. This --

7 CHAIRMAN ETHERINGTON: Before we start I would
8 like to remind anyone who is present who hasn't signed the
9 list, if they would do so. Could we just pass that around?
10

11 How should we proceed? Shall we start with
12 Item 1A1, Operating Personnel in Scotland?

13 MR. MILHOAN: I think that's reasonable, but
14 before we do that, I have all the -- I have attached
15 managers for Chapter I and many of the line officials
16 responsible for implementation of the actions in Item 1.
17 We have a conflict with some of the past managers on it,
18 and the line officials have to go down to a Commission meet-
19 ing this afternoon. So, I would say in the interest of time
20 we can go to -- in line-by-line. Some of the task managers
21 may have leave, so I guess if there are any specific questions
22 on Chapter 1 you would like to ask at the start in case we
23 do not get to the individual items as we go through, we could
24 cover those now. If not, we could start through each
25 individual line item.

4/2

1 CHAIRMAN ETHERINGTON: Do you have any -- any
2 general reports before --

3 MR. MILHOAN: Okay. Let's just start line-by-
4 line. I have --

5 DR. MATTSON: I feel that we --

6 CHAIRMAN ETHERINGTON: You may remind us briefly
7 of the contents.

8 DR. MATTSON: Let me propose something. I don't
9 think there's any need to talk about the NTOL requirements
10 as we go through here. Would you agree to that ground rule?

11 CHAIRMAN ETHERINGTON: I think that some of the
12 NTOL -- I think we should include them in our overall review
13 even though we've commented on them previously. There may
14 be some aspects of some of these items that were not in
15 NTOL aspects.
16

17 MR. SIESS: How do we identify the NTOL's in --

18 CHAIRMAN ETHERINGTON: We have --

19 MR. SIESS: -- paper one?

20 MR. MILHOAN: I can identify them each as we
21 go through. I will identify the NTOL's.

22 CHAIRMAN ETHERINGTON: Identify it on the
23 supplementary table that you've handed out.

24 DR. MATTSON: Of course, Table A-1, in Appendix A
25 tells you which ones are -- and if you look in the far

3
1 right-hand column of Table I, if you see an FL or an FP,
2 meaning Fuel Load or Full Power, you will know right off
3 that you're -- you have an NTOL requirement.

4 CHAIRMAN ETHERINGTON: Well, we can identify them
5 as we go along.

6 MR. SIESS: Most of the items -- most of them are
7 Category A items; aren't they?

8 MR. MINNERS: They are all Category A items.

9 MR. SIESS: I mean, the A helps us; doesn't it?

10 DR. MATTSON: It means a decision has been made.

11 MR. SIESS: NTOL --

12 DR. MATTSON: The decision group A says that the
13 Commission has already decided that that's something that
14 ought to be done. But there are some things that have
15 been decided that ought to be done that aren't in the NTOL
16 list. An NTOL list is an A by definition, but not all A's
17 are NTOL's.

18 MR. MILHOAN: Let's start through and see how it
19 goes. I'll start summarizing the -- at the subject area
20 category as we go through the functional category that we
21 are talking about, and then the individual items inside of
22 there.

23
24 For example, on Item 1A1, Operating Personnel and
25 Staffing, this concerns additions to the staffing of the

4 1 shift technical advisor of the subject of a shift supervisor
2 administrative duties and also additional shift meaning by
3 adding an SRO to the control room and also long-term up-
4 grading measures.

5 Two of the items--shift technical advisor and
6 shift supervisor administrative duties, we have previously
7 discussed last summer as a part of the lesson learned report.
8 And these requirements have been issued to the operating
9 plants. The shift mini is also a NTOL requirement, and
10 we've discussed that. And I propose no further discussion
11 of those.

12 The long-term upgrading concerns revisions of
13 Regulatory Guide I.A and revisions of the Commission's
14 Regulations on shift manning and operator training and
15 Part 55 operator qualifications.
16

17 If you have no questions on those, I will proceed
18 to the next area. Is that the level of detail sufficient?

19 CHAIRMAN ETHERINGTON: I think that is good.

20 MR. MILHOAN: Okay.

21 CHAIRMAN ETHERINGTON: On the long-term upgrading,
22 does this area involve any immediate decision, it's just
23 to proceed with it; isn't it?

24 MR. MILHOAN: It's just to proceed with it -- with
25 it the fact -- for example, the Regulatory Guide would come

5

1 before the ACRS subcommittee. And that action is underway.

2 The next item -- yes.

3 CHAIRMAN ETHERINGTON: Do you think we'll get
4 through them all of them as fast as that one?

5 MR. MILHOAN: I shall proceed to go through that
6 way, and you stop me if you want further detail..

7 The next area -- subject area is training and
8 qualifications of operating personnel. Inside of this area
9 we are talking about the immediate upgrade of RO and SRO
10 qualifications; implementation of the recom -- of some of
11 the recommendations of the SECY Commission Papers, SECY
12 79330E concerning operator qualifications.

13 We also have a task concerning training and
14 qualifications of operation personnel. This item particularly
15 concerns the need for a position task analysis for the posi-
16 tions at the operating stations and -- and this is an area
17 where the AIF had a comment, you noticed, on your sheet
18 concerning the need for involvement of IMPO in this activity.
19 We agree with that particular comment and the action plan
20 will be revised to address the AIF comment.

21 Other items in this concerns the need for upgrading
22 of NRR auditing of training, NR participation in inspector
23 training, the need for plant drills, both on a short-term
24 basis through the use of walk-through plant drills and on a
25

6 1 longer-term basis would be studied the need for additional
2 mechanisms for conducting the drills.

3 We also have the area of standard development
4 concerning the longer-term upgrading in the area of training
5 and qualifications of personnel. It would be through revision
6 of Regulatory Guide I.A and revision of the Commissions'
7 regulations.

8 We have two additional -- we have one additional
9 item concerning the subject of accreditation of training
10 instructions which would be a study item and a studying of
11 the subject of accreditation of the training institution
12 and the recommendation of a policy to the Commission.

13 DR. MATTSON: That would be, for example, IMPO?

14 MR. MILHOAN: IMPO would have to be addressed
15 but not necessarily limited to IMPO. But yes, that type --
16 yes, that level of activity.

17 CHAIRMAN ETHERINGTON: I think we might give
18 the subcommittee a chance to look at the -- in response
19 to ARS --
20

21 MR. MILHOAN: All right.

22 CHAIRMAN ETHERINGTON: The A21 is the first one;
23 isn't it?

24 MR. MILHOAN: If I can find my -- A1, yes.

25 We missed one comment on the first category

7 1 I --

2 CHAIRMAN ETHERINGTON: Yes, that's right.

3 MR. SIESS: Under 1A7, did you include the
4 names of training institutions?

5 DR. ZUDANS: But this -- someplace it's stated
6 that way.

7 DR. MATTSO: The Latin was intended to indicate
8 that I thought we kind of had all along. Informal credit
9 given to that source.

10 MR. MILHOAN: I think the aspect of prior Navy
11 training is recognized in the operator license program
12 from the point of view that credit can be given for Navy
13 training in the shop area --

14 CHAIRMAN ETHERINGTON: Is that -- is that what
15 you mean by accreditation?

16 MR. MILHOAN: No, no, it's not. It's not --
17 definitely not meant by that that --

18 CHAIRMAN ETHERINGTON: I doubt whether one
19 would --

20 MR. MILHOAN: Oh, no, no. No, definitely that's
21 not it. That was not the intent of that item.

22 If you --

23 DR. ZUDANS: But the education is 85?

24 MR. MILHOAN: In the category -- subject of

education that is going to be a long-term upgrade item that is in consideration of the need for upgrading the academic qualifications of the shift supervisor and senior reactor operator from a basis of studying the need to determine whether the shift supervisor should hold a bachelor degree in engineering; what type of technical and academic training that he would need.

DR. ZUDANS: Now, is there a distinction made between the ones in the list now to pursue that type of profession or the ones without any facilities now?

MR. MILHOAN: You're asking -- I think we're asking a question of would we address the need for grandfathering of those that are presently there. The subject has not been entirely answered. It's part of the long-term upgrade effort that would have to be addressed. But we were providing -- we were thinking of providing a five-year implementation period so that utilities would have the option of upgrading the present ones that are in the job and from the point of view that they have the experience, but providing the additional academic training or the other option of taking the people with the academic training and providing them with the necessary experience to function in the job.

MR. SIESS: It wouldn't be -- there wouldn't be a

9 1 carte blanche grandfathering?

2 MR. MILHOAN: No.

3 DR. ZUDANS: No, I didn't mean that.

4 MR. SIESS: It would have to be some other things
5 that these people would have to be exposed to or past or
6 experience before they would meet the requirements --
7

8 DR. ZUDANS: And so whatever is decided and
9 proposed here applies both to new recruits and to ones
10 that are --

11 MR. MILHOAN: Yes, that is the intent.

12 DR. ZUDANS: All right.

13 MR. SIESS: I would like to have some assurance
14 that you don't literally equate academic training to an
15 engineering degree.

16 DR. MATTSON: Well, we don't because we haven't
17 put any requirements out yet, and I can assure that before
18 we put such requirements out, we will study them, develop
19 them, come down and talk to you about them, and they won't
20 be issued for months or even a year or more in the future.
21 And it's a long-term -- we think we are headed for more
22 education requirements in the future. We are not sure how --
23 what our aiming point is because we not quite sure how
24 academic qualifications fit in with some of these other
25 qualifications. And it's something that we have to think

10

1 about some more.

2 MR. MILHOAN: I think you are going to find this
3 subject addressed in the revision of Regulatory Guide 1.8,
4 which will come before the ACRS Subcommittee.

5 DR. MATTSON: It has a lot of industry input
6 and practical experience input to it.

7 MR. McKINLEY: Roger, I -- I talked to one plant
8 superintendant, and he indicated that his interpretation
9 of what the requirements may come down to is that his plant
10 operators are going to have to take advance differential
11 equations and advanced heat transfer. And this is for people
12 who would normally have not much more than a high school
13 diploma.

14 DR. MATTSON: Well, I don't know how he could
15 draw that conclusion at this point because no such require-
16 ment for the future has been issued. Although, there are
17 other very general words in the action plan with an end date
18 projected somewhere in mid-1980's. That's 1185.

19 MR. McKINLEY: He was looking down, you know --

20 DR. MATTSON: I will say, though, we -- recall
21 back to the conversation that we had about the importance
22 of diagnosis and understanding the dynamic response of these
23 machines. You know, we -- we discovered with you all last
24 summer, that pressurizers on Westinghouse machines and CE
25

11 1 machines are susceptible to the same hangup of level that
2 the B&W machine is. Not because it's got a funny loop
3 seal, but because of the intricacies of counter-current
4 two-phase flow. I've studied counter-current two-phase
5 flow, and I think some calculus and some pretty advanced
6 physics and some stuff like that was essential to just
7 understanding just the phenomena -- the phenomenology of
8 that physical mechanism that can occur in pressurized water
9 reactors.

10 Now, I didn't say --

11 MR. MILHOAN: Can we split the part --

12 DR. MATTSON: -- you had to have a Ph.D. at the
13 controls, but I did say that in agreeing with you that it
14 was important to be able to diagnosis phenomena, especially
15 ones that you hadn't anticipated. You've got to have some
16 founding in the basic sciences that underlie such judgments.
17 And I think that's more than what we've got now.

18 Now, shift technical advisors and special training
19 fill a lot of holes, and we've done that very rapidly. The
20 question of how much further do we need to go still has to
21 be addressed.

22 MR. CATTON: Well, it's also a simplistic view
23 of two-phase flow. It doesn't require all this high math.

24 DR. MATTSON: Any way, that -- that's true. I

12

1 agree with you.

2 MR. CATTON: And I think that --

3 DR. MATTSON: That -- that's the kind of thing we
4 need to think about.

5 MR. CATTON: On the other hand, we took a look
6 at the TMI-1 plan where they had two weeks of -- was it
7 two weeks?

8 MR. LIPINSKI: I think it was about a two-week
9 course.

10 MR. CATTON: At the beginning?

11 MR. LIPINSKI: Yeah.

12 MR. CATTON: It was a very heavy two weeks that
13 had fundamentals of thermodynamic and heat transfer and
14 fluid mechanics, and pump characteristics, and all these
15 sorts of things thrown in, which for the remainder of the
16 program were promptly forgotten. The rest of the program
17 was the same. It always has been which -- what -- which
18 switch turns on what pump? Somehow there was no coordination
19 done.
20

21 DR. MATTSON: Paul, have you got any comment on
22 that?

23 MR. COLLINS: I agree that's what happened.

24 DR. MATTSON: And that's a problem that we are
25 continuing to look at or --

1 MR. COLLINS: Yes, yes.

2 MR. CATTON: I was quite disappointed in that,
3 and I thought -- I don't know who pressed them into
4 putting that kind of program together.

5 I don't know if that fits in here actually.
6 Actually, that isn't what I wanted to ask about.

7 Where under 1A2 do I find anything about in-
8 plant training personnel? Or -- or am I looking in the
9 wrong place?

10 MR. MILHOAN: 1A2?

11 MR. CATTON: Well, there's somebody in the plant
12 that's responsible for the training of the operators or
13 requalification or upgrading and keeping them on their toes.
14 Where is there any mention of that in here?

15 MR. MILHOAN: In the 1A23 of the NRR audit
16 of training program you will find in there addressed the
17 subject of instruction -- I think they are talking about
18 instructor qualification; are you not?

19 MR. CATTON: That's correct.

20 MR. MILHOAN: Okay. The need for qualifications
21 of instructions both technical ability and also the ability
22 to teach.

23 MR. CATTON: Right. People trained in teaching.

24 MR. MILHOAN: Yeah, that's all on page 1A2-5.

4/14

MR. CATTON: 1A2-5.

MR. MILHOAN: It's item -- comes under Item 3 then.

MR. CATTON: Yes.

MR. MILHOAN: And also in the long --

MR. CATTON: Okay. Thank you.

MR. MILHOAN: Also, in the long term there will be a subject in the long term operating, 1A26. Item 6 of this one in the long term in the revision of Reg Guide 1.8, the subject of instructor qualification will be addressed in that regulatory guide.

CHAIRMAN ETHERINGTON: I had a note on this -- the wording of the actual guide. It wasn't clear to me who audits what. NRR is going to be auditing. Are they doing the auditing of the program, or are they -- or the instructors?

MR. MILHOAN: It would be both. But the auditing of the program would be the primary focus.

CHAIRMAN ETHERINGTON: Program rather than the qualifications of the --

MR. MILHOAN: Oh, including -- in other words, review of the qualifications --

CHAIRMAN ETHERINGTON: Including.

MR. MILHOAN: The instructor would definitely be one part of the program.

MR. COLLINS: Make an accreditation study. As a

4/15

part of the overall accreditation of these training institutions, one thing that's going to be addressed is the qualification of the instructor.

MR. CATTON: Will you license them?

MR. COLLINS: And if NRC goes around and audits to see that the programs meet the accreditation criteria, one of the things they are going to be looking at is the qualifications of the instructors.

DR. MATTSON: Probably not. We probably would not license the instructor directly, but come at it through some form of accreditation of an institution which guaranteed some kind of capability of the instructor. But I can't say we'd foreclose that option.

MR. COLLINS: We have a near term requirement on the instructors to subsequently pass a senior operator's examination just to demonstrate to us their technical competency to teach the various courses that they are supposed to teach.

MR. CATTON: I would think that the --

MR. COLLINS: That -- that was the near.

MR. CATTON: I would think that you would want the instructor to have a little more depth than just a senior reactor operator.

MR. COLLINS: We do eventually.

16

1 MR. CATTON: And then you would want to guarantee
2 that he maintains that depth.

3 MR. COLLINS: What we've got to do is the short
4 term and long term.

5 DR. MATTSON: We agree with you. We've done so
6 little in the past that we're going to start with SRO and
7 start with auditing and over the long term, as you can see
8 by some of the words in the auditing of training, we are
9 going to look at his ability to teach and his understanding
10 of the phenomena that he's teaching about, and the kinds of
11 things that you are talking about.

12 MR. MILHOAN: I think Paul mentioned the fact
13 when he discussed the instructors were -- they are required
14 to hold the SRO license would be also required to participate
15 the requalification program.

16 MR. CATTON: The requalification program is for
17 the operator. I would think that you would want the
18 instructor to have a lot more depth than that.

19 MR. COLLINS: Exactly. We agree with you
20 completely. It's a matter of time. Just a matter of time.

21 MR. CATTON: Shouldn't he have a stiffer exam
22 than the SRO?

23 CHAIRMAN ETHERINGTON: But that would be
24 accreditation of facility.

17

MR. CATTON: I think that's enough.

CHAIRMAN ETHERINGTON: Well, the plan shows a January '81 date for the this Item 1A3. What is to be accomplished by January '81?

MR. MILHOAN: 1A3. You're talking about Item 3?

CHAIRMAN ETHERINGTON: Yes, A1 -- 1A --

MR. MILHOAN: The action plan calls for development of the auditing procedure.

CHAIRMAN ETHERINGTON: That's your development of the procedure.

MR. MILHOAN: Of the -- right. In our development of the procedures.

CHAIRMAN ETHERINGTON: Okay. That's good then.

MR. MILHOAN: Now, for the instructor qualifications a letter has been issued concerning instructor qualifications, instructors required to hold an SRO's license, and to be involved requalification program. That has been issued.

MR. JORDAN: Jim, I think there's some confusion on that. The senior -- the one holding the senior's license will be sort of a permanent cadre. But when you're talking about instructors who instruct in physics or something of that nature, you go out and get the right people for that job. He may not be the one

18

qualified.

MR. MILHOAN: We are not talking about technical specialists, we are talking about the instructors in --

MR. JORDAN: What I'm pointing out is, though, that the senior instru -- the instructors hold the senior's license would be a permanent cadre in charge of part of the program. But there may be other instructors within the licensee's organization they can pull from any department to bring in an instructor on a particular course. He would not have to hold a senior's license.

MR. MILHOAN: Exactly.

MR. JORDAN: But he would be qualified in the area he would instruct in.

MR. CATTON: Yes. He would be the one that would run the requalification program?

MR. JORDAN: Not run it.

MR. CATTON: And everything else?

MR. JORDAN: No, not run it. That would be the one with the license.

MR. CATTONS: That's where my concern is because typically the one who -- if he just has the license sometimes there's very little respect for things beyond turning on the switches and being able to run the pump properly and may not request the proper help.

19 1 MR. MILHOAN: We are repeating ourselves. But in
2 the long term Reg Guide, 1.A, it's going to address the
3 instructor qualification. It will address it in a more
4 comprehensive nature than what we have done in the short term.

5 MR. CATTON: I understood you the first time. I'm
6 just responding.

7 DR. ZUDANS: I would like to ask whether it is
8 clear how this assignments are shared between NRR and I&E?
9 Isn't there overlapping, or is there a distinct separation
10 of conference --

11 MR. MILHOAN: There is overlapping. This column
12 just designates the lead office. The other offices will
13 have input into the -- into each one of these items. And
14 the resources inside of the action plan, you will notice
15 the resources from all offices for each individual item.
16 But it's designated who has the lead office in Table 1.

17 DR. ZUDANS: Well, if you take a look at A -- 1A2,
18 Item 3, NRR Audit Training, Lead Offices are NRR, not I&E?

19 MR. MILHOAN: Yes, that's right. NRR will -- it
20 is envisioned that NRR would do the auditing of the training
21 program.

22 DR. ZUDANS: Is there a simple way of describing
23 distinction between the functions of NRR and I&E, something
24 that would explain why you placed this in this context here?
25

20 1 A simple way of saying it?

2 MR. MILHOAN: Let me ask Paul. Is there a simple
3 way of describing that? The differences between I&E and
4 NRR on the auditing of the training program?

5 MR. COLLINS: NO, there isn't a simple way.

6 MR. MILHOAN: Okay.

7 CHAIRMAN ETHERINGTON: Before you proceed, I have
8 one general question. After you've made changes as a
9 result of AIF comments, did you discuss these item -- these
10 changes with AIF --

11 DR. MATTSON: No. As I indicated, we're still
12 considering some of these matters. Having typed this thing
13 out and thought about the bulletins and auditors recommenda-
14 tions a little more, there are still some thought we want
15 to put into that Eventually in the next week or so we'll
16 transmit a letter to some level of the agency back to the
17 AIF thanking them for their input and telling them of our
18 disposition of their comments.

19 CHAIRMAN ETHERINGTON: Yeah. Um-hum. That will
20 be --

21 DR. MATTSON: That'll be within --

22 CHAIRMAN ETHERINGTON: Are you receptive to any
23 further representation by the AIF?

24 DR. MATTSON: I think we were able to understand

21 1 the points they were making. We have communicated at the
2 staff level back and forth with AIF staff where we had
3 questions of understanding their written submission. I
4 guess I'm of the mind that it's time to make some decisions
5 on some of these matters and not --

6 CHAIRMAN ETHERINGTON: I -- I understand.

7 DR. MATTSON: -- continue the dialogue that's
8 gone on quite -- quite a time already.

9 CHAIRMAN ETHERINGTON: All right.

10 Do you get the impression that they're generally
11 satisfied as they expect to be?

12 DR. MATTSON: Oh, I -- they haven't seen this,
13 Harold. I don't know whether they're satisfied with this
14 or not. We've agreed with them on some things, probably
15 more than we've disagreed with them. So, I don't know
16 how they will come out.

17 CHAIRMAN ETHERINGTON: Okay.

18 DR. ZUDANS: Maybe -- I would like to finish that
19 question that -- I don't think I was very happy with the
20 answer.

21 Has the I&E looked at this Table 1?

22 MR. MILHOAN: Yes, yes.

23 DR. ZUDANS: And they agree with the lead office
24 definition?

22

MR. MILHOAN: As far as I know the I&E Office comments that have come back have not taken exception to the lead office designation.

DR. ZUDANS: Yes. In your own mind you don't foresee any problems in --

MR. MILHOAN: No. We've got a gentleman from I&E here.

MR. SKOHOLT: No. I'm an I&E representative. And this is a joint action -- a task action plan is joint with members from I&E and NRR, and the research and standards all involve. So, this represents a coordinated action by all of those offices.

DR. ZUDANS: This -- this Table 1?

MR. SKOHOLT: Yes.

DR. ZUDANS: Okay. Well, that's --

DR. MATTSON: Yes. We are in the lead on this particular one.

DR. ZUDANS: See, the reason I asked the second time because you couldn't simply explain to me what -- what the real function is.

MR. MILHOAN: Now, you'll notice one of the items in the action plan concerns NRR participation and I&E inspector training. In other words, part of the inspector training would be instruction from our NRR people --

23

DR. ZUDANS: Well, that's fine. Yeah.

MR. MILHOAN: -- on how -- on how they would need I&E feedback into their -- into their program to make decisions on requalification, relicensing.

DR. ZUDANS: Okay. I thank you. That's good enough.

MR. LIPINSKI: Task 1A2 makes reference to this document, Secretary 79-330E.

MR. MILHOAN: Yes.

MR. LIPINSKI: What is that document? I don't think we've seen that? Have we?

MR. MILHOAN: I am very sure that you have. I'm sure that ACRS has been --

MR. LIPINSKI: Have we?

MR. MILHOAN: -- provided copies of that.

MR. McKINLEY: We may have gotten in the office. It's -- I'm not clear that we've got it to you guys yet.

MR. COLLINS: Jim, do you want to get them all copies of --

MR. MILHOAN: Okay, you'll -- you'll get a copy.

Very briefly, it's the NRR -- it's an NRR paper on recommendations for changes in the operator licensing program which has been acted on by the Commission. And a letter has been sent out this last week on implementing

24

the Commission approved recommendations of the paper.

Okay, are we ready to --

CHAIRMAN ETHERINGTON: We are ready to proceed --

MR. MILHOAN: I -- Mr. Chairman, I have a conflict myself. I have to leave at 12:15 today. I have a summons to appear in court as a witness. So, I have to leave at 12:15 today.

Well, I was the first one to offer that excuse.

MR. SIESS: Just consider this training.

CHAIRMAN ETHERINGTON: You're going to be leaving now then?

MR. MILHOAN: I think the next one is concerning the subject of licensing and requalification of operating personnel. This area covers five task items--two of them are directly related to the Commission paper that you just mentioned about Secy 79-330E about revising the scope and criteria for exams; changing the grading of the exams; changing some of the subject areas to be covered in the exam. Another area is NRC operator licensing reforms and need for studying, for example, the need to place resident licensing examiners in the field.

Another area is the subject of operator fitness; and another area is the overall subject of licensing of additional operation as personnel, which would be a study

and a recommendation to the Commission on a policy to follow on the need for licensing of additional personnel.

And the last item in this area concerns a statement of understanding between NRC, DOE, and IMPO since there are many activities going on in the long term between IMPO and NRC which duplicate each other. And --

CHAIRMAN ETHERINGTON: The first item is an NTOL item; isn't it?

MR. MILHOAN: That's right. The first item is an NTOL item.

DR. MATTSON: You might notice from the priorities considerations, the small table says that only the first item of that entire section will be initiated in the next two years. All the rest in '82 and beyond.

CHAIRMAN ETHERINGTON: What speed will we be going?

DR. MATTSON: Well, you'll -- you'll come to some areas which will be occupying him intensely for the next 18 months I assure you. Licensing qualifications is one.

MR. MATHIS: Roger, why isn't there more immediate effort apparently put into working with IMPO and trying to develop that? It would seem to me that there's an opportunity to get in the act and --

DR. MATTSON: Well, that's how you should read some

26

1 of these things.

2 MR. MATHIS: I look at Decision Group D, and
3 there's no particular priority, and then I question that.

4 DR. MATTSON: Well, I think you're reading it
5 the wrong way. You could read it in a lot of these areas
6 where you know IM'PO is going to be doing something. And
7 if we said we were going to jump right in and do it instead
8 of ther tomorrow, then you'd probably worry about us not
9 maximizing the utility to which those people can be put.
10 Instead, if you see us backing off just a little bit it's
11 not because we think they are doing a bad job, but we're
12 giving them some range to get started and start having an
13 effect and banking on them in a sense during the next 18
14 months to get something moving faster than we can probably
15 get something moving.

16
17 MR. MATHIS: Well, I hope you would use some
18 reign and also give --

19 DR. MATTSON: I think that's the tendancy --

20 MR. MATHIS: -- them a little whip to go with it.

21 DR. MATTSON: Well, we've -- we've been in
22 touch and we --

23 MR. MATHIS: Okay.

24 DR. MATTSON: -- get reports from time to time
25 on the progress that they're making. The Commission has

27 1 also been kept informed of the progress of IMPO.

2 DR. ZUDANS: I might make a comment.

3 DR. MATTSON: I -- I suspect with the organiza-
4 tion change in the designation of Dr. Hanouer in the
5 Human Factors Division that you would see a closer tie
6 begin to develop between NRR and IMPO.

7 DR. ZUDANS: Well, IMPO doesn't really exist yet.

8 DR. MATTSON: Well, IMPO does exist.

9 DR. ZUDANS: How many people do they have?
10

11 DR. MATTSON: 30 -- 40 --

12 DR. ZUDANS: They're only to develop --

13 DR. MATTSON: 40.

14 DR. ZUDANS: Already?

15 DR. MATTSON: 30 or 40. Aiming towards 200.

16 They've done a couple of side audits. They were involved
17 in the Crystal River reports. They're not accrediting
18 instructors yet. They're not fully training executives
19 and all those things they want to do, but they're --
20 they're gathering momentum.

21 CHAIRMAN ETHERINGTON: I will read your comment
22 about Mr. Bengert on this subject. "Establish whether the
23 program for training personnel is adequate. IMPO is
24 expected to lead the operation of training effort. Their
25 plan of action needs definition and goes much further than

28

the task action plan. NRR has establish a contract with basic energy technology and to establish maintenance skills. DOE may support this effort, but commitment must be established." That's Mike's comment along these same grounds, and I think you've explained that we don't really know what IMPO is -- plans are in sufficient detail at present.

DR. MATTSON: Well, we know that they are staffing. We know the goals they have in mind. And we get progress reports from time to time of how they are doing. We need to work more closely with them than we have. We need to do a couple of things that we haven't been doing. With the progress of the action plan and the reorganization of NRR with specific missions for people in NRR to do those kinds of things, I think you will see them to begin to happen better than they have in the last few months.

CHAIRMAN ETHERINGTON: If they really take hold, would you be content at the moment with their work?

DR. MATTSON: No. No, I think we have to set minimum standards and -- and they become a mechanism by which utilities --

CHAIRMAN ETHERINGTON: Well, yes, I --

DR. MATTSON: -- meet those standards.

CHAIRMAN ETHERINGTON: -- assume that.

29

DR. ZUDANS: Well, IMPO's purpose is to set up such standards. To bring up the overall conscience in utilities to what they are operating and to -- what the operations beyond the control board should be at this time. That's their objective as I understood it. There's no reason for, in my opinion, for NRC to interfere until the industries show that they can take care of themselves.

DR. MATTSON: Yes, but on the other hand, NRC cannot stand back and bet entirely that IMPO will succeed.

DR. ZUDANS: No, if it's safety-related they cannot.

DR. MATTSON: So, we will monitor and see that progress is made and when it turns out that reliance can be placed on them, we will do it. If it turns out that there are indications that reliance can't, then we will have to step in and --

DR. ZUDANS: Yes. I like your first thing where you said that if they are doing it, give them a chance to do it. We shouldn't jump into that. And I think that's appropriate.

DR. MATTSON: That's essentially what we are after then.

DR. ZUDANS: Yeah, that's fine.

CHAIRMAN ETHERINGTON: Are you running out of time?

30

MR. MILHOAN: No, we've got some time.

CHAIRMAN ETHERINGTON: Go ahead then.

MR. MILHOAN: I guess if there's no further questions on that one I will proceed to the next area of simulator use and development. There -- I think there are about three areas in this one. The first area is initial simulator improvement of the -- of the immediate short term modification to simulators to provide better training. The second area is a long-term program of studying research on simulators, how good simulators are; and a longer term upgrading simulators which could be very significant from the point of view of changes to the simulator -- of long term changes to the simulators that are presently in the field. And then two additional items concerning NRC use of simulators; NRC use of an engineering computer.

C/H T 5/1

1 MR. SIESS: I didn't quite understand the
2 relationship between the priorities and the statement.
3 Of the lower priority items we got here, --

4 MR. MILHOAN: You do not have a replacement
5 page. We looked at that. We have revised the priority
6 of Item 1 to be a priority group 1 and the priority of
7 Item 2 to be priority group 2. We've taken another look
8 at that and there is a replacement.

9 MR. COLLINS: What's the difference between
10 an NRC training stimulator and an NRC engineering computer?
11 Don't we have CDC 7600's now?

12 MR. SCROGGINS: The idea on the so-called
13 engineering computer engineering simulator was digital
14 or high-bred type system which could, in effect, try
15 to calculate reactor system behavior on a real-time
16 basis.

17 So, in addition to being able to getter under-
18 stand system behavior, one could possibly input on a real
19 time basis various operator actions or other upset condi-
20 tions, et cetera.

21 That is just being looked at this point as
22 the action plan indicated, the item meaning that it's
23 being looked at now in the context of possible recommenda-
24 tion as part of the fiscal '82 budget cycle to the
25

C/H TAFE 5/2

Commission. And, in fact, they'll find they find a decision as to what will be proposed if anything, is still to be made within the Office of Research.

MR. COLLINS: Is that the training simulators?

MR. SCROGGINS: No, the training simulator, the idea on that item was to actually purchase some current version-type training simulators for use by the NRC staff in Washington area, and that was what the original proposal was for the training center items, and which is different than what we're talking about which is a more advanced or a longer term type engineering computer.

MR. ZUDANS: So, what you are saying, the NRC engineering computer is a sophisticated training simulator.

MR. SCROGGINS: It could be used for that purpose. The intent would be to utilize it for other purposes, just as to just better understand reactor system behavior.

MR. ZUDANS: In real time, right?

MR. SCROGGINS: It would be highly unlikely that you would utilize both. It's highly unlikely that both would go forward if --

MR. COLLINS: I think you need the transient simulator.

MR. MATTSON: If I could offer some advice here,

C/H TAPE 5/3

on how to get through these things today.

These are category D things. Category D means that when this action plan is proved, they get no special stature as a result of proving reaction plans.

Furthermore, if you look at the long sheet reflecting resource priorities, you'll see that both of these items that are being discussed are '82 and beyond.

So, sometime in 1982, fiscal year 1982, the question of what to do about engineering simulators and training -- another training simulator for NRC, and another being beyond the use that we make in the TVA simulator, will resurrect itself and somebody will start talking about it again, and in the light of that days' understanding will proceed, unless your advice is, gee, we ought to move more urgently with this.

I think that's --

MR. COLLINS: I didn't understand what NA meant?

MR. MATTSON: You better look at this one that I handed out earlier today that tells you. This one's been pushed out a ways and it gives you more information than just the NA. Didn't mean to criticize you from understanding the table.

This is new information.

MR. ZUDANS: It means the days note for particular

C/H TAPE 5/14

need to spend time on these?

MR. MATTSON: That's right. Yeah, unless you look at them and you say, wait a minute, that's something we told you guys was important, we don't understand why you changed it, let's talk about it.

I realize there are two definitions of -- The one that Roger's given. Once in a while you'll find D items in here that are in the plan for continuity sake, but it's a D item because it was already part of an on-going program part of TMI, and while it has some significance to TMI, it is just part of the on-going program.

MR. MATTSON: Yeah, and let me say it a different way. You all and everybody has said to this steering group for months, prioritize, prioritize, prioritize, get them organized, get a plan. You would say, we're gonna do that, we're gonna do that. We've done it.

And if you think it's wrong, now's your chance.

MR. LIPINSKI: I'd like to back up to the operator training simulators. I heard a comment the other day that rather surprised me. I thought the simulators stimulated the plants, but when it comes to abnormal sequences, evidently these are pre-programmed and one cannot arbitrarily go in and put in abnormalities such as a small break LOCA at any presumed point and

C/H TAPE 5/15

respond with a typical procedure.

MR. MATTSON: That's true.

That's why we like this concept of an engineering simulator. You could put it in a bigger room and you could play games with it, you know, it's a big engineering toy, some people would say, those that don't like it.

MR. ZUDANS: I hope to see the day that you have it.

MR. MATTSON: Well, it's a question of application of resources at this point.

MR. ZUDANS: Well, it is.

MR. MATTSON: It's a long-term development program and a fair amount of money really involved.

MR. MILHOAN: Are we ready to proceed to the next hearing?

MR. ETHERINGTON: I would like to raise the question. As long as we are reviewing TI, I would like to understand a little better my note here, where it says, D is on-going on future RC action.

MR. MATTSON: Yeah.

It's any one of those characteristics would cause an item to become a D.

MR. ETHERINGTON: The point I wanted to make is the D items can be controlled?

C/H Tape 5/76

MR. MATTSON: Yes, some D items are on-going and will be kept on-going.

MR. ETHERINGTON: So, you shouldn't skip a D item just because --

MR. ZUDANS: No, only because they do not relate to the decisions that are associated with approval of this plan, so they could be treated later.

MR. ETHERINGTON: Yes, that's true.

MR. ZUDANS: If a plan is approved, the items are not effective.

MR. MATTSON: Unless you want to cause a D item to become a C or a B. The only people who can cause an item to become an A are the Commissioners.

You all and us can cause items to become B's, C's, and D's, for their further consideration and action when they approve the plan.

MR. ETHERINGTON: It's because they've already approved?

MR. MATTSON: Right. Well, they could approve something outside of the context of this plan that was included in this plan and then we changed it from a C to an A or a B.

MR. MILHOAN: Management for operations?
You'd asked some questions about that this

C/H TAPE 5/71

morning and we discussed briefly in our letter back going on your previous letter.

We have Larry Crocker here today who headed up the NRR group in developing the criteria, or the group that is developing the criteria and participated in the evaluation of the NT organizations.

I'll ask him to say a few words about that effort and you can ask him questions as you desire.

Larry?

MR. CROCKER: We sent copies of the 25-February graph to the Committee on this criteria. It was strictly for your information to let you know where we were at that point in time.

We have met with EEI, had a couple of meetings with AIF. I have a meeting scheduled tomorrow with KMC and a group of some 20 or 25 irate utility people to discuss these.

We're trying to get the industry input on an informal basis, hopefully straighten these criteria out so atleast we can all talk from the same sheet of music.

Our intent right now is to take the input we have, both from the staff and from industry, and turn this around such that we could go out for formal comments, hopefully sometime about the first of May or perhaps

C/H TAPE 5/8

That's where it stands right now. We tried to address in there the various items that have been promised or recommended by persons or committees during the past year as a result of what happened at TMI.

I'd be happy to try and try to answer any questions you might have.

MR. MATTSON: They may be worn out, Larry. They asked me all kinds of tough questions earlier today.

MR. SIESS: This deals strictly with management of operations, right and not for design and construction?

MR. CROCKER: We have hung on the last three pages, the criteria. I do not remember right now whether you had a draft labelled the 25th of February or one labelled the 18th of February, but there was a difference of three pages onto the back end that said that if you're designing and constructing plans, you ought to have somebody on your corporate staff that knows what you're buying.

MR. SIESS: Well, what I'm wondering is, -- Some of the utilities are, in terms of design-construction, have an in-house organization, and others don't.

And, I was wondering if there was any difference -- differences in the operations management between those utilities that have the in-house design construction

C/H TAPE 5/79

operation and the -- Or, do you just draw a clear line, operations is operations, independent of how you build, design?

MR. CROCKER: What is in there right now is essentially a clear line. I don't think the --

MR. SEISS: I mean, you've looked at some plans? Have you seen a difference, say, between the TVA's management for operations and MED EDS or DPU or

MR. CROCKER: I don't think we have really looked at it from that standpoint, Dr. Siess. I'm sure TVA, for example, where they had their own design forces there and these forces have now moved over in support of the operation. MEDS EDS, DPU does not have this or the design backup, so they're forced into supplying these backups for the operation of other resources.

MR. SEISS: Well, now, how does something like southern companies fit it? Southern Services is not just a design function, is it? This operating service, they provide expertise.

MR. CROCKER: The design and operation, they've done some of their own AU work. I understand that others that have overplanned, for example, they actually have done new southern services --

MR. SEISS: But would you find the difference

C/H Tape 5/10

2 MR. SIESS: But would you find the difference
3 in the management set up for one of the services companies
4 as compared to say another operating company that didn't
5 have a service organization?

6 MR. CROCKER: Surely would, yes. I would
7 expect to find it, really, in-house. What I'm absolutely
8 convinced is of there are as many organizations out here
9 as there are utilities, and have each got unique problems.

10 I think whatever we come up with, there's gonna
11 have to be in the nature of some guidelines. There could
12 be a little subjective judgment on these.

13 MR. SIESS: Your approach is to try to develop
14 some guidelines that you think will lead to an effective
15 organization?

16 MR. CROCKER: That's what I hope.

17 MR. SIESS: The other approach is some criteria
18 by which -- against which you can measure the effectiveness
19 of an organization?

20 MR. CROCKER: Within some limits, I think you
21 can do that, but I really believe we're gonna have to
22 back-off the guidelines with a real subjective judgment
23 is to evaluate them.

24 MR. SIESS: Well, I would encourage us to keep
25 our minds open, you know, because I think the experience

C/H TAPE 5/11

of the aerospace industry and the defense industry is that you can write criteria and you can put down things that you want people to do as a matter of good management and good technical support and QA review and things like that and they've seen and measured success in doing those things.

And, I agree there's a need to be cautious, but there's a need not to be too cautious.

MR. SIESS: Well, I think guidelines may be necessary, but they're not necessarily sufficient.

MR. MATTSON: Yes.

MR. SIESS: And evaluation, you still got to be able to -- If you're gonna have the evaluation at the bottom line, then you've got to give the people some leeway in reaching that particular state. The guidelines should not be so rigid that they can't achieve the same objective by something that may be more efficient in your guidelines.

MR. MATTSON: That's a human factor that has to be considered in arriving at those criteria. People are different and organizations are different. Parts of the country are different, jobs are different.

MR. SIESS: But you will have an evaluation step in there. You're not just gonna lay down guidelines

C/H TAPE 5/12

2 and say if you meet those automatically, your organization
3 is good.

4 MR. CROCKER: I guess this is what I was getting
5 at. I don't think we can sit down, for example, and say
6 this is the ideal organization, we want you to have 3
7 mechanical engineers and two of these guys and 14 of
8 somebody else out there and if you got that, we're happy.

9 You just can't do it that way. We can tell
10 them what we want in the way of results and then we're
11 gonna have to measure on an individual basis to see how
12 they stack up against it.

13 MR. MATTSON: There may be very few generally
14 applicable criteria for these plants, just like there
15 are so many diversities in the design. There may quite
16 a diversity in their operation, but that doesn't mean
17 that you don't try and that you pay attention to this
18 area of safety, very important area.

19 MR. SIESS: I'm not quite sure whether you
20 know what the criteria are you want to evaluate about
21 either?

22 MR. MATTSON: You know what the end result
23 is that you want. You want to decrease the frequency and
24 the procedural and administrative and operative. You
25 want to decrease the failure to detect design mistakes.

C/H TAPE 5/13

MR. SIESS: I do that by counting them, after it happens. I mean, I can tell they're bad, but I don't know how to tell they're gonna perform well in the future.

MR. MATTSON: Yeah. Well, we've done that and we know they're bad and we want to change them and we're working together with alot of people to try to effect that change.

MR. SIESS: You want to change them for the better.

MR. ZUDANS: This item implies that you will work for some criteria.

MR. MATTSON: Well, Larry's tried to say, guidelines and criteria -- guidelines are easier than criteria. You can error with both if you only do guidelines and you probably don't go far enough. If you only do criteria, you probably have made it too restrictive, and they're balancing the two, if what I heard him say.

MR. ZUDANS: But, whether it's one or the other, or a combination of both, this is what we did at first product under this action item.

MR. MATTSON: Yes.

MR. ETHERINGTON: This is a contracted item, is it, this first one?

MR. CROCKER: Partially. We have the contract

C/H TAPE 5/114

1 running now with Technicron. They're coming up -- We
2 should have the final report out on the 15th of May.

3 They have developed criteria on the basis
4 areas of expertise that they feel should be available to
5 each plant, and then against those criteria they are now
6 evaluating the various utilities with operating plants
7 to see how they stack up.

8 MR. ZUDANS: This same company?

9 MR. CROCKER: They actually have another effort
10 going on an in-house basis. It's graph criteria that
11 you would furnish for development, it's in-house and
12 they're now trying to modify those to take into account
13 what has been received both from other staff members and
14 from various industry groups.

15 MR. MILHOAN: Also, the draft criteria inside
16 the plant for plant personnel is relied very heavily
17 on the ANS, the American National Standards, three efforts
18 in their standards.

19 MR. CROCKER: Oh, yes.

20 MR. MILOAN: It's referenced very heavily in
21 their input on revising that standard and reflecting
22 materials.

23 MR. SIESS: When you go out with the Technicron
24 criteria, and compare it with what existing utilities
25

C/H TAPE 5/15

have, it'd be nice to be able to do a calibration on these criteria, wouldn't it?

I assume you got some idea that the utility acts as, oh, probably it would get a grade of A- and utility Y, you would just grade -- give him a B.

And, I'd be interesting to see whether they're agreement with the Technicron criteria would give the same --

A- in the D is pretty subjective. I'm not talking about the I&E studies, you know.

MR. MATTSON: Yeah.

MR. SIESS: -- which went this way --

MR. MATTSON: Another way to calibrate it would be to calibrate it with some operating experience.

MR. CROCKER: We could certainly do that.

MR. MATTSON: -- good cold failure rates and stuff.

MR. SIESS: Bad operating experience or both kinds?

MR. MATTSON: Bad operating experience.

MR. SIESS: Well, didn't you say that --

MR. SIESS: And good operating experience.

MR. CROCKER: I think you could certainly come up with a --

C/H TAPE 5/16

MR. SIESS: I mean, Dav's BESSE happens to be better than TMI, wouldn't it? We keep saying the events were the same, one of them did it fine, the other one didn't.

MR. ZUDANS: Just a coincidence.

MR. MATTSON: The events weren't the same.

MR. SIESS: Well, I didn't say they were, but an awful lot of people were saying they area.

MR. MATTSON: Well, 9 percent and 100 percent are alot of difference in power.

MR. ZUDANS: Not after the shut down.

MR. MATTSON: Oh, yeah.

MR. SIESS: Could you compare Crystal River with 1,000 gallons and TMI with 600,000. You've got a qualatative measure.

MR. MATTSON: On a logrhythmic scale? Gallons of water?

MR. ETHERINGTON: I think we should move along

MR. MATTSON: Yeah, this loss of safety function item -- correlates with an I&E item in here somewhere.

Can you help me with which is the I&E item on enforcement policy, the paper that you all have?

MR. ETHERINGTON: The shutdown --

C/H TAPE 5/17

MR. MATTSON: Yeah, I want to relate it to another requirement that's in here This is the loss of safety function limiting condition of operation. It was recommended by the -- task force in it's short-term report.

The paper has reached the Commission. It is being considered in parallel with a paper out of the Office of Inspection and Enforcement which proposes an alternative which is a more rigid enforcement policy for the agency, or --

4-A-2, Roman 4, capital A, number 2, on page 13 of table 1. The Office of Nuclear Reactor Regulation has said that it would agree with either approach.

As former chairman of the task force, I can say I think at this point I'd be in favor of trying the IE approach and have said so to my management.

So, the loss of safety function, item 1-B-1-3 is probably going to be resolved by the Commission's agreeing to do 4-A-2 on page 13, but that decision hasn't been made yet.

MR. MILHOAN: We can proceed to the next hearing if there's no further questions on the inspection of operating reactors concerns for -- for IE items rise of the Office on revising it's inspection program and placing

C/H TAPE 5/18

resident inspectors at the operating reactor.

Item 2 was an MPOL requirement, placing resident inspectors at the operating reactors. And then the last two items concerns occasional evaluations and overview of licensing performance.

MR. COLLINS: Will there be a tour of duty for these resident inspectors here?

MR. JORDAN: We present have them scheduled for a three-year tour of duty, at which time we'll evaluate where they are with respect to objectivity and if we find it acceptable, they may continue.

We're having a problem with staffing because of this problem of moving and relocating every few years. We are taking a second look at that.

MR. COLLINS: I figured you would. It sounds a little like the Army to your post.

MR. MILHOAN: No further questions on that one, we can move on to procedures which there are 9 -- There are 9 items on procedures. 7 of them are NTOL requirements.

MR. SIESS: Excuse me, I'm on the resident inspector, has there been any evaluation by I&E as to the effectiveness of the resident inspector, either in what he does or in what the licensee does different as

C/H TAPE 5/119

1 a result of him being there, or do you plan such an
2 evaluation?

3 MR. JORDON: We've had the GAO look at --
4 We haven't had them. I guess -- early staffing and
5 implementation of the program, they have made some
6 recommendations, as we might imagine, but basically,
7 we're still in the initial roads of putting people out
8 there.

9 We had found their presence to be of great
10 value to us in terms of responding to incidents and
11 knowing what's going on at the plants and I guess some
12 feedback in the terms of items of noncompliance and
13 enforcement. There is no radical change that we see
14 from this.

15 MR. SIESS: I've seen 2-3 incidents -- LARS
16 that apparently resulted from something, -- an inspector
17 called to their attention. I don't know whether that's
18 widespread or --

19 MR. JORDAN: I think just the mere act of being
20 there and inspecting is a corrective measure and these
21 things go on constantly.

22 MR. ZUDANS: Are they 24 hours there?

23 MR. JORDON: I'm sorry?

24 MR. ZUDANS: Are they 24 hours there?
25

C/H TAPE 5/20

MR. JORDON: No, they're regular 40 hours, sir.

MR. ZUDANS: 40 hour week?

MR. MATTSON: But they alternate their time at the site so that they do see something on all shifts from time to time and they see major changes in the operating status of the plant.

MR. ZUDANS: Indeed they also function as the intermediate points for communications received to the headquarters?

MR. MATTSON: Are they an intermediary in the communication link between plant and headquarters?

MR. JORDON: In a sense, yes, and in a sense no. In the routine events that happen in the plant, they are. But for an accident situation or an incident situation, we have direct ties with the licensee in -- in the control room.

There they -- After they arrive, they would perhaps be in conversation with us, but our direct communication is with the licensee and the --

MR. MINNERS: But in the one incident I'm familiar-- One plant I was familiar with, the plant management liked the resident inspector for that reason because they thought that it gave a better communication link with the NRC. They could sit down with the resident

C/H TAPE 5/21

inspector, and take enough time to explain the whole problem to him rather than have some guy who was on a schedule and would take 15 minutes or a half an hour. They could really sit down with the guy, and say, yeah, it looks like this, but here's all the ins and outs of this particular problem and they -- they thought that was a positive element on having a resident inspector because they got a better communication link.

MR. SIESS: Our expert as the resident inspector, is he a QA expert or is he the equivalent of an SRO on the plant or --

MR. JORDON: He's approximately equivalent to an SRO on the plant, that's our objective. But, it's more than that too.

In general, they're the people with the operating experience numbering many years.

MR. ETHERINGTON: Gentlemen, there's an inconsistency on the agenda. It says 12:00 lunch and it says 12:00 we finish Chapter 1.

We'll change the time on the agenda.

MR. MATTSON: For when?

MR. MILHOAN: If you'll give me 15 minutes, I'll finish Chapter 1 for you.

MR. MATTSON: I think that we could move quite

C/H TAPE 5/22

quickly through the rest of this. A lot of this we've discussed before.

MR. MILHOAN: If you want to continue, I think we could.

In operating procedures, we've already -- 5 of the -- I'm sorry, 7 of the 9 items at NTOL requirements. Items 1, 2, 3, 4, 5, 7, and 8. Two additional items, a long-term program item 9, we discussed this morning about the procedure development over the longer term.

That would be one of the aspects of involvement of NTOL in the long-run program. And the other items, the verification of operating activities, having licensees review their procedures for independent verification of operating activities, both from a human verification standpoint, and the standpoint of automatic status monitoring which is covered in Item 1-B-3, so there would be two aspects of that before the installation of automatic status monitoring equipment if we decided to go that route, and also revision procedures after the installation of the automatic status monitoring.

MR. MATTSON: If I could interject at this point. If you'll now look at your sheet of when we're gonna start things, you can get a real graphic demonstration of where NRR, at least, is putting priorities.

C/H TAPE 5/23

2 The 1-B-1, 1-B-2, and 1-C have an X in fiscal
3 year '80 for every single item. So the quality of
4 management and the quality of technical support and the
5 quality of onsite competence, the preparation through
6 procedures, that's where alot of emphasis is being
7 put in the action plan.

8 Go ahead, Jim?

9 MR. MILHOAN: Two questions on that one. We
10 can move to the co-room design area. I think we discussed
11 some of these previously this morning, the efforts on
12 the design review of the control rooms.

13 MR. THTERINGTON: This is already issued in
14 this 1-B --

15 MR. MILHOAN: No, it's -- What you have there
16 is a two-part area. You have an immediate requirement
17 for the NTOL's concerning our look at the control rooms
18 or the NTOL applicants and then you have a longer term
19 item of 1-year design review of the control rooms and
20 broken up into short-term modifications and long-term
21 fixes based on the result of that design in review, so
22 there are two areas of that item.

23 The other areas --- The other items in this one
24 is safety monitor -- safety monitor console, which would
25 have to interface with the control room design review,

C/H TAPE 5/24

Item 1, and it does interface with it.

The action plan in the next revision will be revised to better indicate the interface between these -- these two items.

MR. MATTSON: Basically what it does is require the initiation of a design review for the control room, in parallel with consideration of how much a safety monitor console would improve the diagnostic capabilities of decision-maker in the control room, with the expected conclusion, both in NRC and generally in industry, I believe, being that the safety monitor console will be decided as the preferable short-term route, said decision to occur in the course of the summer or early fall, after some further study, and that people will then get on in a rather expeditious fashion with designing and installing the safety monitor consoles and then longer term further revision of the control room tempered somewhat by having a safety monitor console.

It makes the job easier, less extensive, more leisurely for modifying other things in the control room.

MR. SIESS: There's somewhere in red guide 197 that we immigrated into this too.

MR. MATTSON: That's right.

There are three things, actually. Remember we

C/H TAPE 5/25

2 put a slide up last month that said that the three major
3 contributors to cost were the safety monitor console,
4 the status monitoring equipment and red guide, 1.97.

5 They're also three things that relate very
6 closely to what is your philosophy for commanding control
7 information in the control room, what is your philosophy
8 on machine indication versus human verification and human
9 quality assurance, those are the kinds of decisions that
10 are being studied and will be made in the course of the
11 next 3, 4, 5 months, --- I guess by the end of the summer.

12 And, the implementation of 1.97 is right in
13 the middle of it. Do you really want another 125 instru-
14 ments, or is your philosophy to get down to three or four
15 dozen key indicators of the status of core cooling and
16 the primary coolant boundary and then a few additional
17 instruments for doing the best you could if you had a
18 core melt accident, and that's what instruments to follow
19 a course of an accident is controlled by.

20 I don't think we know the answer yet.

21 MR. ZUDANS: Is it in your process of thinking
22 in these matters room for computer-based systems status
23 monitoring with graphics and so forth?

24 MR. MATTSON: There's a debate, if I understand
25 it, correctly, between several schools of thought on the

C/H Tape 5/26

status monitoring equipment. One school of thought, and I'll oversimplify it, says, hard wire, discrete set of indicators, not subject to manipulation and game playing in the course of an event, and that's the thing upon which procedures and training are keyed.

Another school of thought says take advantage of the capability to call up diverse descriptions, diverse displays, sophisticated and complicated synthesis arrangements of information and make that available to the safety console, or some milligram that says use the digital computer processing to give you the capability to change your mind from month to month or year to year as to the kind of information you'd like to have in an emergency situation.

That's another element of the on-going discussions within the industry and involving NRC people, and I don't think decisions have been made yet.

MR. ZUDANS: The conference that you ran, some time ago, remember on IEEE, an NRC meeting. The Canadian fellow stated that although reactor controls are now computer based and they use computer assistance and it sounded like something is not a good idea in general because the technologies are well --

MR. MATTSON: If I understand the debate here

C/H TAPE 51/27

1 in this country right now, there are a couple of vendors
2 that say it ought to be computer based and there are a
3 couple other vendors and some other people that think
4 that the computer guys might make it kind of gadgety and
5 you couldn't depend on it, it's too flexible to be able
6 to train to, that it gets away from the simplification
7 philosophy of here's a simple set of three or four
8 dozen of indicators that we've tested against all kinds
9 of transient events throughout the 400 years of operating
10 history and they cover them all and they ought to be relied
11 on.

12 MR. ZUDANS: But they could co-exist. There's
13 no need to eliminate the simplistic approach.

14 MR. MATTSON: I don't come out on either side
15 of the argument, I'm just aware it's going on and it's
16 too early for me to jump in and try to resolve it.

17 MR. ZUDANS: I just wanted to know --

18 MR. MATTSON: Voss, did I overstate it one way
19 or another?

20 MR. MOORE: No, I think you stated it accurately,
21 the simplified, the hard-wired system that some people
22 are proposing talks in terms of about 40 parameters.

23 Some of the more complex computer base systems
24 talk in terms of about 400, so a factor of 10 difference
25

C/H TAPE 5/28

in the amount of data fed to the system.

MR. ZUDANS: Well, of course, you would not -- the human being of information even for 40 parameters, because you can't handle fast enough, so that's already excessive.

MR. COLLINS: The computer could increase or decrease from 1 to 400.

MR. MATTSON: All the plans says a decision will be made in this area. There are gonna be all kinds of meetings, all kids of criteria, and we ought to --

MR. ZUDANS: I'm interested in where the future is. I'm interested in where you are -- I understand that you do have some actions that have to be taken, and there's nothing wrong with that.

MR. MILHOAN: In fact, we changed this item in the action plan to be part of a study and not an immediate issue in the requirements in this area.

The remainder of these items quickly concern the development of a standard on control room design and regulatory guide development, determining acceptability of the standard and the research item and also we discussed the technology trends for a conference this morning.

The next area is analysis and semination of operating experience. We've discussed this area, I think,

C/H TAPE 5/29

concerning the establishment of the new office of analysis, AEOD, within the NRC. The items discusses the individual office program, the data analysis to be conducted, the coordination of the NRC and industry programs. It discusses the nuclear plant reliability, the data system, the interim -- the proposed notice or rule-making we have out.

It concerns review of reporting requirements in developing additional guidance and report area requirements, coordination of operating experience of foreign sources, and the research on human analysis, these are in this category.

Any -- Do you have any questions on these particular items, operating experience, evaluation? I think we covered these.

MR. ETHERINGTON: Another -- an editorial comment. It would be helpful if this table had the same general designation of the itemized unit 2. For example, 1-D-5 research -- When I look that up and I find instrumentation research, which is not more definitive than the things you have.

I think if you look all the way through, you'll find that there are changes in wording which some might lose something.

MR. SIESS: They've always used research all

C/H TAPE 5/130

by itself.

MR. ETHERINGTON: Well, but then it's a limited research in this case.

MR. SIESS: After about the third time you've seen it --

MR. MATTSON: Well, I think what you're saying is that even though it says research under control room design, it's more narrow than control room design research, it's instrumentation research.

MR. COLLINS: It could be human factors.

MR. MATTSON: Good point.

MR. LIPINSKI: It's not part of control.

MR. COLLINS: It's not part of control room design?

MR. MATTSON: That's included under 1-D-1.

MR. COLLINS: Design-review?

MR. MATTSON: Um-hum. The Human Factors Division is responsible for this whole area of control and design.

MR. COLLINS: Well, I sure would feel more comfortable if it was called up separately.

MR. MATTSON: Here's my problem. I've got 7,000 people interested in reaction plan and each one feels more comfortable if it's categorized this way than the other 6,999.

C/H TAPE 5/31

MR. ZUDANS: The probability factor, I think is very small.

MR. MILHOAN: If there's no questions on that one, we can move to the area of quality assurance. Two items on this one is development of guidance concerning the QA lists, and in this regard we're looking at changing this item in the action plan from a B item to a D item, which would be developed in the normal course of develop process on developing guidance concerning the standing QA list, -- developing guides on more detail criteria in the QA areas also in category D Item.

MR. ZUDANS: This red guide 1.97 is under 1-F-2?

MR. MATTSON: No, no.

MR. MILHOAN: No, no, no, B -- These will be covered in part of red guide.

MR. ZUDANS: I'm sorry. I'm trying to find it.

MR. MILHOAN: In the area of operations, red -- guide 1.43.

MR. ZUDANS: Okay. I jumped to page --

MR. MILHOAN: No questions on that one, we can go to the last item in chapter 1, training during low powered testing.

Item 1 is an NTOL requirement concerning the need for training during the low power testing program and

C/H TAPE 5/32

2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Item 2 is an additional item concerning the review of the scope of the test program. This is a new item added to the action plan in draft 3, the need for review of the scope of the operational and start of the test program to determine whether additional guidance needs to be developed in this area.

12:15

MR. MATTSO: Mr. Scroggins is the chapterhead for Chapter 2 and he'll call upon the various managers in the room responsible for these areas to summarize them for him.

MR. SCROGGINS: Okay, or I can -- why don't we just go ahead and discuss them.

I gather we are going to use a slightly different approach on Chapter 2 and I'm going to call, as available, if not we'll take care of it -- the task managers for the various sections to briefly describe in the content, the status of these items and then respond to any questions that you might have.

The first section on siting has to do obviously with the rulemaking on the new siting policy and Dan Muller is here who will discuss it.

Dan, do you want just sit up there?

MR. SIESS: Don't talk to --

(Laughter)

MR. MULLER: There are two parts to this task. The first is siting policy rulemaking and this, in effect, is to implement either the recommendations of the siting policy task force or other recommendations that the commission may have and place this into a revised 10CFR Part 100.

The first step in this activity is an advance

1 notice of the -- rulemaking which would go out public and
2 request comments of the public on both the siting policy
3 task force recommendations, as well as others that the
4 Commission has proposed and this will be out hopefully this
5 month, with a draft rule published for public comment in,
6 optimistically, October 1980.

7 The second part of this is a site evaluation for
8 facilities. It's effectively, what are we going to do about
9 plants that are currently in existence vis-a-vis the new
10 siting policy that's developed at some point. Sort of on
11 the assumption that some of these plants will not meet the
12 new siting policy and have to come up with some sort of
13 a rationalization of either the acceptability or what we'll
14 be doing about those specific plants.

15 MR. SIESS: The low priorities on these items, I
16 assume result from the fact that on the first -- and no new
17 plants coming up real quick and not much we can do about the
18 old ones --

19 MR. MULLER: Pretty much. The only priority we
20 have Chet, is the fact that there is likely to be some sort
21 of siting legislation that the Congress may pass one year
22 future, which very likely will be somewhat along the lines
23 of what we're thinking of in the revision department, part
24 100. We're trying to get a leg up now, a little bit on that
25

activity.

MR. SIESS: If I took you literally, that the site evaluation followed the site policy, it would seem to me that it would have a lower priority than the site policy, instead it had the highest.

MR. MULLER: Well, that's one thing I pointed out. In fact, I'm not -- That's one thing that I pointed out to you, that that was inconsistent.

MR. MATTSON: I'm sorry fellows --

MR. MULLER: The site evaluate has a higher priority than siting policy and it's just inconsistent really in the sequence of the way we have to do things.

MR. SIESS: Except at looking at Indian Point design, you're sort of jumping ahead of any others. The Indian Point design is the sort of thing you mean by evaluation --

MR. MULLER: Yes, that's exactly right.

MR. MATTSON: I think the difference is probably in the amount of safety improvement we expect to have occur from item 1 versus item 2 and I guess I'll say it as candidly as I know how. The siting policy rulemaking, I don't expect to have much effect on the sites that I see presently proposed and lying before this agency for decision. It's my understanding that those are all pretty good sites.

1 Hence, for the sites, they are of any interest at all the
2 next few years, the siting policy rulemaking isn't going to
3 have any safety significance.

4 MR. MULLER: Except that's going to input the
5 item 2 and that's where you get the inconsistency, Rod.

6 MR. CATTON: Maybe they ought to say existing
7 site evaluation --

8 MR. MATTSON: But item 2 deals with sites that are
9 already approved, whether some of them might not have been
10 as good as sites as we think today we want. Right? So
11 there you can get a safety improvement by deciding that they
12 are not safe enough and cancelling their approval.

13 MR. MÜLLER: Except we really need the results of
14 item 1 to do item 2.

15 MR. SIESS: -- because you are presumably making,
16 your looking -- 40 percent of the total risk over 60
17 operating plants -- you don't need hard rulemaking in
18 deciding to reduce the risk somewhat.

19 MR. MULLER: Some of us think that that may be
20 jumping the gun a little bit --

21 MR. MATTSON: 2BC, yes because most of the
22 approach is to --

23 MR. SIESS: Well, I'm not interested really at
24 arguing between the 2 and the 3 priority right now. I'm
25

1 more interested in 1 and others.

2 MR. MATTSON: We'll reconsider the 2 and 3.

3 MR. SIESS: On the numerical scores, one of them
4 is 60 and one was 120, which maybe looks bigger than between
5 2 and 3.

6 MR. MATTSON: Well, you see, the steering group
7 has had a little -- really battle with NRR line organization
8 on this question. We've said that we didn't understand why
9 item 2 couldn't be done without item 1 and I guess at this
10 point, we lost that running battle and item 2 isn't going to
11 be done without item 1.

12 MR. MULLER: If you do item 2, you die on 1.

13 MR. MATTSON: Yes. So I suspect we are going to
14 change the numbers. It's probably an oversight, but the --

15 MR. SIESS: That may be the best way to do it.

16 MR. CATTON: Just put the word "existing" in front
17 of it, in front of site.

18 MR. MATTSON: What are you suggesting?

19 MR. CATTON: You call it existing site evaluation
20 and the 2 and the 3 are natural.

21 MR. MATTSON: No, I don't think that gets it for
22 Dan.

23 MR. SIESS: There is still the difference in the
24 improvement and safety.

25 MR. MATTSON: Right. In the currently proposed

1 sites, they are pretty good sites. Some of them that are
2 already approved, aren't as good. There are some currently
3 approved on which significant construction has not been
4 accomplished because it's been significantly delayed, that
5 were approved a long time ago, may not be such good sites.

6 Well, we'll sort out the 2 versus 3. Are there
7 any other things that the subcommittee would like to under-
8 stand about siting, while we have Dan here?

9 Okay, Dan, thank you.

10 I guess the next area is the degraded or melted
11 core.

12 MR. SCROGGINS: Mr. Speis will discuss the indivi-
13 dual items. Themis, do you want to come up and take Dan's
14 place here. I guess I can indicate at the outset that the
15 first four items are on the NTOL list and have been dis-
16 cussed at some length. The AIF did comment on number 4 and
17 its comment really was that they essentially agreed with
18 it. They had offered a revised scope which clarified it
19 better what the intent was and that revision will be made
20 in the final draft of the actual plan.

21 Themis, why don't you go ahead and do a brief
22 description of the items here and sort of the status as you
23 understand it.

24 MR. SPEIS: Should I start with the objective?
25 Basically the objective is to develop and implement a phase

1 program to include -- consideration of core degradation and
2 core melt oxidants beyond the present design basis. The
3 program consists of four elements. One of them short and
4 medium term -- for scope and -- among them are the four items
5 that Mr. Scroggins mentioned that are being implemented now.
6 There is a specific item for additional requirements for
7 type of relation density sites. There is an element
8 involving research and design status to develop additional
9 information and finally rulemaking to establish a long term
10 policy rules and requirements, etcetera.

11 If I can start with the last one, rulemaking, it
12 involves two parts. One of them to be implemented immediate-
13 ly, includes some of the short term requirements that
14 Mr. Scroggins mentioned earlier. Basically, most of them are
15 things that we have labelled on the licenses right now and
16 I assume that the reason we are doing it is to make it
17 legal. Is that right, Dr. Mattson?

18 MR. MATTSON: No, the difference between doing it
19 the way we've done it so far and doing it the way the
20 interim rule does it, is that what we've done so far is not
21 binding on -- and the staff has said to the commission that
22 we can approach this new area of beyond Zion basis accidents,
23 degraded cores, core melt accidents, in one of two ways
24 basically. We do it case by case and argue it at each
25 hearing or we can do it generically and conserve our

resources and treat it more systematically and make better use of research and industry and resources available to us, that we can control through certain rulemaking actions.

The Commission's general counsel has advised that you can't do that through a policy statement, which is what we had earlier talked about, I think in the first draft of the action plan. So we've come to this approach which says an interim immediately effective rulemaking, which would be binding on the boards if issued by the Commission.

Basically, the argument we try to make there is that having considered what we've considered so far and arrived at the conclusions we've arrived at, we would do the following things and we'd list them right now, put them in the regulations and they would give a justification for not doing more in the statement of considerations for the rule for some period of time, say two years. In that two years, you would consider what further things might need to be done by way of protecting containments or preparing containments for a degraded core accident or hydrogen control systems or -- systems or whatever is important to consider. The hearing boards would be bound by that for that two year period. They would hear evidence on how well a particular licensee had met the interim requirements, but they would not delve into the other area of what more was required, since that would be part of the generic rulemaking. It's

1 analagous to the approach that was taken with the emergency
2 core cooling rulemaking in the early 1970's.

3 So what we've done so far is legal.

4 (Laughter)

5 MR. SPEIS: Legalize the -- our friends in the
6 Office of STANDARDS have drafted two pieces of paper; one of
7 them dealing with the interim rule, covering all the items
8 that are mentioned, spelled out on page 2B14 and are also
9 in the process of finalizing the rulemaking itself. I'm
10 talking about the paperwork and hopefully, both of them will
11 be available for the commission by the end of April. Is
12 that right?

13 MR. MATTSON: Yes, it's probably interesting in
14 the context of this description -- where the GE argument
15 fits, when they make it to you tomorrow. It's been our
16 conclusion, the staff's conclusion that part of the interim
17 rule ought to be a requirement to inert Mark 1 and Mark 2
18 containments.

19 It's GE's contention that that needn't be done,
20 that that can be a consideration for the longer term rule-
21 making and that it's unwarranted to move to this point to
22 a decision to inert the Mark 1's and Mark 2's which requires
23 an amendment to 50.44, to require inerting.

24 CHAIRMAN ETHERINGTON: Without disagreeing with
25 you, I would like to know what the criteria -- at some time.

1 MR. MATTSON: Now, what you said earlier was that
2 you'd like NRR to be prepared to discuss that after the GE
3 presentation tomorrow, we've arranged it for either -- after.
4 Dick Denise and the Containment Systems Branch will be down
5 here tomorrow for the GE presentation, then we'll --

6 CHAIRMAN ETHERINGTON: And your criteria do
7 definitely make it necessary to not --

8 MR. MATTSON: They will be prepared to discuss how
9 they came to that conclusion, yes.

10 MR. SIESS: They may be able to discuss that on
11 a risk analysis basis. I read section 8107, I think it is,
12 and I was just amazed to find nothing in there on a probable
13 risk assessment approach to justify what you're doing or
14 where you divide it.

15 MR. MATTSON: Well, we'll advise Mr. Denise that
16 that will be a question you will have for him tomorrow so
17 he can think about it overnight. I'm sure he's thought about
18 that question before. You know, the PAS staff talked to
19 you all some months ago about where one comes out on this
20 question from a risk assessment point of view. If you want
21 to go into that again tomorrow, Chet, we ought to ask Matt
22 Taylor if he can, to step over here.

23 MR. SIESS: I don't recall what they said, but it
24 just seemed to me that in a document that is presenting the
25 basis for this commission or to us or whoever, that if those

1 studies have been made and there is any justification in
2 terms of risk assessment, it would be a --

3 MR. MATTSON: Basically the argument goes something
4 like the following. The PAS people said, I think, and Bob
5 you can correct me, if I stray too far or take too much
6 liberty here, they said it doesn't make any sense to inert
7 because simply the generation of large amounts of hydrogen
8 could cause pressures in excess of the design pressure for
9 some of these small containments. So you are better off to
10 find a way to prevent generation of that amount of hydrogen
11 or otherwise disposing of it, so that it doesn't yield that
12 high pressure.

13 The Denise argument, the Containment Systems
14 Branch argument is, if you are willing to consider pressures
15 beyond the design pressure, that is, talk about where you
16 realistically expect significant leakage from the contain-
17 ment, then you can take large amounts of hydrogen production
18 even in small containments without causing significant
19 leakage. Therefore, it makes sense to inert some of the
20 small containments, but they wouldn't move to inerting all
21 of the little containments pending further study and where
22 they choose to draw the line and it's on judgement, that
23 judgement derived from the kinds of reasoning presented in
24 the paper you referred to, they draw the line between Ikes
25 condensers and BWR Mark 1 and Mark 2.

MR. SIESS: But I saw nothing, for example, that indicated that this would reduce the risk by 40 percent or 1 percent, a tenth of 1 percent. It's a pretty strong measure, unless you can show that it's going to be a reduction in risk --

MR. MATTSON: I'm not sure that that's --

MR. SIESS: I thought it was --

MR. MATTSON: I'm not sure you can make such an argument, that you can calculate such a number.

MR. SIESS: Wasn't there something in Washington 200 about that?

MR. BENARYOA: May I suggest, it seems like I ought to make the commitment to have Matt here tomorrow and pursue the argument then because Matt Taylor, it was an October presentation if I remember, he did try to rate the thing quantitatively.

MR. SIESS: Okay.

MR. SPEIS: But the commission paper is dealing in terms of capability of containment, in terms of pressure basically. The weakest one is the Mark 1 and 2.

MR. ZUDANS: Most of the Mark 1 and Mark 2 are operating now inerted?

MR. SPEIS: Except 2.

MR. ZUDANS: All but two? So the contention is removing that requirement, rather than enforcing the

1 remaining two or remaining one.

2 MR. MATTSON: The regulations as presently written,
3 based on a revision of 50.44 of about two years ago, requires
4 that a BWR either uses its design basis 5 percent metal water
5 reaction or 5 times the amount calculated in the -- K
6 calculation. And if plants choose to take the second
7 alternate, as Vermont Yankee and Hatch chose to do, then
8 they're capable of showing for less than 5 percent metal
9 water reaction that they can keep the plant within the design
10 pressure of the containment and needn't inert.

11 The other plants have that option, but none of
12 them have exercised it. Now, what the proposal is in the
13 action plan, is to remove that option and to require all
14 Mark 1's and Mark 2's to be inert.

15 MR. ZUDANS: So really the question about two
16 plans being --

17 MR. MATTSON: Well, it's more than two. It would
18 be any new Mark 2's licensed before the rulemaking was
19 concluded and there are three that will be licensed within
20 the next year or so.

21 MR. SPEIS: Two are the operating --

22 MR. MATTSON: Two operating, three about to be
23 licensed.

24 MR. ZUDANS: I see. Now, the -- hydrogen -- is
25 not being considered in these plans or are they?

1 MR. MATTSON: -- combiners, the current thinking
2 is to require in the interim rule that there be a recombiner
3 capability at all operating plants.

4 MR. ZUDANS: In addition to inerting or in lieu of?

5 MR. MATTSON: In addition to inerting. That's the
6 current requirement, except for some 40 units which were
7 grandfathered from that requirement when it was promulgated
8 several years ago. So the thinking for the interim rule
9 is to remove the grandfather clause on recombiners.

10 MR. CATTON: Are there any requirements with respect
11 to where the recombiner intakes are located?

12 MR. MATTSON: No.

13 MR. CATTON: Will there be?

14 MR. MATTSON: No.

15 MR. CATTON: Will anybody even look at it?

16 MR. MATTSON: Not until we've decided what our
17 design basis is for large amounts of hydrogen?

18 MR. MINNERS: Well, we have looked at it. We
19 have looked at installations and that's been looked at. It
20 is not ignored.

21 MR. MATTSON: Which I made this morning in
22 response to the committee's comment in its March letter
23 about that point, was that for large amounts of hydrogen
24 quickly generated, it makes a difference. For small amounts
25 of hydrogen generated by a radiolysis over a long period of

1 time, which is the only thing the present recombiners can
2 deal with, it doesn't make much difference. There is a
3 distribution of air inside a containment.

4 MR. CATTON: I just keep thinking about TMI where
5 you have the air conditioner intake. They are on a ring
6 that has about 120 foot diameter and there is a dome that
7 sticks 30 feet above it and intakes are off the air condition-
8 ing system. But if you had a release from the reactor and
9 it was at all warm, you would have a -- that would rise to
10 the top and I don't think you'd get the mixing even if the
11 amounts were small. I think it's almost a plant by plant
12 assessment that's needed.

13 MR. MATTSON: We don't agree with you because of
14 the small amounts that these things are designed to
15 accommodate and they are not designed to accommodate metal
16 water reaction beyond that experience for a loss of cooling
17 oxidant that needs 2200 degrees Fahrenheit plus the amount
18 by radiolysis over the long term. That's the design basis
19 for these recombiners and you can't make a silk purse out of
20 a sow's ear. If you want to put degraded core oxidants, it
21 is much more than their intake that you need to be concerned
22 with.

23 MR. ZUDANS: That is if you use current technology,
24 right?

25 MR. MATTSON: That's right.

1 MR. ZUDANS: But it does not preclude to develop
2 something that will take care of any amount --

3 MR. MATTSON: And that we're going to work on.
4 That, everybody agrees we are going to work on in the course
5 of this rulemaking, but to go back and cause a whole bunch
6 of engineers to make a whole bunch of changes in the intake
7 for recombiners that can't deal with an oxidant, doesn't
8 make any sense and the priority -- it's all the scheme of
9 things.

10 MR. ZUDANS: It's reasonable. I'm not saying it's
11 not reasonable.

12 MR. SIESS: You don't even mention recombiners --

13 MR. MATTSON: No, not in that paper. In fact, it's
14 not mentioned in the action plan by oversight. It is being
15 included in the interim rule.

16 MR. CATTON: Are you requiring sensors? Are you
17 requiring hydrogen sensors?

18 MR. MATTSON: Yes, we are.

19 MR. CATTON: Where are you going to put them?

20 MR. MINNERS: I forget what the proposed rule says--

21 MR. MATTSON: Well, those are part of the short
22 term lessons learned. They are already being implemented.
23 What have we done with that? The hydrogen monitor and
24 containment, have we said anything about its location?

25 MR. MINNERS: I don't remember whether that's that

or the radiation monitor.

MR. SPEIS: It is in the action plan.

MR. MATTSON: The argument I am giving doesn't hold for that. That one has to have an answer to your question. I don't know what the answer is, but we'll get it for you.

MR. MINNERS: Would you like a copy of the proposed rule?

MR. CATTON: Yes, please. Thank you.

MR. ZUDANS: One more question just for me to understand it better. The GE subjection which you will hear probably about tomorrow is mainly related to the time it takes to purge , the containment or what other reason?

MR. MATTSON: Accessability during operations.

MR. ZUDANS: But mainly when they are refueling cases, when they have to shut it down, it takes more time to purge it --

MR. MATTSON: No, I think the Tech specs allow him to start unpurging in advance of shutdown, so that they don't have --

MR. ZUDANS: Loss of time, yes.

MR. MATTSON: -- loss of power generation capability because of inerting. It's access during operations. They will also probably make a safety argument that there is the risk of harm to people who go into

containment, even after it's purged because of --

MR. ZUDANS: Yes, that I read in the GE report.

MR. SIESS: The Vermont Yankee Board decision, the Board speaks for the Commission, right?

MR. MATTSON: Unless it is overruled, yep.

MR. SIESS: So that stands as a Commission position, and you take rulemaking then to change it.

MR. MATTSON: No, after the Vermont Yankee decision, the staff and the Commission agreed that there ought to be rulemaking to firmly establish Commission policy on inerting and dealing with hydrogen, So the amendment to 50.44 occurred after the Vermont Yankee decision.

MR. SIESS: That didn't change Vermont Yankee.

MR. MATTSON: It did not overrule the Vermont Yankee decision, no, but the governing regulation is 50.44 rather than the Vermont Yankee precedent.

MR. SIESS: I should keep out of legal questions. I'm sorry.

(Laughter)

MR. SPEIS: The action plan also includes the explicit consideration for heights, size, what type of relation, density. We've discussed this with the sub-committee and the full committee last month. Basically, we're attacking the problem of Zion intake point and see if something can be done prior to the completion of the

rulemaking.

CHAIRMAN ETHERINGTON: Core attention is one of the things being considered, is it?

MR. SPEIS: Yes, we're considering explicitly --

CHAIRMAN ETHERINGTON: Yes, I knew that -- I wanted to concentrate on the core attention. Are you thinking in terms of any particular -- core attention to this -- Indian Point is catching in a pool of water, isn't it?

MR. SPEIS: Well, this is one proposal from the licensee. When we talk about core attention, it has to be put into the framework of the containment integrity. So it does -- the material that exists below the reactor vessel -- to fail to containment -- to being able to prevent that penetration of the molten core. So it is a more broader question that has to be --

MR. ZUDANS: Very site specific anyway.

CHAIRMAN ETHERINGTON: One of the things I was interested in is the different approach being used by FMP -- is it under consideration by Indian Point? Do these originate within the Commission or not?

MR. SPEIS: Well, the FMP was a separate question. You have a --

CHAIRMAN ETHERINGTON: It was separate?

MR. SPEIS: Totally separate. It came up in the

1 environmental review and the question there was whether the
2 differences in consequences to the liquid -- and came up with
3 the conclusion that you could delay melt through and get
4 the consequences to be more equal between one and the other
5 and we came up with the requirement of replacing the 4 feet
6 concrete -- some sacrificial material that will delay melt
7 through and also contribute less gaswise to the containment
8 atmosphere. But these are two separate questions.

9 CHAIRMAN ETHERINGTON: I didn't really ask a
10 question. I'm just a little bit wondering, a little
11 inclined to wonder whether NRC is getting into a position
12 of telling people how to design. Did they -- Apparently,
13 the Indian Point system, if it works at all, would work
14 very -- and then it would not really delay. It would
15 retain.

16 MR. CATTON: Harold, there is a big difference in
17 that. At Indian Point and Zion there will be water below
18 the vessel, whereas in FMP they deliberately keep it out.

19 CHAIRMAN ETHERINGTON: I know, but they could
20 have let water -- I'm wondering why the two --

21 MR. CATTON: Then we get into another problem
22 with the sump water being so messy when it got into the
23 tidal basin, there was a big radiation -- associated with
24 it.

25 CHAIRMAN ETHERINGTON: It wouldn't get in at all

1 if it were --

2 MR. SPEIS: If we go back to the NCRS deliberations,
3 the NCRS said, you know, is there anything that can be done
4 to prevent a melt through and of course, when you are -- in
5 order to answer that question, you have to look at a number
6 of scenarios, okay. And also there are -- areas where you
7 don't have water or you are not going to have fragmentation
8 and your melting core will be in a molten stage and if that
9 is the case, in a molten pool. If that's the case, then you
10 are going to have a rapid penetration.

11 One way of preventing rapid penetration under
12 those -- scenarios is to replace the concrete with some other
13 material and that was the direction that we went and these
14 were the type of NCRS questions --

15 MR. SIESS: But it is correct, isn't it, that the
16 core ladel in the FMP is essentially designed by the NRC
17 staff?

18 MR. SPEIS: No, that's not true.

19 MR. SIESS: They told them what to do, how thick
20 to make it and what material to make it out of. They left
21 the details up to them.

22 MR. SPEIS: But there were constraints, you know.

23 MR. SIESS: I know.

24 MR. SPEIS: You couldn't put more than 4 feet. You
25 had to go ahead and --

1 MR. SIESS: But NRC said how much to put in and
2 what material to use and a few other things. In contrast,
3 the proposal to use the water underneath the reactor vessel
4 in Indian Point, that came strictly from the licensee; did
5 it not?

6 MR. SPEIS: Well, the licensee thinks that he can
7 have water there and --

8 MR. SIESS: You didn't suggest it?

9 MR. SPEIS: No, no.

10 CHAIRMAN ETHERINGTON: That answers the question,
11 yes, but it doesn't answer my concern. I'm a little con-
12 cerned about --

13 (Laughter)

14 MR. SCROGGINGS: Do you have any further questions
15 on --

16 MR. SIESS: Yes, I'm just curious in item 1, 2 and
17 3, which are NTOL items, turn out that the only priority 2,
18 does that mean that these have already been -- with NTOL
19 items and referred them down the line?

20 MR. MATTSON: No, I guess I just spoke --

21 MR. SIESS: There are a few other instances like
22 that.

23 MR. MATTSON: I tried to speak in shorthand this
24 morning by saying that only the priority group 1's, plus
25 a few exceptions would be done by NRR. All the priority

1 group 1's, all the NTOL's, a few 2's and a few 3's, is what
2 NRR is able to work on. If you look at 2B in this sheet,
3 it shows that all of those things will be an issue --

4 MR. SIESS: No, that is not really my question.
5 I thought the NTOL items were, you know, such obvious items
6 that they were imposed immediately, you know, no argument,
7 a little from ACRS, none from the Commissioners. Then it
8 turns out that NTOL items come out as priority 2.

9 MR. MATTSON: No, we showed you a distribution of
10 the NTOL things a month ago that showed you that there were --
11 that the NTOL items were all priority group 1 or 2. There
12 were more 1's than 2's, but there were some 2's.

13 MR. SIESS: What drops them down to 2?

14 MR. MATTSON: Well, the priority classification
15 occurs from how many points it gets in our priority
16 classification system. But our priority classification
17 system doesn't give any special increase of weight, if it's
18 the first action of a kind in an area which needs action or
19 any decrease in weight, if it's the second, third, fourth
20 and fifth action in an area needing a treatment. NSAC and
21 their priority system calls that priors. They give weight
22 to the first action in an area in which there is a consensus
23 that action is needed and then they discount weight for
24 subsequent actions.

25 So these 2's, I think you'll generally find,

1 although their significance, the potential risk reduction
2 associated with them in particular, might not be as high as
3 some other areas, hence they are a 2 instead of a 1. They
4 are the only or the first action possible in an area, which
5 in our judgement deserves treatment and separation for
6 degraded core is an area that we haven't done anything in
7 except these procedural and training activities. By them-
8 selves, they don't have a high risk reduction capability,
9 only medium, hence they come out 2's. But we think they ought
10 to be done because they improve the capability to make the
11 most out of what you got, while you're deciding whether you
12 ought to have more.

13 MR. SIESS: Expedient, although not a major --

14 MR. ZUDANS: Is the containment under this
15 heading or someplace else?

16 MR. SPEIS: It is under rulemaking.

17 MR. ZUDANS: Wouldn't that be strongly related
18 to this degraded core activity?

19 MR. MATTSON: That's 2B8. It's under the rule-
20 making, 2B8 is where we make the consideration of whether
21 to filtered plant containment.

22 MR. ZUDANS: But that is considered as addition
23 or in lieu of core retention devices?

24 MR. SPEIS: That's part of it. The whole area
25 will be --

1 MR. MATTSON: Part of it.

2 MR. ZUDANS: Part of it, yes.

3 MR. MATTSON: Well, we don't know whether to do
4 both or neither or one or the other and that is what the
5 rulemaking is for, to decide that.

6 MR. ZUDANS: Yes, preventing delays, the process
7 of releases and gives you enough time to do what you have to
8 do, you may be able to get away without core retention
9 devices.

10 MR. MATTSON: Yes.

11 MR. ZUDANS: That's the thinking.

12 MR. MATTSON: And in some containments you may be
13 able to do without venting.

14 MR. ZUDANS: If the soil is appropriate or what-
15 ever else is --

16 MR. SPEIS: The other thing at -- I do is prevent
17 containment failure. In -- 1400 and subsequent studies,
18 the interaction of molten core with the concrete low
19 contributes to containment failure.

20 MR. ZUDANS: Yes, there are lots of reaction --

21 MR. SPEIS: -- 40 percent of -- CO₂ hydrogen to
22 finish off the containment. So we have listed a number of
23 items and rulemaking that should be considered carefully
24 to see if they will contribute or be beneficial from a safety --
25 positively or negatively or whatever. The rulemaking will

1 bring all this thing up.

2 MR. ZUDANS: Although it's not related to this
3 subject. What happened to FFTF, does it have a --

4 MR. SPEIS: No, it doesn't. It has a filter, then
5 a containment.

6 MR. ZUDANS: Is there a hole underneath the --

7 MR. SEISS: They filled up the ACRS.

8 MR. SPEIS: They filled up the ACRS hole with
9 concrete.

10 (Laughter)

11 MR. ZUDANS: They did fill it with the concrete.
12
13
14
15
16
17
18
19
20
21
22
23
24
25

TAP 7/1

1 DR. SIESS: I got a couple of questions about
2 SECY-8107, can I ask personally?

3 DR. SPEIS: Which one is that?

4 DR. MATTSON: That would be Denise and Butler?

5 DR. SPEIS: Denise and Butler.

6 MR. SCROGGINS: Okay, the next area is the
7 reliability.

8 The task manager for the -- Bob Bernero,
9 director of the PAS group in research and actually,
10 the primary item under Section 2C is the IREP program.

11 Bob can sort of bring you up to date of where
12 we stand on that. The Draft 3A as you saw, is different
13 from Draft 2 and I fully expect Draft 4 to be different
14 from Draft 3A as it is an evolving program. Bob can
15 sort of give you an idea of where we are going on that.
16

17 MR. BERNERO: Excuse me, if I look a little
18 apprehensive, it is because I have to go give a speech
19 pretty soon, I may be relieved half way through this,
20 by Frank Rowsome, my deputy.

21 This task 2C reliability engineering and risk
22 assessment gets three elements, all of which are attempts,
23 complimentary attempts for more orderly, methodical
24 analysis of safety. The IREP, the systems interaction
25 work, and ultimately we hope, reliability engineering.

1 The IREP program is one of the more fluid
2 of these elements. It is already underway as systems
3 interaction. I believe in our last conversation on this
4 downtown, we were still in the Crystal River study at the
5 time we covered it and we have reached the milestone in
6 the Crystal River study that is a very interesting one
7 because the event happened, the Crystal River event of
8 February 26, and we were doing out cue and the angel
9 Gabriel came and did his share.

10 DR. SIESS: You don't think there was any
11 connection, do you?

12 MR. BERNERO: I asked for it, I prayed that
13 night, and said do something for us. Boy, it was a good
14 test.

15 What it showed, we had identified a number
16 of expected problems in this first IREP study, namely
17 poor documentation, you know, when you get people that
18 know what they are doing, they don't write down what
19 they are doing.

20 That we expected. But, we had independently
21 discovered and discussed with the ACRS non-nuclear bus
22 failure questions, in fact, Frank gave a presentation
23 related to Congressman Udall's question, I believe it was,
24 about the light bulb incident in Davis-Bessie. This was
25

1 not an explicit discovery of the IREP, the Crystal River
2 IREP, it was independently identified from the Davis-Bessie
3 incident, but this is a signal deficiency in that first
4 IREP, that it didn't have a fine mesh to pick up that.

5 So, we have gone back on Crystal River to amend
6 and improve that study and we are trying to start the
7 6 plant study, if you recall, that is described in the
8 action plan. Here we have a little fluid situation.

9 Remember for the moment, we have got 3 objectives,
10 with IREP, 3 principal objectives. One is to identify
11 outliers, the second is to train people to use the
12 techniques, the risk assessment technique for safety
13 analysis, and the third is to establish a starting point
14 for plants further analysis. You can't do it all in an
15 IREP but you can get the base of information and the
16 base of models to be able to further review that plant
17 to understand design modifications and to see them. Am
18 I really knocking down a risk contributor, or am I just
19 wasting time with the design change or requirement?
20

21 We want, very much, to have NRR personnel in-
22 volved in the 6 plant study, the resources required by
23 this action plan, of course, are a severe demand on
24 Harold Denton and we are in the midst of negotiating with
25 him on how people we can have and when we can have them,

1 and his objective is starting at 0 and working up to
2 a few, and our objective is starting at quite a few and
3 haggling downwards. We don't have an agreed position
4 yet.

5 DR. MATTSON: Well, Harold's position is not
6 0, Bob.

7 MR. BERNERO: I know, that is not fair, I agree.
8 I have to get that in.

9 DR. MATTSON: NRR believes in IREP, is going
10 to continue to IREP, the question is what can we afford,
11 and give us some other responsibilities we have in the
12 next year.

13 MR. BERNERO: In all likelihood, we will stagger
14 the 6 plant studies but go forward with whatever resources
15 are available and at least do the contractor parts, which
16 we can undertake very shortly and try to get the NRR
17 Staff and our own people into it as quickly as possible.

18 DR. MATTSON: We look forward to assigning
19 something on the scale of 6 people within the next
20 few weeks to IREP.

21 Once some resource priorities have been sorted
22 out and confirm what we think at this point about those
23 priorities we would expect a half a dozen people to be
24 assigned full time to this program.

25 DR. SIESS: You are going to divide into 2

1 items here, different decision categories which you have
2 no control over and different priorities.

3 Now assigning the lower priority to the continu-
4 ation, does that mean you won't know until you finish the
5 6 whether it is worthwhile?

6 MR. BERNERO: Well, Dr. Siess, let me just
7 point out the thing is evolving. We had from the outset
8 said, let us do one plant to learn how to do 6 plants
9 and use the 6 plant study as a screenboard to decide
10 to do them all or to do half of them or have the industry
11 do the rest or just turn around and tell the industry
12 here is a format, go do it.

13 In the meanwhile, we are working on it. The
14 industry has undertaken a number of things. There is
15 activity Zion, Commonwealth Edison is having a risk
16 assessment. The Big Rock Point has recently, that is
17 consumers power, they have recently said look we have
18 got this old plant Big Rock Point that is a mile of
19 long, a very costly thing, let us do an IREP from scratch
20 and then decide it is a package, whether to fix the
21 plant or not.

22 So, we are cooperating with that kind of effort.
23 What is happening, as we go forward with the 6 plant, the
24 industry is moving to do many of the plants on their own,
25 and I suspect about half way through the 6 plant studies,

1 a much clearer pattern of further action will be apparent.
2 You really can't make a judgment, at this time, on what
3 we ought to do about it.

4 We see the 6 plant is a secure thing to do,
5 beyond that point it is rather vague.

6 DR. SIESS: It seemed to me that the next
7 level, or maybe the first level, would have been the
8 SEP punches where you have to have dozens of decisions
9 to make on backfitting. That is the object of SEP,
10 right? Certainly, IRF or something like that, would
11 be extremely helpful to the Staff in saying what you
12 are going to do on the SEP plants in an area where they
13 do not meet the criteria.

14 MR. BERNERO: Yes, there was that --

15 DR. SIESS: Big Rock is obviously --

16 MR. BERNERO: Yes, Big Rock or any of the
17 ones. However, the SEP plants are, what shall I say, the
18 least representative, and you lose that aspect. If
19 you do Big Rock Point, you know, you have got a dual
20 cycle, BWR, that is rather small and a much earlier design.
21 You aren't getting as crucial an evaluation as you would
22 get say, from Calvert Clips, or --

23 DR. SIESS: From total risk.

24 MR. BERNERO: Yes.

25 Total risk and commonality with other plants

1 not yet done. One thing, we can look at WASH-1400 and
2 say, we now know all we need to know about the principal
3 contributors to risk and we won't want it anymore.

4 But, on the other hand, if we do IREP's
5 we might discover 2 or 3 more principal contributors
6 to risk not yet appreciated. That is why there is a
7 strong tendency on our part to go to the later plants.

8 Another thing, too, to do an IREP on one of the
9 earlier plants is a lot harder because of documentation.
10 You say, show me your FSAR and documentation is no
11 where near as complete.

12 DR. SIESS: I would think the SEP
13 plants would be pretty well up to date now.

14 MR. BERNERO: Well, earlier when it was
15 discussed, they are having a hard time structurally going
16 back in, and by the way, I should add, the IREP is
17 consciously not trying to develop the seismic risk
18 part of it and in the earlier plants that is probably
19 a singular contributor, because you have got the uniform
20 building code and so forth, that distinction. That is
21 another factor I should mention.

22 DR. MATTSON: Anyway, there is another aspect
23 to IREP, that I guess I might as well lay on the table,
24 that bothers me a little bit, at this point. I am afraid
25 that a person could do a bunch of IREP's and not learn

1 anymore than we already know about the dominant contri-
2 butors to risk. That might be good to get more people
3 used to using reliability techniques, probabalistic risk
4 assessment techniques, and so on, I wonder if we hadn't
5 ought to do a little more thought about how many resources
6 we are going to spend on IREP's, many reactor safety studies
7 if you will.

8 Bob's qualifiers on his words allow for that.
9 He says, we are not certain where we are going beyond
10 the 6 plant study and we won't really be able to shape
11 our thinking definitively until we get around half way
12 through, so he is leaving room for that kind of considera-
13 tion.

14 The difficulty is there is another consideration
15 that the Committee keeps hammering on us about and that
16 is, when are you guys going to get the licensees to do
17 it and 1 or 2, Bob, are doing them, but that isn't going
18 to be satisfying to the Committee. The Committee wants
19 to see more people doing it now, if I read your past
20 letters correctly.

21 I think we ought to put those 2 questions
22 in the hopper together and decide whether there are
23 other probabalistic risk assessment, reliability studies,
24 better oriented towards identifying safety problems before
25 they happen that we could work together with the industry

1 to develop methods and approaches to discovering these
2 problems, either IREP has presently construed which I am
3 a little bit afraid of at this point, or something else.

4 Frank has got some ideas, I think probably
5 there are some ideas as NRR as to how to go about that.

6 The way we have chosen to handle that as a
7 steering group in the action plan is to say somewhere
8 in an appropriate place in here, that we will have to
9 study of how to proceed in the future, not wait until
10 the conclusion of the 6 plant study. We will start it
11 in parallel and we will start meeting with whoever the
12 right people are in industry, probably talking to whoever
13 the right people are at the ACRS, and try to move these
14 two open questions to some kind of conclusion, rather
15 quickly within the next couple of months.

16 I don't think we are going to do it in the
17 time frame of interest to this action plan, in other
18 words, I don't think we are going to have a final
19 answer that you people are going to be willing to bless
20 at the next ACRS meeting.

21 I think we can agree with you, this is
22 an area we have got to keep concentrating on, we have
23 got to magnify the reach of probabilistic risk assessment,
24 we have got to increase the capability within the Staff,
25 we have got to analyze a bunch of operating reactors as

1 an overlay to the deterministic criteria. All those
2 good things we have talked about.

3 I am just indicating that I don't think that
4 we have finalized on our approach yet, as draft 3 of the
5 action plan appeared to indicate. I think we are going
6 to have to leave it a little more open in draft 4.

7 MR. BERNERO: I wonder I could add one little
8 element, perhaps not so little. Just this morning
9 I had a phone call from one of our important contributors,
10 a contractor, and the uncertainty about who does the
11 quantitative risk assessment, NRC, or the industry, is
12 a very real factor to these job shot contractors,
13 who have to decide, will I go for the industry business,
14 or will I go for the NRC business? But, he is working
15 for us now, and he is really wondering.

16 DR. ZUDANS: That's a good point.

17 MR. BERNERO: Yes, so it is very important for
18 us to get that sense of direction in the not too distant
19 future.

20 DR. SIESS: When the ACRS has suggested that
21 the licensees make these analyses, I think the reason
22 behind that has been that they will be done more rapidly,
23 and then, if the NRC makes them, would be as given. I
24 don't know if the licensee is going to make them anymore
25 than you are going to make them. Either one is going

1 to contract them out.

2 You know who is going to pay for it in the
3 longrun.

4 DR. ZUDANS: You mentioned that IREP is not
5 trying to develop seismic risk. In that context, what
6 is the definition of integrated reliability?

7 MR. BERNERO: The steering committee insists
8 on calling it integrated reliability evaluation. I
9 have consciously tried to insist that it is an interim
10 reliability evaluation. It is overruled.

11 DR. ZUDANS: I think it is neither.

12 CHAIRMAN ETHERINGTON: Incidentally, the
13 inference is used in the plan in at least one place.

14 MR. BERNERO: I keep changing it everytime
15 I can. Integrated is misleading, because --

16 DR. ZUDANS: I would like to point out, that
17 if you don't consider all the causes and factors, it
18 is meaningless risk assessment.

19 MR. BERNERO: No, it is not a total job, that
20 is the thing, we have to recognize that.

21 DR. MATTSON: The problem is, it isn't risk
22 assessment.

23 MR. BERNERO: It is a reliability evaluation
24 and it is a limited one.

25 DR. SIESS: And nobody knows what the response

1 aspect of it is.

2 DR. MATTSON: The steering group didn't want
3 to change its name, even though we might have intellectually
4 agreed with the task manager and the responsible
5 manager for the program. We thought people had sort of
6 come to know it.

7 But, you haven't been around to all of these
8 meetings.

9 DR. ZUDANS: I am sorry it is my first meeting
10 on this hearing.

11 DR. MATTSON: If you all understand it to be
12 interim and not integrated, a rose by any other name, is
13 still a rose, it wouldn't change its name.

14 DR. ZUDANS: Somebody else might point it out
15 to you and it might not be as comfortable or casual
16 as I am doing it.

17 The other question that I am concerned about,
18 is systems interaction. Is that an integral part of
19 your IREP, or a separate program?

20 DR. MATTSON: No, actually, what we see --
21 the systems interaction is an activity that started some
22 time ago and it is reaching a water shed where it has
23 to decide what further action is warranted.

24 One of the things we are doing in IREP, is
25 trying to grope for ways to develop from quantitative

1 risk assessment analyses, some failure modes and affects
2 analyses, or deterministic analyses that can logically
3 be done to do efficient safety reviews.

4 There was a similar thing in systems interaction
5 and we see the possible marriage of these two programs
6 in a way that a qualitative risk assessment can develop
7 or point systems interaction type activities.

8 Right now, it is too vague to pin down but we
9 have tried to say in the action plan that we are very
10 conscious of the need to work closely. Now, Steve
11 Hanauer was handling this up to the reorganization, I
12 am not sure how this is going to gel out with the new
13 NRR organization. But, we have to work very closely
14 between the IREP and the systems interaction so as not
15 to just go off in parallel, you know, quantitative
16 fault trees and qualitative fault trees.

17 DR. ZUDANS: That sounds fine. The last time
18 I heard about systems interaction, it was also limited
19 to this certain systems that relate to core melt and
20 not included any other secondary systems or otherwise.

21 Is there any place a plan calling for more
22 encompassing systems interactions studies?

23 MR. ROWSOME: There are elements to the
24 systems interaction research being done in NRR which
25 are quite apart from this. They are pursuing things like

1 the environmental qualification issues, systems inter-
2 action by virtue of environmental effect.

3 They are pursuing in some depth, systems
4 interactions to the effect, the ability to say cold
5 shutdown, dissipate decay heat so shutdown. Whether
6 or not it might be risk significant or not.

7 Whereas the IREP effort will look at fault
8 propagation from the support systems through front line
9 systems as it were to the extent that they seem to matter
10 to risk or to core melt, or to core damage. Not look
11 at systems interactions that do not have that risk sig-
12 nificance and will not look, at least, in the interim
13 version that we are envisioning here.

14 Systems interaction mechanisms that go through
15 environmental effect, environmental qualifications sorts
16 of issues.

17 Systems interactions through hard wired depend-
18 ency and through procedures, through human behavior, are
19 going to be attended to in IREP, but not flooding, not
20 fire, not the qualification of equipment through the
21 blow down environment, not to pipe whip, not jet impinge-
22 ment. These are things we believe, well not perfectly
23 considered in licensing and by NRR have been worked over
24 a good deal harder than some of the more subtle but hard
25 wired dependencies that are implicit in either the

1 plumbing of balance of plant support systems or through
2 operating procedures and test of maintenance and startup
3 testing, which we intend to focus on a little bit more
4 heavily in IREP.

5 DR. ZUDANS: Is the scope of IREP and systems
6 interaction limited in any fashion by the single failure
7 criteria?

8 MR. ROWSOME: No.

9 MR. THADANI: I might make a comment that we
10 have a program called ATOG, anticipated transient
11 operator guidelines. As a result, some of the work
12 that Bulletins and Orders task force performed
13 last summer, they recommended fairly detailed analyses
14 be performed, these will be best estimate calculations
15 given the transient to draw highly detailed event trees.

16 These event trees would not just look at
17 the so-called safety systems, they would look at all sys-
18 tems as they are required to perform their function and
19 one part of this study is what they call, I believe,
20 cause wheels, whereby they look at each individual
21 system and how it could be effected by signals, conditions,
22 environments and so on.

23 These would be inputs for the boundary conditions
24 to that system in terms of its availability and they
25 intend to do this for a large number of systems more than

1 so-called safety grade systems, and I think that program
2 in itself would also identify the source of interaction
3 that one might be concerned about.

4 I don't know the schedule, but I know each
5 vendor is being supported in this investigation by
6 various owners groups. B & W, I believe, is furthest
7 along, they started earlier than anyone else, I beleive
8 in a matter of the next 6 months to 8 months, they are
9 supposed to come in with a fairly detailed evaluation
10 of transient systems and potential interactions that
11 may take place.

12 DR. ZUDANS: That sounds like a broader scope
13 than systems interaction.

14 DR. MATTSON: It is a different approach. It
15 is in the action plan. It is back on page 1C3 and it is
16 the evolution of this third phase of the transient and
17 accident reanalysis using realistic methodology, developing
18 new operator guidelines, new operator procedures, training
19 the operators in them, ecetera. They came from short
20 term lessons learned, and Bulletins and ORders, simult-
21 aneously. We talked about it way last July or August,
22 so far, we have we have concentrated on phases 1 and 2,
23 we've seen a lot of things come in from that, a lot of
24 people we trained, and a lot of procedures changed.

25 The methodology is starting to come together

1 between what we used to think on one hand, as the Appendix
2 K analysers and on the other hand, the risk assessors.
3 They are starting to meet.

4 One of the things that we did in the reorgani-
5 ation was give them a place to meet inside the Staff,
6 in Bob Bernero's branch, on the safety program evaluation
7 function, is supposed to accomplish that.

8 I don't know if that is germane to this conver-
9 sation but they are coming together, is the point you
10 ought to consider.

11 DR. ZUDANS: It is clear that there are lots
12 of things being done, whether or not they are adequate
13 I couldn't say until you get some results.

14 I would have -- if I did any kind of a risk
15 assessment in this nature, I would pose myself a single
16 question. There is a function, for example, to remove
17 the heat from a core, and it can go very fast but eventually
18 whatever path it takes it has to reach some endpoint.

19 If I would now look at the systems that are
20 involved in that process, there would be different
21 classifications of systems. Some are safety grade, some
22 are assessment, and some are not. But, they are all
23 needed, or some of them are needed, some not. If one
24 would study the reliability of such a combination
25 perform a specific function, I would be a lot more happy,

1 if that is possible. It may not be possible, I don't
2 know.

3 MR. ROWSOME: In a sense, that is what IREP
4 is attempting to do. The jumping off point of the IREP
5 study is a very abstract and all inclusive catalog of
6 accident scenarios leading to core damage which might
7 be written down in two or three lines saying LOCA plus
8 ECCS functional failure can get you to core damage.

9 Transients with loss of feedwater failure
10 to scram can get you core damage. Transients with loss
11 of feedwater and loss of all feedwater and failure to
12 cool with ECCS will give you core damage. That kind
13 of a broad simplisitic but pretty all inclusive collection
14 of accidents.

15 These are specified, detailed and made more con-
16 crete by translating them into the systems that are
17 actually present in the plan of the front line systems,
18 if you will, directly affect the transport of heat from
19 the reactor to the environment or from the containment
20 atmosphere to the environment to give you that second
21 stage of accident analysis involving the integrity of
22 the containment systems after you have done some core
23 damage.

24 The models that taxonomy or tapology, if you
25 will, of accident sequences, then portrayed in what we

1 call event trees, essentially decision trees indicating
2 which of the front line systems are operable and inoperable.
3 Reliability models are then defined which develop and
4 which indicate how those front line systems may be
5 dependent upon support systems, like AC power/DC power,
6 control and instrumentation, service water, instrument
7 air, and so forth.

8 Crude estimates are developed for the likelihood
9 of their failing and search is made for common mode
10 failures, common dependency on human intervention, the
11 likelihood that humans may misconstrue the accident in
12 which they are dealing, and behave in a way that would
13 be correct for their hypothesis but is incorrect with
14 the circumstances, and so forth.

15 Give us some crude measure, with the help
16 of probabilities but not with probabalistic rigor and
17 not with completeness. The more prominent, the conspic-
18 uous, the dominant routes to major release or core
19 damage. Allow us to go through the successive refinement
20 analysis of what appear to be the dominant contributors
21 to risk.

22 We shall not achieve completeness in a study
23 of this scope, which is only 1 to 3 or 4 man years per
24 planet. We couldn't hope to. To make it manageable
25 we will leave out fires, and floods, and earthquakes.

1 We will attempt to have the event tree analysis,
2 the topology of accident sequences fairly accurate, fairly
3 complete, and generalizable in such a way that they need
4 not be done over again when we come along to put in fires
5 and floods and earthquakes at some later date.

6 The system reliability models will be only
7 thorough enough to give us the prominent common cause
8 failures, prominent interdependency. We are not going
9 to attempt to do thorough reliability analysis on every
10 conceivable scenario.

11 DR. MATTSON: Basically, what the action
12 plan has done is taken this program that people had
13 previously and only bit away at the corners of it, and
14 didn't know how to get all the way around it, and broken
15 it up into pieces.

16 So, we are not certain how all these pieces
17 come together in the big picture over 5 or 6 years into
18 the future, but we can see some end products a year
19 from now that will put us in a better position of
20 estimating where the future ought to go than we can
21 today.

22 If we keep trying to nibble around the surface
23 of this enormous big question of how to do better risk
24 and reliability assessments, we will never get there.

25 That is basically how Hanauer and I came to the

1 first draft of what we ought to do in the action plan.
2 Levine and Rowsome said great, we will start off with
3 a few plants in IREP and Hanauer and I through in a few
4 different approaches to systems interaction and we developed
5 the one with you on Diablo Canyon and non seismic equipment
6 failures during an SSE, then, you have got package down
7 on the action plan of a dozen or so different approaches
8 to the same problem. So, in a year from now we have
9 got more practical experience on which are the ways to
10 work best, most efficiently, and give answers that are
11 useful.

12 MR. BERNERO: Excuse me. If you gentlemen
13 will excuse me, I have to get to that committment. Frank,
14 will cover it.

15 DR. MATTSON: I guess the other one that is
16 in here that is primarily stimulated by the ACRS is
17 the Indian Point systems interaction study.

18 If you don't have any other questions, I
19 think we ought to move on to 2D.

20 DR. ZUDANS: You gave a very good explanation
21 where you stand.

22 DR. MATTSON: We are working the problem very
23 hard.

24 DR. ZUDANS: I think the problem is too diffi-
25 cult to solve it in one shot.

1 DR. MATTSON: We decided to just stop trying
2 and break it into pieces and start accomplishing something.

3 Thanks Frank.

4 MR. SCROGGINS: The next area has to do with
5 the requirement for testing of the reactor coolant system
6 relief of safety valves, and Jim Richardson of research
7 is the task manager on that.

8 I guess you have some backup, I don't know
9 if you have any backup on NRR.

10 MR. RICHARDSON: Yes, I do.

11 MR. SCROGGINS: Jim?

12 MR. RICHARDSON: The basic objective of 2D is
13 to demonstrate that the overpressure protection system
14 will perform its intended safety function under all the
15 postulated accident conditions, and also provide positive
16 indication of valve position.

17 These requirements were sent to the licensees
18 on September 13th, 1979 to applicants on September 27,
19 1979 amplified by a letter from NRR of November 9, 1979,
20 and the BWR owners group was sent these requirements on
21 the 14th of November.

22 Basically, our involvement in this task is to
23 review a generic test program that the owners group
24 designated EPRI to institute and carry out the office of
25 research will follow the EPRI research program and perform

1 any necessary independent research that might be identified
2 to verify or supplement the EPRI results.

3 We can give you a very brief status of where
4 we stand today. We have met, we being the research
5 review group, with representation from the office of
6 research, NRR standards, and IE, met with EPRI and the
7 owners group on March 20th along with our contractors
8 who contracted with INEL, EG&E, to follow the EPRI program,
9 NRR also has Lawrence Livermore Laboratory under contract
10 to look at the plant specific aspects of this program.

11 The action plan notes that the test requirements
12 are to be finalized and agreed upon around this time
13 period. That is not going to happen. EPRI has not
14 submitted a final test plan. They are still going through
15 that test plan and it is their intention to submit it some-
16 time in the vicinity of July 1.

17 There intentions are to construct a facility
18 at combustion engineering which will be their primary
19 test facility with the possibility of supplemental
20 testing at Wiley Narco facilities and a full fired steam
21 plant owned by Duke Power.

22 The combustion engineering facility combined
23 with the July 1, 1981 indate cannot accomodate any
24 consideration of ATWS conditions. We asked the owners
25 group in November to please consider the possibility of

1 including ATWS conditions in this test program.

2 The response at the current time is that ATWS
3 cannot be accomodated in the time frame of completing
4 the test by July of 1981.

5 We reviewed the construction and test schedule
6 as presented. We don't believe it can be made. They have
7 stated that they will complete testing by July 1, 1981, we
8 don't believe. We don't think that is a viable date.
9 We are in the process of alerting NRR of that fact.

10 They are advertising a facility completion
11 date of January 15, 1981 with a 3 month facility checkout,
12 and a 4 month testing period to end July 1, 1981.

13 It is our assessment, along with our contractors,
14 that that is not a realistic time. The schedule will
15 probably slip up to 6 months from that.

16 DR. ZUDANS: This is a testing of PORV's
17 instead --

18 MR. RICHARDSON: Yes, a matrix of PORV's
19 and safety valves that would be representative of all
20 valves used in PWR's. That is quite an extensive test
21 matrix, however, all valves will not be tested, it would
22 be a matrix to cover all of the sizes and makes of valves
23 that are found in PWR's.

24 DR. ZUDANS: And different flow regimes?

25 MR. RICHARDSON: Yes.

1 DR. ZUDANS: And different tail pipes?

2 MR. RICHARDSON: Well, that is another question
3 that we are negotiating with EPRI. At the present time,
4 they are showing a very simplified downstream piping
5 configuration that we question whether it is sophisticated
6 enough to really represent the phototypical downstream
7 piping configuration such that you could extrapolate
8 the results to other configurations.

9 We have some straight documents, whether their
10 proposal is adequate.

11 DR. ZUDANS: Could they vary the back pressure
12 on the discharge?

13 MR. RICHARDSON: Yes, they do have the capa-
14 bility of varying the back pressure by valving.

15 I might say that their combustion engineering
16 facility is limited to about 2,900 to 3,000 Psi, maximum
17 pressure. This is one of the limiting conditions why
18 they said that they cannot consider ATWS testing at this
19 time.

20 DR. ZUDANS: Because of a higher pressure?

21 MR. RICHARDSON: Because of the potentially
22 higher pressure and really the unknown ATWS conditions.

23 MR. THADANI: Jim, it may be worthwhile to
24 point out that the plants, EPRI plants are testing
25 at pressures at no more than 2,500 pounds.

1 MR. RICHARDSON: Yes, that is correct.

2 DR. ZUDANS: Couldn't you use your analytical
3 tools and derive new correlations on actual full scale
4 up to pressure in mold and forgo any high pressure?

5 MR. RICHARDSON: That is certainly a possibility
6 and we want to look at that possibility and but, I think
7 you will still face the fact as how far can you extrapa-
8 late?

9 DR. ZUDANS: That wouldn't be very far compared
10 to your --

11 MR. RICHARDSON: Yes, that is right. We feel
12 much better at 3,200 than at 4,000.

13 DR. ZUDANS: Factor of 2, from 22 to 26?

14 DR. CATTON: That should be no problem.

15 DR. ZUDANS: No problem. He is an expert,
16 he knows.

17 MR. RICHARDSON: EPRI is, and I don't know
18 if the negotiations are complete, they have been negotiat-
19 ing with Crystal River to perform the postmortem on the
20 CRystal River safety valves that underwent substantial
21 challenge.

22 We do not yet know the BWR valve testing program.
23 We understand that they have already started testing at
24 Wiley-Huntsville, but we have not made formal contact yet,
25 with the BWR owners group, and set up what our interface

1 is going to be with them. We expect to meet with them
2 sometime early this month.

3 CHAIRMAN ETHERINGTON: We are spending too
4 much time on the program that is in the formative
5 stage.

6 DR. ZUDANS: I think this is a good program.

7 MR. RICHARDSON: I think my main message for
8 you today is the status is that the JULY 1981 completion
9 date looks very tenuous, we don't believe it could be
10 managed.

11 DR. MATTSON: It may look very tenuous, but the
12 Commission is very insistent upon the deadlines for short
13 term lessons learned, I hope that message is getting to
14 you.

15 DR. ZUDANS: Jim, is the block while testing
16 for capability, to close and open, included in the same
17 program?

18 MR. RICHARDSON: That has not been decided
19 yet, we have asked them the question, they have not
20 responded.

21 DR. MATTSON: I was not included in the
22 original.

23 MR. RICHARDSON: We have asked them to consider
24 that and it is under consideration and we have not
25 received an answer yet. But, it is a systems test that

1 includes the block valve.

2 Whether we will demonstrate closing the valve
3 under pressure or not, we have asked them to please do
4 that, they have not yet responded.

5 DR. MATTSON: I would be adversely inclined
6 to stretching the July 1981 date to incorporate that.

7 MR. RICHARDSON: We have told them not to, by
8 no means.

9 DR. MATTSON: The July 1981 date and the assurance
10 of operability of safety and release were expected,
11 transient conditions is a very important series of tests
12 to get completed very soon.

13 MR. RICHARDSON: We understand that and that
14 is why I want to alert everybody that in our opinion, it
15 is not going to happen. Research is writing a letter to
16 Denton to that effect.

17 DR. MATTSON: Good.

18 DR. ZUDANS: Is the facility the same where they
19 have the pump facility or some other?

20 MR. RICHARDSON: That is a new facility.

21 DR. ZUDANS: A new facility?

22 MR. RICHARDSON: Yes, and that is the problems.

23 MR. SCROGGINS: I think we better move on to
24 2E which is a large collection of specific system type
25 requirements. Jim Norberg is the overall task manager for

1

2 E and I would like

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

TAPE 8/1

1 to get a quick overview of the main subject areas.
2 The people to whom this would fall in the new NRR organiza-
3 tion is Paul Check, back in the background.

4 Paul, do you want to pull a closer chair up
5 here and engage in the conversation?

6 Go ahead, Jim.

7 MR. NORBERG: Section 2E covers several specific
8 areas and specific ^{system} safety design where improvements in
9 reliability or performance are needed. This is the thrust
10 of this section. It is divided up into 6 subsections
11 first of which is the auxiliary feedwater system.

12 This section includes specific actions to
13 improve reliability and performance by the use of fault
14 tree, event tree, and deterministic analyses to identify
15 design weaknesses and then,
16 to correct such weaknesses as may be appropriate.

17 Certain specific design changes are now being
18 required such as automatic initiation of aux feedwater
19 system, the flow indication of the aux feedwater, and
20 upgrading the quality of the aux feedwater system.

21 These are all, I think you are quite familiar
22 with these.

23 DR. ZUDANS: Is the auto initiation no longer
24 disputed by any of the licensees?

25 DR. MATTSON: The auto initiation of aux feed-
water is no longer disputed.

MR. MINNERS: It is, that is the case of un-
resolved safety mission.

DR. MATTSON: Unreviewed safety questions. It
is still disputed, they came in and said that raises an
unreviewed safety question, and we said you are right.

1 DR. ZUDANS: That's correct, that is why I
2 asked the question.

3 DR. MATTSON: Review the safety question that
4 was previously unreviewed and tell us what the answer is.
5 They are doing that and we don't have the answer.

6 DR. ZUDANS: When you say they are doing that,
7 too. Who is doing that?

8 DR. MATTSON: The licensees, with that unreviewed
9 safety question.

10 MR. SIESS: How do you decide what you tell
11 them when to review the safety question?

12 DR. MATTSON: We tell them always.

13 DR. ZUDANS: And you only review the review.

14 DR. MATTSON: That's right. They propose, we
15 dispose. We are still in that method of regulation.
16 We still strive for that method of regulation.

17 MR. SIESS: It might be on the legal end of it.

18 DR. MATTSON: Here is a man who knows something
19 about it.

20 MR. BENAROYA: All the evaluations except
21 from SUN and OPRI have been received. Now, we are
22 evaluating them.

23 They all ask for some delay time, 2 to 5 minutes.
24 We are looking into it.
25

1 DR. MATTSON: In other words, with the delay
2 time, they don't have a containment problem. If it
3 is automatic and immediate, they have got a potential
4 payment level.

5 MR. BENAROYA: Both steam and aux feedwater
6 and runouts.

7 CHAIRMAN ETHERINGTON: Is there a difference
8 in the plant condition between the 22 to have adopted
9 position and 9 that haven't?

10 MR. BENAROYA: No there is not.

11 MR. SIESS: Is there a difference in the
12 management?

13 MR. BENAROYA: Architect engineers mostly and
14 managing utilities request.

15 DR. ZUDANS: But, if you give a time delay
16 that is equivalent to your making it manual.

17 DR. MATTSON: You can build timers pretty easy,
18 the question is whether you can build sensing systems
19 that will anticipate all failure modes. That is the
20 difficulty.

21 DR. ZUDANS: Either way it is okay.

22 MR. BENAROYA: It is promised for June.

23 DR. MATTSON: Thank you.

24 MR. NORBERG: The second subtask is the ECCS
25

1 subtask, and the specific actions in this task include
2 determination and decrease the frequency in ECCS chal-
3 lenges. To evaluate the capability and reliability of
4 the

5 ECCS system for various break sizes
6 and degraded plant conditions, and to identify design
7 weaknesses, and to augment research efforts particularly
8 related to small breaks and transients. To evaluate
9 uncertainties in ECCS performance predictions for small
10 break LOCAS.

11 The third subsection, is residual heat removal
12 and the specific actions in this subsection include up-
13 grading the pressurizer control to function with onsite
14 power to perform studies to assess the reliability and
15 capability of residual heat removal systems to identify
16 design weaknesses in the present systems, and studies
17 to identify and assess alternate residual heat removal
18 concepts that could improve the overall, operational
19 reliability.

20
21 DR. CATTON: Does the alternate concept include
22 the ^{dedicated} heat removal?

23 DR. NORBERG: Yes, it does. That is a long
24 range in research.

25 The third subsection is on containment, no, the

1 the fourth subsection is on containment design. The
2 specific actions in this section include provisions
3 for dedicated penetrations for external hydrogen recom-
4 biner systems, improvements in containment isolation
5 dependability, requirements for containment integrity
6 checks, and reassessment of requirements and restrictions
7 on containment purging.

8 MR. SCROGGINS: Can I make a comment here?
9 I should note that, for example, on 2E43, the integrity
10 check, the AIF did comment on this and indicated that
11 they felt that prior to putting out criteria, there should
12 be some feasibility studies and possibly even some
13 demonstration tests with a couple of systems to see
14 the viability of testing modes as proposed. In effect,
15 the steering group has agreed with the AIF comments and
16 is going to modify the final sect draft on 2E43 to
17 indicate the feasibility studies and work with the industry
18 prior to putting out preliminary criteria, and what the
19 latest schedule is like.
20

21 DR. ZUDANS: The first method was not defined
22 in this stage?

23 MR. NORBERG: No, it was not. The action plan
24 that was previously written said we are going to put out
25 some criteria. We now are going to show them what stage

1 approach to --

2 DR. MATTSON: Well, it was pointed out that this
3 was something that you could test, you didn't have to
4 guess at why didn't we put in their testing the criteria
5 on a plane? That sounded like a good idea.

6 DR. ZUDANS: But the containment I tested --

7 MR. NORBERG: It did get into this. These
8 are short duration, low pressure tests to look for
9 valves that are open in the containment basically.

10 DR. ZUDANS: Not for --

11 MR. NORBERG: Not for the check on heat rate.
12 There are other ways of doing this.

13 DR. ZUDANS: Just a verification of systems
14 isolation.

15 MR. NORBERG: Or a subatmospheric containment
16 you could monitor how much or how often your system has
17 to operate to keep the vacuum.

18 DR. MATTSON: The interest in containment
19 integrity comes from Three Mile Island, the possibility
20 of doing this kind of test comes from Palisades.

21 DR. ZUDANS: I failed to ask a question to
22 explain what the natural circulation was about.
23 What the Plan calls for in the 2E31.

24 MR. NORBERG: That relates to the upgrading of
25

1 pressurizer control system, so that it could operate
2 with the pressurizer heaters with an independent power
3 system.

4 MR. SCROGGINS: It also includes the maintenance
5 of the reactor coolant system at ^{hot} standby with only onsite
6 power available.

7 DR. MATTSON: Can I ask the chapter hand and
8 the task manager to get us a better title for that? We
9 are using the words natural circulation in a lot of dif-
10 ferent ways. That is a little bit misleading.

11 MR. NORBERG: Also, establishing procedures
12 in training on how to do this, on how to maintain or
13 initiate a --

14 MR. SCROGGINS: The text explains it, but
15 I agree the title is too broad for what is intended.

16 2E5, I might mention, is the work going on
17 that was mentioned in this morning's conversation where
18 we talked about the scram frequency response on B & W,
19 this is the overall study being directed by Mr. Todesko,
20 on the B & W design sensitivity and the new item 2E6
21 which is included in this draft version of ^{the} plan primarily
22 comes after this genesis a special inquiry group recommend-
23 ation. What we are talking about here is insitute testing
24 of the secondary system valve. This is separate from the
25

1 valve, relief valve test program.

2 It is longer, it is to be looked at but item
3 D, as indicated, will be looked at in context with further
4 studies later on.

5 CHAIRMAN ETHERINGTON: On 2E5, there is to be
6 a subcommittee on this subject next week. It doesn't
7 look as though you are quite ready for this.

8 DR. MATTSON: That is a different meeting.
9 That is on the stability
10 of this.

11 There is a subcommittee meeting on it.

12 There is also time on the full Committee's
13 calendar, I believe.

14 MR. MINNERS: It is still a different meeting
15 I believe. Bob Padesco's group, I believe, is this
16 Thursday with a special meeting with the B & W Owners.

17 CHAIRMAN ETHERINGTON: It is on sensitivity
18 of B & W reactors, what phase does it cover, then?
19

20 MR. MINNERS: I believe that is something
21 that was thought of before Padesco's group was put to-
22 gether. This is something that Tom Novak's branch and --

23 DR. MATTSON: I don't think the subjects are
24 that different. I think they are all one subject.

25 MR. MINNERS: They are all tied in, of course,

1 meanwhile Padesco's group will be at the subcommittee
2 next week and we can check on them.

3 CHAIRMAN ETHERINGTON: Okay, I just wanted to
4 know if there was any chance of cancelling our meeting.

5 DR. MATTSON: We would like to press on so
6 we could get to --

7 DR. ZUDANS: I have one question, it may be
8 someplace, I just don't see it.

9 I am interested in knowing whether or not you
10 people plan to do anything on interconnected systems in
11 terms of monitoring noman's land, whether there is any
12 specific problem that would check out such things?

13 For example, are there charters connected to
14 primary coolant systems? If there are check valves
15 involved? Is there a space or one that belongs to no
16 one? How is it done now? What is the actual position?
17 I know a couple of LER's that I read were.

18 DR. MATTSON: There is nothing in the action
19 plan that treats that.

20 DR. ZUDANS: Is the question of interconnected
21 fluids systems, or for that matter take Three Mile Island,
22 where they check all isolated systems from control air
23 systems. There was no, I guess, there was just one valve.
24 There was no water that could be drained or monitored or
25

1 or otherwise.

2 DR. MATTSON: That is the first time I have
3 heard the question come up, since Three Mile Island.

4 DR. ZUDANS: Now, we nearly made the whole
5 section to that, right?

6 DR. CATTON: We have raised that question
7 a number of times.

8 DR. MATTSON: Not in connection with the
9 action plan.

10 DR. ZUDANS: No, not with this.

11 DR. MATTSON: All I am saying is there is nothing
12 in the action plan.

13 DR. ZUDANS: Since you covered so completely
14 everything you could think of, I think this is another
15 item that you should think of.

16 DR. MATTSON: Well, I would hate to have it said
17 that the action plan is everything we can think of.

18 DR. ZUDANS: I think it is.

19 DR. MATTSON: It is not everything I can think
20 of.

21 MR. NORBERG: This sounds like a systems inter-
22 action problem.

23 DR. ZUDANS: Yes, but the systems interaction
24 problem that contractor made a presentation to, is not

1 doing any such thing. They are not concerned about the --

2 MR. NORBERG: They are at the large side of
3 the function. They are interested in this if you can find
4 a valve or a system interconnected in such a way that
5 you can take out the whole RHR function, not just one
6 train, or not one pump or one valve, but if the whole
7 function is taken out, that will be --

8 DR. ZUDANS: Granted Jim, this is correct.
9 They do that, but they are not looking at the practical
10 aspect, and I am asking a question about it.

11 What happens to that nobody's land, how is
12 it being monitored. Its state is important.

13 MR. NORBERG: Yes, that is not addressed in
14 this or any place in the action plan to my knowledge.

15 MR. SCROGGINS: The place to do it seems to
16 be systems interaction.

17 Thank you, Jim.

18 The next section has to do with instrumentation
19 control to power systems. Vic Benaryoa has been acting
20 as the task manager for this area, and I am not sure
21 it is probably his most knowledgeable or current status,
22 notwithstanding the NRR reorganization.

23 I think we have discussed a number of these
24 and some of these came up in conversation this morning
25

1 on the NTOL items, I don't know if you were here this
2 morning.

3 MR. BENAROYA: I was not.

4 MR. SCROGGINS: We got into the thing on the
5 saturation meter. Why don't you just very briefly --

6 MR. BENAROYA: I will make it simple. There are
7 4 sections to the instrumentation controls 2F.

8 The first one is the additional acts and
9 monitoring which includes the 5 instruments that ACRS
10 has also recommended, they are to be implemented in
11 January of '81 and we don't see much of a problem there.

12 The second one is inadequate core cooling. In
13 this case, the saturation meters have been installed in
14 our plants. As to the ambiguous indication of inadequate
15 core cooling which really is vessel level, we have had
16 inputs from the vendors, but none of them really meet
17 all the criteria we have.

18 DR. MATTSON: What is the problem there, Victor?

19 MR. BENAROYA: Westinghouse is proposing a
20 DP sale, and in order to be, it is good to say, yes, it
21 is covered or no it is not covered. But, anywhere in between
22 you have to stop all flow to have a feel as to what the
23 density of the liquid and the gases of steam is to know
24 how much you have level.
25

1 DR. MATTSON: Can't you just assume you have
2 got a collapsed level and let it go at that to get an
3 indication?

4 You don't need an accurate definition of
5 density.

6 MR. BENAROYA: No, but you have a dynamic
7 situation and your pressure drops on the system are going
8 to affect your condition.

9 DR. MATTSON: Will the delta P's from anything
10 with very local highly accelerated flow anywhere near as
11 big as the system pressure is we are worried about? I
12 don't see how they could be.

13 The gross flow situation would seem to yield
14 such a small delta peak compared to the system pressures
15 of which we are interested, that wouldn't be a problem.

16 I could see very local large delta P's , but
17 that wouldn't seem to be the kind of thing these cells
18 would pick up.

19 DR. CATTON: If you have a lot of flow, I
20 don't think you are that concerned anyway.

21 It is only when you have very low flow and
22 your partially uncovered, that you care. The delta P
sounds fine.

MR. BENAROYA: Well, your header will be consider-

1 able according to what we have evaluated now.

2 DR. CATTON: But, if you are out on the side
3 with a lot of flow through the core, do you care if you
4 have an error? When you care if you have an error, is
5 when you have no flow or little flow.

6 That is when it is most accurate. So the
7 DP cells are on the right side of things.

8 MR. BENAROYA: Unfortunately, it sounds right,
9 when you are looking at it from here but when you look
10 at the calculations, you will see that your error is
11 bigger than your level.

12 DR. CATTON: If I have flow, I am not sure
13 I care.

14 MR JORDON: I think if you have flow and you
15 are just about to go to the point where there is no
16 longer on the pump, you do care.

17 DR. CATTON: Maybe.

18 CHAIRMAN ETHERINGTON: Where are you measuring
19 them all?
20

21 MR. BENAROYA: Actually, we are proposing to
22 measure the different conditions. One is from the hot
23 leg, to a certain level then they go above the reactor
24 vessel. They have some overlapping. Combustion is
25 proposing some heated thermocouples. That would raise the

1 level above a certain part but read below a certain
2 section.

3 DR. SIESS: Let me ask a naive question, it
4 will probably make me look stupider than I am, but we
5 are talking about instrumentation to measure inadequate
6 core cooling, now I expect to hear something about
7 temperature measurements but all I am hearing is about
8 pressure measurements, and level measurements and
9 thermocouples to measure level. What am I doing wrong?

10 MR. BENAROYA: The main thing to make sure
11 here, is that we have a covered core.

12 DR. SIESS: Why? You can't cool a core if
13 it is uncovered?

14 MR. BENAROYA: The problem that we have in
15 this case, Dr. Siess, is that thermocouples welded to
16 the fuel, they don't last at all. 2, they may block
17 cooling and they might cause more problems than giving
18 us information.

19 We don't want to see thermocouples welded to
20 the cladding. Experience to date with them in all our
21 test reactors before has been dismal, to say the least.

22 DR. CATTON: Does that include LOFT?

23 MR. BENAROYA: I don't know about LOFT now,
24 but that is the way it is. We used to have all the

1 thermocouples in all the reactors. After a few weeks,
2 you loose them.

3 MR. SCROGGINS: The LOFT fuel rods are also
4 much thicker cladding.

5 MR. SIESS: Really what you are dealing with
6 to a considerable extent is instrumentation of adequate
7 core cooling, that is, if you are subcooling, you know
8 your core is cooled. If you are not subcooled, you
9 don't know the core is not cooled.

10 MR. BENAROYA: That's correct.

11 MR. SIESS: If the level is up on the top
12 of the vessel, you know it is cooled.

13 MR. BENAROYA: You know it is cooled.

14 MR. SIESS: If the level is below that, you
15 don't know.

16 MR. BENAROYA: May or may not.

17 MR. SIESS: So, it is really only in one direction.

18 DR. ZUDANS: But, if you know that was below the
19 top of the core, you know that you have to look for some-
20 thing quickly.

21 MR. SIESS: At that point, I want to look into
22 something else but something else isn't there, that
23 is as far as you can go at it.

24 DR. ZUDANS: But your conversion is correct,

1 you don't know whether it is cooled or not?

2 MR. SIESS: It looks like we get an instrument-
3 ation that will only work as long as things are okay, that
4 isn't going to tell us what we want to know when things
5 aren't right.

6 DR. LIPINSKI: The core exit couples are
7 functioning now, isn't that a requirement, that they
8 be connected?

9 MR. BENAROYA: The core exit thermocouples are
10 required in 197, the Reg Guide 197.

11 MR. SIESS: And you got those in a lot of
12 operating reactors.

13 MR. BENAROYA: All operating reactors have
14 some, all of them.

15 DR. MATTSON: B & O did something to the
16 operating reactors on the core exit thermocouples, didn't
17 you?

18 MR. BENAROYA: We have a list of all the thermo-
19 couples that are in operation in all the plants. If
20 anybody wants a survey, we have a survey.

21 MR. SIESS: How many core exit thermocouples do
22 you have to have working to know when the core is overheated?
23 Not to know when it is not overheating, but to know when
24 it is overheating.
25

1 MR. BENAROYA: In a probabalistic study
2 we found out that we need 4 per quadran. To get
3 a pretty good idea.

4 MR. SIESS: This is for reliability, or
5 just a minimum that you need?

6 MR. BENAROYA: Minimum that you need.

7 MR. SIESS: Minimum you need was not with
8 assuming some failure, or the minimum you need to end
9 up with knowing that the core is not being through?

10 MR. BENAROYA: Let's put it this way, Dr.
11 Siess, we will need 4 per quadran. If we have 4 per
12 quadran we have better than 90% probably that we know
13 the condition of that core.

14 MR. SIESS: All 16 are working?

15 MR. BENAROYA: All 16 are working, yes. Every
16 plant has more than 16 right now. They value anywhere
17 from 24 to 70.

18 MR. SIESS: Are you considering local blockage?

19 MR. BENAROYA: That is correct.

20 MR. SIESS: Not just considering the dropping
21 water level, you are considering damage, and blockage?
22

23 MR. BENAROYA: That's correct. Now, B & W
24 is looking at the thermocouples.

25 MR. SIESS: Water level measurements don't get

1 to the local level, do they? If you were measuring
2 water level in the core and you had a local blockage,
3 it wouldn't --

4 MR. SCROGGINS: Not necessarily.

5 DR. LIPINSKI: To get to your question, if
6 you had one single quipple in the center of the core
7 and you dropped the level on the core, that should be
8 an indicator.

9 MR. MINNERS: With our local blockage it is
10 not a problem. With PWR it would be a problem.

11 MR. BENAROYA: Maybe you would like to have
12 the list of all the survey we have made.

13 MR. 'SIESS: No, I am just trying to get --
14 don't make the question too sophisticated.

15 When you talk about 16 thermocouples, not
16 being added, you are looking for all these other things,
17 one DP water level -- I don't quite see how one is adequate
18 and the other one is inadequate.

19 MR. BENAROYA: What we are saying is that with
20 the core thermocouples we are going to get some information
21 under some conditions like we did at TMI. We don't get
22 that information all the time, because if you have the
23 core uncovered, and you get those thermocouples, they
24 might be --
25

1 DR. SIESS: You wouldn't know it was on
2 code?

3 MR. BENAROYA: You would know that they
4 were on code but you wouldn't know to what extent.

5 DR. MATTSON: Chet, I am confused. What is
6 it you --

7 DR. SIESS: It won't tell you to what extent --

8 MR. BENAROYA: That is right, that is why
9 we have both.

10 DR. MATTSON: Chet, what is it you would like
11 to see us do that we are not doing, I don't understand
12 where you are headed?

13 DR. SIESS: I am just trying to see what
14 information you are getting out of this. The water
15 level subcooling meter won't tell you how much it is
16 uncovered. The water level, you think, will?

17 MR. BENAROYA: The two together will give
18 us pretty good information as to where we are.

19 DR. MATTSON: But, I don't understand, we
20 are going to require both.

21 MR. MINNERS: Can I just try once, Dr. Siess,
22 I think maybe I see your problem, if not, tell me I'm
23 wrong.

24 The short term lessons learned were directed
25 at putting on instrumentations to kind of prevent an

1 accident, and they were looking at it to say, hey, what
2 could I put in to see that I was going to get into trouble,
3 like water level, and subcooling meters, and stuff like
4 that.

5 Reg Guide 197 will address the question, what
6 I will do after I had an accident and I want to follow
7 the course of the accident. So, the short term stuff
8 is kind of preventive and the Reg Guide 197 is --

9 MR. BENAROYA: I am sorry, that is not correct,
10 because all the instrumentation that we are talking,
11 except for the reactor vessel is in 197, there is a
12 reactor vessel, it is not in 197 because the charter of
13 197 says that instrumentation has to be available and
14 core level is not.

15 We don't have an instrument today that we know
16 that we can get by it, that is why it is only in the
17 cover letter. It is in the prefix of the Reg Guide,
18 we say that this is needed, but it is not in the list.

19 DR. LIPINSKI: Let me go back to the trend
20 of your earlier questions, that is they are talking contin-
21 uous indication, you can also get discreet indications.
22 In the case of the sodium reactors, discreet probes gave
23 you discreet level information by conductivity. In
24 water systems you can use self heated thermocouples or
25

1 some other type of device.

2 It will give you discontinuous indicators, and
3 so long as you know you are somewhere within 6" or 12",
4 you have some idea that you are within a certain bend.

5 You don't necessarily have to go for continuous
6 indication over 12 feet.

7 DR. SIESS: Really it ought to be adequate
8 rather than inadequate.

9 I think that is important. The short term
10 measures in item 2 to tell a person when it was starting
11 to be inadequate, by not being adequate.

12 The only thing about it, once you get passed that
13 would be that 'is item three.

14 MR. BENAROYA: Item 3 is Reg Guide 197 that
15 we have discussed with you, it has gone out for public
16 comment. We have recieved the comments and we are
17 going to have it in short before internal review for
18 ACRS review sometime in May or June.

19 DR. MATTSON: As I said this morning, this is
20 going to be an interesting one because in essence we
21 said last summer is we will do in an urgent fashion a
22 small set of things like Reg Guide 197 to buy us some
23 time to go back and look at the larger set of things that
24 we should do with available technology and then maybe
25

1 there is some other stuff we want to study over the long
2 term and develop some instruments.

3 So, we did, I don't know I haven't counted them
4 for the last couple of months, a half a dozen to a dozen
5 instruments to follow the course of an accident in the
6 short term lessons learned.

7 MR. BENAROYA: We have 5 in one and 2 in another.

8 DR. MATTSON: A little over a half of a dozen.
9 Some of them you added at the last minute, some of them
10 we proposed.

11 Now, Reg Guide 197 has gone out, it has got
12 120 instruments, --

13 MR. BENAROYA: 122, I believe.

14 DR. MATTSON: 122 instruments in it.

15 MR. JORDON: Half of what you perform isn't
16 half of what you --

17 DR. MATTSON: 60 instruments for a PWR and
18 60 for a BWR.

19 MR. BENAROYA: Almost all of them.

20 DR. MATTSON: Almost all of them exist on
21 some plants now, but would it be fair to say that most
22 plants don't have all 6 of them.

23 MR. JORDON: Most plants do not have all
24 60, especially most plants do not have them qualified

1 to the condition of accidents.

2 DR. MATTSON: Let me finish the thought.

3 DR. SIESS: ABC and D is only 60?

4 MR. JORDON: Yes, 60 measurements, 60
5 parameters to me measured. A number required redundancy
6 which would increase the number of components involved.

7 DR. MATTSON: Somewhere between now and the
8 end of the summer, the ACRS and these people and probably
9 my new division are going to have to agree on what is
10 the right number. 60 for a boiler, 60 for a PWR or some
11 smaller number. First for backfit to existing plants,
12 second for backfit for plans under construction, and I
13 guess the lowest for new designs.

14 I don't know what the answer to that is, I
15 am sure these gentlemen propose that it is what they
16 propose, 60 per type of plant.

17 MR. BENAROYA: We are preparing tables for 3
18 different kinds, for new plants, NTOL's, and operating
19 plants.

20 DR. MATTSON: We will have to make whatever
21 judgment we make consistent with how we come out on
22 safety monitor consoles, on roller backfits, on philosophy
23 with the procedures, on our use of computers, how much
24 we train individuals and what do we depend upon their
25

1 qualifications to be for the future.

2 A lot of things that come together, and I think
3 the nearest thing of that mix is 197, that is the farthest
4 along of any of the ones I have mentioned. The safety
5 monitor console might be a close second. I don't know
6 the answer, I am just telling you that there will be some
7 important decisions on 197 and some of these other things
8 in the next couple months.

9 MR. JORDON: One other related thing, is the
10 nuclear data link.

11 DR. MATTSON: Yes.

12 MR. JORDON: Which is converging with 197.

13 MR. BENAROYA: In 197, there are 3 areas that
14 people are objecting to, one we discussed with you, the
15 boiling water reactor exit core thermocouples, the other
16 one is an objection, I think, they are trying to be
17 layers saying that those instruments should not be in
18 Reg Guide 197 even though we need them for process and
19 monitoring, and the third group is mainly qualification.
20 Qualification is a big item.

21
22 DR. MATTSON: I'd like to propose, gentlemen,
23 we try to move along.

24 MR. BENAROYA: The 4th item is just studies.
25 They are studies we are going to do soon.

TAPE 8/26

1 DR. MATTSON: That is simply stuff from the
2 short term lessons learned that you already approved
3 and the licensees are already implementing. The 2H
4 says do a good job of following TMI, and to learn as
5 much from it as you can as you go along.

6 MR. SCROGGINS: I guess we should indicate
7 that the agreement between the NRC, DOE, and GPU was
8 signed last Thursday, I believe.

9 DR. ZUDANS: Agreements to do what?

10 MR. SCROGGINS: Agreements to assist on the
11 overall cleanup operation.

12 DR. MATTSON: That is 2H2, I think, contained
13 information from the cleanup.
14
15
16
17
18
19
20
21
22
23
24
25

1 Mattson -- We would like to sing. We're having auditions
2 for the Mike Douglas ...(inaudible)

3 Mr. Chairman, I think we are ready to go into 2J
4 if you are ready.

5 CHAIRMAN ETHERINGTON: I was just wondering.... on 2H
6 there's an evaluation of these alarmist technical reports
7 that come out..come under your consideration at all ... an
8 article.

9 DR. MATTSON:No, I'm not sure whose it does come under.

10 CHAIRMAN ETHERINGTON: It seems important that there
11 should be someI don't know whether it's just left to
12 chance or how its...

13 DR. MATTSON:I don't think we've taken that approach
14 Dr. Edwards. Later on in the action plan there's a plan to
15 educate the public. We've got to try to give them an objec-
16 tive view of nuclear power and of radiation and it's health
17 effects, if possible but I don't think we have anything in
18 the plan

19 CHAIRMAN ETHERINGTON: It seems as if it should be fair-
20 ly high priority, if it had started a couple of years ago,
21 we might have been better off now.

22 DR. MATTSON:I don't know, Mike Parsaltz in the audience
23 has some of NRC's resident epidemiologists working for him as
24 I recall. Is there any plan to address Sternglass's paper?
25

1 paper or any of the others that are coming out?

2 MR. PARSONS: We have addressed several papers...

3 My name is Mike Parsons from Stanford. We have addressed the
4 paper on thyroid troubles in children, several counties away
5 from TMI, and also is infant mortality allegations. And as
6 he had done in the past, he had selected his data to bring out
7 his point the strongest and, it sticks out. There have been
8 analyses of the same presentation by Sternglass and various
9 and sundry other people and we have all of those on file that
10 ...the sort of work that we have done. So, as for review,
11 yes, we've done review. As for circulating them. No outside
12 of the responding to requests from commissioners.

13 What do you think it is?

14 MR. PARSONS: That's as far as we have gone.

15 CHAIRMAN ETHERINGTON: You tried to get your bubble down to a
16 level within the (inaudible) level ...general public.

17 MR. PARSONS: They are very understandable. The tech-
18 nical points are such that it is very easy to determine
19 where the problems lie.

20 MR. ZULL: Where does it show up in the action plan?

21 MR. PARSONS: This is not specifically in the action
22 plan as far as public information and when we get
23 questions we answer the questions.

24 CHAIRMAN ETHERINGTON: Would it belong in an action plan notice?

1 DR. MATTSON: Well the commission since it's founding
2 has been reluctant to go on the offensive to counter seriously
3 held but nonetheless mistaken scientific views.

4 MR. ZULL: Is it in NRC's charter to promote nuclear
5 power?

6 DR. MATTSON: No, it's not. That's the difficulty is
7 that when you go out strongly and rebut the seriously held
8 scientific views it puts you at least in the appearance of
9 promoting. And although we analyze these things and we keep
10 track of them, whenever they come up, because we are supposed
11 to pay attention to those things.

12
13
14 CHAIRMAN ETHERINGTON: Couldn't we --

15 DR. MATTSON: We don't highly publicize them, we don't
16 popularize them and we don't go on the offensive with them.

17 CHAIRMAN ETHERINGTON: You couldn't sponsor a study say by
18 the National Science Foundation?

19 DR. MATTSON: No, we have not taken a public relations
20 approach to safety.

21 CHAIRMAN ETHERINGTON: Shouldn't uh

22 DR. MATTSON: We don't need the National Science Founda-
23 tion to review this science. Dr. Frosad just said, it's
24 very straightforward science. It's not that sophisticated.

25 CHAIRMAN ETHERINGTON: Our suggestion was that you put it in

1 the hands of someone who wouldn't be accused of bias.

2 DR. ZUDANS: Seriously, I would recommend action plan
3 --- to request change in your charter. You should be able
4 to promote what you are regulating.

5 DR. MATTSON: I don't agree with that and if the com-
6 mittee wants to write us a letter.

7 MR. SCROGGINGS: There is a DOE as there is in this
8 charter but every time it does, it gets shot up too.

9 DR. ZUDANS: DOE also is not allowed to promote.

10 MR. PURPLE: There has recently been formed by the Pres-
11 ident a Radiation Policy Council which is the head of I don't
12 know how many federal agencies which, like the old Federal
13 Radiation Council and one of its immediate charter tasks is
14 to look at public information of the health risks of nuclear
15 power, radiation, etc. and to spread the word.

16 DR. ZUDANS: What was the name of that council?

17 MR. SIESS: The Radiation Policy Council
18 Will it have any more credibility than the NRC.

19 MR. PURPLE: No.

20 DR. ZUDANS: I think it probably will have a little
21 more credibility. It's headed by EPA. At least it is my
22 view that they have a better view in the eyes of the public
23 than NRC does.

24 (Inaudible)

1 UNIDENTIFIED SPEAKER: When you get to section 3c
2 maybe that is a subject you will want to discuss. Because
3 that is the public information..

4 RESPONSE: Yes.

5 DR. MATTSON: Can we move on to 2J please.

6 MR. SCROGGINGS: The task manager does not seem to be
7 here but let me go over briefly the 2J. This is sort of the
8 adjunct to the plant operation management and its related to
9 the vendor, design and construction aspects. 2J1 is the vendor
10 inspection program you can see they are all D items. These
11 are planned improvements to the vendor inspection and considera-
12 tions that the commission is going to take up as it goes along
13 and includes the possibility of resident inspectors that the
14 NSS suppliers and AEs and certain selected vendors which will
15 be decisions made in the near future by the commission.
16 2J2 is a construction inspection program and the basic thrust
17 here is to try to reorient the program to get more direct
18 observation. To possibly have inspectors at the construction
19 sites, prior to the current practice, currently now they do
20 not usually go to construction sites until construction is
21 50% complete. This would get them in at the beginning. As
22 to greater use of independent measurements, NDE type measure-
23 ments during construction and also the thought of having
24 resident inspectors possibly on all construction sites.
25

1 MR. SIESS: What is item 2 is that third party?

2 MR. SCROGGINGS: Pardon me. 2J22?

3 MR. SIESS: 2J22

4 MR. SCROGGINGS: No, no actually what is being proposed
5 here is that the I&E Staff, in fact, this relates to certain
6 vans, I believe they have purchased one van now which would
7 have certain independent measurement capability and that they
8 would actually go out and make certain tests of materials.

9 MR. SIESS: I thought there was some consideration of
10 using.... (inaudible due to dropped matter)

11 MR. SCROGGINGS: I can't answer that question correctly
12 but I'll check into that. The 2J3... you thought there was
13 something in the action plan?

14 DR. MATTSON: Third party type...

15 MR. SIESS: In connection with the improved inspection
16 I thought there was some discussion of third party inspection.

17 DR. MATTSON: There has been discussion of third party
18 inspection down through the years. You mean like ASME and
19 IEEE has been discussed as a potential third party. Not in
20 connection with the action plan that I re...

21 MR. SIESS: You're using it in some places.

22 DR. MATTSON: Yes.

23 MR. SIESS: Why won't it work?

24 DR. MATTSON: A question would be why are all these

1 other ongoing improvements of inspection enforcement included
2 in the plan and not that one. Leo?

3 MR. HIGGENBOTHAM: We do use it there are some
4 resources in that particular action...At this particular
5 Let me go back to what this action is and then I'll try to
6 answer your question. We presently use in other parts of
7 the program, we use mobil type vans and mobil laboratories
8 equipment to do specific types of test on site. This is an
9 expansion of that safeguard program. This is an expansion
10 of that technique to make other types of nondestructive vans
11 at the site. --structural parts at inspection. And this is
12 the purchase of one van and to try other ones.

13 MR. SIESS: On an audit basis? You are ^{not} talking about
14 getting into doing all of the NDT type things.

15 MR. HIGGENBOTHAM: No not all of them. This is kind of a sam-
16 pling check on certain things performed by the licensee.
17 It's a technique, as I said that we use in the safeguards
18 program, rheological safety, measurements of effluents.
19 This is an expansion of that technique. This is a pilot pro-
20 gram. One van. And in addition to that a fairly small contract
21 with a sweeper to do some independent
22 checks. Now the other, to answer the other question, I do
23 know, I'm not in that part of the program, but I do know that
24 they have researched studied the use of third party inspections
25

-----and certain parts. I don't know to what extent the expansion of this program is doing to the construction inspection program. Things are factored in and have been factored in and are still being factored in...

MR. SIESS Do you have any idea how effective they have been in the other areas such as improving the quality?

MR. HIGGENBOTHAM: It would be the independent measurements type of factor? Yes. They have been very effective.

MR. SIESS What is your measure of that?

MR. HIGGENBOTHAM: Well, what we've done is take a look at actually the results we've been able to obtain over a number of years. We started in this area in doing independent measurements and quality checks and licensing measurements ^{of} waste effluent samples, stack samples and that sort of thing about nearly 8 years ago. We have a system or a measure of agreement. Let me put it that way. We take a sample, we split that with the licensee and we have him measure it and we measure it. We either measure a split of the same sample or we measure the same sample. Nothing is going to get built without the space. I'm not a conformist I don't care what it is. Now what is your measure of the work? You can't take the number of nonconformances discovered and use that as a measure of those that are not discovered. Ob-

1 viously the only nonconformances that we are concerned about
2 are those that we don't find. Right? We don't care about
3 the mistakes we find. It's the mistakes we don't find.
4 If the licensee on the average is finding a lot of noncon-
5 formances does that mean there are very few left that he didn't
6 find or does that mean there is a large number left that he
7 didn't find? You can argue both ways. There is no way of
8 knowing. So, I don't know how you measure. You can go out
9 with your crew and you detect some nonconformances that
10 we didn't. There must be some quantitative measure where
11 it is working.

12 DR. MATTSON: There is an analog in the licensing pro-
13 cess of course. You go to line drawings of the INC system
14 and you find one violation of the single failure criteria,
15 and then you find two and then you find three and you quit.
16 Now, you quit on the basis of deciding that there aren't any
17 more or that there are much more than you have looked at
18 and depending on which conclusion you come to you either
19 require the licensee to do more or you don't require him to
20 do more. Why is it any different in construction deficiencies?

21 MR. SIESS: I don't think it is but what have you
22 accomplished in the first case if you haven't got them all?

23 DR. MATTSON: Well you have some basis for making a
24 judgment and it is judgment.
25

1 MR. SIESS: The man who designed that looked in the
2 checking system. He found 40 examples and corrected them.
3 Now you found three more and corrected them.

4 DR. MATTSON: Did both of them look at the whole system?

5 MR. SIESS: You rechecked everything that he did. He
6 found 40 and corrected it and you found three and corrected
7 it. How many are left? So what do you do? Don't you design
8 that plant so that if there is something left that still works
9 right, you cannot design the plant based on the assumption
10 that everything is perfect.

11 DR. MATTSON: That's right. That's why design criteria
12 are what the design criteria are. I don't understand your
13 point.

14 MR. SIESS: You'd be better off with 43 controls than
15 with 40?

16 DR. MATTSON: Sure. Three.

17 MR. SIESS: Haven't you got his design so it is ridi-
18 culous?

19 DR. MATTSON: Oh, but that says that you can do a
20 shoddy job on all levels of defense and depth and that's

21 MR. SIESS: I don't say 40 is shoddy ... 40 out of
22 40,000 and that's not bad. Well what bothers me is that I
23 keep seeing an attitude in a number of places in the NRC
24 that things ought to be perfect. That it is possible to develop

1 some means of inspection so that there are no mistakes left.

2 DR. MATTSON: I don't think that is fair Chet. I
3 think you see ..you're misreading an attitude that you see
4 at NRC. The attitude if I see it correctly at NRC is that
5 we look at a lot of systems that ought to be good and they
6 are not even close. Environmental qualifications and things
7 like that have been very disappointing to the staff in the
8 last couple of years.

9 MR. SIESS: Worries about sampling and things of that
10 sort that indicate that if you did more you'd get hurt.

11 DR. MATTSON: I don't think our goal is perfect but
12 our goal is awful good. And awful good takes a lot of time
13 and a lot of attention to detail.

14 MR. SIESS: calibration to cover those mistakes.

15 DR. MATTSON: But we've got a design philosophy that
16 allows some mistakes to be made

17 MR. SIESS: But you have no way of knowing whether
18 you are allowing the proper number or not because you don't
19 have enough experience behind you.

20 DR. MATTSON: True.

21 MR. SIESS: You've got to aim to get as good as you
22 can but I don't know when you stop. You get one van that
23 goes out and checks NVT, that's not going to be enough. Two,
24 three, four, one at every site isn't going to be able to check
25

1 out. How are you going to know when you have gone far enough?
2 You don't have judgment because you don't exercise it.

3 DR. ZUDANS:Chet, isn't that true that this is only
4 audit function that there is no way that NRC could measure
5 or check everything? That's why the manufacturers--fabricators--
6 do that?

7 DR. MATTSON:I think that is too cynical an outlook
8 I think we do exercise judgment. I think hearing boards have
9 respected that technical judgment down through the years and
10 been willing to rely upon it. Now recent experience may tell
11 us that we drew the line at the wrong point and so the pen-
12 dulum is swinging a little at the moment and we are seeking
13 a little more assurance than we did a year ago and I'm not
14 so cynical as to believe that we can't define a new level of
15 assurance and stick to it.

16
17 MR. SIESS:Well, I think you could perhaps do it but
18 only if you are conscious of what you are trying to do.
19 Whether you call it an audit function now and then somebody
20 else wants you to step it up. We are using a third part,
21 and we don't know how well it
22 works.

23 MR. MINNERS:But there are two things to look at. One
24 thing is to actually achieve safety and that's what you are
25 talking about--correcting mistakes. But I think the

1 agency also has a mission to assure that it is safe and I
2 think you have to have orderly inspection programs to be able
3 to say to the public... Yeah, I have a pretty good idea of
4 what the level of safety is and I'm assured that it is good.

5 MR. SIESS: Warren, you don't have to find all the mis-
6 takes to achieve safety. You have to find nearly all of them in
7 this business because we don't have enough experience. And
8 when we get enough experience we will be able to calibrate
9 on that experience as to what level of imperfection would
10 still give us the same function.

11 MR. MINNERS: I still say that there are two things
12 that you look at. One is correcting mistakes to whatever
13 degree toward zero defects you want to go and the other is
14 that this inspection program as part of the other side of
15 the issue is to show people that you are doing a regulatory
16 auditing function and can demonstrate to the public that you
17 have some idea about what level of safety is being achieved.
18 Not just saying I have a certain standard but I don't know
19 if anyone is meeting it.

20
21 MR. SIESS: You give another reason. You are being
22 responsive to the Congress and the GAO.

23 MR. MINNERS: Surely

24 MR. SIESS: Who wants more inspection

25 MR. MINNERS: And the public

1 MR. SIESS: And the public. But more inspection and
2 fewer nonconformances, fewer mistakes, does not necessarily
3 equate with more safety. I don't know what residual number
4 of mistakes you could have and still be safe in this business.

5 MR. MINNERS: I agree with you. That's where sometimes
6 we don't exercise judgment in setting a standard and saying
7 if you are better than that standard you are all right and if
8 you are not up to that standard you are not all right. We tend
9 to optimize and I don't think the agency has figured out whether
10 it wants to optimize or whether it wants to regulate to a
11 standard. I think there are a lot of dichotomies in..

12 DR. ZUDANS: Could I add something? The analysis of op-
13 erating experience actually should give you a handle of how
14 well this task went before. And I am just wondering, we
15 went that way this morning.

16 MR. SCROGGINGS: You will see in that 2J section that
17 one of the things we are going to look into and review is the
18 LERs and the analyses offering to help pinpoint where they
19 should be putting emphasis and effort in inspection.

20 DR. ZUDANS: You mean interaction between the main office
21 Michaelson etc. and other groups well defined at this stage?

22 DR. MATTSON: No, but I understand we have a subcom-
23 mittee meeting later in April where we are going to talk about
24 that. By that time its supposed to be better.
25

1 MR. SCROGGINGS: Should we in the interest of time pos-
2 sibly get onto our favorite subject?

3 CHAIRMAN ETHERINGTON: Yes, but I have one question. I believe
4 in one of the committee s that is strongly on the I&E report,
5 the committee recommended that the measures be considered to
6 enforce the intensity of our 2l. Does that appear in the
7 action plan?

8 MR. MINNERS: I think before 1 and 2 ...

9 CHAIRMAN ETHERINGTON: We'll wait until we get there.

10 MR. SCROGGINGS: I have Bill Kane here who comes to rep-
11 resent the ^{B&O} task force. We have two options here. We have the
12 possibility of going iter by item or 126 items. I propose
13 however, another' solution And that is that I think to a
14 large degree, the discussion this morning, on our response to
15 the ACRS^{is} letter of March 11 regarding the NTOL item which in-
16 cluded both 2K1 and 2K3 where we highlighted the major con-
17 cerns being raised by the ACRS full committee and our ^{proposed} response
18 to them would show some changes occurring, both within the
19 bulletins and B&O task force recommendations. Possibly for
20 this discussion suffices. However, clearly Bill is here and
21 if you have any additional questions that you might want to
22 ask of Bill or us we would be happy to answer them. But I do
23 think we pretty well covered most of what I think are the
24 committee's main concerns in this area.

1 DR. MATTSON: Let me try to say essentially the same
2 thing Ron did but in a little different language. We took
3 what we thought working with Bill and others from the
4 Bulletins and Orders task force were the discreet requirements
5 generated either in the original bulletins and the subsequent
6 shutdown orders and in the final generic reports of the task
7 force which worked with those things in the course of the
8 nine months following TMI...all of those discreet requirements
9 and listed them so that they could be understood and discussed
10 on their own merits...item by item just as the other actions
11 are in the plan. That was accomplished several months ago.
12 We then undertook to say, of these items, these discreet items
13 which are already treated elsewhere in the plan or superceded
14 by something else in the plan, so for example if one of the
15 items said make sure procedures have some narrow thing done
16 to them, we said, the general revisions of procedures could
17 cover that and we needn't do the narrow when we are doing
18 the broad one. I don't know if there was ever one like that
19 but that was the conceptual framework for the way we worked.
20 We summarized that stuff in Table C1, C2, and C3, according
21 to whether the review items came from the bulletins, the
22 orders or the final generic reports for the bulletins and
23 orders task force.
24

25 Now simultaneously with that work by the steering

1 group the AIF undertook to review essentially the same
2 list of requirements -- discreet requirements for bulletins,
3 orders, and generic reports. And they included their comments
4 on those discreet issues in their letter from Byron Lee to
5 Harold Benton. The steering group then iterated by taking
6 the AIF comments and you can see this in the draft response
7 to the AIF input and you will see in detail how we have
8 responded to what the AIF thought should be done with each
9 of the discreet bulletins and orders recommendations. That
10 led us to change some of our earlier conclusions and those
11 changes indicated in the documents you have in front of you
12 will appear in draft form -- the final draft of the action.
13 The other thing we have done in the bulletins and orders
14 recommendations, we summarized for you this morning when we
15 talked about the letter that the executive director is sending
16 to the chairman with the staff response to the ACRSs March 11
17 letter on the NTOL's which referenced your March 11 letter
18 bulletins and orders recommendation. So we iterated again
19 on what the bulletins and orders recommendations were. And
20 that has led us to again make some changes, to study some
21 things more before we again set them in concrete, if I can
22 paraphrase the advice of the committee last month. We think
23 that having done those things to these discreet recommenda-
24 tions and requirements of the bulletins and orders task force
25

1 that they are properly assimilated in the action plan. What
2 that means is that some of them won't be done at all bec ause
3 there are a lot of things in the action plan that cover them
4 but some of them will be done as discreet action items, some
5 of which apply to near term OL's and some of which don't.
6 Now at this point in time it is very difficult to figure out
7 which do and which don't because we are midway between draft
8 3 and draft 4. But in draft 3 you can see which ones do apply
9 and which ones are superceded by other items in the action
10 plan and you can see which are fuel load and which are full
11 power requirements and which are neither. And you have got
12 the information from where we say what we have done about the
13 forum's comments and you've got the information about what we
14 say we think we ought to do as a result of your related
15 comments. The kind of advice we need from you now is are
16 there additional kinds of review that the committee thinks
17 ought to be done to the bulletins and requirements to meld
18 them into the action plan or have we generally done enough
19 review or iterated on those reviews to give you some confidence
20 that we can judge which of these are important. An alternative
21 for you reaching that kind of decision would be for you to
22 go line by line through all of the bulletins and orders require-
23 ments with this steering group and Bill Mathis is shaking his
24 head because he chaired the subcommittee that has been doing

1 that for the past six months. I'd kind of argue that you
2 don't need to do that at this juncture.

3 MR. MATHIS: No, I don't think ..there's a lot of
4 items that came out of the bulletin but until somebody
5 gives us some more plus or minus or whatever, I don't think
6 any more item by item study is going to be worth much.

7 DR. MATTSON: And so it would probably suffice for you
8 to look at the letter that we talk about this morning that
9 says how we think the comments on B&O affect the NTOL. AND
10 I think Bill is writing another letter which comments on
11 B&O generally or is such a letter not necessary now?

12 MR. MATHIS: No such a letter is not necessary now.

13 DR. MATTSON: So that means you only look at one letter.
14 the one we talked about this morning. If you think that sat-
15 isfies concerns that the committee had with the B&O recommen-
16 dation then there is no need to discuss any more of the details
17 about the B&O recommendation. The only uncertainty that I
18 would have about that is that in your letter of March 11, you
19 gave some examples and said that you thought there might be
20 other things. We didn't know what those other things might
21 be that you were concerned about so we only addressed your
22 example. If you could fill in the etc. we would be glad to
23 address them. That includes item 2K

24 CHAIRMAN ETHERINGTON: Been suggested at this time that we take a

10 minute break.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 CHAIRMAN ETHERINGTON: We will begin on Chapter
2 3 and if things go along nicely, then, I would like
3 to finish Chapter 4 today, to take the heat off tomorrow.

4 MR. PURPLE: That may be a problem but we
5 will --

6 We may have to do that without the direct
7 Staff, ordinarily we involve them, I am not sure we can
8 get them rounded up in here.

9 CHAIRMAN ETHERINGTON: All right.

10 MR. PURPLE: Chapter 3 deals with emergency
11 preparedness and radiation protection with public
12 information.

13 3A1 has to do with short term improvements
14 in the licensees emergency preparedness. 3A2 has to
15 do with long term licensee emergency preparedness.
16 I would like to skip by temporarily 3A3 which has to do
17 with fixing up NRC's capability to respond. We will
18 come back to it.

19 3B is emergency preparedness of state and local
20 governments. 301, A2, and 3B are kind of interwoven and
21 intertwined and they involve 2 people on the Staff who
22 have been closely involved and will be in the future,
23 so I have them both at the table. I will ask them
24 to start off and go through 3A1, A2, and 3B as a group,
25 then, we will come back to 3A3 which is the NRC portion.

1 Mr. Grimes and Mr. Perkins would take the floor,
2 please?

3 MR. GRIMES: Okay, I think we will just briefly
4 go through these areas and then entertain your questions.

5 I would first say that on April 22, we have
6 a full half day scheduled with Dr. Muller's subcommittee
7 on the subject of the proposed rule on emergency prepared-
8 ness and criteria, the joint FEMA NRC criteria on emergency
9 preparedness, NUREG-0654. So, there will be a very
10 detailed discussion of the actual requirements. I think
11 today we can expect to discuss more program that will be
12 implemented at various meetings implemented at the present
13 time.

14 Task 3A1 prove licensee emergency preparedness
15 shortterm. What we are doing here is sending teams out
16 to view all operating plants and plants which are nearing
17 completion and which will be asking for operating licenses
18 decision in the near future.

19 This involves NRC people and consultants and
20 NRC contingent, its team leader from nuclear reactor
21 regulations. Then support staff from nuclear reactor
22 regulation and inspection enforcement and consultant
23 from the PNL organization.

24 We have to date, as of this week, we will have
25 completed 38 of the 50 sites in team visits. Team visits

1 are then followed by upgrading plans onsite and offsite
2 and this summer there will be interim safety evaluation
3 in case you run off some plans, indicating that where
4 we think they are, where improvements are required, and
5 what we think of the schedules for implementation. Of
6 course, this is all in advance of the requirements that
7 they propose yearly on emergency preparedness which puts
8 conditions on likenesses starting January 1, 1981.

9 If upgraded plans are not implemented by that
10 time. This is an effort to get a prompt improvement
11 in emergency preparedness and it will be then codified
12 in the regulations.

13 The proposed rule which is, I can't remember
14 the numbers.

15 MR. PURPLE: 3A21.

16 MR. GRIMES: 3A21, thank you. It was up for
17 comment the period ended in February, there were also
18 workshops held around the Country. The Office of Standard
19 Development is not represented here today, but I understand
20 they expect to go back to the Commission with a final
21 version sometime in May. The Commission will then consider
22 this and perhaps a final rule will be on the street by
23 June.

24 There have been extensive comments, many related
25 to 15 node offsite emergency preparedness to the utility

1 license. I expect that will continue to be a condition
2 of the final rule, although, the way in which it is
3 approaching the rule may very slightly be made instead
4 of a concurrence to the rule, they go to some general
5 objectives to the offsite clients.

6 DR. ZUDANS: Did this emergency preparedness
7 plan in any way connect with other sources of emergency
8 and if so, would the state take the leading role on these
9 things?

10 Nuclear is just one aspect of need to have
11 emergency but --

12 MR. GRIMES: Yes, in fact, we encourage the
13 plans that are developed in response to these requirements
14 to the extent possible, that these facilities and resources
15 be used for other emergencies as well. Partly for the
16 efficiency of the use of the resources but partly, also,
17 it seems to me to assure that things will be used inopera-
18 ble if they are used for the organizations that are active
19 in other emergencies which occur more often in the
20 nuclear emergency.

21 The states, indeed, feel they have an obligation
22 to protect the health and safety of the public, their
23 public, against a variety of things. They all have
24 some sort of emergency organizations. Some are much
25 less defined or have less resources than would be required

1 I think they are being proposed requirements of nuclear
2 hazards.

3 DR. SIESS: In a recent newspaper article,
4 in which you were quoted at length, you stated that the
5 NRC wants the applicant to take the responsibility of
6 notifying people within some distance in the event of
7 an emergency, whether or not the local officials want to
8 do anything about it.

9 The local officials don't want to do it so
10 we are going to place the responsibility on the applicant.

11 MR. GRIMES: No, that is not correct.

12 Maybe the newspaper article said that, but --

13 DR. SIESS: I didn't say they quoted you
14 correctly.

15 Am I correct, under the present emergency plans,
16 the licensee has the obligation to notify the local
17 official, right?

18 MR. GRIMES: Yes.

19 DR. SIESS: And up to the Federal level, he
20 has got to notify you?

21 MR. GRIMES: Yes. We view the decision and
22 action to notify the public to be a state and local
23 responsibility. What we have said is that there should
24 be a capability to quickly notify the public.

25 We have found that we have asked for evacuation

1 time estimates at operating plants. We have found,
2 typically, that it takes a door to door notification.
3 It takes 2 or 3 hours, and perhaps some case where
4 there are towns involved, up to 5 or 6 hours from door
5 to door to notify people.

6 This is about the same amount of time as
7 has taken actually moving people. So, by taking some
8 kind of a system to notify people to turn on the radios,
9 you essentially cut the response time about in half, in
10 most areas.

11 The proposed rule currently says it is essentially
12 have the capability to essentially complete notification
13 of public within 15 minutes. This is specifically for
14 state and local authorities, they would be the ones
15 that would make the decision and push the button to set
16 up a siren system or some other notification system.

17 However, the proposed rule indicates that
18 we believe it is the licensees responsibility to make
19 sure that the resources to do that are available.

20 DR. SIESS: In other words, he should pay
21 for the sirens?

22 MR. GRIMES: Yes.

23 DR. SIESS: Was there also some mention of
24 some special hook ups to telephones that would ring?

25 MR. GRIMES: Yes, there are several devices that

1 could be used, one of them is sirens such as the civil
2 defense siren system to provide a general warning and
3 alert to turn on a radio.

4 Other systems that are viable, are tone alert
5 systems, where individuals have units in their homes
6 similar to the weather radio systems that could be
7 in a way a national weather alert system such as is
8 used in the Mid West or could be off the emergency broad-
9 cast sytem.

10 In addition to that, there is one other and
11 that is the device on telephones which is set off by
12 a pulse through the telephone system.

13 DR. SIESS: Now, the licensee might think
14 that they bear the initial cost of this, but it
15 eventually the people in his service area, will pay for
16 it.

17 MR. GRIMES: Well, the people in his service
18 area pay for it through their rates.

19 DR. SIESS: That's right, and everybody is going
20 to pay for something that protects a few, and protects
21 them only against nuclear incidents. It won't be bump
22 the tornados, or floods.

23 MR. GRIMES: There is nothing to prevent these
24 systems from also being used to tell people to turn on
25 the radios for other events.

1 DR. SIESS: Yet, the utility has to pay
2 for that?

3 MR. GRIMES: Yes, because it is a requirement
4 for the nuclear hazard.

5 DR. SIESS: The people can't decide for them-
6 selves whether they want to pay for these extra precautions
7 in nuclear plants when they don't want to pay for it --

8 MR. GRIMES: Well, I suppose you could say
9 that they should vote on all the engineered safety features
10 for the time.

11 DR. SIESS: No, I said they should vote on the
12 civil defense programs which they do from time to time,
13 where I live, they voted to reduce the taxes they put
14 into civil defense, until something happens, then, they
15 maybe they will put it back up.

16 It is easy to say the utility is going to pay
17 for it, if he wanted to put a nuclear plant there, he
18 has got to do this. But, the cost gets passed on to
19 the people. They are paying for their own protection
20 involuntarily.

21 MR. GRIMES: The cost of producing the electricity
22 by nuclear power, that is probably, in my view, appro-
23 priately internalized to that power production cost.

24 DR. ZUDANS: The point is that the cost should
25 be in proportion to the hazards on one or the other

1 industry. Rather than placing it all on the utility.

2 MR. GRIMES: You could make that argument for
3 any part of the nuclear plant.

4 DR. MATTSON: That is a practical and logical
5 and scientific response to the problem, but that is not
6 where it is at on nuclear power today.

7 DR. SIESS: In the newspaper article I read
8 it indicated a number of local officials got you into
9 this. They didn't want their people aroused unnecessarily,
10 they wanted to have some control over it.

11 Now, they are wrong. Now, the Nuclear Regulatory
12 Commission is going to tell the people what is good
13 for them instead of their local official. Most people
14 don't like anybody what to tell them what is good for
15 them, but the farther away you get from where they are,
16 the less they like it. It just seems a little strange to
17 me.

18 When I look at these hazards in relation to
19 other hazards, I look at the time element in relation to
20 others, I know that a tornado, that the dams to worry
21 about, there but a half a mile away, I have got no way
22 of getting notified on that if they have trouble at
23 Kent, I will probably get notified a heck of a lot
24 quicker than is still on the railroad.

25 MR. GRIMES: Maybe I can go back to the

1 statement of consideration.

2 DR. SIESS: How far will you go on that?
3 10 miles out?

4 DR. ZUDANS: Isn't that disputed, that number?
5 Somewhat much further out than that?

6 MR. GRIMES: Let me get at one other response
7 first, then, I will give the size of the zone.

8 MR. GRIMES: I expect that probably --

9 DR. SIESS: They are not supposed to leave
10 when they hear a siren, they are supposed to turn on
11 the radio.

12 MR. GRIMES: Right, and if this is used for
13 other hazards as well as nuclear, that is a more likely
14 response.

15 I should go back to the statement of consideration
16 which are associated with the proposed rule, where the
17 Commission indicated that in the past the principal decision
18 concerning the license was based on onsite safety features.

19 Features associated with plant design. Since
20 the Three Mile Island, of course, those are being operated
21 from what they learned passed. But, in addition to that,
22 the Commission has said an equivalent way or an equal way
23 to offsite preparedness should be considered as a component
24 in the decision of whether or not to grant a license.

25 All of these requirements which bear on offsite

1 preparedness and flow from that decision to weight more
2 heavily in the offsite preparedness in the decision
3 process.

4 With respect to the size of the zone, the
5 Commission in October endorsed a 10 mile planning concept
6 for the direct hazard to the public and a 50-mile zone
7 for the gestion pathway. This is based on a joint NRC and
8 EPA task force report, which I was Co-Chairman, which was
9 published in December of 1978, and issued for comment
10 and the comment period was extended until after the
11 Three Mile Island accident.

12 The basis for that 10-mile zone has given
13 NUREG-0396, which is the report of the task force, the
14 zone does not cover the area which actions might be
15 required in the worst possible accident, it covers the
16 area where actions might be required for any design
17 basis accident and also for most most core melt accidents.

18 For the very worst core melt accidents, two
19 considerations came into play. One, they were very low
20 likelihood, and action 3 consideration. The second, the
21 10-mile zone was big enough to form a response base which
22 could be extended on an ad hoc basis. And third, the 10-
23 mile zone was the area in which immediate fatalities
24 would be of concern for even worse case accident.
25

1 DR. SIESS: If you are doing this, could you
2 really think people want to be notified of nuclear incident
3 and that is a lot different in their minds than any other
4 thing, then, it is not the distance out to which people
5 are at risk, but it is the distance out to which people
6 perceive themselves, with need of risk, that is important.

7 For Three Mile, that was a lot farther than
8 10-miles because people evacuated out at 50-miles, according
9 to the report I read.

10 MR. GRIMES: Nothing would prevent them from
11 doing that based on the subsequent news reports, but what
12 we are concerned about is immediate need to take immediate
13 action based on an actual hazard, not a perceived hazard,
14 but a hazard which might cause exposures in excess of
15 EPA protective action guidelines.

16 DR. SIESS: What kind of criteria would there
17 be for this sytem? The same thing as any offsite emergency,
18 like now, when you notify the local authorities?

19 MR. GRIMES: No.

20 DR. SIESS: Beyond an offsite emergency at
21 which they would start the sirens going?

22 MR. GRIMES: Yes.

23 DR. SIESS: You mean the licensee would start
24 the sirens?
25

1 MR. GRIMES: No, the licensee never starts
2 the sirens.

3 DR. SIESS: He never starts the sirens. This
4 is entirely up to the local official?

5 MR. GRIMES: Yes, but based on pre-agreed
6 accident classes and those are given in NUREG-0610 --

7 DR. SIESS: What makes them -- well, that is
8 besides the point. They can obviously press that button
9 however they darn please.

10 MR. GRIMES: The local people?

11 DR. SIESS: Yes. Nothing you or the utility
12 say is going to make any difference.

13 MR. GRIMES: That's right.

14 DR. SIESS: They could do it early or they
15 could do it late.

16 MR. GRIMES: However, if we have pre-agreed
17 emergency plans, we find that there is a general equality
18 by the state and local response organization.

19 If later on in the event, --

20 DR. SIESS: It wasn't at TMI, optimistic
21 as to what is going to happen next, but it will be
22 different.

23 MR. GRIMES: I am sure it will, we haven't done
24 our job if it isn't.

1 DR. SIESS: It will probably be a lot earlier
2 at the next one.

3 MR. GRIMES: Later on in the event, the state
4 may well second guess what the utilities recommended, but
5 early in the event, we try to emphasize that there is
6 really no choice except to have pre-agreed action levels
7 based on inplant conditions which indicate various accident
8 severities.

9 CHAIRMAN ETHERINGTON: Are they failure specific
10 or is there a good deal of judgment involved?

11 MR. GRIMES: No, we are trying to make them
12 very specific and associate with particular parameters.

13 NUREG-610 gives example of initiating conditions
14 in asking that the utility identifies specific grammar
15 values associated with each node.

16 DR. SIESS: You mentioned the maximum phenomena
17 design basis, do we have any experience trying to explain
18 the design basis accident to the public now, when they
19 show calculations at 25 rem, and 300 rem and everybody
20 got excited at TMI when they were dealing with milrem?
21 When you referred to the environmental report which gives
22 lower values?

23 MR. GRIMES: I guess I haven't had the problem
24 so far, it has been a while since we issued safety
25

1 evaluation.

2 DR. SIESS: Just like the public hearings now,
3 when somebody sees .5 rems in an SER, that is not something
4 that the public has to be inaquated for.

5 MR. GRIMES: Yes, indeed, it is. Under the
6 EPA protective action guide, there guidelines are 1 to
7 5 rem or 5 to 25 --

8 DR. SIESS: We got it down to 1 to 5, I think,
9 do you think milirem in a public hearing would be bold?

10 MR. GRIMES: Well, some people certainly would
11 be upset at any amount of radiation have been shown very
12 plainly at a number of public meetings.

13 DR. SIESS: Your realistic estimates are no
14 where near there?

15 MR. GRIMES: It depends on the severity of the
16 accident.

17 DR. SIESS: Once you put in your environmental
18 are they comparable to what went out at Three Mile Island,
19 at least in terms of doses. I think environmental impact
20 statement for Three Mile estimated 3 or 4 thousand manrem
21 or plasade accident.

22 There may be a hundred milirem per individual.
23 Pretty much the same as what happened.

24 DR. ZUDANS: What ultimate role will NRC have
25

TAPE 10/16

1 in this emergency preparedness? Are you going to review
2 how they are planning recreation, which routes they take,
3 where they send people in each particular case, or is
4 that left all to the state?.

5 MR. GRIMES: That is involved with our relationship
6 with the Federal Emergency Management Agency. They will
7 be the initial review then we must make a final determina-
8 tion in the licening process. Perhaps, this is a good
9 time to discuss that, it is part of the task 3B.

10 MR. SCROGGINS: That really comes under task
11 3B.

12 DR. ZUDANS: That's fine, I will just listen.

13 MR. SCROGGINS: I think we are ready for that.

14 DR. MATTSON: I'm ready.

15 MR. PERKINS: As you are aware, the President
16 issued a directive of December 7, that assigned FEMA,
17 Federal Emergency Management Agency, lead responsibility
18 for offsite preparedness around nuclear power plants.

19 Immediately upon his assignment to FEMA, we
20 began negotiating with them and entered into a memoranda
21 of understanding so as to insure a smooth transition of
22 that responsibility from ourselves to FEMA.

23 As part of that transitional arrangement, we
24 agreed to detail the inhouse expertise that we had in
25

TAPE 11/1

1 state programs, that had been reviewing offsite emergency
2 plans to FEMA that involved some 12 professional staff
3 that have been and are currently detailed to FEMA.

4 The purpose of these people being assigned
5 to FEMA was to focus or concert the efforts of both
6 agencies in conducting assessments of offsite preparedness
7 and to provide an opportunity for our people who had this
8 expertise to provide some on the job training to FEMA
9 personnel.

10 DR. ZUDANS: How quickly this FEMA got into
11 action after December 7. What time did it take them
12 to grow up or be creative?

13 MR. PERKINS: Well, FEMA was created prior
14 to that time, this task was assigned to them.

15 CHAIRMAN ETHERINGTON: They have the anomaly
16 of priorities and chronologies, did you say?

17 MR. PERKINS: I am not sure I know what you
18 are referring to.

19 CHAIRMAN ETHERINGTON: Item 1 transfer is
20 called for responsibility, too, the implementation is
21 one.

22 DR. MATTSON: We changed that, Harold.

23 MR. GRIMES: They are both one, we have a
24 statement on the table. If you look in your long
25

1 version that you got this morning about when things start,
2 it is fixed in there.

3 MR. PERKINS: Also, as part of the transitional
4 effort, it was agreed that we would assist FEMA in develop-
5 ing exercise scenarios that could be used to exercise or
6 test the state of preparedness around state and local
7 governments around the nuclear power plants.

8 Then, the memorandum understanding also addressed
9 the longer term working relationship. How each agency
10 would implement its roles. The arrangement that we
11 have agreed upon is that FEMA will, Fema has a develop-
12 mental role, and that is, through their regional offices
13 they are working with State and local government in
14 assisting those governments to develop emergency plans
15 to develop emergency plans around nuclear power plants.

16 Those plans are brought to FEMA headquarters
17 where they make findings and determinations of the
18 adequacy of the offsite preparedness around nuclear
19 power plants.

20 They make that set of findings by comparing those
21 plans to a set of criteria that FEMA and we have jointly
22 published.

23 We, then, the NRC, review the licensees onsite
24 emergency preparedness and make a determination of the
25

adequacy of the onsite plans and review the FEMA findings for offsite preparedness and then make a decision on the adequacy of the overall state of preparedness which then becomes part of our licensing decision.

DR. ZUDANS: You take the FEMA offsite and review them and compared to your review results on onsite?

MR. PERKINS: Onsite to insure that the two onsite and offsite are integrated and that there is an overall, inadequate overall state of emergency preparedness.

DR. SIESS: At licensing?

MR. PERKINS: At licensing, but then we will conduct exercises later to insure that the state of preparedness is maintained.

DR. SIESS: NRC will?

MR. PERKINS: NRC and FEMA.

DR. SIESS: And FEMA.

MR. PERKINS: Correct.

DR. ZUDANS: This continuity check is done only by you or by both? By FEMA and NRC, or just NRC?

The continuity check for preparedness procedures --

MR. PERKINS: The interface is just NRC.

1 DR. ZUDANS: Just NRC.

2 MR. PERKINS: That's correct.

3 FEMA has the need for offsite, we are using
4 their offsite work as our Staff work, and we make the
5 decisions as to whether there is an overall adequate
6 overall state of emergency preparedness.

7 MR. GRIMES: I should also interject that under
8 our current statutes we can not completely delegate this
9 responsibility to FEMA. We must make the determination
10 in the licensee process. We can use them as consultants.
11 As we would use other federal agencies in the USDS, and
12 use their work in our licensing process. We can't
13 completely delegate that.

14 DR. ZUDANS: What can you accept? I didn't
15 quite understand. I thought they would delegate the
16 responsibility for it.

17 MR. GRIMES, But must make the final decision
18 in the licensing process. We still have the licensing
19 decision to make.

20 DR. SIESS: The law just told them they got
21 to do it.

22 MR. PERKINS: FEMA's relationship is with the
23 State and local governments.

24 DR. SIESS: FEMA has no contact at all with
25

1 applicant utility of the licensee.

2 MR. GRIMES: Except that during the development
3 of the state and local plans, there would likely be
4 meetings with the licensee.

5 DR. SIESS: Do you tell them what to do?

6 MR. GRIMES: No.

7 DR. SIESS: They tell them they don't have
8 to do it, you tell them they have to do it.

9 MR. GRIMES: Yes we have the licensee.

10 DR. ZUDANS: An interesting situation, what
11 if you disagree with what FEMA did on the offsite?

12 DR. SIESS: You don't give them a license.

13 MR. PERKINS: That's correct.

14 DR. ZUDANS: What does the utility have to do,
15 it is offsite?

16 Not fair.

17 MR. PURPLE: Are there any other questions on
18 emergency preparedness?

19 DR. ZUDANS: I have one question. Since you
20 have done lots of studies, what does it take to evacuate
21 the 10-mile radius in terms of depending how people there
22 are, as a function of people, time-wise?

23 MR. GRIMES: Time-wise, it varies from 2 to
24 3 hours, in the typical remote site, up to around 10
25

1 10 hours in a highly populated site for the general
2 population and perhaps longer than that for all the insti-
3 tutions in that area.

4 We have asked all operating plants for time
5 estimates, in that regard. Some of them came in
6 very sophisticated transportation analyses and I think
7 I show what I just described. That excludes the notifi-
8 cation time, that assumes that there is a notification
9 system in place that might take a similar amount of time
10 to notify people if there were no notifications systems.

11 DR. ZUDANS: Then, accidents that you analyzed
12 which have a release in that particular zone much sooner
13 than that. In some cases, yes, there would be a release
14 before one could evacuate the people, in that case.

15 MR. PERKINS: First of all, the important thing
16 is to know what the options are in each case for pro-
17 tective measures. In some cases, that may be sheltering
18 rather than evacuation. Rather than put someone out
19 underneath a plume, it may be more advisable to tell them
20 to stay indoors.

21 Certain sites such as Indian Point and Zion
22 we have taken further measures of asking them to try to
23 decrease the amounts and increase the time involved in
24 core melt accident releases.
25

1 That is the filler gun at containment.

2 There are special problems at a site like that. We
3 would likely go to the filler gun at containment concept
4 to try to increase the available reaction times and to
5 decrease the amounts of activity that would be released
6 even with the bad core melt accidents.

7 DR. ZUDANS: In addition to this vented and
8 filtered containment concept, what are the other things
9 that you could do to diminish or minimize the impact?

10 MR. GRIMES: Well, there are a variety of things
11 that can be done to improve the chances of coping with the
12 accident but I think once you have an accident, the color
13 vented containment is probably by far the thing that
14 helps most at the risk.

15 DR. ZUDANS: The blocking age, I read in the
16 newspaper that British held blocking agent iodine, blocking
17 agent in a ten-mile radius.

18 MR. PERKINS: Yes, I didn't cover that, we
19 are doing a cost benefit study right now at Sandia
20 Laboratories on that problem and we expect in the next
21 month to report to the Commission, the initial results
22 of that study. I have made regard that its cost per
23 effective void are very high.

24 Several hundred thousand dollars for not voided
25

1 if you used the WASH-1400 core melt probabilities for
2 closed in distances and several million dollars further
3 for the module operation avoided farther compliant.

4 I think our immediate recommendations will have
5 fills for emergency workers onsite and offsite, perhaps,
6 also for institutions where it can be controlled in
7 but I think we want to study further.

8 We recommend extensive use of blocking agent
9 for the general population.

10 CHAIRMAN ETHERINGTON: I think we should move
11 on more rapidly, I think we might assume that the
12 Subcommittee has read the plan and don't try to cover
13 the entire scope just a few words to remind us what
14 it is about.

15 MR. GRIMES: We have covered 3A and 3B. The
16 NRC part --

17 CHAIRMAN ETHERINGTON: Then, I would say
18 the same to yours, excessive.

19 MR. PURPLE: I'd like to turn now to 3A3 which
20 is the NRC emergency preparedness improvement.

21 Bernie Weiss from IE will cover that briefly.

22 MR. WEISS: I will just try to cover the items
23 that are in here and basically what I am going to be
24 talking about are the things that NRC is doing to improve
25

1 his response to an incident.

2 ONE of the first things on this list is
3 looking into the NRC goal and responding to nuclear
4 emergencies.

5 There have been several discussions with the
6 Commission on that and think that is getting a little
7 better handle on the basic problems more or less what
8 the Commissioners role is, themselves, will be in an
9 accident.

10 There is a study that is going on now that
11 Mida corporation is conducting for us. We go in a
12 little more detail with regard to the role and what
13 each of the various roles and the spectrum of roles
14 the NRC will have to conduct, will mean in terms of
15 resources, risks, liabilities, legislative needs, and
16 so forth.

17 We are also in the process now of trying to
18 upgrade the operations centers to support our activities
19 in a major accident. Obviously, the response to TMI
20 indicated that the operations center that we have now
21 was, the operation was wholely inadequate the response
22 was much greater than we had anticipated. We need to
23 upgrade that considerably.

24 In addition, upgrade the regional operations
25

1 centers.

2 We are also looking in one of the most serious
3 problems. A question of communications. We have
4 already installed one dedicated telephone line to the
5 control rooms which is basically for operations. This
6 is a dedicated line which would provide immediate notifi-
7 cation and hope in a continuous line and would have
8 high priority for restoration if anything had ever hap-
9 pened to it.

10 CHAIRMAN ETHERINGTON: If time were mentioned,
11 would it be profitable for the Subcommittee to look to-
12 wards an operations in there?

13 DR. MATTSON: You certainly can, you are wel-
14 come to see it. It is not much to look at.

15 It is only 5 minutes away. It is down the
16 street.

17 MR. WEISS: There is a second line, which
18 has been installed on all the facilities. There are
19 a few last remaining problems before AT&T turns it over
20 to us. This is a health physics network to the separate,
21 essentially, long lines intercome network in which it is
22 not used for immediate notifications but it is a second
23 system to be used for the health physics people.

24 That is located at the health physics offices,
25

1 at the near site emergency operations facility, with
2 the health physics and environmental people would tend
3 to congregate.

4 That is essential to it now, if there were
5 an incident we could use it although that really couldn't
6 be turned over to us.

7 We are also considering the needs for short-
8 ranged radios, VHF radios that people could use once
9 they get to the site, specifications have actually been
10 written before TMI and we are still trying to obtain them.

11 We also are looking at the availability as we
12 use the TMI in obtaining shortranged radios and other
13 communication services from other federal agencies. There
14 is a lot of communications and networks out there trying
15 to arrange and make sure we can get that assistance from
16 other federal agencies.

17 We are also looking at getting more infor-
18 mation on meteorological stuff from Noah. I am working
19 with FEMA on that also. We have a pilot program now, in
20 which we will be putting into the operation center an
21 arague terminal, which is a Lawrence Livermore system, that
22 will also be installed at Zion and at Indian Point and
23 in New York and Illinois, so that we will try that
24 on a pilot basis to see how that works.

1 DR. ZUDANS: What is that?

2 MR. WEISS: It is a very sophisticated
3 prediction of dose prediction system in which they
4 can simulate terrain but they need the input from the
5 individual facilities. We are trying on a pilot basis.
6 It is rather expensive. So, we want to see whether
7 this is a way to go.

8 DR. ZUDANS: It may lead to predict the
9 methodological conditions.

10 MR. WEISS: Right, whether we need such a
11 sophisticated system or we could use something less
12 sophisticated.

13 The last item that we have on there is the
14 nuclear data lane. We are now having Sandia look into
15 the question of concepts and costs of the nuclear data
16 length, cost benefits, all of these entail in connecting
17 us directly to a facility so that we would have direct
18 access to certain operating parameters before an incident
19 and during an incident.

20
21 The Commission, we should be presenting a paper
22 to the Commission sometime this month for them to make
23 a decision to whether we want to go forward with that
24 project. This report should be here within the next
25 couple of days.

1 DR. SIESS: I don't understand what you are
2 saying. I have a copy of a letter to all operating
3 nuclear plants they are transmitting the Sandia report
4 asking all the operating utilities to operating a survey,
5 sounds like this thing is practically settled on, then,
6 it is handed down to the Commissioners in category 3
7 priority.

8 DR. MATTSON: Category C isn't priority,
9 Chet, be careful.

10 DR. SIESS: I said category 3 priority and
11 I don't remember where it is on your list of-- you say
12 you are working on it.

13 DR. MATTSON: Right, now, it says --

14 It says now, working on it now.

15 DR. SIESS: You are working on it now?

16 MR. WEISS: Yes, we have discussed it with
17 the Commission and the Commission has said more forward
18 in developing the concept at a final decision as to
19 implementation, it is obviously the expensive part of it.

20 DR. CATTON: Why is it so expensive? Aren't you
21 just going to plug into their data system and hard wire
22 it into your system?

23 MR. WEISS: Not quite that simple because
24 we have got essentially 70, right now 70 different beasts
25

1 out there and it is a matter of getting that data and
2 sorting it out either there or here.

3 DR. CATTON: Are you going to be getting
4 continuous transmission from all of these 70 plants,
5 or is it an emergency where you suddenly fire it out?

6 MR. WEISS: One of the things that we are
7 certainly looking to get is the data, the A priority
8 data, just before the incident.

9 DR. CATTON: One way you do that is you record
10 it, say an hours worth of data and every half hour, dump
11 the first half hour. So, you have got a half hour.

12 DR. CATTON: I'm wondering because J.C. Penney
13 does this with their cash registers.

14 MR. WEISS: They got uniform cash registers
15 out there, with all the same cash registers.

16 The system we have out there are not.

17 DR. CATTON: They transferred the information
18 into a parallel set of computers for reliability, they
19 are more interested in not losing the data than maybe
20 you are.

21 DR. MATTSON: The man is not saying that it is
22 a difficult system to do, it is expensive.

23 DR. CATTON: It is expensive and I am wondering
24 why it is expensive.

1 DR. SIESS: This lawyer sounds like it is
2 already improved and it says the results of this survey
3 finalized the specifications, an immediate objective
4 would be to select lead plans and data, to insure early
5 and meaningful operation of different data. A subsequent
6 action by licensees would be to operate their capability
7 and it doesn't say any impression that this is something
8 that is just being considered.

9 DR. MATTSON: Well, I think it is fair to say
10 that the estimation in this will be approved and implemented.
11 I think that is what that letter implies.

12 DR. SIESS: Then, category 3 doesn't really
13 mean much, does it?

14 DR. MATTSON: Well, it is a priority 3 because
15 it doesn't have high safety significance, that is, the
16 steering groups estimation, the likelihood that the nuclear
17 data link would cause NRC to do something the licensee
18 wouldn't otherwise do to protect the health and safety
19 is low.

20 MR. MATHIS: Why do you need it?

21 DR. CATTON: Curiosity.

22 DR. MATTSON: We are studying it, estimating
23 what it costs, before they get in front of our decision
24 makers for deciding whether it is needed, fulfill their
25

1 other responsibility.

2 DR. ZUDANS: It is not intended to exercise
3 any control function, just to monitor.

4 DR. MATTSON: That's right.

5 It is something to start out with 380 parameters
6 and it has worked its way down to 115.

7 MR. WEISS: Yes, it is about 100 now, 60 operating
8 parameters and 40 meteorological.

9 DR. ZUDANS: It is not a big number, anyway.

10 DR. CATTON: What is the sampling rate for each
11 parameter?

12 MR. WEISS: Were talking about 1 a minute now,
13 again, we don't have that final containment.

14 DR. CATTON: If they transfer the whole set
15 of a hundred, each --

16 MR. WEISS: Right.

17 DR. CATTON: That is a fairly low sampling rate,
18 too.

19 MR. WEISS: We would be able, probably wouldn't
20 be able to get transients.

21 DR. MATTSON: Somebody is whispering in the
22 background the nuclear data is faster. There is no
23 technology limitations and the amount of information
24 that can be transmitted. It is a question of what use
25

1 are you going to put it to, that sort of thing. How
2 are you going to display it, how do you set criteria
3 that can be applied to 70 different designs?

4 MR. WEISS: And to display it in a uniform
5 manner so it will make sense to the people that are
6 looking at it.

7 MR. LIPINSKI: Were video cameras in the control
8 room consistent?

9 Was that a consideration as one method of
10 getting data?

11 MR. WEISS: I don't believe we had considered
12 this. No.

13 DR. MATTSON: They are being considered for
14 the onsite technical support center in the control room.

15 MR. WEISS: Okay, the other item that we had
16 discussed in here was the need to continue tests and
17 exercises and drills so that as we make changes and
18 change the physical within the operations under them
19 stay up to date. The last item had to do with interaction
20 with the NRC and other agencies having to deal with other
21 countries, in particular, Canada and making special
22 arrangements with them and continuing our arrangements
23 with all the other federal agencies. We have some
24 concern here. So, that we can interact with them in any
25

1 future incidents and state and local governments.

2 CHAIRMAN ETHERINGTON: Have you had any problems
3 with any of those areas?

4 MR. WEISS: It is just slow. Do you mean
5 with other agencies or with all the things that I am
6 talking about?

7 CHAIRMAN ETHERINGTON: You mentioned international
8 too.

9 MR. WEISS: I haven't personally been involved
10 with that. I had some contact with people in Canada.
11 We are staying in touch with them. We haven't had
12 detailed arrangements but we know each other
13 and we know who to call and let them know.

14 Later on we will probably go to more formal.

15 MR. PURPLE: Any other questions under 3A3?

16 The next in order would be 3C public information,
17 I think it is important that our office of public affairs
18 be represented and Frank Ingram from that office has
19 been tied up with the Commissioners. He assures
20 me that he can be here at 8:30 tomorrow morning.

21 I would like to move to 3D, Bill Kreger,
22 will cover essentially most of that with one or two
23 exceptions.

24 MR. KREGER: 3D is the section on radiation
25

1 protection. I have in the audience people who can
2 address detailed responses to questions for the 3D area.

3 The findings of various study groups and per-
4 missions regarding Three Mile Island identified some
5 deficiencies in the area of radiation protection both
6 with regard to licensee programs and with regard to NRC
7 activities.

8 They can be lumped into several broad categories.
9 We did that in order to try to more effectively address
10 the deficiencies by the action plans. These broad
11 categories worked. First of all, what could be called
12 licensee and NRC under emphasis of the importance of
13 worker radiation protection.

14 That very particularly with regard to accident
15 conditions, since in the past, most of them are activities
16 in worker radiation protection and the licensee activity
17 had stressed the normal operation and anticipated
18 occurrence situations but had not put much emphasis on
19 the accident condition.

20 The second main category, we categorize is
21 inadequate qualification of radiation protection personnel.
22 That, in spite of the fact that our regulatory guidance
23 treated to some extent the qualifications required.

24 The third category, inadequate training for
25

1 radiation protection, and this again primarily related
2 to the accident condition of Three Mile Island 11 was
3 a very vivid example of the lack of preparation by the
4 radiation protection staff for the accident condition.

5 In spite of that lack of protection, there
6 were only a very few worker overexposures in the course
7 of the event.

8 The forth main category, was design and equip-
9 ment. The efficiencies were accomodating again to
10 accident conditions and this related both the radioactive
11 source control and to the radiation protection program.

12 Now, the 3D action plans compliment action plans
13 in other parts of the document in particular, 2H8, I
14 believe, which is a rule making which will investigate
15 design requirements, additional design requirements for
16 the accident condition.

17 Also, 3E action plans compliment the short term
18 lessons learned which document has in it several items
19 that relate to the radiation protection area. Both
20 design for radiation protection, equipment for radiation
21 protection, and plans and procedures for radiation pro-
22 tection.

23 We separated the action plans in the 3D area
24 into 3 main subsections. The first of those 3D1 was
25

1 for implant source control and also control of releases.
2 It relates that the separate items of which they are
3 about 5, relate to recognizing that sources will be
4 in places that we hadn't previously anticipated and
5 attempts to make sure that both were worker protection
6 and for public protection. Those sources can be better
7 contained after an accident than they were either for
8 the Three Mile event or for other events which now
9 we can anticipate of a similar nature.

10 The first subset 3D1, is what we characterize
11 as source control or radiation source control.

12 The second subset 3D2, public protection, adds
13 a few items to already many items that the staff implements
14 in the licensing implements for control of effluence and
15 also for the determination in terms of F1's are getting
16 to people are there are effluence of significance. There
17 are items in that section for further capability for
18 F1 monitoring, additional capability for determining
19 the dose that may be resulting from the effluence that
20 may exist and be monitored.

21 A liquid pathway interdiction item because
22 of in the past the staff has not had prior to the
23 prairie consideration for the floating nuclear plants,
24 the staff had not spend very much consideration of
25

1 radioactive effluence into the liquid pathway and that
2 was primarily because most of the conjectured accidents
3 did not quit radioactivity effluence in the liquid pathway.

4 Then, in addition, to 3D2 there are some additional
5 requirements for measurement of offsite radiation
6 doses and an item on the ability to rapidly determine
7 offsite doses from radioactivity release by both the
8 combination of meteorological and hydrological measure-
9 ments so that population decisions can be made quickly.

10 The 3D3 items are all related to worker
11 protection improvement. Once the 3D1 items are further
12 implemented and source is better controlled, and releases
13 are better controlled and measured, it was assumed that
14 we would have presumably a great deal more radioactivity
15 in plan after the accidents that might have occurred at
16 Three Mile. Although, in plant radiation sources have
17 been a very significant problem for the whole process
18 of putting up a decontamination.

19 So, in the worker protection improvements area
20 of 3D3, we have about 5 subsets of plans which relate
21 to improving the radiation protection of plans of licensee
22 and improving our nuclear reactor regulation overview
23 of those plans and review of those plans during the licens-
24 ing process.
25

1 It includes a number of health physics improve-
2 ments that are primarily the office of standards
3 development implemented in terms of regulatory guidance
4 and criteria for health physics instrumentation and health
5 physics activity in the plant.

6 There is an additional bunch of activities in
7 3D3.3 on inplant radiation monitoring, which add to the
8 monitoring required by the short term lessons learned and
9 these are both monitoring for radioactivity levels in
10 the plant and particularly in the auxiliary building
11 as a result of accident sources on the auxiliary building.

12 Then, more locations for such monitoring, again,
13 because of the identification of the much broader range
14 of source locations than we have previously predicted.

15 There is an item in 3D3 on control room habita-
16 bility. Three Mile Island identified the potential
17 ingress of radioactivity from the accident throughout
18 the plant in ways that hadn't been anticipated by the
19 previous control room habitability requirements which
20 should have controlled ingressive radioactivity into,
21 for example, one control room because of an accident
22 in unit 2 and visa versa. In addition, that particular
23 plan requires the implementation of a couple of regulatory
24 guidance guides on other toxic materials problems on
25

control room habitability.

Finally, there is an item on this one on radiation and worker exposure data base which is primarily a study to try to determine whether or not the NRC should improve its or should increase its requirements on the licensees for requiring radiation exposure information on the health status on workers for potential eventual use in epidemiological studies.

THat is a broad view of the treaty items and they are a little bit on their relationship to both short term lessons learned and other items in the earlier parts of the action plans.

MR. MATHIS: Could we move back up to 3D2 item 5? I guess I should be familiar with it, what is the content of that dose calculation manual? /

MR. KREGER: This is a proposed dose calculation manual that would be of a similar nature to our Reg tour Guide 1.109 which tells licensees how to calculate dose for normal operations. This was a proposed manual that would put a new kind of manual out on the street which tell people how to calculate for an accident condition so that we don' t have every, it would give each licensee the guidance as to how we believe the dose can be calculated quickly and effectively using the

1 effluent release data and the short term meteorological
2 information so there aren't a whole lot of different
3 people calculating dose differently and one person
4 in a given accident saying we think there are 20 rem
5 at the site boundary, and another group saying we think
6 there is two rem at the site boundary and another group
7 saying we think there is a half a rem at the site boundary.

8 CHAIRMAN ETHERINGTON: Do the 3 regulatory guides
9 at present not do that?

10 How many are there?

11 DR. MATTSON: For normal operations.

12 MR. KREGER: Primarily for normal operation.

13 DR. ZUDANS: The data base would be the actual
14 results measured, not any calculations either by best
15 estimate or by evaluation model.

16 MR. KREGER: Let's have Frank Congel who will
17 be the author of the set manual tell us.

18 MR. CONGELL: What I envisioned in the manual
19 were several procedures or options being available depending
20 on what the circumstances are.

21 If there are effluent data available, then there
22 would be a section that shows an acceptable, reasonable
23 procedure to go from the effluent data using local wind
24 conditions to estimated doses at various points offsite.
25

1 If in the case similar to TMI occurs where you
2 don't have good effluent data, it would be a procedure
3 for making estimates based on either helicopter measure-
4 ments, on site surveys, or combinations of both.

5 Recognize that part of our plans do try to
6 address the problem not having effluent data. If all
7 the plans are implemented, there should not be a case
8 in the future where the effluent monitoring equipment
9 goes off scale.

10 CHAIRMAN ETHERINGTON: My recollection must
11 be completely wrong then. Don't the regulatory guides
12 give accident releases, they get two out periods, 8 out
13 periods, 24 out periods?

14 DR. MATTSON: 1.3 and 1.4. But, that is
15 the conservative methodology for siding calculations
16 for the side boundary doses and the --

17 DR. ZUDANS: Is this the best estimate you are
18 getting at?

19 DR. MATTSON: This is best estimate.

20 MR. KREGER: This is best real estimate, using
21 data that are available at the time the occurrence is
22 taking place.

23 DR. ZUDANS: That means you just don't want
24 to scare people unnecessarily?

1 MR. KREGER: You don't want them having
2 3 or 4 numbers, either.

3 DR. ZUDANS: That is fine.

4 MR. MATHIS: Well, if you had an accident
5 tomorrow this would be kind of important to have. Why
6 is it so late on the schedule? 6/81 is way down the
7 road.

8 Does it take that long to put it together?

9 MR. MINNERS: I think it is nice to have,
10 but as far as safety significance goes, I think that
11 is why the safety significance is down.

12 MR. KREGER: We are in a much better condition
13 today to go to a site or to get information from a site
14 in our emergency response center and to get numbers
15 than we were at Three Mile Island.

16 The effluent data and numbers were obtained
17 later on by interperlation of devices that are in all
18 plants and I think now, we know the questions to ask
19 at the plant, about what certain things are reading
20 even though some of the new requirements will not have
21 been implemented tomorrow or next week.

22 MR. MATHIS: From a public relations standpoint,
23 it seems to me you run the same risk of having conflicting
24 data that existed in the past if you don't get this place.
25

1 It is a risk, how important it is, I don't know,
2 but from a public relation and embarrassing standpoint, it
3 seems to me it has a reasonably high priority. That
4 is my opinion.

5 DR. MATTSON: I will use Dr. Congell here as
6 a good example of the kind of choices we have to make.
7 This man is very valuable to this agency. He had performed
8 in some extraordinary feats in the last year. Is it
9 better for Mr. Denton to spend Frank Congell right in the
10 guide that really solves a PR problem or to spend him
11 on work that really makes a safety difference?

12 In the minds of this steering group, which
13 is helping set priorities, I would rather use Frank on
14 some safety stuff than PR stuff.

15 MR. MATHIS: Why don't you put Harold on PR
16 work, that is all he is doing.

17 DR. MATTSON: That is the kind of choice we
18 are making on him.

19 MR. PURPLE: Are there any other questions on
20 3D?

21 CHAIRMAN ETHERINGTON: There are one of two
22 things we can do, we can go into a short executive session
23 to determine what we want to do about Mr. Thorpe. Let
24 me do that anyway, in addition.

TAPE 11/29

1 (Discussion is held off
2 the record.

3 CHAIRMAN ETHERINGTON: The meeting is adjourned
4 until 8:30 tomorrow morning.

5 (Whereupon the meeting was
6 adjourned at 5:15 p.m.)
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25