

NUCLEAR REGULATORY COMMISSION

In the Matter of:

BRIEFING ON ANALYSIS OF ALTERNATIVES FOR
CONDUCTING INDEPENDENT VERIFICATION TESTING
ON ENVIROMENTALLY QUALIFIED EQUIPMENT

PUBLIC MEETING

DATE: July 15, 1980

PAGES: 1 thru 71

AT: Washington, D. C.

ALDERSON  REPORTING

400 Virginia Ave., S.W. Washington, D. C. 20024

8007240 *384*

Telephone: (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
BRIEFING ON ANALYSIS OF ALTERNATIVES FOR
CONDUCTING INDEPENDENT VERIFICATION
TESTING ON ENVIRONMENTALLY QUALIFIED EQUIPMENT
PUBLIC MEETING

Nuclear Regulatory Commission
Room 1130
1717 H Street, N. W.
Washington, D. C.

Tuesday, July 15, 1980

The Commission met, pursuant to notice, at
10:05 a.m.

BEFORE:

- JOHN F. AHEARNE, Chairman of the Commission
- VICTOR GILINSKY, Commissioner
- JOSEPH M. HENDRIE, Commissioner
- PETER A. BRADFORD, Commissioner

ALSO PRESENT:

- W. SHIELDS
- E. HANRAHAM
- V. STELLO
- H. THORNBURG
- W. RUTHERFORD
- B. DIPCKS

(Pages 1 through 71)

DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on July 15, 1980 in the Commission's offices at 1717 H Street, N. W., Washington, D. C. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected, or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determinations or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of or addressed to any statement or argument contained herein, except as the Commission may authorize.

P R O C E E D I N G S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHAIRMAN AHEARNE: The Commission meets this morning to hear from a variety of individuals on the staff in response to a review that was triggered several years ago and it addresses the question of independent verification testing. By independent, that is independent of the vendors or the utilities themselves. It is an issue that has been of particular concern to Commissioner Bradford, at least I have noticed over the last several years, and one that I think is well worth the Commission's attention.

I point out that in our guidance in the development of next year's budget we had put in the qualification of safety-related equipment and no less than a certain amount of dollars and no less than a certain number of people, and at so stage this morning I will be asking a variety of individuals how this proposed solution fits into that.

Vic.

MR. STELLO: What we are here to do is to address the problem that, as you say, is long-standing. A variety of alternatives have been looked at for conducting independent testing to establish that equipment is properly qualified. As you would expect, there is a full range of alternatives.

If we attempt to do a great deal of independent

1 environmental testing ourselves, while we had our own
2 laboratory to do it, it is obviously very expensive. If we
3 did more of what we do now it is obviously less expensive
4 both in terms of people and dollars.

5 We have asked Sandia, and I notice you have a copy
6 of the report, look into the various alternatives and try
7 to assess and help make judgments as to which way to go in
8 terms of what seems to be best for our particular
9 responsibilities.

10 What we will do is to very quickly go through
11 briefly the history and the background of where we are
12 today, what we think is the most meaningful alternative that
13 we ought to pursue and why and then deal with the last
14 question which you did bring up, the resource impacts, what
15 are they and how do we accommodate them within the current
16 resources that we have within the office and the impacts of
17 other offices. Then I am sure others might want to comment
18 on what that means in terms of resources relative to the
19 guidance of the Commission.

20 With that, Harry, why don't you begin.

21 (First slide.)

22 MR. THORNBURG: By way of introduction, as Vic
23 indicated, we have studied the alternatives for verification
24 of environmental testing of electrical equipment as
25 requested by the Commission in April of 1976 and a

1 significant amount of time has gone past since that time.
2 As we indicated in our response to the Commission order, we
3 asked Sandia to study the three main alternatives for us.
4 They also studied a combination of alternatives.

5 The Sandia study required about a year to get some
6 initial results for us. This report came out in March, I
7 believe it was, of 1980, but we had preliminary results
8 about a year after we had asked for the study. It took my
9 staff about three months to perform an analysis. We
10 circulated a draft, an initial draft to the other offices
11 for review because of their involvement.

12 A significant period of time was expended in
13 obtaining inputs and comments from the other staff
14 components. The delineation of staff responsibilities in the
15 area of equipment testing by the EDO and the dedicated
16 organization in NRR for equipment testing assisted
17 materially in the final development of the staff's position.

18 Sandia, as I indicated, looked at sort of the
19 three pure alternatives, the alternative that we build the
20 facility and the alternative that we contract the work done
21 and they looked at sort of doing more of the same but only
22 doing more of it, you know, observing what the industry does.

23 Then they looked at three other alternatives. I
24 think the last two brought more of a common sense approach
25 to the problem, you know, do something in the near term and

1 then aim toward a longer term solution, or do a combination
2 of things.

3 Really the staff has come down on an alternative
4 that is a combination of doing some contract verification
5 and witnesses tests and also upgrading the testing
6 capability of laboratories.

7 CHAIRMAN AHEARNE: Do you intend to get to why the
8 staff has chosen an alternative different than the one that
9 Sandia recommended?

10 MR. THORNBURG: Yes, sir. I have tried to
11 summarize our position at the outset.

12 The first alternative, as I indicated, was an
13 NRC-owned environmental test facility manned by NRC
14 personnel. They looked at this, you know, as just a
15 long-term alternative, you know, that you set dead in the
16 water say for two or three years until you have built the
17 facility and then start to do anything. They looked at
18 contracting environmental testing and all this by a selected
19 or captive contractor. They looked at looked at review and
20 witnessing of tests by the industry, do what we do now on a
21 larger scale. They looked at a combination of one and two,
22 the NRC-owned facility and contracting the work done. They
23 looked at a combination of one and three, NRC-owned facility
24 and witnessing the testing. They also looked at an
25 alternative six, the combination of alternatives two and

1 three, contracting and witnessing.

2 May I have slide two, please.

3 (Next slide.)

4 The scope of their study they considered
5 environmentally sensitive safety-related equipment located
6 in areas potentially exposed to harsh environments that are
7 required to function during design basis event or otherwise
8 designed to mitigate the consequences of an incident. They
9 considered the significant electrical instrumentation and
10 control and electromechanical equipment for the purpose of
11 the study. The list of things that they considered wasn't
12 all-inclusive, but it was the more important of these types
13 of equipment.

14 There were 28 generic equipment categories, the
15 most vital and sensitive types of equipment. For example,
16 in the categories they considered transmitters, electric
17 actuators, pneumatic actuators, thermocouples, limit
18 switches, pressure switches, solenoid valves, terminal
19 blocks, radiation monitoring equipment, neutron monitoring
20 equipment, cable penetrations, connector switchboard wires,
21 rotometers and on and on, but there were 28 categories,
22 generic categories of equipment.

23 There were one to six manufacturers in each
24 category, you know, people ITT, Cannon, Westinghouse and
25 General Electric. There were approximately 140 items

1 considered. The testing was to be consistent with the
2 requirements of IEEE 323-1974 and they assumed sort of a
3 standard test profile.

4 (Commissioner Gilinsky at this point entered the
5 meeting.)

6 MR. THORNBURG: Can I have slide three.

7 (Next slide.)

8 They used eleven evaluation criteria and performed
9 sort of a quasi-quantitative evaluation of each of the
10 options in terms of these criteria.

11 CHAIRMAN AHEARNE: Are these criteria that you and
12 they had agreed on?

13 MR. THORNBURG: Yes. There wasn't any weighting
14 of criteria with the problem and it was difficult to take
15 these numbers and sum them all and intercompare them. As a
16 matter of fact, I get a little bit lost in the
17 intercomparison. We really made our selection based on
18 immediacy of impact, reasonable cost and reasonable
19 independence of the agency in spite of a lot of the talk
20 about the numbers and the values.

21 CHAIRMAN AHEARNE: The numbers are more a
22 subjective judgment, aren't they?

23 MR. THORNBURG: Yes. Yes.

24 Now, if I could have slide 4.

25

1 COMMISSIONER BRADFORD: Before you go on let me
2 ask you where the ninth criterion came from? If that a
3 criterion you have used on other projects?

4 MR. THORNBERG: The historical charter function?

5 MR. COMMISSIONER BRADFORD: Yes.

6 MR. THORNBERG: I wouldn't say, you know, we
7 didn't hinged on that. When I get down to criteria we
8 selected, we did go to some aspects of it that are outside
9 of our historical function.

10 COMMISSIONER BRADFORD: I understand that. What
11 concerns me is the reason the Commission was interested in
12 looking at this, I think, was that the historic function had
13 produced a lot of connectors and other equipment that simply
14 wasn't meeting the standards that we had. I would have said
15 that the historic function was almost a minus in this
16 context.

17 COMMISSIONER HENDRIE: I don't think so. I
18 wouldn't read historic function in this connotation as
19 saying, you know, the historic path was to have unqualified
20 connectors.

21 COMMISSIONER BRADFORD: That was the historic
22 result.

23 COMMISSIONER HENDRIE: That was the result, but I
24 wouldn't regard that as the appropriate historic function to
25 judge against. The question here is, you know, how far

1 should NRC become, oh, in one area a designer of equipment
2 that would be in plants we license, or in another area sort
3 of part of the producing and measurement and quality
4 checking chain for equipment.

5 Now, I think it is clearly appropriate that we,
6 along the lines suggested here, do some checking to make
7 sure that the people who are supposed to be living up to
8 commitments on equipment live up to them and that indeed
9 there is enough testing so that you have a fair assurance
10 that something hasn't gone into the field in spite of
11 people's best intentions, you know, that doesn't live up to
12 the mark.

13 On the other hand, the staff has always been
14 sensitive to finding itself moving over to being the
15 regulatory staff, nuclear equipment supply company in a
16 sense. That is the way I would think about historic function
17 and whether it has any influence on this or not.

18 MR. THORNBERG: Could I read the definition?

19 COMMISSIONER BRADFORD: Yes.

20 COMMISSIONER HENDRIE: Yes.

21 MR. THORNBERG: I think we have probably pared
22 that title down too much for the purpose of the slide, but
23 it was the historic chartered function, the
24 historical/chartered function of the NRC. Direct
25 involvement in equipment tests per se has not been an

1 historic NRC function, nor is the NRC clearly chartered to
2 conduct qualification tests.

3 CHAIRMAN AHEARNE: I didn't think that Sandia was
4 the best organization to interpret what our function was or
5 what our charter was. I didn't think that was an
6 appropriate criterion either, but I gather you didn't really
7 use much weight for it either.

8 COMMISSIONER BRADFORD: But it did become one of
9 the, what was it, core functions as you called it?

10 MR. THORNBURG: In their study they did use it.

11 CHAIRMAN AHEARNE: I agree with you, it didn't
12 ring correctly.

13 MR. THORNBURG: It didn't weight as heavily in our
14 judgment as cost. I wouldn't want to list cost at the top,
15 but in the immediacy of producing results we thought it was
16 a high value thing.

17 COMMISSIONER GILINSKY: Would Sandia be one of the
18 organizations that might contract for this work?

19 MR. THORNBURG: Yes, we might ask them to do some
20 of the testing.

21 CHAIRMAN AHEARNE: Well, in fact they have in the
22 past.

23 MR. THORNBURG: Yes, they have in the past and we
24 are beginning to ask them to do some of the initial work for
25 us.

1 COMMISSIONER BRADFORD: In fact, it was the Sandia
2 test I think that gave rise to it.

3 MR. STELLO: It was a research contract.

4 COMMISSIONER BRADFORD: Yes.

5 COMMISSIONER GILINSKY: Does anyone think that we
6 do not have the charter to test if we wanted to, leaving
7 aside whether it makes sense to do it?

8 MR. THORNBURG: We are proposing to do it.

9 COMMISSIONER GILINSKY: No, no, I mean to do it
10 ourselves.

11 MR. STELLO: There is no question that we can. In
12 fact, the recent emphasis is that we ought to do more
13 independent testing. The bottom line of where we come out
14 when we are finished is that we will do it. Whether we
15 should have included it as one of the evaluation criteria, I
16 think it is important at least to say that there was a
17 benchmark, a way in which you were doing it and you are
18 departing from it. Your argument is that departing from it
19 is good. We ought to do it differently than we have in the
20 past. We have concluded the same thing.

21 COMMISSIONER BRADFORD: My point really would have
22 been twofold. One was the one I already made, that given
23 the results it wasn't necessarily something you wanted to
24 track too closely. The other though would be that at least
25 the level of NRC involvement, the cost criterion, perhaps

1 the conflict of interest criterion and maybe one or two of
2 the others pick up the same idea, that is, the historic NRC
3 function was presumably established on the basis of what
4 would be the most cost effective way to do things, what
5 would be the appropriate level of NRC involvement, and so on.

6 I think the other problem with the ninth criterion
7 is that it just picks up and reiterates some of the other
8 ten.

9 CHAIRMAN AHEARNE: I think you have got the
10 picture and we can move on.

11 MR. THORNBURG: May I have slide four, please.

12 (Next slide.)

13 Well, I have tried to encapsulate at least in
14 words and no so much numbers some of the evaluation of the
15 alternatives that Sandia came up with.

16 Alternative one, pure alternative one, the NRC
17 facility. The pros are that you give maximum potential
18 direct involvement by the agency; control of prior tests
19 verification; flexibility, that is flexibility within your
20 ability to make tests different, the qualification tests
21 different, but I don't think flexibility in the larger sense
22 that I will come to later. Degree of control of the testing
23 and conflict of interest is minimal, particularly that for a
24 contractor. The costs are high.

25 COMMISSIONER GILINSKY: Let's see, why would the

1 costs be any different between alternative one and
2 alternative two?

3 MR. THORNBURG: Well, for alternative one you have
4 got to build facilities and buy equipment and staff it with
5 a direct NRC staff.

6 COMMISSIONER GILINSKY: If this is a long-term
7 program presumably it is not going to make any difference.
8 You have got to pay for those facilities if you are
9 contracting.

10 MR. THORNBURG: Well, the proposal we get to is to
11 do some testing, you know, on a reduced scale, contracted.

12 COMMISSIONER GILINSKY: Is the amount of testing
13 different between alternative one and alternative two?

14 MR. THORNBURG: No. The amount of testing for the
15 three alternatives is pretty much doing that 140 items, the
16 scope, or whatever turns out to be at the time you are doing
17 them. That scope will change with time and designs and that
18 sort of thing.

19 COMMISSIONER GILINSKY: Well, I could see that
20 there might be some initial cost difference, but I wouldn't
21 imagine that there would be any long-term cost differences.

22 MR. STELLO Well, let me make at least an argument
23 that there would be. If the NRC had to build its own
24 facility for this special purpose and it were only running a
25 few tests relatively speaking, then the cost of the facility

1 is prorated against the tests we are doing. Whereas if we
2 contract with another facility for which there might be a
3 lot of other contracts using that equipment and that
4 laboratory for a lot of other purposes then the way in which
5 the cost is being written off is entirely different. You
6 are only paying for a small fraction of it per test.

7 COMMISSIONER GILINSKY: It is conceivable. On the
8 other hand, we may have the costs under our control. It is
9 just not immediately obvious to me.

10 MR. DIRCKS: Alternative one is an NRC laboratory
11 staffed I suppose with direct NRC employees.

12 COMMISSIONER GILINSKY: Yes.

13 MR. DIRCKS: When you figure the long-term costs
14 of hiring a government employee they far outweigh any
15 contracting that we do. I mean, bringing on an employee
16 into the federal role is a very expensive thing; very
17 expensive.

18 COMMISSIONER GILINSKY: I understand what you are
19 saying, but if this is a program that is going to continue
20 -- well, I think the points of view are clear and I don't
21 plan to belabor it.

22 MR. RUTHERFORD: The costs within the study were
23 done on a fixed time basis to complete the 140 high priority
24 items. That is why it comes out the way it is stated here.
25 If you were going to continue forever on this thing it

1 probably would equal out, but it is because of the fixed
2 time periods and the fixed amount of work that you have to
3 do that it comes out higher.

4 MR. THORNBURG: Alternative two, the contract
5 environmental testing, it is highly positive in the area of
6 direct NRC involvement. There are some problems with the
7 immediacy and conflict of interest on the part of the
8 participant.

9 COMMISSIONER GILINSKY: What does immediacy mean?

10 MR. THORNBURG: Getting results, starting to get
11 results and feedback and insights.

12 CHAIRMAN AHEARNE: Actually wouldn't it be
13 probably faster than alternative one?

14 MR. THORNBURG: Well, let's see.

15 MR. STELLO: Yes.

16 MR THORNBURG: Yes. Three years maybe or per
17 advice five years, something like that. It is still the
18 order of years.

19 Alternative three as shown in slide No. 5 -- could
20 I have the next slide, please.

21 (Next slide.)

22 This alternative, the business of upgrading our
23 witnessing approach, the witnessing of industry tests, the
24 pro, the conflict of interest is reduced, particularly on
25 the part of the licensee or the people doing the testing.

1 The immediacy, we start to get results as soon as we start
2 to inspect these people. The staffing is a con. We would
3 really have to gear up to do, you know, the whole spectrum.
4 Our control and flexibility would be down quite a bit.

5 COMMISSIONER BRADFORD: When you are measuring the
6 cons, are you measuring them against the other alternatives
7 or against the present? That is, I would have said the
8 staffing for alternative three, for example, would be much
9 less of a concern obviously than alternative one and
10 probably no worse than most of the ones below it on the list.

11 MR THORNBURG: We are looking at, say, 20 to 75
12 additional inspector people, immediate staff people. You
13 know, of the other two alternatives, the immediate staff and
14 I guess the immediate headquarter's level staff would be,
15 say, the order of nine or ten.

16 CHAIRMAN AHEARNE: Alternative one?

17 MR. THORNBURG: For direct employees at the test
18 facility, you know, it would around 124 to 240. So the
19 comparison is a little mixed as you indicate. In terms of,
20 you know, immediate headquarter's staff compared to the
21 others it is higher.

22 COMMISSIONER GILINSKY: Would we charge the
23 licensees for these inspections?

24 MR. THORNBURG: They might charge us for the
25 specimens. When we get further into what we propose here we

1 are going to ask for spares or things that have been
2 installed or that sort of thing to get the real production
3 type equipment to test.

4 CHAIRMAN AHEARNE: But wouldn't we allocate the
5 cost of our inspection efforts to licensees.

6 MR. STELLO: It would be an indirect payment, but
7 there is no plan to charge them directly.

8 MR. THORNBURG: An indirect payment, yes.

9 COMMISSIONER GILINSKY: Is this an activity for
10 which the law allows us to charge licensees?

11 MR. STELLO: We are allowed to charge them for
12 inspections. I assume that we would include these in the
13 overall inspections. That was the reason I answered it that
14 way. That is part of the overall inspection activity.

15 CHAIRMAN AHEARNE: Then you allocate it.

16 MR. STELLO: Then allocate it on that basis. We
17 have no plan to charge on the individual test, although I
18 guess if you wanted to do that I suspect you could. Maybe
19 the general counsel would know, but I don't know of any
20 reason why you couldn't.

21 MR. SHIELDS: I don't know either. I assume you
22 could put it into the general cost of the inspection program.

23 CHAIRMAN AHEARNE: Which would seem to be the more
24 logical place.

25 COMMISSIONER HENDRIE: Bill, do you see any

1 difficulty with that benefit to the payer proposition?

2 MR. SHIELDS: Benefit to the licensee? I don't
3 offhand. I have not thought about this.

4 COMMISSIONER HENDRIE: You can certainly make the
5 general argument that without this verification the
6 confidence of the regulators that specifications have been
7 met is less and perhaps enough so to affect operation.

8 COMMISSIONER GILINSKY: That is what I was really
9 asking.

10 COMMISSIONER HENDRIE: On the other hand, where
11 the licensee is presumably authorized and had carried out a
12 set of tests of his own to verify that his equipment meets
13 appropriate the appropriate standards and we come along and
14 say, okay, give us two more of those transmitters, we are
15 going to take them over to our ovens and test them to verify
16 that yours came out right, I don't know whether there is
17 room for an argument there that he doesn't get any real
18 benefit out of that or not.

19 COMMISSIONER GILINSKY: Can we get an answer to
20 that?

21 MR. DIRCKS. I think that was a thing we talked
22 about at one point whether or not another alternative might
23 have been used, and maybe you have already mentioned it. It
24 could be firms go through an independent testing laboratory
25 and provide us with something like an Underwriters

1 Laboratory certification. In that case the cost would be
2 fully on the licensee.

3 COMMISSIONER HENDRIE: That is sort of alternative
4 three. What we do is to witness and keep a close eye on a
5 relatively small fraction of that kind of test to verify in
6 writing what the laboratories are doing. It is built in
7 there.

8 MR. DIRCKS: In a way it is, but in a way we are
9 picking up the cost. In the other way if you say to the
10 licensees get yourselves certified by an independent testing
11 laboratory would we accept those certifications from the
12 independent testing laboratory.

13 MR. RUTHERFORD: That is why this is in the issues
14 we are going to recommend.

15 COMMISSIONER HENDRIE: I assume down the line that
16 once we get ourselves straightened away, and it will take
17 some years I recognize to do that, that as new equipment
18 comes up to meet our IEEE 323 and other environmental
19 qualifications standards that the people that want to use it
20 will say, Hi there, NRC, I am going to take this new
21 transmitter over to the Updike Testing Company and get it
22 environmentally tested. Is this one you would like to see?
23 We will have a regular program of observation but they will
24 pay for the test in order to use the equipment. In that way
25 why we will keep up as it were with the environmental

1 qualification.

2 MR. STELLO: We are getting ahead of the story a
3 little bit. One of the things you wanted to include as part
4 of the recommended program is to find a way to certify the
5 laboratories and get the laboratories to do a better job
6 with the hope that as we look way down into the future there
7 will be rollover of the program with the need for us to do
8 less and less and less of any independent verification test
9 by having accredited laboratories to do the testing. That
10 is part of what we are getting to. I guess maybe I stole a
11 little bit of your thunder.

12 MR. THORNBURG: That is all right. To continue,
13 alternative four was evaluated. It is combined contract
14 testing with having your own facility. I don't see really,
15 you know, that there is much sense to that and it didn't
16 score very high.

17 Alternative five, a combination of an NRC facility
18 and witnessing, scored high.

19 CHAIRMAN AHEARNE: That is what Sandia has
20 recommended?

21 MR. THORNBURG: They didn't recommend a single
22 alternative.

23 CHAIRMAN AHEARNE: Their description certainly
24 sounded like it, an optimal combination. It seemed to be
25 they were combining those two.

1 MR. THORNBURG: They were scoring the last two
2 higher.

3 MR. RUTHERFORD: Well, if you look at the numbers
4 they did come out in favor of alternative five, that is the
5 total criteria scoring. The core criteria comes out in
6 favor of six.

7 CHAIRMAN AHEARNE: They have a discussion section
8 in which they recommend a suggested course of action, and I
9 thought that was the one they recommended.

10 MR. RUTHERFORD: Basically that is what they
11 recommended. We didn't agree exactly with their final
12 recommendation.

13 MR. THORNBURG: On alternative five they scored it
14 high on the basis of immediacy and eventually more direct
15 involvement when you had your own laboratory. The cost was
16 up a bit.

17 Alternative six, contracting and witnessing, the
18 pros were immediacy and cost control. There is less direct
19 involvement.

20 Slide six, please.

21 (Next slide.)

22 At least my summary of the study results as stated
23 by Sandia the way I saw it, they didn't recommend complete
24 adoption of a single alternative based on costs and time,
25 particularly the first three.

1 They did recommend immediately adopting an
2 alternative three type approach to start something and get
3 something going.

4 CHAIRMAN AHEARNE: Now correct me if this is
5 wrong. I did not read the report in detail. My impression
6 was in going to alternative three they recommended forming a
7 branch.

8 MR. THORNBURG: A dedicated staff; yes, they did.

9 CHAIRMAN AHEARNE: That is what I thought.

10 MR. THORNBURG: Yes, as indicated there they did
11 emphasize a dedicated staff. Now, NRR has the dedicated
12 staff and the testing area. As I indicated, I think we saw
13 that things got focused and the movement was going
14 particularly in this area.

15 Alternative three costs are related to workload.
16 Alternative one and two costs are not as related to
17 workload, and, as indicated, they emphasized the formation
18 of a dedicated staff.

19 (Next slide.)

20 MR. THORNBURG: Staff views are then ---

21 CHAIRMAN AHEARNE: Harry, when you talk about
22 staff views, is this now I&E or I&E/NRR standards and
23 research across the board?

24 MR. THORNBURG: We have discussed with paper with
25 the other offices and met with them and we believe we have

1 their concurrence.

2 We have considered that we should test 10 to 20
3 percent of that highest priority environmentally sensitive
4 equipment, you know, the 140 items that I mentioned earlier
5 that were identified as being those most sensitive.

6 COMMISSIONER GILINSKY: When you say 140 types of
7 equipment that need to be tested, could you give me an
8 example of one of those so I have an idea of just how far
9 that is narrowed down to the specifications?

10 MR. STELLO: 232. It goes down 28 categories and
11 then gives the various equipment types in the categories.

12 COMMISSIONER GILINSKY: You would do what? You
13 would take an extra of one of those types of equipment or an
14 identical one?

15 MR. STELLO: We would like to be able to get
16 something like a spare or something that has been installed
17 in a plant.

18 COMMISSIONER BRADFORD: Well, I would hope
19 occasionally you might even take one out of a plant. Just
20 tell the licensee you would like one that had been in
21 service.

22 MR. STELLO: Yes, except we want to go softly on
23 that. Then again in requiring them to cut out a piece of
24 equipment or something we want to proceed a little bit with
25 caution.

1 COMMISSIONER BRADFORD: What are the difficulties
2 there?

3 MR. STELLO: If they had two components and they
4 installed one and they are manufactured identically, we
5 would feel more comfortable doing that.

6 COMMISSIONER BRADFORD: Why is that more desirable
7 than saying put your spare in and we will take the one that
8 has been in service?

9 MR. STELLO: Well, I said we want to go very
10 cautiously. I don't think you want to say shut your plant
11 down and cut that out, but at a time convenient I think that
12 can be done.

13 COMMISSIONER BRADFORD: No, no, but it can be done
14 during a shutdown anyway.

15 MR. STELLO: I think that is possible. They can
16 do it.

17 COMMISSIONER BRADFORD: Assuming it were done
18 during times when the plant was shut down anyway, then are
19 there substantial difficulties in testing actual equipment
20 in place?

21 MR. STELLO: Not that I am aware of, no.

22 MR. RUTHERFORD: We might have some radiation
23 considerations. We may go to a contaminated test facility
24 versus one that is clean.

25 MR. STELLO: I think we need to look at it,

1 depending on the particular piece of equipment and whether
2 you have to make additional splices. In general principle
3 the answer is yes. We have thought about it and it is
4 something that we would like to at least do a sample of.

5 MR. THORNBURG: We are saying here that one of our
6 first priorities would be to attempt to get some that have
7 been in service. I wouldn't want to be the person that
8 requested this specimen out of a plant and they left the
9 block valves closed when they put it back into service or
10 they would be forced to splice at the wrong point in the
11 cable or something like that. I want to make sure that the
12 NRC's desires didn't put the licensee some way in jeopardy.

13 CHAIRMAN AHEARNE: I assume that whatever the
14 procedures are for taking a piece of equipment out there is
15 an accurate check of the replacement piece of equipment.

16 MR. STELLO: I think we should just have answered
17 your question very simply. The answer is yes, it is our
18 intent to do that, to get them hopefully at a period of time
19 when they have aged, when they have been in operation in the
20 plant, you know, over the years, five years or ten years, or
21 something, and go in and ask for them. We intend to do that.

22 MR. THORNBURG: It is indicated further along. We
23 place a fairly high priority on that because then you won't
24 have to do artificial aging. You will eliminate some of
25 that concern in the test validity.

1 As I said, we were going to do about a 10 to 20
2 percent testing of that higher priority equipment.

3 COMMISSIONER GILINSKY: When you say 10 or 20
4 percent, is that 10 to 20 percent of the 140 items?

5 MR. THORNBURG: Yes, something in that order. The
6 other thought I wanted to get in, too, was that 140 items
7 may be about one-fifth of the total spectrum of items that,
8 you know, might be involved.

9 COMMISSIONER GILINSKY: But they are the most
10 important ones?

11 MR. THORNBURG: They are the most important ones
12 in our judgment of the study. This is one of the benefits
13 of the study. We have a listing of the most sensitive
14 equipment and we have started to point our vendor inspection
15 program towards some of these things. That is one of the
16 early spinoffs and benefits from it. There is a list of
17 total vendors, too, involved in the thing. It helped us to
18 get some grasp of what the universe was.

19 The staff has recommended a modified alternative
20 six. We believe we get almost immediate feedback in months
21 versus up to five years. It is the least costly factor of
22 from 20 to 30 less. Fortunately some of the benefits will
23 be the improved standards and upgraded testing. We believe
24 there will be an augmented NRC independence over the way we
25 did it before. We think there is flexibility to other kinds

1 of testing, too. We are talking here very narrowly about
2 environmental testing of electrical equipment. There are
3 probably other types of equipment testing that should be
4 considered. You know, if you dedicate yourself to a
5 facility and you spend a lot of money in a venture that may
6 lock you into a given type of testing you wouldn't have the
7 flexibility to go to different types of equipment and
8 different types of testing.

9 COMMISSIONER GILINSKY: Is the main focus on
10 testing equipment before it goes into a plant or is it on
11 aged equipment?

12 MR. THORNBURG: Well, hopefully the testing does
13 take into consideration aging, but there are some, you know,
14 there are specified processes you go through to ---

15 COMMISSIONER GILINSKY: You mean artificial aging
16 prior to the testing?

17 MR. THORNBURG: Artificial aging. Yes, right.
18 You don't always know that is going to be effective with the
19 exception maybe of radiation exposure. That can be fairly
20 straightforward. You worry about the effects of temperature
21 and heat on some of the less permanent materials like rubber
22 and plastics and this sort of thing.

23 COMMISSIONER GILINSKY: Now apart from our testing
24 are all of these types of equipment required to be tested by
25 the manufacturers before they are put into service or sold

1 for these purposes?

2 MR. THORNBURG: Yes.

3 MR. STELLO: Absolutely.

4 COMMISSIONER GILINSKY: So there are specific
5 tests for all of these types of equipment?

6 MR. THORNBURG: Well, yes.

7 MR. STELLO: Well, with Comanche Peak that is the
8 commitment.

9 CHAIRMAN AHEARNE: I thought that for a number of
10 types that the 74 standard had been translating into testing
11 requirements.

12 MR. RUTHERFORD: The model numbers that you see
13 there should reflect the later plants, Comanche Peak and ---

14 CHAIRMAN AHEARNE: I am drawing a distinction
15 between what we have said you are required to do and between
16 what actually has been developed as far as testing
17 procedures. It was my thought that the 74 standard had not
18 yet been translated into testing procedures for all the
19 types of equipment. Maybe that is wrong.

20 MR. STELLO: My understanding is that with
21 Comanche Peak they have committed.

22 COMMISSIONER HENDRIE: Well, they have committed,
23 but the last time I looked it wasn't clear in fact that
24 there was an available testing procedure which would meet
25 IEEE 323-1974 as written. So there was a clear question as

1 to how the obvious good intentions of the standard were in
2 fact going to be implemented in actual environmental tests
3 in the field. Now, that is a status that I recall as of,
4 what, a year ago or two years ago or something like that.
5 He is inquiring, and I join him.

6 Does anybody know what that status is today?

7 MR. VOLLMER: Mr. Bittman, I believe, is still
8 there.

9 COMMISSIONER HENDRIE: I understand that, but does
10 anybody know what the tests are and can they be done.

11 MR. VOLLMER: To my knowledge, the answer to that
12 is no.

13 CHAIRMAN AHEARNE: That is what I thought.

14 MR. VOLLMER: At this point in time.

15 CHAIRMAN AHEARNE: That was my impression, too.

16 COMMISSIONER HENDRIE: So one of the things that
17 this program does, I assume, will put the recommended one or
18 something close to it in place. It seems the obvious thing
19 to do. One of the aspects of the program in fact is to be
20 working with the code people and with the testers to try to
21 settle down on a specific environmental testing program
22 which meets the intent, and everybody agrees meets the
23 intent of 323, and then by God the code writers may have to
24 go back and adjust a few words in that code to make it
25 conform to a practical testing program.

1 COMMISSIONER GILINSKY: What stage is Comanche
2 Peak at from completion?

3 MR. STELLO: A year or so away.

4 MR. RUTHERFORD: It has been stretched.

5 COMMISSIONER HENDRIE: It is like what, unit one
6 is maybe 75 or 80 percent complete. You know you pour a lot
7 of concrete and get up the curve and then you got a lot of
8 wires to string and that last 20 percent is pretty hard.
9 Nevertheless, they are well along for a plant with a
10 commitment like that.

11 COMMISSIONER BRADFORD: That is what I was going
12 to ask.

13 COMMISSIONER GILINSKY: That is what I am asking.

14 COMMISSIONER HENDRIE: They are still struggling
15 with the equipment qualifications. You know, they have
16 clearly had to go ahead and purchase equipment on less than
17 absolutely complete and full assurances that it does meet
18 323-74 unless they have made more progress up there in Texas
19 than we know about right here today at the table.

20 COMMISSIONER BRADFORD: Then sometime in the next
21 year they will have to actually run the tests.

22 MR. STELLO: Well, hopefully they didn't run.
23 That was the point I was trying to make. They have
24 purchased equipment allegedly qualified by at least
25 someone's interpretation of the standard.

1 COMMISSIONER HENDRIE: Right.

2 MR. STELLO: That is what they are supposed to
3 do. Now whether when licensing looks at it there is going
4 to be agreement and a debate to do more, based on my
5 experience with the NRC there is no question that it is
6 going to come out that way. There is going to be more that
7 is going to be needed.

8 COMMISSIONER HENDRIE: Let's not unnecessarily
9 prejudice the case.

10 CHAIRMAN AHEARNE: Just necessarily prejudice it.
11 (Laughter.)

12 COMMISSIONER HENDRIE: Just necessarily prejudice
13 it. Yes, exactly so.

14 Well, as I say, I think one of the things you have
15 got in this program that will be important is in fact coming
16 to an early agreement on the set of tests for given classes
17 of equipment that everybody will agree satisfies the
18 requirement.

19 COMMISSIONER BRADFORD: What is it about the
20 development of the tests that is proving so difficult? It
21 is just one of the tests or is it a bunch of them?

22 CHAIRMAN AHEARNE: One of the reasons why it is so
23 difficult is that when the IEEE wrote that standard they
24 didn't write it as a standard for immediate tests, they
25 wrote it as a future goal for people to work in the long

1 term as a future objective. At least the people who wrote
2 that standard were quite surprised when it was immediately
3 turned into something that people thought was immediately in
4 existence. That wasn't the goal they had in mind.

5 COMMISSIONER BRADFORD: But it has been six years.

6 MR. STELLO: Yes. If my understanding is right,
7 the most difficult part of that standard was aging, how to
8 assure you got the aging. They have the new double bump in
9 the standard that we didn't have in the others, but that
10 shouldn't create any real testing problem.

11 Does anyone know what the difficult aspects are?

12 MR. CHIRAMAL: They have a lot of IEEE standards
13 out of documents which are for various equipment like
14 motors, motor-operated valves, cables (inaudible) but I
15 think maybe only two of them have been accepted by NRC as
16 reg. guides. There are a lot of documents being brought out
17 which are supposed to tell the industry how to test
18 equipment.

19 MR. MORRISON: I am William Morrison from
20 Standards. Actually we have seven regulatory guides out
21 including 189 which endorses 323 that endorses specific IEEE
22 standards on specific equipment on qualification.

23 CHAIRMAN AHEARNE: I guess now I am not sure.

24 COMMISSIONER HENDRIE: Out for comment, Bill?

25 MR. MORRISON: No, effective.

1 CHAIRMAN AHEARNE: So are you saying that we have
2 endorsed all the IEEE proposals?

3 MR. MORRISON: There are a number of them. There
4 are like 16 more that are in various stages of development.
5 Some of them are just an issue which we haven't even
6 initiated a regulatory guide on because of manpower
7 problems. I can run the list down of what we have issued.

8 COMMISSIONER HENDRIE: Let's see, 17 and 7 is 23.
9 Is 23 likely to be the total or a higher number?

10 MR. MORRISON: Twenty-three is the total as we see
11 it now, but as we get into the problem I am sure we will
12 find areas where we will want to develop detailed standards
13 that cover specific equipment.

14 MR. PFEIFFER: I am Ronald Pfeiffer from
15 Research. I wanted to point out one thing about the IEEE
16 standard. The standard is not intended to be the document
17 that tells you exactly how to test. It is an overall
18 document. It is a very general guidance. The problem that
19 the industry has had in the old version of 71 and the new
20 version is to try to come up with the specifics, the
21 specific details. How do you interpret the general guidance
22 for a specific test program. I don't believe that when
23 industry revised this standard in 74 they didn't intend it
24 to be used. I don't think that is correct.

25 CHAIRMAN AHEARNE: I didn't say they didn't intend

1 to use it. I said that they intended it as a goal to work
2 towards, at least that is what I am told by the people that
3 worked on the standard.

4 MR. PFEIFFER: Right, but I think what they mean
5 is to come up with specific documents on specific pieces of
6 equipment, how to test the valve operator and how to test an
7 instrument and so on, and that is the problem. But even the
8 71 version implied that aging should have been used. The
9 standard clearly states that the equipment should be
10 subjected to the environment of its operation. It did not
11 specifically call out aging and everybody chose to ignore
12 it. So they revised the standard in 74 and said
13 specifically aging shall be included, but it was not
14 excluded in the 71 version. A lot of people missed that
15 point.

16 COMMISSIONER GILINSKY: Does all this just apply
17 to Comanche Peak and later plants?

18 MR. STELLO: The discussion that you have heard?

19 COMMISSIONER GILINSKY: Yes.

20 MR. STELLO: Yes. It is related to the 74
21 standard.

22 COMMISSIONER GILINSKY: And the proposal area.

23 MR. STELLO: The first plant that committed to the
24 74 standard is Comanche Peak, if my memory serves me right.
25 What we have done for the purposes of this study is laid out

1 the program with that as an assumption in it, that we would
2 look to start with those plants coming using the IEEE 1974
3 version with Comanche Peak as being the lead and moving on
4 that basis. The fundamental assumption is making the study
5 and it is fundamental to what we are presenting.

6 COMMISSIONER BRADFORD: First of all, don't we now
7 require that replacement parts in the existing plants be
8 qualified to IEEE, the 74 standard?

9 MR. STELLO: I don't think so. They had to meet
10 the original qualification, what the requirement was. I am
11 not aware of anything that would retrofit the replacement
12 parts. Can anyone from NRR help me?

13 MR. VOLLMER: I think what you stated was
14 correct. We required that they meet the original
15 qualification. At this point in time I don't think that is
16 tied to IEEE 71 or 74. Is that correct?

17 VOICE: Yes.

18 COMMISSIONER GILINSKY: Will there be any program
19 of NRC audit or qualification for the plants that are not
20 required to meet the 74 standard?

21 MR. STELLO: Yes, but not with the same intensity
22 as you have for these from looking from 1974 forward. This
23 is hopefully to get us on a set of tracks that will
24 straighten out the problem for the future. We have other
25 program which is the subject of your order which we will be

1 implementing.

36

2 COMMISSIONER BRADFORD: But it will only
3 straighten it out as to post-Comanche Peak plants.

4 MR. STELLO: But we also have your order which
5 directs us to do a variety of other things of which there
6 are meetings today out in the regions to kick that off which
7 is a retrofit.

8 COMMISSIONER BRADFORD: That is right, but what
9 you are saying is that we would never apply the testing
10 program to pre-Comanche Peak plants.

11 MR. RUTHERFORD: No, that is not right.

12 COMMISSIONER BRADFORD: On what basis would it be
13 applied then?

14 MR. RUTHERFORD: The what we conceived this thing,
15 the first test that would be run would be on equipment that
16 is already installed in operating plants. So in that sense
17 it does cover the operating plants, pre-Comanche Peak.

18 COMMISSIONER GILINSKY: You would test them to
19 what standards?

20 MR. RUTHERFORD: We would test them to the current
21 standard.

22 COMMISSIONER BRADFORD: The 71 standard?

23 MR. RUTHERFORD: No, no, today's standard.

24 COMMISSIONER GILINSKY: Because that is equipment
25 that is also going into the later plants? Is that the idea?

1 MR. RUTHERFORD: There is a likelihood of that,
2 yes. There is duplication of equipment.

3 MR. STELLO: If it were to use the newer standard
4 and if it were a piece of equipment that was only used in
5 the older plant why would we subject it to the later
6 standard?

7 COMMISSIONER HENDRIE: You probably wouldn't test
8 that piece of equipment. You would look for something that
9 which had a broader use.

10 MR. STELLO: If it were in both, which I assume in
11 the future that is going to be the case as they use
12 replacement parts, they eventually will be qualified to the
13 newer standard because that is what will be used. To the
14 extent that they are in both the newer and the older plants
15 then that would apply, but I would wonder why would we want
16 to go and do a qualification test using the other standard,
17 the newer standard, for a piece of equipment that is
18 installed in a plant only to be used in those plants.

19 MR. RUTHERFORD: Well, one reason that I have
20 identified in the preliminary work that we are doing on this
21 program is the degree of confidence that we have in the
22 existing qualification report for a particular piece of
23 equipment. You can list pages of reasons why you might want
24 to go back and redo that test.

25 MR. STELLO I understand that, but the issue is to

1 you want to redo the tests so that you can confirm that it
2 met the original standards or apply the standard that is
3 being imposed today. I think that is the issue.

4 MR. RUTHERFORD: I would suggest doing it on
5 today's standard.

6 MR. STELLO: Well, what do you do if it didn't
7 pass that?

8 MR. RUTHERFORD: Take that out of the plan.

9 MR. STELLO: Well, then that says that you want to
10 retrofit today's standard to every plant which is the
11 question Commissioner Bradford asked and I didn't think we
12 were prepared to make that decision yet.

13 COPMMISSIONER GILINSKY: Well, we certainly want
14 to test it to a new standard if it is a piece of equipment
15 that is going to get used in the new plants.

16 MR. STELLO: Agreed. Do you want to say that you
17 are going to have to retrofit then the new standard to all
18 of the equipment that is in the older plants? I am not
19 prepared to do that.

20 COMMISSIONER GILINSKY: It is something to take a
21 look at.

22 COMMISSIONER BRADFORD: It is a serious question
23 because if you find, for example, as a result of aging it
24 won't function in an accident environment then old standard
25 or not it is not a piece of equipment that you would want in

1 the older plants.

2 MR. STELLO: It depends. If it works fine if you
3 age it for 20 years but it doesn't work fine if you age it
4 for 30 years, then you might want to replace it every 20
5 years. It is perfectly satisfactory to take that kind of
6 approach. Or if you were to replace it, which you will have
7 to do from time to time, to replace it with a better piece
8 of equipment that meets today's standards which is even a
9 more desirable thing to do if you can.

10 Given all of the possible alternatives that are
11 there, I don't think I am prepared to recommend a particular
12 approach that would apply to everything. If they meet
13 today's standard and they were to put that piece of
14 equipment in I would be satisfied, but I don't know that I
15 am prepared to say that is a requirement. At least I did
16 not understand that we did, and maybe I could turn around
17 and make sure that NRR ---

18 MR. VOLLMER: I think the sum up the basic thrust
19 of the program is to assure that the equipment will function
20 in the environment. That is our current thrust to assure
21 ourselves of that without regard to the standard. The
22 longer range would be to assure that all plants on a
23 replacement basis meet the highest available standards.

24 CHAIRMAN AHEARNE: As you point out, Dick, the
25 purpose is to ensure that the equipment functions when

1 needed and the standard is a convenient benchmark to use to
2 get that assurance.

3 COMMISSIONER GILINSKY: Let me just ask my
4 original question and see if I can get a brief answer. Will
5 we be looking at equipment that just applies to the older
6 plants and at least testing it to the older standards and
7 maybe testing it to the newer standards in any way that is
8 comparable to the approach that we will be applying to the
9 newer plants?

10 MR. STELLO: A short answer, yes.

11 (Laughter.)

12 COMMISSIONER BRADFORD: Let me ask for the
13 middle-length answer ---

14 (Laughter.)

15 COMMISSIONER BRADFORD: --- which is also a
16 question that Victor asked a few minutes ago. If the answer
17 is "yes," then what standard do you test the older equipment
18 to?

19 MR. STELLO: Well, in Victor's question he gave me
20 both. He gave me either the current standard or the newer
21 one, either/or, which is what we would be doing. If they
22 did have the results of applying the later standard for the
23 identical piece of equipment we would certainly accept it.
24 I can't believe we wouldn't. True?

25 VOICE: Right.

1 MR. STELLO: Good. If they didn't have that
2 particular test and they had a test applying it to the old
3 standard and we could be satisfied that the test was an
4 adequate test and we were convinced that it was going to be
5 okay in that environment then I think we could accept that,
6 too.

7 COMMISSIONER GILINSKY: I was asking is it going
8 to be anything like a comparable fraction of -- in other
9 words, will we get as good a look at those plants?

10 CHAIRMAN AHEARNE: I would guess that at this
11 stage it is far too early for that. This program is just
12 barely in outline form.

13 MR. THORNBURG: I don't know how big the universe
14 is.

15 CHAIRMAN AHEARNE: We are trying to struggle to
16 get something finally in place to begin doing this
17 independent verification. I think to then try to describe
18 all of the details of it is a little premature.

19 MR. THORNBURG: We will have a lot of decision to
20 make once we get into the thing. You know, we may be able
21 to conclude that there are a lot of problems or we may find
22 that things, you know, don't need as much.

23 COMMISSIONER HENDRIE: Well, we have now got
24 underway and have had underway for several years some
25 environmental qualification verification exercises at the

1 operating plants. For the older plants why, you know, there
2 are these complicated arrays of what various classes of
3 equipment and various classes of plant have to meet to be
4 acceptable under that relook at the general environmental
5 qualification situation. I expect some of that verification
6 program out there is involving some test work by testing
7 laboratories so that to the extent that you make audits of
8 that work you are carrying out the kind of program you
9 propose here for the newer plants to the older ones.

10 Similarly some of that work and some of the
11 staff's review of things that the licensees supply under
12 this program are likely to suggest to you that there are
13 particular pieces of equipment, you know, where it is not so
14 clear that there is an experimental verification of
15 operability in a certain environmental regime and it will
16 occur to you that that would be a good thing to test. So I
17 think there will be some inputs to your program from that
18 side.

19 MR. STELLO: The difficulty in trying to get into
20 a lot of detail in answering the question is we are just
21 getting the information. All of those tests, the
22 qualification tests that have been completed, to the extent
23 that you want to witness the test as is indicated in what we
24 have suggested in the paper, well, they are over. We can't
25 go back and witness such tests. But I suspect some of them

1 will have to be retested where they didn't have adequate
2 documentation. I think we can go and witness those kinds of
3 tests, at least some of them, but not all, for sure.

4 To the extent that we do have a problem and we
5 see a particular piece of equipment for which we feel
6 independent verification if necessary, just as we do with
7 the Browns Ferry connectors, we can go and have those
8 tested. So we can, you know, something along the lines that
9 we are doing here. The details of it we aren't really going
10 to know until the results are back in.

11 When are they do in, all of the pieces of paper?
12 What is the drop-dead date?

13 MR. VOLLMER: I think September. Well, the
14 information should be into the licensees in the region by
15 September.

16 MR. GIBBON: Yesterday at the regional meeting
17 they were saying November was the drop-dead date.

18 MR. VOLLMER: Of course, that review has to be
19 done in the regions by parceling out the things that are
20 obviously qualified and the things that aren't obviously
21 qualified, what additional documentation is needed and then
22 NRR has to provide the integrated review of that. Then per
23 your memorandum and order get our the integrated SER by
24 February 1st. So this will give us that first level to talk
25 about somewhat independent of standards, in my view, but

1 dependent on whether or not the systems will function in the
2 environment.

3 CHAIRMAN AHEARNE: Okay, Harry, why don't you
4 summarize where you are.

5 COMMISSIONER BRADFORD: Let me pick up one thing.
6 With regard to the replacement parts in the operating plan
7 and the question of whether or not the 74 standard applies,
8 the Commission did say in the decision on the UCS petition
9 that unless there are sound reasons to the contrary the 74
10 standard and NUREG 0588 will apply. So unless someone is
11 going to make a protest on the bases that there are sound
12 reasons to the contrary, the Commission decision did say
13 that the 74 standard applies to replacement parts.

14 COMMISSIONER HENDRIE: Doesn't the NUREG have
15 that, dear me, what did we call them, the Division of
16 Operating Reactors Guidelines To Environmental Qualification
17 as a sort of intermediate standard in there?

18 COMMISSIONER BRADFORD: I am not sure where that
19 takes you, Joe. All that the order said is that it does
20 apply to replacement parts.

21 COMMISSIONER HENDRIE: No, I was saying that I
22 thought I recalled that the Operating Reactors Division
23 guidelines for environmental qualification were cut to
24 better fit some of the equipment which predated these 323-74
25 initiatives. It had some specific tests in mind.

1 COMMISSIONER BRADFORD: That is right. We did not
2 say that the 323-74 standard applied absolutely to
3 replacement parts.

4 COMMISSIONER HENDRIE: That was all I had in mind
5 to comment.

6 CHAIRMAN AHEARNE: Harry, would you see if you can
7 summarize where you are because we have got I think to make
8 some sort of progress.

9 COMMISSIONER HENDRIE: Harry, you have got a good
10 proposition here. Why don't you bang you hand on the table
11 and say, gentlemen, this is what we ought to do and all in
12 favor say aye. No, no, you say that.

13 (Laughter.)

14 CHAIRMAN AHEARNE: He can go ahead and say it.

15 (Laughter.)

16 MR THORNBURG: We have recommended a program
17 which, as I said, is a lot like alternative six. The first
18 aspect of it is to conduct independent verification tests
19 and we would select equipment to be tested on the basis of
20 safety significance, the volume used in plants, the
21 complexity of the equipment, the sensitivity of the
22 equipment, the age, the installed life versus qualified
23 life, insulation concerns, if any, and the degree of
24 competence in the previous testing work.

25 CHAIRMAN AHEARNE: Where would you do those

1 independent tests?

2 MR. THORNBURG: Right now we have started some
3 arrangements with Sandia.

4 MR. STELLO: I would not preclude any of the minor
5 laboratories.

6 MR. THORNBURG: Yes.

7 MR. STELLO: Franklin Institute and Sandia. I
8 would not want to presume that there are any of these
9 laboratories which have the testing facilities for which
10 there is some reason, some fundamental reason we couldn't go
11 in and contract to have them do tests for us.

12 MR. THORNBURG: We already have Franklin Institute
13 under contract to do some other independent testing for us.
14 They may well do some in this program also. We have started
15 to make some contractual arrangements to get some work
16 started at Sandia fairly soon testing cable. Excuse me.

17 COMMISSIONER BRADFORD: What volume of tests, and
18 I am not even sure what the way to express the volume, but
19 in the course of a year how many tests, assuming the
20 Commission approved the program as proposed, would you
21 expect to run?

22 MR. THORNBURG: On the order of five to six,
23 something like that.

24 COMMISSIONER BRADFORD: That would be five or six
25 pieces of equipment?

1 MR. THORNBURG: Five or six items.

2 COMMISSIONER GILINSKY: Out of 140.

3 MR. STELLO: Yes, out of the 140, right. You
4 would pick five or six out of the 140.

5 MR. THORNBURG: Then we do inspections, or
6 in-depth inspections and witness tests of, say, another --
7 we try to do two a month -- so say another 24 or so.

8 COMMISSIONER BRADFORD: When you are witnessing a
9 test that would of course be for equipment not yet installed?

10 MR. THORNBURG: Yes, it would have to be installed.

11 MR. STELLO: It could be both.

12 COMMISSIONER BRADFORD: Do the vendors test
13 equipment that is already installed?

14 MR. RUTHERFORD: There could be a second test on
15 one model to a different profile.

16 MR. STELLO: They have a part in a transmitter
17 installed in a plant today qualified to the old standard.
18 They are going to use the same transmitter in Comanche Peak
19 qualified to the new standard. So there clearly can be in
20 this set combinations where some of this equipment could be
21 in the plants, and if you want to use it in the new plant
22 you would qualify it to the new standard. That is a very
23 real possibility.

24 COMMISSIONER GILINSKY: Now, is there some
25 assumption built in here about how these tests will turn out?

1 MR. STELLO: Assumption?

2 COMMISSIONER GILINSKY: Well, what I asking is
3 this. It is one thing to say that you will test five a year
4 and if they turn out okay let's go on at that level. What
5 if all five failed to pass the test?

6 MR. STELLO: Well, if all five failed to pass the
7 test and the vendor's five failed to pass the test, no
8 problem because they are going to have to get a different
9 piece of equipment to serve that purpose. The problem we
10 have is supposing our test failed and theirs passed, and now
11 we have got ---

12 CHAIRMAN AHEARNE: I think Vic is asking a
13 different question. You are doing a very random sample in
14 some sense.

15 MR. STELLO: Yes.

16 CHAIRMAN AHEARNE: A very small sample, right?

17 MR. THORNBURG: Yes.

18 CHAIRMAN AHEARNE: Roughly five percent.

19 MR. THORNBURG: Yes.

20 CHAIRMAN AHEARNE: What is all five percent fail,
21 what does that mean about the necessity for expanding the
22 sample to be a much larger sample?

23 COMMISSIONER GILINSKY: That is the question.

24 MR. THORNBURG: We know we have got a problem.

25 (Laughter.)

1 CHAIRMAN AHEARNE: I think the answer is yes.

2 MR. STELLO: In that case I guess the assumption
3 has been made that we aren't going to face that kind of a
4 problem. We do not believe that we are going to wind up
5 with a situation where most of the equipment being tested is
6 failing. If it is there is obviously something wrong.

7 COMMISSIONER HENDRIE: Well, but your original
8 point is the correct one. What you are trying to verify is
9 that the testing done by the licensee's contractors in
10 support of his commitment to have qualified equipment is in
11 fact an adequate test to the standards that we have
12 accepted. Now, what counts then is that our tests verify
13 that those fellows got the right answers when they did the
14 tests.

15 Now, I suspect that if they did a test on a piece
16 of equipment and it flunked, you know, people would rebuild
17 the component rather than continuing to promote other tests
18 of it. So I doubt that we will be called upon to verify a
19 negative test but it is not inconceivable.

20 COMMISSIONER GILINSKY: The really worrisome case
21 would be if it passed there and it failed

22 MR. STELLO: That is precisely what I think most
23 of tests, to the extent that we could schedule them, and I
24 hope that is true in all cases, that we would never run the
25 first test. We don't want to run a test except to verify

1 that what they did is okay. So that going into it someone
2 has already has already said, look, we have run the test and
3 this is qualified. So I hope our success rate is then very
4 high because theoretically at least there have been tests
5 performed that said the equipment we are testing is okay. I
6 would not want us to be in a position to have run the test
7 before they do.

8 CHAIRMAN AHEARNE: It is not independent testing.

9 MR. STELLO: Yes, right.

10 COMMISSIONER HENDRIE: Clearly if you find major
11 differences in the NRC testing from the results that had
12 been found on the same equipments on tests by the licensee
13 why then we will all meet here again.

14 MR. STELLO: We will regroup.

15 COMMISSIONER HENDRIE: We will regroup. It is
16 clearly a result which goes beyond the sort of thing we
17 ought to prebuild into this particular testing program. If
18 it comes up then we will have to look at it in considerably
19 detail to understand it.

20 CHAIRMAN AHEARNE: Do you have a specific set of
21 recommendations, Harry?

22 MR. THORNBURG: Well, my recommendations are that
23 we go to this business of conducting independent
24 verification tests in combination with our in-depth
25 inspections and witnessing of tests and then attempt to

1 improve testing laboratory performance. We are looking at
2 the possibility of certifying laboratories with the ASME.
3 That is basically our suggestion.

4 CHAIRMAN AHEARNE: Since many of the pieces of
5 equipment that you are going to be testing are electrical
6 and since the standard that you are using is IEEE standard I
7 was kind of puzzled by why you weren't working with the IEEE.

8 MR. THORNBURG: We have talked to the IEEE about
9 some independent work, or some inspection work. Their
10 historic function is not inspection. ASME has done more of
11 this. If we did this we would get I believe IEEE working
12 with ASME on the technical side. As I indicated in the
13 staff paper a few years ago, we have tried to talk to IEEE
14 about doing some independent E stamp sort of activity and
15 they really haven't made a decision.

16 CHAIRMAN AHEARNE: What your paper says is that
17 ASME has agreed to develop a suitable standard and implement
18 a laboratory accreditation program where the laboratory is
19 performing environmental qualification testing. My question
20 is, was the same issue addressed to IEEE? In other words,
21 was the IEEE asked would they develop a suitable standard
22 and implement a laboratory accreditation program since the
23 basic environmental qualification testing is against the
24 IEEE standard?

25 MR. RUTHERFORD: Well, several years ago we talked

1 to the IEEE about an end certificate system equivalent to
2 the ASME system.

3 CHAIRMAN AHEARNE: I understand that.

4 MR. RUTHERFORD: They would not discuss equipment
5 qualification.

6 CHAIRMAN AHEARNE: A lot of things have changed in
7 the past several years. The question is during the past
8 year have you asked the IEEE that same question, would they
9 do that?

10 MR. RUTHERFORD: I had one discussion with a
11 member of their staff on this subject.

12 CHAIRMAN AHEARNE: But we didn't ask the IEEE?

13 MR. RUTHERFORD: Not officially, no.

14 CHAIRMAN AHEARNE: Not officially.

15 MR. STELLO: I think we should.

16 CHAIRMAN AHERNE: It certainly seems to be a
17 logical thing to do.

18 MR. THORNBURG: It is a good point.

19 COMMISSIONER HENDRIE: I will comment as a
20 long-standing member of both professional societies that if
21 you want a speedy and effective implementation for the
22 purposes of the program at hand you better stick with the
23 ASME.

24 (Laughter.)

25 VOICE: Amen.

1 COMMISSIONER HENDRIE: They know how to do it and
2 they have done similar kinds of things for many years and
3 they are tooled up to do it, to design an accreditation
4 standard for laboratories to do this testing, and then to go
5 out and inspect laboratories against that standard.

6 CHAIRMAN AHEARNE: Not their own standard though,
7 against the IEEE standard.

8 COMMISSIONER HENDRIE: No, no. The proposition is
9 that a standard which let us distinguish from 323, and we
10 will call it -- what will we call it -- we will call it the
11 lab standard, okay ---

12 CHAIRMAN AHEARNE: Yes.

13 COMMISSIONER HENDRIE: --- to establish an
14 accreditation standard which we will call the lab standard.
15 If you are the Underwriters Laboratory and you would like to
16 do work for people and be recognized under this program the
17 ASME will now come and inspect your laboratories and
18 procedures against this agreed upon lab standard agreed upon
19 between them and us. And if you pass muster and show you
20 can do things right and so on then you will get, I don't
21 know, a T stamp from ASME for testing or whatever. You will
22 get periodically re-examined to see that your testing
23 procedures in fact maintain the appropriate quality levels.
24 As I say, this is the kind of program that ASME has done for
25 many years in other areas.

1 CHAIRMAN AHEARNE: I guess I still would be
2 happier if we formulate the standard.

3 MR. STELLO: We definitely will, but we have the
4 advantage of the ASME agreeing.

5 CHAIRMAN AHEARNE: Yes.

6 MR. STELLO: We will.

7 MR. THORNBURG: I believe we have covered all the
8 points I intended to cover in summarizing our proposal. I
9 would like to briefly show slide No. 9.

10 (Next slide.)

11 That is where we tried to focus on the what we
12 thought would be the staff cost, the program costs.

13 CHAIRMAN AHEARNE: Now, can you tell me how this
14 program fits into, and I guess mentioned in your last
15 comment your answer is 10 PA, that it is part of the total
16 program for qualification safety-related equipment, but you
17 point out it is perfect to fit into it. So it is a part of
18 it.

19 Now, as I understand, the budget resource
20 allocation has substantially more people primarily in NRR,
21 about the same number of people as I&E has in standards, so
22 could you describe this fits into that larger block?
23 Someone? Bill?

24 MR. DIRCKS: In the general area of equipment
25 qualification testing NRR has the lead, and we have had

1 numerous discussions on that point. Each office has a piece
2 of the action. I can give you something along the FY-80
3 resource.

4 CHAIRMAN AHEARNE: I have that, the list of
5 resources. I am wondering how this fits into it.

6 MR. DIRCKS: This particular segment?

7 CHAIRMAN AHEARNE: Yes. Here the I&E is
8 recommending about six man-years of effort. How is that
9 blended in? Is it under working with independent of this
10 very major NRR effort?

11 MR. DIRCKS: It is certainly not independent of
12 and it is working with. We have established that principle
13 and there have been numerous meetings on the thing. We have
14 a general agreement that NRR would have the lead.

15 CHAIRMAN AHEARNE: Dick, are you the NRR
16 representative? Could you address how this program which
17 would be a combination of some contractor testing and
18 independent watching would fit into NRR's program?

19 MR. VOLLMER: The overall program which we hope to
20 develop and have to you like in a month or so has a number
21 of ingredients. One, of course, is the one that is being
22 currently focused on, the environmental qualifications of
23 electrical components issue. There is also the seismic
24 qualifications. The qualifications of pumps and valves,
25 independent verification testing and whatever standards,

1 rule-making, regulatory guides are required. That sort of
2 envelopes the whole as we see it, the whole equipment
3 qualification picture.

4 We have been working with I&E. I think the paper
5 itself shows a number of interfaces. I think there are 10
6 or 12 interfaces with us as well as standards and research
7 to come with a program which we will be able to define in
8 conjunction with standards and so on the type of criteria
9 that are necessary to assure the equipment qualification.

10 In the longer run, as I would see it, the I&E
11 program would be able to assure that the laboratories
12 testing meet those qualification standards. In the short
13 term I think their inspections would be to assure that the
14 qualification testing meets with whatever qualification
15 envelope was designed for the piece of equipment in the
16 historical past or the current.

17 CHAIRMAN AHEARNE: For whom would this contractor
18 or these contractors work, NRR or I&E?

19 MR. VOLLMER: I&E and I see it.

20 CHAIRMAN AHEARNE: So this independent
21 verification testing would not be then a direct part of
22 NRR's program. It would be I&E's program.

23 MR. VOLLMER: Yes, sir.

24 CHAIRMAN AHEARNE: I am really getting down to who
25 is on the hook and who is the responsible person and what is

1 the responsible management organization, branch or whatever
2 it is.

3 MR. STELLO: But the testing program is followed
4 up.

5 CHAIRMAN AHEARNE: Well, no, you are at the top of
6 that, Jim. I am trying to get down farther. Someone has to
7 be in charge of making sure this testing program is done
8 right, and who is that?

9 MR. STELLO: Within I&L?

10 CHAIRMAN AHEARNE: Yes.

11 MR. STELLO: If it starts today you are looking at
12 him. He is the guy I am going to go look for if it is
13 fouled up.

14 (Laughter.)

15 MR. DIRCKS: You don't have to look any further
16 than myself or Vic Stello if it gets fouled up.

17 CHAIRMAN AHEARNE: I am just trying to understand
18 in the organization. One of the recommendations out of here
19 seems to be that you are picking up the combined
20 recommendation, and they made a big point that you have a
21 dedicated staff and I am trying to find that dedicated staff.

22 MR. STELLO: That is it.

23 CHAIRMAN AHEARNE: Ah, but see that is it, but
24 Dick isn't going to be in charge of these contracts.

25 MR. STELLO: That was precisely my point. The

1 whole problem of qualification, and this is just one part of
 2 it for which they have a very real responsibility directly
 3 in this area as well as others. This has to fit into that
 4 program which it does. The whole question of whether or not
 5 the equipment is qualified and the licensee proposes
 6 something that is reasonable, and they get the documents as
 7 part of the licensing process, and then how do we fit in.
 8 The licensee looked at it and says you have got a good
 9 program. We go out in the field and said we watched it, it
 10 went well and it is okay. They did the tests properly just
 11 like they said they were going to do. We took a sample of
 12 their equipment and we independently verified that they were
 13 qualified.

14 CHAIRMAN AHEARNE: This coordination is between
 15 Dick and who?

16 MR. VOLLMER: Well, I guess between myself and
 17 Harry but really at the branch level.

18 CHAIRMAN AHEARNE: It would be at the branch level.

19 MR. VOLLMER: We have Zolltan and Astozie who is
 20 the branch chief who have been working with the ISS fellows
 21 on this paper.

22 CHAIRMAN AHEARNE: All right. Now, on standards,
 23 is there a standards guy?

24 MR. MORRISON: Right here.

25 CHAIRMAN AHEARNE: Now, how do you fit in. and

1 let's assume it is ASME that goes ahead?

2 MR. MORRISON: Well, we have a program and have
3 had for a number of years on the development of
4 qualification standards. That would continue and it would
5 be fully supportive of this program. The extra effort would
6 be involved with a development of the standard on the
7 laboratory certification as Commissioner Hendrie indicated.
8 I think the paper also talks about a regulation that would
9 require the nuclear industry to use the certified
10 laboratories and we are estimating one man-year for the next
11 couple of years for that extra effort. That is in our
12 budget.

13 CHAIRMAN AHEARNE: That is in your budget?

14 MR. MORRISON: Yes, sir.

15 CHAIRMAN AHEARNE: Now, you have in general though
16 about seven people across the board for this qualification
17 of safety-related equipment and standards?

18 MR. MORRISON: I don't have the figures with me.
19 That sounds a little high.

20 VOICE: That is for 81?

21 CHAIRMAN AHEARNE: I am talking about the 82
22 budget. Similar to the NRR this is a piece embedded in the
23 larger qualification?

24 MR. MORRISON: The one man-year represents the
25 additional effort involved with this program, primarily on

1 the laboratory certification effort.

2 CHAIRMAN AHEARNE: The fellow from research, do
3 you have any other comments you would like to make on this
4 approach to go out to the contractors to have them do the
5 testing as opposed to developing an NRC or any other aspect
6 of it?

7 MR. PFEIFFER: We we have working closely with
8 Bill on this. As a matter of fact, the study was done using
9 some of the people involved in our research programs. So it
10 has been well coordinated from the start. We felt a long
11 time ago and we made recommendations that the qualification
12 laboratories should be certified. We felt that in trying to
13 evaluate the validity of some of these tests that one of the
14 problems we had with the industry tests was the lack of
15 certification for the qualification testing laboratories.
16 So we feel very strongly that is a step in the right
17 direction.

18 Now as to who would actually perform the tests if
19 you have a qualified laboratory or you have a laboratory
20 that was more or less locked into you like the Sandia
21 laboratory I wouldn't see much difference. I would think
22 that you could perform this program between the tests at
23 Sandia or the qualified test laboratories. I think that
24 program should be put in place first.

25 CHAIRMAN AHEARNE: The certification laboratory.

1 MR. PHEIFFER: The certification laboratory. Now
2 where we fit into this overall program, I think we have
3 mentioned in the past to the Commission that we are not
4 involved in the production testing and the routine
5 verification of equipment in the field. We feel if we have
6 a role, it is in evaluating the ability of the test procedure
7 itself to guarantee that the equipment is tested right and
8 that you would get repeatable results. We have seen a
9 number of problems in the equipment and the tests and we
10 have brought these to your attention. We have plenty of
11 work in that area to support both the I&E program and the
12 industrial effort. I think there is a clear interface
13 there. Of course, we are doing these after tests that you
14 have requested from us; but I think the that reason we are
15 doing that is that this program is not in effect. I think
16 that if you made this request today the staff would probably
17 agree that this would come under the I&E program, this
18 verification program.

19 COMMISSIONER BRADFORD: While we have got you on
20 your feet let me just ask about the relationship between
21 this program and the program that you described that is in
22 effect testing the tests at Sandia. Are their facilities in
23 fact adequate to provide full service to both programs?

24 MR. PHEIFFER: When we constructed a new facility
25 we kept in mind that the function might grow, and the

1 facility is constructed in such a way that you could use ---

2 COMMISSIONER BRADFORD: Did we construct the
3 facility at Sandia?

4 MR. PHEIFFER: Yes, we paid for the research.
5 When I say "we constructed" I mean our dollars. We
6 constructed the facility in such a way that you can use many
7 different chambers with the base equipment, the steam
8 facility and the chemical sprays and the radiation
9 facilities. So we have a lot of room for expansion.

10 Now, if this program develops rapidly and you
11 start to test more than five units per year, you will
12 probably have to put additional funds into the Sandia
13 program or go offsite, Franklin or Wylie or some of the
14 other testing laboratories. It could be a potential impact,
15 but we have some provisions for taking care of that.

16 COMMISSIONER BRADFORD? How many tests do you run
17 per year at the Sandia facility now?

18 MR. PHEIFFER: Well, the new facility was just
19 completed and it is very hard to say how many tests. I
20 would say that we should be able to run test a month without
21 any trouble. Now, we can increase that if we install in a
22 chamber and then test in a different chamber and just move
23 the chambers in and out. We can interchange test chambers
24 within a few hours. So we have the potential and the
25 flexibility to do this program, our program as well as the

1 I&E program. When you consider the fact that you certify
2 the laboratories you have an offsite capability. I think
3 there are adequate test facilities around the country to do
4 the job.

5 COMMISSIONER BRADFORD: Thanks.

6 CHAIRMAN AHEARNE: Vic, have you completed your
7 summary?

8 MR. STELLO: I think we are at the point we would
9 like the Commission to give us some advice.

10 CHAIRMAN AHEARNE: How much reprogramming in 80
11 and 81 is required by this?

12 MR. STELLO I think we are pretty well there with
13 the reprogramming. It is going to hurt our vendor program
14 and we probably will be recalling some out of the vendor
15 program if we start with this. That to me is very illogical
16 anyway because we want to put it into the vendor program in
17 the long term so it will roll over, part of it. It will
18 hurt us.

19 CHAIRMAN AHERNE: Well, if we approve this ---

20 MR. STELLO: I am not sure the \$150,000 ---

21 MR. RUTHERFORD: That is available from current
22 funds.

23 CHAIRMAN AHEARNE: About \$500,000 in 81.

24 MR. STELLO: We have that there.

25 MR. RUTHERFORD: We don't have \$500,000. We have

1 something approaching in the neighborhood of \$400,000 I
2 guess.

3 MR. STELLO: I think the 80 and 81 are pretty well
4 squared away.

5 CHAIRMAN AHEARNE: Vic?

6 COMMISSIONER GILINSKY: I think the program look
7 okay for post-Comanche Peak reactors. I did want to ask a
8 technical question. Does the 74 IEEE standard take into
9 account the environment of a hydrogen burn?

10 MR. RUTHERFORD: No.

11 COMMISSIONER GILINSKY: So that is not included in
12 any of these tests, testing for the ability to withstand a
13 burn within the containment?

14 COMMISSIONER BRADFORD: I guess what you would
15 have to know is the temperature that you had experienced
16 during the hydrogen burn as against the temperature in these
17 tests.

18 MR. STELLO: I know one facility where we did do a
19 lot of testing of a lot of the equipment for hydrogen burn.

20 COMMISSIONER HENDRIE: The Chairman examined the
21 equipment.

22 (Laughter.)

23 COMMISSIONER GILINSKY: That is one good reason
24 for getting inside.

25 CHAIRMAN AHEARNE: Vic.

1 MR. STELLO: If it became a design basis to
2 accommodate a hydrogen burn in the containment then you
3 would calculate the duration of the temperature profile and
4 could include it. Technically I don't imagine it would be a
5 big problem.

6 COMMISSIONER GILINSKY: Is it clear that these
7 tests in fact don't cover such a possibility or is it just
8 something that needs to be examined?

9 COMMISSIONER HENDRIE: No, I think they clearly do
10 not cover something like a flame front coming across a piece
11 of equipment. They would be qualified for the stuff that is
12 supposed to work, for instance, in the containment in an
13 accident environment or be qualified for a radiation level
14 appropriate to that reg. guide 1314 release. You know, 50
15 percent of the iodides with half of it plated out and the
16 noble gases are all in the atmosphere and, I don't know,
17 maybe one percent of the solids spread around, and you would
18 calculate some generalized radiation field. I would think
19 that is the sort of radiation proposition. Humidity and
20 temperature would be typically 40 or 50 pounds saturated
21 steam. 275 or 280 degree F, that is characteristic of the
22 containment pressure and temperature peak in a large loss of
23 coolant accident. What else?

24 MR. STELLO: Well the steamline break requirement,
25 you know, is temperatures that are in the neighborhood of

1 350---

2 COMMISSIONER HENDRIE: They are a little higher
3 than that.

4 MR. STELLO: --- to 400 degrees, and that is the
5 steam. I will make a judgment that I suspect that if you
6 did this hydrogen burn the surface temperature that you
7 would get might be higher than that, but I doubt very much
8 whether you would get very much penetration at that
9 temperature into the component. By definition, and I worked
10 at Three Mile Island, we did not get any failure as a result
11 of the hydrogen loss.

12 COMMISSIONER HENDRIE: Years ago when we were
13 working on reg. guide 170 dealing with hydrogen why there
14 was a proposition offering to licensees that if they didn't
15 like inerting, for instance, instead of staying below four
16 percent hydrogen and if they wanted to work up into the
17 flammable region, why that was fine as long as they did some
18 testing to show that the essential equipment would survive a
19 burn. I guess we would have been willing even to go on into
20 the detonation range but obviously the testing gets, you
21 know, enormously more difficult and uncertain there. I
22 don't recall anybody doing much.

23 MR. STELLO: Analyses.

24 COMMISSIONER HENDRIE: Well, analysis, but nobody
25 wanted to do tests.

1 MR. STELLO: I think the argument that General
2 Electric Company advanced at that point was basically an
3 analysis argument to show what the effects were as I recall.

4 CHAIRMAN AHEARNE: Any questions?
5 Vic?

6 COMMISSIONER GILINSKY: No.

7 CHAIRMAN AHEARNE: Joe?

8 COMMISSIONER HENDRIE: No. I think we ought to do
9 it. Do you want to vote now or would people prefer to turn
10 in vote sheets.

11 CHAIRMAN AHEARNE: Wait. Let me ask Peter. Wait
12 a minute.

13 COMMISSIONER BRADFORD: I guess I would prefer to
14 turn in a vote sheet just because I want to mull a little
15 more on the last bit of business of the existing plants. If
16 we do approve it in roughly this form very soon, what is the
17 first point in time at which you would expect to have
18 results back from a test?

19 MR. RUTHERFORD: We had indicated that we could
20 have results within three months of the program that we are
21 talking about.

22 MR. STELLO: No, he means specifically when we
23 would get the first results of an independent verification
24 test.

25 COMMISSIONER HENDRIE: Or a witnessing I guess

1 would come under the program, too, wouldn't it, Peter?

2 COMMISSIONER BRADFORD: I was really interested in
3 the independent verification test.

4 MR. RUTHERFORD: The first full test could not
5 come before three months. We have some specimens on the way
6 right now.

7 COMMISSIONER BRADFORD: But it would be within
8 three months to six months?

9 MR. RUTHERFORD: We will have not a full
10 qualification test but we will have within this year, this
11 FY year, a thermal shock test on a piece of equipment that
12 is in a plant, a safety-related piece of equipment. That
13 will be done this year.

14 COMMISSIONER GILINSKY: I would like to be
15 informed of the differences between NRC results and those of
16 others, these environmental testings.

17 MR. RUTHERFORD: Okay. No problem.

18 MR. STELLO: I am not sure, Bill, I understood
19 your commitment. I want to make sure I do understand it
20 because someone here is going to hold me to it. Are we
21 committing to having an independent verification test,
22 qualification test done prior to New Year's Day?

23 MR. RUTHERFORD: Yes.

24 CHAIRMAN AHEARNE: One of the things that I will
25 require, and I would prefer if you could by next Tuesday or

1 Wednesday so we could still look at it in the budget review,
2 you have a schedule back here that gives a list of a number
3 of things starting from a zero time that is undefined, I
4 wonder if you could make it into sort of just a tabular
5 chart and chose an assumed start date, a real start date,
6 and then say what you will commit to accomplishing by when.

7 MR. STELLO: You want that by Tuesday?

8 CHAIRMAN AHEARNE: Next Tuesday, yes, I would like
9 that. Rather than force you to commit right here I think
10 that we all would in order to better address perhaps the
11 final budget.

12 MR. RUTHERFORD: Could we just begin at the fiscal
13 year, the beginning of the coming fiscal year, and pick that
14 up as zero?

15 MR. STELLO: We will just start off and try to
16 pick a date.

17 CHAIRMAN AHEARNE: Yes, and if you are starting at
18 the beginning of August then you start at the beginning of
19 August. My sense is that the Commission will approve your
20 program, but additional things might be placed on it.

21 The other thing I would like, and I guess it will
22 have to be relayed to Mr. Dircks, I would like to have in
23 some way a list of the people that are involved in this, at
24 least the branches, so I can this connection. I am still a
25 little concerned about how we have standards off doing this

1 and NRR off over here and I&E off here. I would like to get
 2 a sense that it is coordinated and at some level other than
 3 Bill Dircks.

4 MR. STELLO: Okay.

5 COMMISSIONER BRADFORD: In that context Sandia
 6 actually recommended a dedicated staff. I gather this
 7 approach isn't quite that.

8 CHAIRMAN AHEARNE: Yes, I gather that.

9 MR. STELLO: I think the Sandia approach would
 10 probably have had with it a combination which would have
 11 wound up with the standards people, the NRR people and the
 12 inspectors in one place. That is what I think their
 13 recommendation meant to me when I read it and that is not
 14 what we have.

15 COMMISSIONER BRADFORD: What about the training
 16 for that part of the program that entails witnessing? Do
 17 you envisage any sort of a special training program for the
 18 people who will be witnessing the tests?

19 MR. STELLO: People from our vendor inspection
 20 program will be doing this routinely. They will be brought
 21 into the program so that they will be trained and be
 22 prepared to go out and witness the tests as soon we start
 23 rolling it over.

24 COMMISSIONER BRADFORD: Let's see, when you say
 25 they will be trained, you do have a training program in mind

1 or are you saying that they are already trained by having
2 been in the vendor program?

3 MR. THORNBURG: We will develop a manual chapter
4 and give them some special training.

5 MR. STELLO: They will need additional training
6 that is specifically related to the interpretation of the
7 requirements principally by working together with the NRR
8 people for which we envision at least the initial witnessing
9 would include perhaps even people from the laboratory in NRR
10 as well as us as we start the program because it is the
11 interpretation that is going to be very important of the
12 standard itself. We do plan to have kind of a team approach
13 at least initially and then roll it over as part of our
14 routine vendor program in the longer term.

15 COMMISSIONER BRADFORD: Okay, that will be done.
16 I certainly expect to be approving it shortly. I just want
17 to mull a little longer on a couple of aspects of it. I
18 think it will be a real addition to our regulatory arsenal.
19 It may be a little long in coming but I am glad to have
20 gotten there.

21 CHAIRMAN AHEARNE: Okay. Thank you all.

22 (Whereupon, at 11:50 a.m., the meeting concluded.)

23 * * *

24

25

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

in the matter of: BRIEFING ON ANALYSIS OF ALTERNATIVES FOR CONDUCTING
INDEPENDENT VERIFICATION TESTING ON ENVIROMENTALLY QUALIFIED EQUIPMENT

Date of Proceeding: July 15, 1980

Docket Number: _____

Place of Proceeding: Washington, D. C.

were held as herein appears, and that this is the original transcript
thereof for the file of the Commission.

Mary C. Simons

Official Reporter (Typed)

Mary C. Simons

Official Reporter (Signature)