



UNITED STATES
NUCLEAR REGULATORY COMMISSION
WASHINGTON, D. C. 20555

August 15, 1979

~~1~~
~~2~~
③ Ann-file
DAVIS BESSE
SEPT 24, 1977
23/24

Mr. Stan Helfman
President's Commission on Three Mile Island
2100 M Street, NW, Suite 714
Washington, DC 20037

Dear Stan:

Here are the transcript extracts Karl Seyfrit promised as a result of his interview.

I regret the delay, but one transcript was misplaced and both had to be pulled from microfiche.

T. A. Rehm, Assistant to the
Executive Director for Operations

cc: Kevin Cornell, NRC TMI Inquiry Group ✓
Bill Besaw, ADM

7909240194

210th ACRS TRANSCRIPT
Oct 7, 1977

2

341

1 often cause some degradation of the rotor disk, but it
2 might take a long time before it made any difference.

3 Once the turbine was vibrating, they do add some --

4 MR. VERRELLI: The intent was to eliminate the
5 lower harmonic modes, to minimize that.

6 CHAIRMAN BENDER: How many plants are correcting
7 the condition? Are all of them?

8 MR. VERRELLI: As I indicated, we didn't see
9 a safety concern so we didn't make a survey of all the
10 plants. I attempted to find out as much as I could for the
11 committee.

12 I indicated -- I knew that Surry has completed
13 it, and Diablo Canyon and Turkey Point 3 is coming down.

14 CHAIRMAN BENDER: This would not be reported as
15 part of your LER system?

16 MR. VERRELLI: It is not a safety concern.

17 PROF. KERR: I hope Mrs. Hornor is told about the
18 harmonic difference.

19 CHAIRMAN BENDER: I am not sure what we will talk
20 here yet.

21 Next subject.

22 MR. CROCKER: The next problem is Davis-Besse,
23 The problem with Davis-Besse, and Karl Seyfrit from I&E will
24 handle that.

25 MR. SEYFRIT: I am Karl Seyfrit from Inspection and

uv3

1 Enforcement.

2 **The event occurred on the 24th of this month.** The
3 reactor was operating at only 9 percent power at the time.
4 The turbine was bypassed and steam was being rejected to
5 the condenser. They are still in their start-up testing
6 program. This event was initiated by a spurious signal
7 which gave a one-half trip of the steam and feedwater
8 rupture control system.

9 This plant is one -- I am not sure whether it
10 is the only one -- but it is at least **one of the very few**
11 **that has the steam and-feedwater rupture control system**
12 which is designed to make sure that if you get a rupture
13 of the steam line or the feedwater line, you can isolate
14 the affected steam generator and use the other steam
15 generator then as the heat sink further into the accident.

16 The half-trip caused the closure of the startup
17 feedwater flow to the number two steam generator as part
18 of the action that occurs automatically.

19 As a result of this, the level in that steam
20 generator dropped, which caused the primary loop temperature
21 in the affected loop to increase, and the steam generator
22 level, of course, to go down, and eventually it reached
23 the low water level trip which is 17 inches of indicated
24 level.

25 When you reach that point, then you get a full

1 actuation of the steam feedwater flow — steam water rupture
2 control system.

3 The actuation of this system causes the main
4 steam isolation valve to close, and when this occurred
5 at this facility, it resulted in an increased pressurizer
6 level, increased primary system temperature and pressure
7 and steam generator pressure.

8 About one minute after the initiation of this
9 event, the primary system pressure reached the relief valve
10 setting of about 2250 pounds. And the relief valve — the
11 pressurizer relief valve opened as required, but then
12 cycled open and closed about nine times in a short — about
13 25-second period, and finally failed in the open position.

14 About 30 seconds after the valve stuck open, the
15 operator manually tripped the reactor because at that time
16 the pressurizer water level was continuing to increase
17 rapidly, and as it turns out, the automatic scram would
18 have caught him with a few more seconds.

19 You can't put a number to that, but it was very
20 close. Following the reactor trip, the pressurizer level
21 began dropping. The primary coolant temperature began
22 dropping and, of course, the primary system pressure
23 continued to drop due to the stuck-open relief valve as well
24 as the fact you would reduce the amount of heat you are
25 putting into the system.

1 At about 1600 psi, the safety features actuation
2 system actuated. All of that equipment responded as
3 designed. This included the closure of the quench tank
4 isolation valve because that system caused the containment
5 isolation signal.

6 With the pressurizer release discharging into
7 the cold quench tank, quench tank pressure increased and
8 the rupture disk in the quench tank ruptured as designed.

9 Ultimately, steam generator number 2 actually
10 went dry, and some boiling occurred in the primary system
11 when the temperature and pressure dropped down to the
12 saturation point.

13 The auxiliary feed pumps had started about
14 one and a half minutes after the start of the event. However,
15 auxiliary feed pump number two did not come up to full
16 speed, and at its low speed it didn't develop sufficient
17 discharge head to actually put any water into the steam
18 generator because the steam generator pressure was still
19 up in the 500 or 900 pound range.

20 About 15 minutes after the event started, the
21 operator put the number 2 auxiliary feed pump on manual
22 control and was able to get it to full speed and, in essence,
23 that then completely terminated this transient.

24 There are two other things that we could get into,
25 but I think without getting into a great deal of detail, it

1 probably would be more confusing than helpful. I would
2 prefer not to do that now. I anticipate that we will come
3 back to the committee with a report of the resolution of
4 this event after the investigation is completed.

5 I wanted to point out that the evaluation is
6 still in progress. The findings to date include the
7 following, which I think begin to put the story together
8 pretty well.

9 It looks like some loose termination lugs were
10 probably responsible for the initial spurious half-trip of
11 the steam feedwater rupture control system. Two such
12 connections were found in that system.

13 As you all know, I am sure, it is very difficult
14 to prove positively that that kind of an event was caused
15 by these loose connections, but at least it is quite
16 certain that these loose connections had the capability of
17 causing it.

18 In addition to having found these, the
19 licensee is putting some instrumentation in this system to
20 provide a permanent record should they ever get such
21 a thing again, and will be able to then track it better and
22 be sure that we really got the culprit the first time or
23 at least find what it is the second time.

1 A second finding which probably was instrumental
 2 in causing the relief valve to fail, and this one we have
 3 not yet chased down as to why, but there was a relay that
 4 had been removed from the relief valve control circuit and
 5 this relay effectively eliminated the intended depth band
 6 for that relief valve, so that the relief valve, instead of
 7 opening and remaining open until the pressure had dropped
 8 some significant amount, opened and closed very rapidly,
 9 right around the set point.

10 A third item, the problem with the auxiliary
 11 feed pump, it was found that the governor on the auxiliary
 12 feed speed pump had bound. Partly this is something that
 13 they had had some difficulty with before, although the
 14 difficulty in the earlier time had been during some pre-op
 15 testing and we had no report of this.

16 It appears there is some mechanism by which a
 17 rod in this governor gets a buildup of crud on it, and then
 18 doesn't actuate. After this event, they tested this thing
 19 six or seven times, and it worked fine until the last time
 20 they tested it, then it hung up again.

21 MR. ETHERINGTON: Don't they also have a motor-
 22 driven auxiliary pump?

23 MR. SEYFRIT: I don't believe they do. I believe
 24 theirs are both turbine-driven.

25 A fourth finding, when the quench tank rupture

1 disc ruptured, several insulation panels were knocked off
2 one of the steam generators, and, however they weren't
3 chewed up. The whole panel came off. These are panels that
4 are pretty sizable.

5 I don't know the exact size of them, and they
6 are kind of put on in an overlapping fashion and steam
7 impinged and got underneath the panel and just lifted it off.

8 The fifth finding was that some safety-related
9 cables were damaged. However, when they designed the plant
10 they recognized the potential for steam discharge around the
11 quench tank and there were no safety-related cables in
12 that vicinity, so no safety-related cables were damaged.

13 The regional office has sent an immediate action
14 letter to the licensee which, in effect, requires that the
15 plant shut down unless analysis of the event has been
16 completed and we have had a chance to review that and
17 determine that a return to operation is warranted.

18 MR. EBIRSOLE: Did the pumps continue to run, the
19 main coolant pumps?

20 MR. SEYFRIT: They did until they were manually
21 tripped by the operator some minutes into the event.

22 MR. EBERSOLE: Did the high-pressure ECCS pumps
23 come on and start to inject?

24 MR. SEYFRIT: Yes. They came on at the time --
25 I have forgotten now for the moment what initiated those.

1 MR. EBERSOLE: Low-level in the precursorizer?

2 MR. SEYFRIT: Yes. It was about 1600 pounds. It
3 was the low pressure system that got it.

4 MR. EBERSOLE: Did that charge the system with
5 water?

6 MR. SEYFRIT: No.

7 MR. EBERSOLE: The operator turned them off?

8 MR. SEYFRIT: Yes.

9 DR. SHEWMON: What was the setting supposed to be?

10 MR. SEYFRIT: I don't really have an answer to
11 that.

12 DR. SHEWMON: There is no spec on this thing.
13 Failing six times or nine times doesn't surprise you?

14 MR. SEYFRIT: I didn't say it didn't surprise me.
15 The fact that it banged back and forth nine times, I think
16 the rapidity is probably more important, than what one would
17 expect from a opening and closing. I think there was a
18 quite a different set of circumstances.

19 PROF. KERR: How long would you guess it would
20 take to get back on line?

21 MR. SEYFRIT: I anticipate they will be back on
22 the line within the next few days. Our inspectors are at the
23 site now. Except for the items I have mentioned, all of the
24 safety-related instrumentation did function as it was
25 supposed to. Our region 3 people feel on the basis of this

1 presence at the plant that the licensee is taking
2 appropriate action to correct those items that were found
3 to be defective. They are committed to doing suitable
4 testing of the components, that's what our people are there
5 at the site for now, and the major thing that we are holding
6 up for right now is a more formal analysis which says, we
7 think things are okay, because. It's the because that we
8 don't really have in hand right now.

9 DR. SIEGS: Karl, it seems to me that I have seen
10 abnormally large numbers of LERs from Davis-Besse, one
11 during startup. It looks like there are three possibilities.
12 One is, it is abnormally large for startup at a plant and
13 another is, it's typical of plants during startup, and
14 another is, there is a different interpretation on what is
15 an LER, either by the applicant or by the NRC now.

16 MR. SEARIT: I would suggest a fourth
17 possibility, frankly, and that is all three of those things
18 are active to a degree. It is typical that there are a
19 large number of LERs during the startup period for any
20 facility. There has been, as you know, about a year ago, a
21 new set of instructions for reporting these kinds of events,
22 which probably has increased the reporting in some areas,
23 and the last item, of course, is that there are differences
24 of interpretation as to what is reportable and Davis-Besse,
25 the Toledo Edison are a new utility, and in my opinion are

1 probably reporting more than would be strictly required by
2 the reporting requirements as we interpret them.

3 DR. SIESS: A lot of things seem to be the kind
4 of thing you expect to find during startup, but these are
5 reportable in your opinion?

6 MR. SEYFRIT: That is true. We make no
7 distinction about whether they happen during the startup
8 testing phase or whether they start — whether they happen
9 later in life. The reportability is based on the event,
10 not when it occurs.

11 DR. SIESS: In your judgment, it's really not
12 unique or very unusual.

13 MR. SEYFRIT: I don't believe it is.

14 MR. EBERSOLE: This you say, occurred at 9 percent.
15 This was at some few hours after they were at 9 percent. Do
16 you intend to extrapolate what would have happened at 100
17 percent?

18 MR. SEYFRIT: At 100 percent —

19 MR. EBERSOLE: There is every reason to think this
20 could have been deferred until they were at 100 percent for
21 30 days.

22 MR. SEYFRIT: Without getting into all the
23 details which I'm not really prepared to do, I think you will
24 find it's not likely they could be in this particular
25 position at 100 percent power. There are another number of

at end

351

1 factors involving how systems have to be aligned, which
2 they couldn't do at 100 percent power.

3 CHAIRMAN BENDER: Further questions?

4 Thank you, Karl.

5 MR. CROCKER: The next item on the agenda then,
6 Mr. Chairman, is a summary of Nureg 0312 on feed water
7 nozzle cracking.

8 Dick Johnson from OR is to talk about that.

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

211A ACRS TRANSCRIPT

Nov 3, 1977

CRD429
EP:hw1
821

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

~~CHAIRMAN BENDER: Other questions?~~

MR. SEYFRIT: The next item I was asked to discuss was the Davis-Besse spurious steam water control system event. At the October ACRS meeting the event which occurred at Davis-Besse on September 24th was discussed. This event involved the spurious half-trip of the steam feedwater rupture control system, followed by failure of the pressurized power relief valve in the open position, the rupture of the quench tank rupture disc and the failure of one auxiliary feedwater pump to reach full speed.

As a result of these circumstances, one steam generator was blown dry and some boiling apparently occurred in the primary coolant system.

We have not yet received the Licensee's detailed evaluation of this event. This is expected about November 15th. However, based on a comparison to analysis transients, we have concluded that resumption of operation was permissible, following the correction and testing of the components which malfunctioned during the event.

The Licensee made the necessary repairs and completed the testing to demonstrate operability and has resumed testing.

A repeat of the spurious half-trip of the steam feedwater rupture control system occurred on October 22nd. At that time all other systems functioned correctly.

of Licensee, Inc.

bwd 1 Following the first event, the Licensee installed
2 instrumentation which was intended to determine what specific
3 event triggered the half-trip of the SFRCS.

4 The instrumentation was installed on the inputs
5 to the logic network. Nothing was detected in this second
6 spurious actuation.

7 By a process of elimination, the Licensee believes
8 he has traced the problem to two areas of logic network..

9 The suspect components have been replaced and official
10 monitoring equipment has now been installed in the logic system
11 in an effort to detect any future spurious signals in these
12 circuits.

13 To get back to the initial event --

14 Dr. CARSON: Can you put that initial event in a
15 little better context? I don't really follow what you are
16 saying,

17 Mr. SEYFERT: That is what I hope to do now. I
18 was trying to go through a series of overall events. Now I
19 will go back and talk about the specific initial event. The
20 reactor was operating at 15 percent power. As I stated in
21 the October meeting, following the SFRCS half-trip, and this
22 half-trip, incidentally, causes some things to happen in
23 part of the secondary system, the feedwater is shut off in the
24 system that receives the trip, in that half of the system.

25 Following the half-trip, the number two loop

In3

1 start-up feedwater control valve closed, which stopped water
2 supply to the number 2 steam generator.

3 The steam generator level began decreasing and, at
4 the same time, because you remove part of the heat removal
5 capability, reactor coolant temperature was increasing.

6 At this point the reactor has not yet been tripped.
7 The pressure level increased.

8 the number 2 steam generator reached the low level
9 trip which caused the full steam feedwater rupture control
10 system trip. That is a mouthful.

11 This trip results in closure of the MSIV's on both
12 loops now. The steam generator pressure, with the steam, MSIV's
13 closed, increased.

14 We still haven't tripped the reactor. This caused
15 the pressurizer relief valve to open. A relay in the valve
16 control circuit had been removed for unknown reasons. We still
17 don't know why it had been removed, but it was out of the circuit.

18 This, in effect eliminated the usual dead band from
19 the valve controls. And the valves then cycled open and
20 closed, rapidly, about nine times, right around the relief
21 set point, because there was no dead band allowance to allow
22 the pressure to drop down some value, and then reset. It
23 reset immediately when it passed the trip point.

24 After cycling about nine times very rapidly, it
25 stuck in the open position.

b7d

1 The aux feedwater pump started as the level dropped
2 down in the steam generator. The number one pump came up to
3 full speed and began putting water in the steam generator
4 number 1.

5 The number 2 pump, however, failed to reach full
6 speed. It reached only about 2600 rpm. At this point, the
7 discharge head developed is about, oh, a maximum of 700 psi.

8 I believe that I gave you some curves which show --
9 did you get the handout? There is a pump performance curve in
10 that material --

11 DR. MARK: How is the opening and closing nine
12 times? How is that believed to be nine?

13 Is that recorded somewhere?

14 MR. SEYDIT: That was based on pressure recordings
15 and oscillations in the pressure.

16 At the time that the auxiliary feed pump came on
17 and failed to reach speed, the steam generator pressure was
18 higher than the discharge head that the pump was capable of
19 developing, and, therefore, no water was being added to the
20 steam generator number 2 for several minutes. This allowed
21 the level to drop until the steam generator finally went dry.

22 The Licensee and his nuclear steam supply system
23 has evaluated the event and the conditions experienced during
24 the event by comparing the observations recordings, and so
25 forth, to values obtained in the analyzed transients that are

sw5 1 reported in the PSAR. Pertinent aspects of this initial
2 evaluation include the following: Steam generator components
3 are designed to accept 40 cycles of depressurization, where the
4 pressure drops 1400 psi and the temperature drops 62 F in 15
5 minutes.

6 In this axial transient, the pressure dropped about
7 1250 psi and the temperature dropped about 45 degrees in
8 7 1/2 minutes. Since the pressure change of the axial transient
9 is less than the generalized transient, the stress effect due
10 to pressure would likewise be less. While the rate of temperature
11 change is somewhat greater in the axial transient than for the
12 generalized transient, the overall temperature change is about
13 17° F less. These differences tend to be somewhat offsetting,
14 and thus we believe the resulting stresses will be little
15 different due to the temperature than the generalized case...
16 And will likely be somewhat smaller.

17 Number 2, the design transients include 20 cycles,
18 in which the feedwater is lost to one generator and the
19 generator evaporated to a dry pressurized condition, followed
20 by rapid introduction of feedwater.

21 The major concern here is variation in the tube to
22 shell tube temperature differences.

23 In the axial transient the steam generator was
24 dry for about 13 minutes during which the reactor coolant
25 temperature dropped 50 F.

1 We believe this condition was not sufficient to
2 cause stress or deformation within the tubes.

3 It is within the established design limits.

4 Number 3, there was some possibility of cavitation
5 damage to the reactor coolant pump impellers, bearings and
6 seals, due to the boiling which appears to have occurred in
7 the primary system.

8 The evidence for this boiling basically was
9 interruption of seal water flow and some instability in the
10 seal cavity pressures. All four pumps had loss or erratic
11 seal injection flow for about one and one quarter minutes.

12 The pumps following this event, were instrumented
13 to measure shaft vibrations, seal cavity pressures and other
14 significant parameters, and tested prior to resumption of
15 operations.

16 No indications of damage were observed. Additional
17 tests were performed on the pumps after the pressure, the
18 system pressure now we are talking about, was increased above
19 1300 psi and again there were no abnormal conditions observed.

20 Number 4, Babcock and Wilcox has evaluated
21 this event with regard to the effects on fuel, and has con-
22 cluded that there are no reasons to believe the fuel was
23 adversely affected.

24 This is based on the fact that the core burn-up at
25 the time of the event was only about an effective full-power day.

bw7

1 The maximum fuel clad temperature was 590° F. There
2 was no more than about 300 psi pressure differential across
3 the cladding at any time, which would have existed at the
4 most for something less than an hour.

5 With the low irradiation history this pressure
6 temperature combination would not be expected to produce any
7 undue demands on the fuel or cladding. Because of the lower
8 power history, there was no significant heat generation in
9 the reactor core after the reactor had scrammed.

10 There was essentially no decay heat at this point.
11 Testing of the relief valve after its repair and readjustment
12 demonstrated satisfactory operation after several open-close
13 cycles.

14 The major adjustment made was to reduce the stroke
15 of the pilot valve system from about 3 at the inside to one at
16 the inside. The reason given for this, in this valve the pro-
17 cess steam with some boron, boric acid in it, impinged the
18 system, and with more of the system exposed to this fluid,
19 more boric acid can be plated out on the system, because of
20 the drying effect of the hot steam. With less of the
21 steam exposed to this, there is less chance of that material
22 adhering to the system and, therefore, less chance of it
23 interfering with free movement of the system.

1 DR. SHERMAN: I trust the relays, giving it the
2 dead band --

3 MR. SEYFRIT: The relay was reinstalled, yes.
4 The Woodward governor on the auxiliary feed pump turbine
5 driver was tested several times after modification of the
6 governor. Modification included removal of portions of a
7 pneumatic speed setting mechanism which was installed in
8 this particular governor, and was really unnecessary, because
9 they had a pneumatic -- well, they had a servomotor for
10 speed positioning, for this governor, and the pneumatic
11 speed positioning function was really unnecessary. That
12 portion of it was removed. They tested the governor then
13 at the Woodward governor co-facilities a number of times,
14 and then after they reinstalled it in the plant, additional
15 tests have been performed on the equipment and operation
16 has been satisfactory and as I said, in this latest test the
17 half trip of the FFSRCS, operation was satisfactory.

18 CHAIRMAN BENDER: Is that it?

19 DR. MARK: I may have missed something you might
20 have said about the probable cause of the spurious signal.
21 Is this a misplaced bit in a solid-state control computer,
22 or something of that sort?

23 MR. SEYFRIT: We really haven't yet pinned down
24 where this signal came from. Following the initial event,
25 they put in a pump of instrumentation and the thought was,

1 it was a spurious input signal to the logic circuitry that
2 had caused the trip. So all of the input signals were
3 instrumented in an effort to detect which one might have
4 given the spurious signal. It turned out, when we got the
5 second one, that was not the cause. So, by looking at the
6 circuitry and looking at what could conceivably cause such a
7 thing, the licensee believes he has narrowed this down to
8 two components, both of which have now been — components —
9 what is the next larger thing than an individual component?
10 Device. Which has several components.

11 DR. MARK: A circuit problem in this case.

12 MR. SEYFRIT: It gets difficult to talk about.
13 But some of the individual devices or components within the
14 framework, for example, of the amplifier, and one of the
15 components they are talking about is an amplifier. They
16 have gone in there and replaced some chips and individual
17 solid-state components.

18 In addition to that, they have now instrumented
19 the logic circuitry in such a way that they believe if they
20 should get another one of these, they will be able to pin it
21 down to a specific device.

22 CHAIRMAN BENDER: Other questions?

23 MR. EBERSOLE: This is a S&W plant?

24 MR. SEYFRIT: Yes.

25 MR. EBERSOLE: Did you make reference to secondary

ann3

1 side levels, being one of the parameters that caused some
2 of these actions?

3 MR. SEYFRIT: Steam generator level.

4 MR. EBERSOLE: Could you clear up for me how you
5 get steam generator level in a once-through boiler? I
6 thought they just had a variation, if you don't have a pot
7 to detect level from.

8 MR. SEYFRIT: You are asking me some very
9 embarrassing questions. You know, really, to be honest with
10 you, I hadn't given any specific thought on that. There is
11 a level signal, but how it's generated, I can't tell you.

12 MR. EBERSOLE: It has to be synthesized somehow.
13 Maybe by the super heat level.

14 MR. SEYFRIT: I think maybe it's based on the
15 level in this downcomer area outside the two-bundle area.

16 Does anybody over there know? Is anybody familiar
17 enough with B&W steam generators to help me out here?

18 MR. CRACKER: No help here.

19 MR. SEYFRIT: Only the outboard level you have
20 an auxiliary level.

21 CHAIRMAN BENDER: Karl, why don't you run it down
22 for us and let us know.

23 MR. EBERSOLE: Are there any indications that
24 this accident, if it would have happened at full power with
25 old fuel, would it have produced substantial different results

1 on the fuel, other than a little bit of boiling?

2 MR. SEYFRIT: I think we're into an area where
3 we are sort of comparing apples and oranges a little, because
4 if you had been at full power, there would have been a
5 number of things differently aligned in the system.

6 MR. EBERSOLE: It's not regarded as a possible
7 combination of events at full power.

8 MR. SEYFRIT: I think it would be highly unlikely
9 to get into the same combination of events at full power.

10 For example, the turbine was not in service. All the steam
11 was being bypassed back to the condenser.

12 There were other alignments in the auxiliary
13 feed water pump system that were different than would be
14 the case at full power.

15

16

17

18

19

20

21

22

23

24

25

1 CHAIRMAN BENDER: If there are no other questions,
2 let's go to the next item on the agenda.

3 I believe, Mr. Crocker, you wanted to take up
4 Arkansas Nuclear One, then the Florida Power & Light system
5 disturbance.

6 MR. CROCKER: That's correct, Mr. Bender. Walt
7 Butler will handle that for the Staff.

8 (Slide.)

9 MR. BUTLER: This is Arkansas Nuclear One. Space
10 coolers issue.

11 The licensee advised us of a design inadequacy about
12 two months ago. On the 9th of September, the NRC held tele-
13 phone discussions with the Bechtel Company San Francisco
14 office to determine whether this issue could be a generic
15 issue.

16 On the 13th of September, the Staff met with
17 Arkansas, the licensee, to discuss the specific problem and
18 what corrective measure Arkansas proposes.

19 On the 15th of September, we had another telephone
20 conversation with Bechtel and received confirmation from them
21 that this design inadequacy or design error was not generic
22 in character and was not expected to be in other Bechtel
23 design plants.

24 (Slide.)

25 Briefly stated, the problem is: there are four