

E-29

NUCLEAR REGULATORY COMMISSION

IN THE MATTER OF:

NRC/FMI SPECIAL INQUIRY GROUP

DEPOSITION OF WILLIAM H. SPANGLER

Place - Lynchburg, Virginia

Date - Tuesday, 16 October 1979

Pages 1 - 129

POOR ORIGINAL

Telephone:
(202) 347-3700

ACE - FEDERAL REPORTERS, INC.

Official Reporters

444 North Capitol Street
Washington, D.C. 20001

NATIONWIDE COVERAGE - DAILY

8001160655

T

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

----- x
:
In the Matter of: :
:
NRC/TMI SPECIAL INQUIRY GROUP :
:
----- x

Offices of Babcock & Wilcox
3515 Old Forest Road
Lynchburg, Virginia

16 October 1979
8:45 a.m.

DEPOSITION OF WILLIAM H. SPANGLER

BEFORE:

DAVID EVANS, Esq.
R. LAWRENCE VANDENBERG, Esq.
JOHN DIENELT, Esq.
HAROLD ORNSTEIN
HANS SCHIERLING

PRESENT: GEORGE EDGAR, Esq. and MICHAEL MANEY, Esq., on
 Behalf of the Deponent.

ALSO PRESENT: CARLA D'ARISTA, NRC Staff.

C O N T E N T S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Exhibits:

Identified

1150

4

1151

12

1152

40

1153

48

dsp3

P R O C E E D I N G S1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Whereupon,

WILLIAM H. SPANGLER

was called as a witness, and having been first duly sworn,
was examined and testified as follows:

MR. EVANS: I would state for the record that
this is the deposition of Mr. William Spangler being conducted
by the NRC/TMI Special Inquiry Group.

It is being held in the offices of Babcock & Wilcox
in Lynchburg, Virginia.

Present with Mr. Spangler is Mr. George Edgar and
also Michael Maney, again representing Mr. Spangler.

Present for the NRC/TMI Special Inquiry Group is
Mr. Hans Schierling, Dr. Hal Ornstein, R. Lawrence Vandenberg,
and David Evans.

Mr. Spangler, the first thing I'm going to do today
is to ask you some preliminary questions in an attempt to
establish your background.

MR. EDGAR: You brought a resume?

THE WITNESS: Yes.

EXAMINATION

BY MR. EVANS:

Q Do you have a resume present with you today?

A Yes.

Q Okay, I would ask the court reporter to mark

dsp4

1 this as Exhibit 1150.

2 (Witness handing document to counsel.)

3 (Spangler Deposition Exhibit 1150
4 marked for identification.)

5 MR. EVANS: Off the record.

6 (Discussion off the record.)

7 BY MR. EVANS:

8 Q Mr. Spangler, is your present position still manager
9 of nuclear plant startup services?

10 A No.

11 Q What is your current position?

12 A I'm in sales in Detroit, Michigan.

13 Q During 1977 and 1978 were you manager of nuclear
14 plant startup services?

15 A Yes.

16 Q In that capacity, did B & W startup personnel
17 working on the TMI-2 unit report to you?

18 A Yes.

19 Q Was that a direct line reporting to you or did
20 they have intermediaries between you?

21 A The site manager reported to me.

22 Q Who was the site manager?

23 A Lee Rogers.

24 Q Could you describe what other nuclear plants you've
25 had experience with in your capacity as startup manager or

dsp5

1 otherwise, other than TMI-2?

2 A As manager of startup services, Crystal River,
3 Davis-Besse, and TMI-2.

4 Q And in other capacities?

5 A Oconee, as a project manager, and a brief spell as
6 project manager in the very beginning of the Detroit Edison
7 project.

8 Q Turning now to Three Mile Island 2, did General
9 Public Utilities have a contract with B & W for startup
10 services?

11 A Yes.

12 Q Is that a separate contract other than the supply
13 contract?

14 A Yes.

15 Q How was that contract like or different from
16 contracts with other utilities that B & W has entered into
17 startup service contracts with?

18 A I don't know the details of the various contracts,
19 per se, but in so far as I know, they are basically the same
20 from utility to utility.

21 It's a master service contract. I'm sure there are
22 differences in verbiage because each one is negotiated with
23 each individual customer.

24 Q Do you know if the master service contract with
25 GPU called for B & W to write procedures or standard tech

dsp6

1 specs or any other startup criteria?

2 A To my knowledge, not specifically.

3 Q How many B & W test engineers were at Three Mile
4 Island 2 during functional testing and power ascension testing?

5 A It's going to be a guess now, and an order of
6 magnitude; there were two teams on the site. One was the
7 contract team.

8 Q Contract for B & W?

9 A One was the NSS contract team -- okay -- which
10 we supplied as part of the NSS -- part of our startup service.
11 There were probably five -- five or six of those, including
12 Lee.

13 Then as part of the master service contract there
14 were about the same order of magnitude, five, six, seven
15 people.

16 Q So there was only -- anywhere between 10 and a dozen
17 test engineers?

18 A 10 and a dozen B & W test engineers on the site.

19 Q Did these site test engineers report back to
20 you?

21 A Not directly. They reported to me through Lee.

22 Q Did you receive reports from Lee Rogers on their
23 work?

24 A I don't -- relative to what?

25 Q Relative to the progress of the test schedule;

dsp7

1 relative to the acceptance of the test results?

2 A Yes. We got some of the test reports, of course.

3 Q They were sent back to you here in Lynchburg?

4 A They were sent back to us here in Lynchburg.

5 Q Do you know a gentleman named Ron Toole?

6 A Sure.

7 Q Did the B & W site test engineers also report to
8 Ron Toole in any capacity?

9 A I don't -- I can't answer that specifically; again,
10 because that job was administrated by Lee Rogers, and I don't
11 know whether some of those people reported directly to Ron
12 in their day to day activities or not.

13 Q Based upon your experience with other units, would
14 it be odd to have the B & W site test engineers report to the
15 utility representative?

16 A Not at all.

17 Q Based again on your experience, how does this split
18 reporting authority -- that is, to B & W through the site
19 representative and to the utility -- utility's representative
20 work?

21 A You have to understand -- I mentioned what we called
22 our master service contract, and under this contract we provide
23 technical expertise, people -- in the form of people to these
24 customers.

25 And oftentimes they are people that they buy for

dsp8

1 dollars and put in their organization reporting within the
2 utility organization on specific assignments.

3 So although they are on B & W's payroll -- and I'm
4 responsible to pay their salary -- in effect functionally
5 during that assignment they are reporting to the utility
6 supervisor.

7 It's not unusual at all.

8 MR. EDGAR: How do you spell "Ron Toole"?

9 THE WITNESS: T-o-o-l-e, I believe.

10 MR. EVANS: Thank you.

11 BY MR. EVANS:

12 Q Mr. Spangler, could you describe for us your
13 personal involvement with Three Mile Island 2? Did you go to
14 the site?

15 Did you observe any tests?

16 A You're talking about the startup, per se?

17 Q Startup test program, yes.

18 A My -- as I mentioned, Lee was my representative. Lee
19 was our site manager and Lee reported to me.

20 So the responsibility for the test program -- test
21 program results and the everyday activities and the technical
22 responsibility for the plant lay with Lee Rogers who reports
23 to me.

24 I made, while I was in that job -- I was in the
25 habit of making routine visits to the site, and I used to set

dsp9

1 a goal for myself of getting up there or to each site no less
2 than every 90 days. That was one of my objectives.

3 And the purpose of those visits was more personnel
4 matters than anything else; I used to make it a point just
5 to go up and talk to our people to let them know that I was
6 here.

7 And so it was -- unless there was some special
8 meeting on some special problem with the customer, which
9 occurred occasionally, my visits were mostly personnel in
10 nature.

11 Q Do I understand, then, that you didn't schedule
12 visits with an eye toward the tests that would be performed
13 or specific points in the startup program that you wanted to
14 observe personally?

15 A That is correct, I did not.

16 Q I'd like to focus now on the information that you
17 received from the site; how often did you receive reports
18 from Lee Rogers on the startup test program?

19 A We received reports -- well, first of all,
20 we had a policy in which we had a daily morning telephone
21 conversation between the site and my office. It was routine.
22 There was a time set, and it happened at the same time every
23 morning.

24 That was our daily communication in which we got
25 brought up to date on what was going on and what was going to

dsp10

1 happen, and what any problems were; information exchange, I guess
2 would be the best way to describe it.

3 In addition, Lee provided us with a weekly report,
4 written, on the activities at the site.

5 And then of course we received any number of special
6 letters or whatever, copies of letters that Lee wrote to the
7 customer, that sort of thing, special reports.

8 Q In the course of these communications, daily
9 briefings, weekly reports or any special letters, did Lee Rogers
10 ever express to you the opinion that the test program was
11 going rushed?

12 A No.

13 Q Did he ever express to you the opinion that people
14 at the site felt that?

15 A No.

16 Q Did Lee ever communicate to you that there was a
17 conflict between the Met Ed personnel and the GPU Service
18 Corporation personnel who were running the test program?

19 A Not specifically and per se, no. But in an organization
20 on a site like that where you have two organizations, there is
21 always some degree of difference of opinion or conflict between
22 them.

23 There isn't any question about that. I don't,
24 as far as I know -- and Lee certainly never expressed to me
25 that the situation there was bad or unusual or anything of that

dsp11

1 nature or detrimental.

2 Q What is the usual type of conflict which exists?

3 A I don't -- I don't know exactly how to answer that:
4 Differences of opinion, I guess, on day to day activities.

5 Q Is it your --

6 MR. EDGAR: The normal spectrum of human differences
7 of opinion that you would expect on any job?

8 THE WITNESS: Yes.

9 BY MR. EVANS:

10 Q Is it your understanding that the GPU Service
11 Corporation personnel were running the test program?

12 A Yes.

13 Q Is it also your understanding that the Met Ed
14 people were required to physically manipulate the plant to
15 run this program?

16 A Yes.

17 Q The conflict I'm trying to focus on is the conflict
18 between directions to complete a task program from the service
19 corporation personnel to Met Ed employees required to physically
20 manipulate the plant.

21 A Yes.

22 Q Now, are you aware of that conflict?

23 A No.

24 Q Did Lee Rogers report to you during the hot functional
25 test phase a transient during which the reactor coolant pump

dsp12

1 seals were damaged?

2 (Pause.)

3 A I recall vaguely -- very vaguely -- some problem with
4 reactor coolant pump seals, but I can't sit here and talk any
5 details.

6 No, it's very vague in my mind.

7 Q So you don't recall at this time the circumstances
8 of that transient?

9 A No, I certainly don't.

10 MR. EVANS: Off the record a minute.

11 (Discussion off the record.)

12 MR. EVANS: Back on the record.

13 I'd like the court reporter to mark this as Exhibit
14 1151.

15 (Spangler Deposition Exhibit 1151
16 marked for identification.)

17 BY MR. EVANS:

18 Q Mr. Spangler, do you recognize what the court
19 reporter has marked as Exhibit 1151?

20 (Counsel handing document to witness.)

21 (Witness reviewing document.)

22 A Yes, this looks like a paper I prepared for one of
23 our operating seminars at Hershey, I guess; yes, certainly.
24 It's a very good paper, by the way.

25 (Laughter.)

dsp15

1 were a lot of communication and resolution of that problem
2 going on offsite, presumably at Parsippany.

3 So we weren't usually privy to or participating in
4 those particular discussions.

5 So I guess as an interested outsider or an interested
6 bystander, we certainly pursued whatever information we could,
7 but we certainly weren't kept totally up to date on what was
8 going on.

9 Q Are you familiar with the double ported design of
10 the Lonergan valve?

11 A No.

12 Q Are you aware of what the term critical path planning
13 means?

14 A I guess so, yes.

15 Q Do you think that is an appropriate way of planning
16 and replacing a major component at a plant?

17 A Well, yes, I certainly -- it's an effective way of
18 planning. I think in planning any project of that scope you
19 almost have to have some sort of critical path, sure.

20 Q Can you tell me if any B & W site test engineers
21 or any other B & W personnel were present at the Three Mile
22 Island 2 unit acceptance test?

23 A I don't have specific firsthand knowledge, but I
24 guess I would assume yes, they were there.

25 (Witness conferring with counsel.)

dsp47

1 still believe is that fuel should not be loaded until the plant
2 is complete.

3 That is just my personal belief, totally complete.
4 And I personally don't believe that that would cause an ultimate
5 delay.

6 Q So in your opinion, if you delay loading the fuel,
7 you could still meet an end date if it was realistically set?

8 A In my opinion; but that's an opinion as a non-
9 construction expert: my opinion.

10 MR. EVANS: Off the record.

11 (Discussion off the record.)

12 MR. DIENELT: Okay. Let's go back on the record.

13 BY MR. DIENELT:

14 Q Have you been deposed by the President's Commission?

15 A No.

16 Q Have you testified before the President's Commission?

17 A No.

18 Q Have you testified before any state or federal
19 Congressional committee?

20 A No.

21 Q Have you been scheduled for testimony before the
22 President's Commission or any Congressional or legislative
23 body?

24 A No.

25 Q Do you recall having been interviewed by the office

46
1 Q Would you call the schedule at TMI-2 unrealistic?

2 A I -- I don't recall the schedule, and I don't
3 recall identifying it specifically as any more unrealistic
4 than any previous schedules.

5 You know, it's always a relative thing, and startups
6 are the same in these areas.

7 Q During 1977 and 1978, what other units were going
8 through B & W startup programs? What other units were you
9 responsible for as manager of startup services?

10 A Davis-Besse. I think that's it. I don't remember
11 when Crystal river got finished. I mentioned earlier it was
12 three plants: Crystal River, Davis-Besse, and TMI.

13 I don't remember if there was a period where we
14 had all three of them going at the same time or not; but
15 basically Davis-Besse and TMI going at the same time.

16 Q Was there a period in 1978 when there was only
17 TMI-2?

18 A I don't even remember that.

19 Q Turning to one statement you made earlier, I believe,
20 that utilities should consider not loading the fuel as quickly
21 as has been done in some circumstances; is it fair to say
22 that delaying of the load of the core would thereby delay the
23 power ascension program?

24 Are those two interrelated?

25 A No. The point I tried to make here and the point I

dsp45

1 A Certainly.

2 Q And no difference in the consequences?

3 A Oh, I'm talking strictly about getting a power plant
4 into operation; there is a desire to have them run, whether
5 they be coal or whatever.

6 Q Also on page 31 you have the statement: "There
7 needs to be an industry-wide effort to establish and
8 maintain realism in project schedules."

9 MR. EDGAR: Do you see the context of that?

10 THE WITNESS: Where is that? Okay.

11 BY MR. EVANS:

12 Q Can you elaborate on that? What do you mean by
13 "realism"?

14 A Yes. What I mean is realism, if -- and what that
15 simply means is if realistically it's going to take five
16 weeks to repair a reactor coolant pump, for example, then don't
17 schedule it for three weeks for purposes of making people work
18 harder.

19 If I schedule it for three weeks and target it for
20 three weeks, you guys are really going to go like hell to
21 make the three week date.

22 Q So in your opinion, utilities have been unrealistic
23 in scheduling very optimistic work?

24 A In my opinion, there have been times when schedules
25 are unrealistic, yes.

dsp44

1 questioning by asking you again a couple of questions regarding
2 statements in Exhibit 1151.

3 On page 31, under your generic conclusions section,
4 you state: "Pressure on startup personnel to achieve unrealistic
5 schedules often results in serious mistakes being made that
6 ultimately cause additional delays."

7 Could you explain to me who puts the pressure on the
8 startup personnel?

9 A Whoever is running the startup program.

10 Q Generally, would that be the utility?

11 A Generally, that would be the utility:

12 Q Has B & W ever run a startup program?

13 A No.

14 Q What is your basis for making that statement? Is
15 it the units you've been involved in or just what you've
16 learned from your field representative?

17 A It's units I've been involved in. If you look at
18 my resume, I have a long history of field work, most of it
19 in fossil.

20 There's no difference now than there was then.
21 Things haven't changed; there is always drive to achieve and
22 get the plans operating, which is natural and normal. So it's
23 just based on years of experience, recent and past.

24 Q Do you really believe there's a similarity between
25 coal and nuclear units on drive to get them into operation?

dsp43

1 and what have you; I have nothing official.

2 I have heard it said at various times that there
3 are certain advantages, tax-wise, for a utility to get a plant
4 commercial or started up or whatever by some date. But I have
5 zero understanding of that, and I wouldn't want to put myself
6 in a position to be an expert.

7 Q Have you ever heard from Lee Rogers or his counterparts
8 at other sites that report to you indications that those kinds
9 of factors were important in a utility's schedule?

10 A Sure.

11 Q Can you give me a --

12 A Verbal? Not specific, no. You know, in conversation
13 type things, but nothing that would be specific, whatever.

14 Q Can you recall any of those remarks that Lee Rogers
15 might have passed on to you about TMI-2?

16 A Not specifically, certainly not.

17 MR. VANDENBERG: Mr. Evans, do you have some
18 questions?

19 MR. EVANS: I have a couple of follow-up questions,
20 but it might be a good time to take a five minute break. So
21 let's take five minutes.

22 (Brief recess.)

23 MR. EVANS: Back on the record now.

24 BY MR. EVANS:

25 Q Mr. Spangler, I'm going to finish this line of

dsp42

1 And as the need to change that date comes up due
2 to changes, there is a tendency to move it ahead as little
3 as absolutely necessary for -- I don't know whether they would
4 be public relations reasons or whether they would be financial
5 reasons or what. I really don't know.

6 But it has been my experience that there is a
7 tendency to compress a schedule and try to demonstrate that they
8 can do more work in a shorter period of time so that they can
9 stay as close to their original predicted date as possible.

10 Q Is that predicted date, in your view, related perhaps
11 to commitments the utility may make for providing capacity to
12 a power interchange pool?

13 A I wouldn't want to -- you know -- venture that. I
14 do know that utilities have power pools, and I do know that --
15 you know -- they do commit to each other to provide generation
16 for these pools.

17 But I don't know enough about their business to -- to
18 want to venture a guess as to how much of a factor that
19 particular thing is.

20 Q Do you think that in your experience that the
21 acquisition of certain tax benefits, such as the investment
22 tax credit, is sometimes a factor in a utility setting completion
23 or commercial operation dates?

24 A Again, I have to answer the same way. You know, I
25 have heard by the grapevine -- you know -- whole conversations,

dsp41

1 MR. VANDENBERG: Thank you.

2 THE WITNESS: Do you want a copy of this standard --
3 standard startup plan of ours?

4 MR. VANDENBERG: Yes, please.

5 THE WITNESS: I can provide you with that.

6 BY MR. VANDENBERG:

7 Q By the way, the test schedule that utilities become
8 committed to, in your view, what -- what are the reasons or
9 incentives that exist for a utility to pick a particular date
10 which they then get committed to?

11 A Okay. Now, this is in my view. Okay?

12 And I don't pretend to represent B & W in this
13 view or the utility, for that matter.

14 But as I view it, these are long term projects;
15 everybody knows that. You know, it used to be seven years.
16 It's now 12 years or whatever. And when the projects are
17 initiated, there is a stated startup date at that time based
18 on whatever, presumably based on some reasonable planning.

19 As we also know in this particular industry, for
20 various reasons, construction schedules have extended for a
21 lot of reasons: money, additional technical requirements, and
22 so forth.

23 And -- but the startup date -- the original startup
24 date is still in print: hey, this is the date that we intended
25 to start this plant up.

dsp40

1 MR. VANDENBERG: Also I'd like to ask the court
2 reporter to mark as Exhibit 1152 this March 3, 1978 memo to
3 Metropolitan Edison Company which encloses amendment number one
4 to the operating license, DPR-73.

5 (Spangler Deposition Exhibit 1152
6 marked for identification.)

7 MR. VANDENBERG: This was previously discussed.
8 (Discussion off the record.)

9 MR. VANDENBERG: Back on the record.

10 BY MR. VANDENBERG:

11 Q Mr. Spangler, I wondered if you could provide a
12 couple of items for us: one, the B & W document that contains
13 the standard test plan schedule that we've talked about this
14 morning.

15 A Yes.

16 Q And also while we were off the record you talked about
17 a follow-on article to what we have been calling Exhibit 1151.
18 Could you supply that to us as well?

19 A I think so.

20 The reason I'm saying that is it was not published.
21 I presented it there, and the question is whether I can lay
22 my hands on a copy of it.

23 I'm going to try, certainly.

24 MR. EDGAR: We'll undertake to search for it, and if
25 it's available, we'll furnish it.

dsp39

1 granting of the OL?

2 A I don't remember any specific -- specific conversation
3 on that subject, but that is a general topic of discussion. You
4 recall I mentioned that we had daily telephone conversations
5 with every job that was in startup.

6 And the punch list -- every job at this stage has a
7 punch list, and we are, one, specifically interested in those
8 items on that punch list that are B & W's responsibility.

9 We make sure we know and understand those specific
10 items. From a general standpoint, it's not unusual during
11 our discussions for somebody to say, hey, you know, in addition
12 to the B & W items there is X-100 additional items on this
13 punch list.

14 But I don't recall that this particular instance
15 was discussed in any different fashion than any previous jobs.
16 It was just an item of discussion during the course of events.

17 Q Was the number of punch list items in January 1978
18 more or less than other plants at that stage, in your view?

19 A I have no idea. But I don't remember or don't
20 recall thinking, gee whiz, this plant certainly has a large
21 number of punch list items.

22 Q How about a much later period around December of 1978?
23 Do you have any recollection then of the number of outstanding
24 items?

25 A Certainly not.

dsp38

1 A I don't know; I've never seen this before.

2 MR. VANDENBERG: Off the record.

3 (Discussion off the record.)

4 MR. VANDENBERG: Back on the record.

5 BY MR. VANDENBERG:

6 Q Please go ahead.

7 A You know, I don't know the specific details of that
8 instance or -- you know -- just in a few brief seconds here
9 I'm not sure I know exactly what that was all about.

10 But on the surface, I think it's obvious it's just
11 that kind of thing you just referred to.

12 Q Did Mr. Rogers ever report to you additional evidence
13 that would support your conclusion that utilities tend to load
14 fuel prematurely?

15 A No, not specifically.

16 Q And one last question I have, Mr. Spangler, deals
17 with the number of punch list items at TMI-2.

18 As I understand it, the operating license for TMI-2
19 was granted on February 8, 1978 and for the couple of months
20 prior to that there were as many as 10,000 punch list or open
21 items to be completed.

22 Do you have a recollection of that?

23 A No, not specifically.

24 Q Did Mr. Rogers ever communicate or talk to you about
25 the number of items that remained to be completed prior to

dsp37

1 And my point is that once they load fuel, they
2 really have given themselves a kick in the tail because then
3 they are limited in access -- you know -- all the various
4 safety criteria, and so forth, apply.

5 And they are limited in access to the plant to
6 continue and complete their construction on other faces, other
7 than the NSS.

8 And I'm simply saying, "Hey, you're really better
9 off, in my opinion, and you wind up ultimately saving time" --
10 again this is my opinion here.

11 You are better off and you'll save time if you
12 finish the whole plant, everything, prior to the time you load
13 fuel.

14 Q Mr. Spangler --

15 A Because once you put fuel in the core, you're very
16 limited in access.

17 Q Mr. Spangler, I want to show you a March 3, 1978
18 letter to Metropolitan Edison from the Nuclear Regulatory
19 Commission, enclosing amendment number one to the TMI-2
20 operating license.

21 Is the -- excuse me. Let me start over again.

22 Was the need for this amendment an example of the
23 kinds of things you have just been talking about?

24 (Counsel handing document to witness.)

25 (Witness reviewing document.)

dsp36

1 that later proved to be unrealistic.

2 Do you see that in there?

3 A Yes.

4 Q What kinds of difficulties that lead to?

5 (Pause.)

6 A Okay. You know -- this says -- and you know I
7 wrote this and I believe it -- that there is a tendency to
8 get committed to construction dates and end dates and try
9 to hold these end dates and try to compress construction and
10 startup schedules by working overtime and by other means to meet
11 end dates.

12 And one of the points I make and continue to make
13 is that sometimes they tend to load fuel at a time when the
14 NSS, per se, is ready for fuel.

15 It has gone through all its tests; it is functionally
16 acceptable, and it's ready to load fuel. And, again, it has
17 met all the criteria, met or exceeded all the criteria, so fuel
18 is loaded.

19 But that doesn't necessarily mean that the plant
20 is ready to run. There are other components of that plant besides
21 the NSS.

22 The NSS is obviously ready, but there are many other
23 components that make up the total plant: secondary side
24 turbine generator; water treatment -- you know -- everything.
25 The plant, per se, can't run until it's all ready.

dsp35

1 Q And also on this test program, is it fair to
2 characterize this -- this test program as just a sequence of
3 tests that has to be performed regardless of dates, or is it
4 rather -- and I'm inferring from what I think you said -- that
5 the utility gets committed to a schedule, a date, and then
6 matches the tests to accomplish that date?

7 A Well, he's got a test program that he has to do;
8 he's got a series of tests that he must do. Eventually, he is
9 overall -- he is going to try to schedule those tests and
10 try to understand the schedule so he can predict when the test
11 program is going to be -- but my understanding -- but my
12 understanding is that the test program comes first, and then
13 the schedule is developed around the test program because
14 the test program is a required thing.

15 Does that answer your question?

16 Q Yes.

17 Do utilities often review their test programs to
18 see if there is anything -- any test item that they can delete
19 or substantially postpone?

20 A I don't know that.

21 Q Did Lee Rogers ever report to you any such indication
22 at TMI-2 that certain tests were being deleted or postponed?

23 A Most assuredly not.

24 Q Mr. Spanger, in your article, you mention this idea
25 that utilities continue to become committed to startup schedules

dsp34

1 A I think that's obvious, yes. You know, the utility
2 puts together a test program, and that test program is approved
3 within their own organization and ultimately, presumably, by the
4 NRC in some fashion.

5 Now, whether that program meets -- we all know it
6 meets the requirements of the NRC. I'm not sure whether any
7 of us really recognize or ask the question whether it exceeds
8 requirements of the NRC.

9 The test program is developed; it's approved within
10 the customer's organization, and it's approved by the NRC. So
11 the question you asked as to whether they go overboard, I can't
12 answer that.

13 You know, the only thing I can say is: everybody
14 knows that the ultimate test program is approved and accepted
15 by those that are involved in that.

16 Q So in the plants -- four or five plants you indicated
17 you have been involved in, are you aware that any of those
18 had test programs in excess of NRC requirements?

19 A No, not specifically, no.

20 Q Okay.

21 With regard to tests also, are you aware of anything --
22 any requirement, rather, of the Federal Energy Regulatory
23 Commission regarding a 120 rule for completing a test program?

24 This would sometimes be called construction 9-D?

25 A No, I'm not.

dsp33

1 situation where that has arisen?

2 A We haven't ever done -- taken any specific action about
3 that.

4 Q Does NRC, to your knowledge, have any guidance about
5 test programs being conducted too slowly?

6 A No.

7 Q Okay. Going back to some of the things we mentioned
8 a little bit earlier, is it your impression that all the
9 tests in the startup test program are documented in the FSAR?

10 A I don't -- again, are you talking now TMI-2?

11 Q Yes. That's talk specifically about TMI-2.

12 A I'm not that familiar in detail with any FSAR; the
13 TMI-2 FSAR is -- you know -- old. I can't answer that.

14 Q With regard to TMI-2 or generally?

15 A Generally or TMI-2.

16 Okay. Do you know if the -- if utilities ever have
17 tests beyond those that are required by the NRC startup tests?

18 A Not specifically.

19 Q In general, they keep pretty close to the NRC
20 requirements?

21 A I -- you know -- I don't know.

22 Q Is it your -- is it possible, then, that in your
23 view that the extent or number of tests that are performed on a
24 specific unit would vary based on the desires or attitudes of
25 the utility in terms of tests that go beyond the NRC requirements?

dsp32

1 Q Did you participate in answering any NRC or
2 more specifically office of nuclear reactor regulation questions
3 about the test program during NRC's review of the TMI 2
4 application?

5 A No, no.

6 Q Is -- does B & W have any concern that a utility
7 may conduct its test program either too quickly or too slowly?

8 A If you're looking for an official B & W position, I
9 can't give you one.

10 Speaking for myself, I'm not sure -- I'm not sure
11 how to answer that question. I'm not sure I understand the
12 question.

13 You know, if we saw -- if I saw in a plant that I was
14 responsible for that I felt the company was moving too fast,
15 that he was getting himself in a situation where it was reckless,
16 yes, I would feel obligated to make that fact known.

17 I think the answer to the question is that
18 obviously B & W would be interested and concerned about that
19 sort of thing.

20 Q How about if the customer, for your point of view,
21 was proceeding too slowly?

22 A Well, that concerns us also.

23 Q In what regard?

24 A It costs us money.

25 Q And what could or have you ever done about that in a

dsp3I

1 Q Okay. How do you label the tests before core
2 load?

3 A We call that pre-op testing.

4 Q And that would include hot functional testing?

5 A To my view, yes. You may find other people in
6 the building that feel that -- call it something else.

7 Q Do you know if NRC provides any guidance on the
8 schedule for conducting the full range of startup testing?

9 A Not that I know of.

10 Q Do you know if there was any formal or informal
11 guidance that B & W received upon which they based this
12 B & W standard test program?

13 A No. As far as I know, it was strictly based on our
14 own experience and on our own thinking.

15 MR. EDGAR: Is this in regard to schedules?

16 THE WITNESS: This is the standard program test
17 schedule.

18 BY MR. VANDENBERG:

19 Q That's my question. So you're saying that as far
20 as you know --

21 A It was developed by B & W for our own use, for our
22 own purposes.

23 Q And was not based on any NRC formal or informal
24 guidance?

25 A Not as far as I know.

dsp30

1 Q You just think it's an irrational --

2 A It gets to be, "Hey, the plant is near completion,
3 now."

4 MR. ORNSTEIN: Off the record.

5 (Discussion off the record.)

6 BY MR. VANDENBERG:

7 Q Mr. Spangler, where is the B & W standard test
8 plan documented?

9 A The B & W standard test plan?

10 Q Yes, the one we've been referring to this morning.

11 A Our test input -- I don't know what you mean.

12 Where it's documented? It's part of the service department.

13 Q Is there a particular document that can list and
14 contains the standard plan schedule?

15 A I'm sure there is, but I can't identify it by
16 title right now.

17 Q I want to clarify two of the terms: startup testing;
18 in your view does startup testing include both those tests
19 before core load and those tests after core load?

20 A Startup testing?

21 Q Yes.

22 A Yes, in my view it does.

23 Q And if -- is it appropriate to call the tests after
24 core load power ascension tests?

25 A We call them power escalation tests.

dsp29

1 ascension program.

2 We used this particular curve for our planning
3 purposes, and frankly, it's as much for planning our manpower
4 resources as much as anything else.

5 But it is what we consider to be reasonable in
6 knowing we were going to have certain problems.

7 But that doesn't mean it's going to be anywhere
8 near that. It could be much shorter or much longer at any
9 given site. It depends on the particular circumstances of that
10 site.

11 Now, let me say one more thing on that, because I
12 think it's very important. Fuel loading gets to be a great
13 big, emotional, commercial thing in the eyes of the customer
14 when they're building one of these plants.

15 That gets to be a day that everybody looks forward
16 to, and everybody has made commitments for. So, they load fuel
17 as soon as the plant is ready. Okay?

18 So, that also can affect how long it takes from
19 fuel loading to completion of power ascension. Okay? It varies
20 from plant to plant.

21 Q Why is fuel loading such an emotional, commercial
22 day?

23 A I don't know.

24 Q Do you know what importance the companies see in that?

25 A No.

dsp28 1 went from test to test with no outages and no shutdowns.

2 Q Would eight weeks surprise you?

3 A I don't even want to venture a guess. I don't
4 know how many days are involved. But if you went from one
5 test to the other without shutting down and without problems
6 and without delays, it certainly would be done in a much
7 shorter period than the five or six months we're talking about.

8 Q So what is the proper method of planning, in your
9 opinion?

10 Do you plan for the outages or do you schedule the
11 most optimistic schedule and then just deal with the outages
12 as they occur?

13 A You plan, to my way of thinking -- my way of
14 thinking -- you plan for reasonable outages based on past
15 experience.

16 Q Did you -- excuse me.

17 A But when you get up to a power ascension program --
18 remember this -- there are various degrees of what has happened
19 prior to that time.

20 Do you understand what I mean? You could well have
21 been through a -- a hot functional test that ferreted out most
22 of the problems and you could be in good shape to run a rather
23 rapid power ascension program. So there are too many -- too
24 many factors that are individual to each individual plant to
25 say how long it's going to take to do a specific power

dsp27 1 accounts for routine problems.

2 If you have major problems, major equipment problems,
3 it's going to go longer than that. If you're lucky and
4 have few problems, which sometimes occurs, you're going to go
5 shorter than that.

6 Q Now, turning your attention to unit 2 at Three Mile
7 Island, based upon the discussion we had earlier regarding
8 main steam valve failure and the need to replace those, assuming
9 if you will, that they had done very few of the power ascension
10 tests before they had that problem, that when they came back on-
11 line after curing the problem, they would then have to run the
12 entire power ascension program; would you estimate that it
13 would take six months to complete -- six months to complete
14 that program to the unit acceptance tests?

15 A That's what the curve says, everything being normal.

16 Q Would you consider it to be an overly optimistic
17 schedule to complete the power ascension program in the time
18 period of September -- mid-September to the end of February,
19 1979?

20 A Not -- no, not if -- how long it takes to do a
21 power ascension program -- you know -- if all you do is do
22 the testing, you go from one test to the other; it doesn't
23 take long.

24 I don't know, you know, how many days per se are
25 involved in the power ascension program, per se; if you just

dsp26

1 A That's correct.

2 Q And is it accurate that the B & W plant startup
3 schedule calls for a total of approximately 14 months or
4 28 weeks?

5 A From hydro, yes.

6 Q From hydro to unit acceptance test?

7 A Yes, that's correct.

8 MR. EDGAR: 14 months or how many weeks?

9 THE WITNESS: 14 times 4. What --

10 MR. EDGAR: 56 weeks.

11 BY MR. EVANS:

12 Q And is it accurate to state that this B & W planned
13 startup schedule calls for approximately six months between
14 fuel load and the unit acceptance test?

15 A Yes.

16 Q Does that six month period in the B & W planned
17 schedule take into account significant downtimes which
18 will occur at units because of problems in the test phase?

19 A I'd say it takes into account what we would consider
20 to be-- and I know you're going to ask this -- but what
21 we would consider to be a normal problem sequence.

22 You have outages during the startup period for
23 problems, and -- you know -- routine problems, I guess, more
24 or less.

25 It does not account for major problems, but it

dsp25

1 A Well, I'm going back -- now. I'm recalling our
2 planning for a startup and our standard plan schedule. Our
3 standard plan schedule, if I recall right, is about 22 months.

4 Q 22 months for what?

5 A From the beginning of the testing which occurs --
6 you know -- just around about the same time hydro takes place --
7 system hydro to completion of acceptance tests.

8 Q That's a standard --

9 A That doesn't jive at all with this. You know, this
10 says four years from hydro --

11 Q Now, I believe if you look at that --

12 A -- completion of hydro.

13 Q If you look --

14 A Wait a minute now. Let me look. Okay, maybe you
15 are --

16 MR. EVANS: Let's go off the record.

17 (Discussion off the record.)

18 MR. EVANS: Let's go back on the record.

19 THE WITNESS: So we're back to five months.

20 BY MR. EVANS:

21 Q Back on the record now, Mr. Spangler, let's attempt
22 to clear up this problem with Figure 6 in Exhibit 1151.

23 A Okay.

24 Q Is it accurate now as listed in that exhibit that
25 the standard is months and not weeks?

dsp24

(Discussion off the record.)

BY MR. EVANS:

Q Mr. Spangler, what is the standard B & W estimated period for the period between fuel load and unit acceptance test, to your knowledge, whether based upon this article or not?

A I really would rather go back and check my records, my paper.

Q Would five weeks be an unrealistic time?

A That's pretty short.

Q Would 10 weeks be realistic between fuel load and unit acceptance test?

A I would say it would be fairly realistic. But again I want to go back and check our planning because this has confused me -- you know -- right now.

Obviously, 10 months is a long time.

Q Would you also suggest then that the measures used on page 27 of the article which talk about months after fuel loading and show that at Crystal River 3 the unit acceptance test was conducted 4.6 months after fuel loading?--

A No, I think that's right.

Q That's right?

A Yes. No, that's actual.

Q Well, then could you explain for me why you believe it's actual on page 27, but a typo on page 29?

dsp23

1 which are prepared as shown in Figure 6 -- I'll give you a chance
2 to look at that.

3 (Counsel handing document to witness.)

4 (Witness reviewing document.)

5 A Okay.

6 Q Okay. Would it be fair to say, based upon the table
7 that is presented there -- and I could point you to other
8 points in the article, if necessary -- but would it be fair
9 to say that approximately five months is the standard
10 time for a B & W unit between fuel load and unit acceptance
11 test?

12 (Pause.)

13 A Let's see. Let's see. We say -- we're looking
14 at eight to 10 weeks for fuel loading and acceptance tests.
15 That's what we say is achievable here: three to five; Oconee 1,
16 three to five. It was, oh, 15 weeks.

17 Three Mile Island 1 was only about five weeks.

18 Q Maybe you can help me understand the legend at the
19 bottom. This is months?

20 A This is months. Excuse me. Yes, it is.

21 Q So all your prior statements should be corrected to
22 read "months."

23 A Right. We say, going back, "fuel loading to
24 acceptance test" -- no, there's something wrong here somewhere.

25 MR. EVANS: Off the record.

dsp22

1 customers.

2 The purpose of that seminary is to relay to all
3 of our customers at one time in one room all of the information
4 we have relative to operating plants.

5 In the course of -- well, the objective is to get
6 problems on the table, and usually at these meetings they
7 ask whoever is manager of the startup effort of our startup
8 programs to just discuss the activities of those plants that
9 are in the startup program or in startup phase. And that was
10 the purpose of that.

11 Q Is this an annual meeting?

12 A This is an annual meeting.

13 But it doesn't have the same agenda every year. The
14 agenda is put together based on the times, what is going on.
15 So it's not something the same paper would be prepared every
16 year for.

17 Q Do you recall at the present time what you calculated
18 as the average time that would pass between initial fuel loading
19 at a unit and the unit acceptance test?

20 Do you have that in your memory?

21 A Run that by me again.

22 Q Do you recall today what is the average time for
23 a B & W unit between fuel load and unit acceptance tests?

24 A No, I don't have it in my head.

25 Q Let me ask, if looking at Exhibit 1151, the tables

dsp21

1 A If I recall -- it goes back awhile -- if I recall,
2 we were not very far along on the TMI startup when that thing
3 was written.

4 And so it was impossible to make comparisons.

5 Q Subsequent to publishing this article, did you
6 publish another article which included data on Three Mile
7 Island 2?

8 A No, I don't think so.

9 Q Was there a 1978 version of this article?

10 A No.

11 Q So this is a one shot deal. It's not something
12 you prepared annually?

13 A That's right.

14 It depends on the subject of the meeting.

15 Q For your own purposes, have you gone back and
16 compared the startup program at Three Mile Island 2 with the
17 programs that are identified in this article?

18 A I haven't, per se, because just about the time
19 things were wrapping up, the TMI-2 incident occurred. Otherwise,
20 I no doubt would have.

21 Q Has anyone else that you know of at B & W prepared
22 such an analysis?

23 A Not to my knowledge.

24 Q Why did you prepare this 1977 article?

25 A We have an annual operating plant seminary with our

dsp20
1 A I don't -- I can't answer that question. I have
2 no idea what the significance of those tests are to NRC.

3 Q Do you know if it's included in the FSAR of Three
4 Mile Island 2?

5 A No, I do not.

6 Q Do you know if it's usually included in the standard
7 FSAR test procedures which B & W assists the licensee in
8 preparing?

9 A I do not.

10 Q Do you know if the unit acceptance test has an
11 importance to any other regulatory agency, other than the
12 NRC?

13 A I don't.

14 MR. EVANS: Off the record.

15 (Discussion off the record.)

16 MR. EVANS: Back on the record.

17 BY MR. EVANS:

18 Q Mr. Spangler, I'm now going to focus on some of the
19 information in Exhibit 1151 and specifically I'm going to
20 attempt to have you assist me in drawing comparisons between
21 the startup test program at Three Mile Island 2 and those
22 described in your 1977 article, which is Exhibit 1151.

23 In that exhibit you stated that you hadn't received
24 enough information from Three Mile Island 2 to make a comparison
25 of its program when you wrote this article; is that correct?

dsp19

1 to be performed.

2 Is that consistent with your understanding?

3 A Yes.

4 Q My question is --

5 A Well --

6 Q Excuse me.

7 A Are we talking about the TMI FSAR, per se?

8 Q Not yet.

9 My question is: does B & W normally assist licensees
10 in preparing a list of tests to be performed which are then
11 incorporated into the FSAR?

12 A Yes. We provide them with guidance and with
13 information, and then they prepare the FSAR from that.

14 Q Are you familiar with the FSAR for Three Mile Island
15 2 as it relates to tests to be performed?

16 A No.

17 BY MR. VANDENBERG:

18 Q Is that assistance, Mr. Spangler, part of the
19 master service contract or part of the NSSS?

20 A Part of the NSSS.

21 BY MR. EVANS:

22 Q Mr. Spangler, what is your understanding of the
23 importance of the initial warranty run to the NRC?

24 A Again, I don't know what a warranty run is.

25 Q Excuse me. Unit acceptance test?

dsp18

1 test?

2 A A full load operation meeting prescribed criteria.

3 Q Is that a test?

4 A It is a test, but it is not an official test; it's
5 not a test that is recorded for some official purpose like
6 the acceptance test.7 Q Well, that is my question: what is the test before
8 the acceptance test which is recorded for some official purpose
9 which shows --10 A To my knowledge, there is no official test prior
11 to the acceptance test that officially records that.12 Q Would you consider the full power generator trip
13 test to be the next closest thing?

14 (Pause.)

15 A I don't recall exactly where that comes in the
16 test sequence.17 I -- you know -- I don't have the whole test program
18 committed to memory.

19 Q Are you familiar with the -- strike that.

20 Is there a standard set of B & W tests which are
21 incorporated in the FSARs of various units?

22 (Pause.)

23 A I'm not sure I understand the question. There is
24 an FSAR, of course.

25 Q And the FSAR, I understand, contains a list of tests

dspl7

1 and again I'm just going by memory --

2 Q Yes.

3 A -- was put into what they called commercial operation
4 significantly prior to the acceptance test.

5 Q Can you think of units where the acceptance test
6 has been run before commercial operation?

7 A No, I can't.

8 Q Do you consider the unit acceptance test the completion
9 of the test program?

10 A Yes.

11 Q Could it be fair to say a test program was incomplete
12 without it?

13 A That's hard -- you know -- the acceptance test really
14 has a lot of commercial impact, per se.

15 And in reality prior to the time that official
16 acceptance test is run, the unit would normally have been
17 operated at full load a number of times, and would have
18 already proven itself capable of doing so.

19 It's this formal thing, then, that becomes the
20 acceptance test.

21 So normally the test program will not be complete
22 without it. But certainly the plant would be proven prior to
23 that time, proven capable.

24 Q What is the test, in your mind, which proves that
25 the plant is capable of being operated before the unit acceptance

dsp16 1 Q Mr. Spangler, would you like to clarify your
2 previous answer?

3 A No. I would assume that some of our people were
4 there during the so-called acceptance test.

5 MR. EDGAR: Off the record.

6 (Discussion off the record.)

7 MR. EVANS: Back on the record.

8 BY MR. EVANS:

9 Q Mr. Spangler, could you, based upon your experience,
10 draw a distinction, if there is one, between a unit acceptance
11 test and an initial warranty run test?

12 Is there a difference between those two?

13 A Not in so far as I know about; we use the term
14 "acceptance test," so I don't recall in my history here that
15 we use the term "warranty test," per se.

16 Q Could you describe for me, based on your experience,
17 the relationship between the unit acceptance and commercial
18 operation at a nuclear unit?

19 A As far as I'm concerned, the two aren't related,
20 normally.

21 Q Is complete -- successful completion of the unit
22 acceptance test a prerequisite to commercial operation?

23 A It certainly hasn't been in some cases?

24 Q Could you name instances where you --

25 A Davis-Besse, for example: that unit, as I recall --

Dspl4

1 A No.

2 Q Do you have any recollection as to the similarity
3 between the two problems at TMI-2 and at Davis-Besse?

4 A No.

5 Q Do you recall regarding this main steam relief
6 valve problem at TMI-2 whether B & W played any role in
7 analyzing the problem or making recommendations as to the
8 solution of the problem?

9 A We did not from here.

10 Q Do you know if Mr. Rogers did?

11 A I don't know.

12 Q Would you expect Mr. Rogers to report to you if he
13 did take a role in something of that nature?

14 A If he did anything in an official fashion, such as
15 written recommendations, I'm sure I would have received
16 copies of such recommendations.

17 Q Through your daily briefings with Mr. Rogers or
18 through the weekly reports, did you keep track of the progress
19 of this problem at Three Mile Island 2?

20 A Sure.

21 Q Are you familiar with the planning of GPU with regard
22 to the problem, whether they were going to replace the valves
23 or modify the valves?

24 A To the -- to the extent that they kept us advised on
25 a daily basis; but recognize that the communications -- there

dsp13

1 Q I'm going to ask you some questions based upon things
2 in this paper throughout the course of our questioning.

3 At this time, I'd like to call your attention to
4 Table 2 in Exhibit 1151, which deals with Davis-Besse 1,
5 problems during startup.

6 And under that table you have listed HPI pump
7 lube oil system as being one of the problems at Davis-Besse.

8 A Where are we here?

9 Q Do you recall that at this time?

10 A No, I certainly don't.

11 Q Did Lee Rogers report to you during the power
12 ascension testing phase of an April 23, 1978 transient, during
13 which the main steam relief valves malfunctioned?

14 A I don't recall.

15 Q Let me attempt to refresh your recollection: at
16 Three Mile Island 2 there was a significant period of downtime
17 required to replace the main steam relief valves.

18 A That's correct.

19 Q And it is my understanding that this transient
20 first brought the problem to GPU.

21 So are you familiar with the problem?

22 A I'm familiar with the problem, yes.

23 Q Again referring to Exhibit 1151, at Davis-Besse you
24 have listed as a problem main steam code safety valves.

25 Do you recall that at this time?