

OK
1/11

NUCLEAR REGULATORY COMMISSION

IN THE MATTER OF:
THREE MILE ISLAND

INTERVIEW OF LEON ENGLE

Place - Bethesda, Maryland

Date - Wednesday, 8 August 1979

Pages 1 - 77

POOR ORIGINAL

Telephone:
(202) 347-3700

ACE - FEDERAL REPORTERS, INC.

Official Reporters

444 North Capitol Street: 8001 280553
Washington, D.C. 20001

NATIONWIDE COVERAGE - DAILY

1-28-79
1-12-79
1-15-79

T

CR6347

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

-----X
:
In the Matter of: :
:
THREE MILE ISLAND :
:
-----X

INTERVIEW OF LEON ENGLE

Room 401
Arlington Road Building
6935 Arlington Road
Bethesda, Maryland

Wednesday, 8 August 1979
8:50 a.m.

BEFORE:

FRED HEBDON
WILLIAM PARLER
TOM COX

pv

P R O C E E D I N G S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. HEBDON: Let's begin, please.

Whereupon,

LEON ENGLE

was called as a witness and, having been first duly sworn, was examined and testified as follows:

EXAMINATION

BY MR. HEBDON:

Q Have you read and do you understand the witness notification that was attached to the memo sent to you concerning this interview?

A I do.

Q Would you please state your name.

A Leon Engle.

Q What is your current occupation?

A I am presently project manager for the restart of TMI Unit 1. I work for Denny Ross in Bulletins and Orders, and have been put on loan to Dick Vollmer on the TMI task force.

Q What was your position in late 1977?

A In late 1977 I was project manager, branch LWR-1; branch chief was John Stolz. I had responsibility for the licensing matters regarding Davis-Besse and operating plant, and at that time I also had the responsibility for seeing that the Palo Verde 4 and 5 qualification review was complete.

Q Since Davis-Besse was already an operating plant, why

pv

1 were you still assigned at the LPM?

2 A Davis-Besse, when it got its OL in April of '77, had
3 a lot of stipulations or conditions in the license, which
4 required further actions. In addition to that, the plant had
5 had a long period of time up through September in startup and
6 testing problems related to the secondary system
7 instrumentation, ironing the bugs out of the system; and they
8 had not really got up to even 15, 25 percent of power. And
9 based on this ongoing activities, which really interfaced more
10 with the project manager, which was me, prior to OL issuance,
11 the project had not been transferred to DOR.

12 In September we started working on what's called a
13 "transfer package," which gives out the specificity of the
14 items that require further action and what actions had been
15 completed. This transfer package requires the concurrence of
16 groups in DSS, DOR, before it is finally transferred to DOR;
17 and we were just working on that in September.

18 Q What was the nature of the stipulations that were on
19 the license?

20 A Oh, they included a variety of items, conditions such
21 as must keep one reactor coolant pump in operation per loop;
22 they had to complete an analysis for the Millstone grid, which
23 was a generic issue at that time. Another one was related to
24 fire protection; they had to provide a submittal, updated
25 submittal, on fire protection, generic matters and conditions

pv 1 that you find in an operating license. There were 23 items, as
2 I remember.

3 Q Was it unusual to have these types of conditions and
4 stipulations, or this many conditions and stipulations?

5 A I understand from other people that Davis-Besse had a
6 large number compared to some of the plants. Just how many
7 more in relation to the other plants, I don't know.

8 Q Do you have any idea why they had so many?

9 A Many of these were items that had been licensing
10 issues prior to the issuance of the SER, which we had
11 stipulated in the SER items which the reactors -- the atomic --
12 the Advisory Committee on Reactor Safeguards, some stipulations
13 they required in there as a result of our meeting on
14 Davis-Besse. And these items, in some cases, continued down
15 through the supplement; and in some cases, they were resolved,
16 and some cases, it required additional actions which the staff
17 deemed necessary over a period of time, but which would not
18 necessarily preclude OL issuance.

19 Q Do you recall if any of these issues or any of these
20 stipulations had any bearing on the incident that occurred at
21 Davis-Besse on September 24, 1977?

22 A No, I do not.

23 BY MR. PARLER:

24 Q One point of possible clarification. You referred in
25 your answer, when you were referring to the various conditions

pv 1 in the Davis-Besse license, to the need to complete an analysis
2 of the Millstone grid. Did you mean to refer to Millstone?

3 A That's correct.

4 BY MR. HEBDON:

5 Q How many people reported to you in your capacity as
6 a licensing project manager?

7 A Prior to OL issuance, I would say that there were 23,
8 possibly 25, individuals that I had responsibility with who
9 were involved in the various DSS groups. After the plant
10 received an OL, a change occurs; at that point, you are now
11 working with Enforcement and Inspection, who have
12 responsibilities on an operating plant, and so you interface
13 with them also.

14 As to the actual number of people who reported to the
15 project manager, I think it would be more of a case of me
16 contacting them and requiring actions of them, and the number
17 would vary depending on what the issues might be.

18 Q Could you describe your employment history, including
19 positions held at the NRC?

20 A I came from Los Alamos as a loanee in 1973 and was
21 assigned to Division of Project Management. At that time I was
22 given the construction permit review for Greenwood Energy
23 Center Unit 2 and 3. In 1974 we issued our SER on Greenwood in
24 July; and in August of '74 we went to the Advisory Committee of
25 Reactor Safeguards, where we received a favorable letter for

pv 1 this CP application.

2 In September, the applicant, Detroit Edison, for
3 Greenwood Energy Center indicated they were deactivating the
4 review because of financial difficulties, and the review came
5 to an end.

6 In late December of 1974, I was assigned the OL
7 licensing matters regarding Davis-Besse Unit 1, and also was
8 assigned the licensing matters for Crystal River Unit 3. In
9 addition to that, I was assigned licensing matters for Midland
10 Units 1 and 2.

11 Do you want me to continue with this?

12 Q Yes.

13 A And that remained fairly well -- those three
14 responsibilities up to, I believe it was, the middle of 1974,
15 when additional responsibilities on both Davis-Besse and
16 Crystal River, which were both OLs, I was relieved of my duties
17 along Midland 1 and 2.

18 Q Why was that?

19 A I had two OLs, and there is a certain amount of work
20 to be done, and my branch chief felt that I should be relieved
21 of those duties on Midland 1 and 2.

22 Q So, it was just a workload consideration?

23 A Workload consideration.

24 At the licensing process -- continued through 1974 on
25 both these plants, addressing safety issues, and continued, oh,

pv 1 on into 1975 and '76.

2 Basically, the responsibilities were on these two
3 plants, Crystal River and Davis-Besse, plus a one-month period
4 in the summertime each month when Detroit Edison asked for an
5 expedited 30-day requalification review on the status of their
6 deactivated Greenwood Energy Center.

7 And then, in late 1976, both Crystal River and
8 Davis-Besse, although they had slipped in schedule, were
9 finally coming closer to that time when the SER -- they would
10 be requesting an operating license with some indication that
11 they would be ready for fuel loading.

12 Late 1976 -- let's see late 1977, in the fall,
13 because of dome delaminations on the containment of Crystal
14 River Unit 3 and those ensuing problems, I was placed on
15 Davis-Besse alone, because of workload. And in, I believe it
16 was, November of 1977 we issued our SER for Davis-Besse -- I am
17 sorry, I am speaking of 1976 now -- in November of 1976 we
18 issued the SER for Davis-Besse, and in January of 1977 we went
19 to ACRS on Davis-Besse, and then in early April we issued the
20 supplement to the SER on Davis-Besse.

21 And I believe it was April 7, 1977, we issued our
22 operating license for Davis-Besse, and then the matters which I
23 have mentioned continued on Davis-Besse, and I have
24 responsibility for that OL which was now an operating plant,
25 and then was given the qualification review for Palo Verde 4

pv 1 and 5 around the first of October 1977. And that continued on
2 until, oh, about the middle of December, when we finished the
3 qualification review on Palo Verde 4 and 5, at which time, in
4 addition to my duties still on Davis-Besse, I was assigned the
5 BOPSAR/BSAR-205 standard review.

6 Then we get on into 1978. I still had Davis-Besse
7 and was continuing with the safety review on BOPSAR/BSAR-205.
8 That continued on through into 1978. And in August of 1978
9 BOPSAR -- or mid-summer 1978 -- the BSAR-205 was transferred to
10 the Standard Licensing Branch for standard plants, at which
11 time I picked up Arkansas Unit 2, which had just received an
12 OL. And I continued with those licensing matters in the same
13 manner that I still had Davis-Besse.

14 And I believe it was around the end of October 31 we
15 finally transferred Davis-Besse to the Division of Operating
16 Reactors. That would be December of 1978. And at that time,
17 then, I continued with the Arkansas operating license matters,
18 and that continued on down to about the first of June 1979.

19 Q What was your employment history prior to coming to
20 the NRC?

21 A My history goes back to 1950, when I was first
22 employed by the Land-Air Company, which was an Air Force
23 subsidiary, in White Sands, New Mexico, involved in setting up
24 a radar beacon system to track early missiles in development.

25 After that I went to Los Alamos and spent 23 years

pv 1 there until I came back here and went through various periods
2 of working in weapons development and then into theoretical
3 work on neutron cross-sections for fast assemblies, worked on
4 critical assemblies at the Pagarito Lab.

5 That continued and finally got into theoretical work
6 tied in with computers on coupled neutronic, neutronic
7 hydrodynamic codes on LMFBR accidents.

8 Q What's your educational background?

9 A I have a bachelor of science degree from Colorado
10 College, 1950, in physics and mathematics. And then additional
11 graduate work at the University of New Mexico, which was
12 carried on through the Los Alamos training program.

13 Q Okay. I would like to ask you some questions
14 concerning the incident that occurred at Davis-Besse September
15 24, 1977. I am mainly concerned with your knowledge concerning
16 that event prior to March 28 of '79, prior to the accident at
17 TMI.

18 What was -- prior to March 28, 1979, what knowledge
19 did you have concerning the incident that occurred at
20 Davis-Besse on September 24, 1977?

21 A As I have indicated, at that period of time I was the
22 project manager for Davis-Besse. Now, that event occurred at
23 about 23 hours on September 24, 1977, which was a Saturday.
24 So, then, you get into September 25, which was a Sunday, and
25 then we go into September 26, which was Monday.

pv

1 And I was at work, and sometime late morning,
2 Jerry Klingler, of I&E, called me and notified me of the event,
3 and indicated that they would be issuing an I&E early
4 notification of what might be a significant or abnormal event.

5 I talked to Jerry, and he indicated it was basically
6 a feedwater transient, and I learned from Jerry basically that
7 there had been a feedwater transient but it was also coupled
8 with a primary system transient which had allowed about 10,000
9 gallons of water to spread over the containment floor. There
10 had been some damage, slight damage, to the steam generator.

11 And as I remember, after talking to Jerry, I notified
12 my branch chief and AD on what little information I had at that
13 time.

14 Later on in the day, on that Monday, I tried to get
15 hold of the licensee. I had eight different telephone circuits
16 to contact them, and they were very busy. I couldn't get them.

17 Q Do you know why the phones were still so busy on
18 Monday, since the incident occurred on Saturday night?

19 A I can only suppose, but it makes all the sense in the
20 world, that they were evaluating this event.

21 Q Okay.

22 A I contacted, I believe it was, Jerry Mazetis and --
23 of Reactor Systems Branch -- and Andy Szukevicz, of the
24 Instrument and Control Branch, and told them what little I knew
25 of the event at that time, just to inform them.

pv 1 Then, let's see, 24th, 25th, 26th. On Tuesday, the
2 27th, the licensee called me up the first thing in the morning.
3 As I remember, it was about 8:10. And the man who called me
4 was a Mr. Eugene Novak. He was in charge of licensing on
5 Davis-Besse. And he told me what had happened, went into a
6 little more detail, indicating the scenario of events.

7 I then, after that telephone call, I briefed my
8 branch chief and made a call to I&E to get more information,
9 and I called Jerry Mazetis, Andy Szukevicz; and I also notified
10 Jack McDermott, who was in the QA Branch and involved in
11 startup testing.

12 Then, late in the day, I called the licensee back and
13 asked for a further status report. And as I recall, on
14 Wednesday, I called I&E in the morning --

15 Q Could I interrupt for just a second? What were the
16 concerns that caused you to contact each of the people that you
17 called? Why did you call Mazetis; why did you call McDermott?

18 A Well, that's just to keep them informed, because they
19 are reviewers in this area, and I wanted to make sure that
20 people were beginning to know what had happened and what was
21 going on here.

22 Q Why those three individuals as opposed to any of the
23 20-some-odd reviewers that were involved in this project?

24 A Because it had come out there was a spurious
25 half-trip in the steam feedwater and rupture control system on

pv 1 Davis-Besse, which was basically an electrical problem; and
2 therefore, I felt Andy should know about this.

3 It was also very apparent that there had been a
4 transient in the primary system, and that was in Jerry's
5 bailiwick. At that time I felt those were the two most
6 significant areas.

7 And the reason I talked to Jack was we had been
8 involved, me as project manager and he in the startup testing
9 on Davis-Besse, and I felt he should know about this, too.
10 Notifying the branch chief is just the normal procedure to keep
11 people up to date.

12 BY MR. PARLEN:

13 Q Who was the branch chief?

14 A John Stolz.

15 Q Who was the assistant director that you refer to at
16 this time?

17 A Don Vassallo.

18 Q And who was the contact that you communicated with in
19 Inspection and Enforcement?

20 A To the best of my recollection, I contacted
21 Carl Seyfrit in I&E headquarters, Jerry Klingford, and I also
22 talked to the Region 3, Dick Knopp.

23 Q Who was the person that you contacted in the
24 Davis-Besse organization? Was this Novak, Eugene Novak?

25 A Eugene Novak.

pv

1 Q Did you have any contact with anybody in the Babcock
2 & Wilcox organization?

3 A No, not at this time.

4 On Wednesday of that week, sometime in the morning,
5 Andy Szukevicz called me and said that he was going on a trip
6 to a -- a DSS trip to Davis-Besse to investigate the accident,
7 and asked me if I was going. I knew nothing of this.

8 So, I called Jerry Mazetis again in Reactor Systems
9 Branch, as a matter of curiosity and interest; and he indicated
10 that he also was going.

11 So, I notified my management that this trip was
12 upcoming for the Friday which would have been September 30 and
13 indicated whether they thought I should go, and, of course, I
14 felt I should go.

15 Q Why weren't you involved in setting up the trip in
16 the first place?

17 A Because I did not think at this time that a trip was
18 required. I&E had two inspectors in the field at the site.
19 They were still analyzing this event, and I felt that it was
20 more important at this time to let everybody do their homework,
21 sort it out, and then once we had a further contact with I&E,
22 that if a trip was appropriate, it would then be held.

23 I wanted those inspectors on their own to make sure
24 that they had a good feel for what had happened out there.

end#1

25 Q Who set up the trip?

gsh

1 You don't have any idea who arranged the trip?

2 A No. All I know is that it was being set up.

3 Q Do you have any idea why you weren't more formally
4 informed of the fact that this trip was going to be made?

5 A I think probably that was due primarily to hurried
6 reaction to get a trip going on the part of DSS.

7 Q Who in DSS would have been the one to make such
8 a decision? Do you have any idea?

9 A I have no idea. I would imagine it was the branch
10 chiefs and their appropriate management.

11 Shall I continue with the scenario of events?

12 Q Please.

13 A On Thursday morning, I called up I&E region 3,
14 both in Chicago, Glenn Allen, and contacted the inspector
15 out at the site. And it was my conclusion at that time that
16 I was not going to bother them with further calls. That might
17 be more of a hindrance to them, getting all the facts
18 together.

19 Q Who is the inspector at the site that you contacted?

20 A At that time there were two inspectors. It was
21 Tom Tambling and Terry Harpster. and I forget which one it
22 was that I talked to.

23 As I remember, and this is only in remembrance, I
24 think Tom had gone back to Glenn Allen and I talked to Terry.
25 I did learn, though, at that time that I&E would be issuing

ush
1 an immediate action order specifying certain things required
2 of the licensee to evaluate and check out before they came
3 back up to power.

4 BY MR. PARLER:

5 Q How did you learn that?

6 A By talking to them.

7 Q To whom?

8 A To the region 3.

9 BY MR. HEBDON:

10 Q To Harpster when you called him at the site?

11 A Harpster or Dick Knopp at region 3.

12 BY MR. COX:

13 Q From the beginning of the scenario until this point
14 in time that you are now describing, do you recall any
15 informal or formal request by the I&E people with whom you
16 had contact to the NRR organization? And again, I have to
17 cite either informal or formal, a request by I&E to NRR
18 through you or through anybody for assistance in evaluating
19 what was going on?

20 A Up to this point, which I'm speaking of as about
21 Wednesday, noon, no. They had not requested a meeting of us
22 at the site. I had had a lot of informal calls with I&E to
23 try and keep up on this event and make sure what was going on.
24 But no specific request that I remember from I&E in this
25 particular week for assistance.

sh

1 BY MR. HEBDON:

2 Q Was that normal for them to go ahead and do that
3 phase of the investigation on their own without any assistance
4 from NRR?

5 A Absolutely. They are the lead -- they have the
6 lead responsibility to assess what has happened, whether there
7 has been any impact on safety and health to sort out what has
8 happened and make a preliminary determination, such that an
9 immediate action order can be issued from I&E requesting
10 that any additional things may be done.

11 On an operating plant, the intensity of getting
12 actions going is a little different than it is in a
13 pre-licensing situation because, you know, sooner or later,
14 the licensee is going to want to bring that plant back up on
15 line after they have completed whatever they feel is required.

16 Now that entails from the project manager that he
17 is keeping close contact on what is going on. He knows what
18 I&E is doing, what they are requiring, what the licensee is
19 doing. Are they interfacing?

20 And also, in case there is going to be any required
21 safety analysis on the part of NRR, that he be able to arrange
22 that to fit into all the other priorities that the reviewers
23 may have.

24 All of these things get involved. And telephone is
25 the quickest, most expeditious way to get some of these things

sh 1 done in short time-frames.

2 Q During this time immediately following the incident,
3 were you aware of the utilities plans with respect to
4 restarting the plant? For example, on Monday or Tuesday, did
5 you know whether they planned to try to restart back up on
6 Wednesday?

7 A No, they were shut down. They figured -- well, they
8 knew when an immediate action order was coming that would
9 require specific actions.

10 Q Did you know that?

11 A Beg your pardon?

12 Q Did you know that?

13 A Well, like I just said, I knew that on Tuesday.

14 Q You knew that on Tuesday.

15 A Right.

16 Q Okay.

17 A Now, in talking to Mr. Novak, he indicated that they
18 had representatives from B&W out there. They had
19 representatives from the architect engineer, Bechtel
20 Corporation, that there were I&E representatives on the site,
21 and that all of these parties were evaluating the damage and
22 possible damage on the transient, and realized full well that
23 the plant would probably be down for some period of time.

24 Now when I&E issues an immediate action order
25 that stipulates that such and such actions must be completed

sh 1 to the satisfaction of the I&E before the plant is allowed to
2 start up.

3 So Davis-Besse on Wednesday of that week was
4 effectively shut down until additional evaluations were made.

5 Shall I go back to the continuing from Wednesday
6 and go on?

7 Q Yes.

8 BY MR. PARLER:

9 Q Incidentally, for purposes of clarification to
10 other readers of this record, Mr. Novak, to whom you last
11 referred, and Mr. Eugene Novak of the Toledo Edison Company.

12 A That is correct.

13 Wednesday, about Wednesday, noon, I got word from
14 my management that I was going on a trip. And the rest of
15 Wednesday afternoon was set up in getting that coordinated.

16 BY MR. HEBDON:

17 Q Had you expressed to your management your concern
18 that it was premature for you to make a trip to the site and
19 for the people from DSS to make a trip to the site?

20 A As I remember, I expressed to my branch chief that
21 I felt it was premature. I did not mention this to DSS.

22 Q Did he give you any indication of whether or not
23 that had been discussed with DSS?

24 A No, he did not.

25 Q All right. Just go ahead, please.

sh 1 A All right, now we're into Friday, which is September
2 30th. We left in the morning, went out to Cleveland, got out
3 to Davis-Besse, which is about 40 miles west of Cleveland at
4 about 11:00. Convened in one of the construction buildings
5 and in that party was Jerry Mazetis, reactor systems branch,
6 Andy Szukevicz, instrument control branch, Vince Leung --
7 his last name is spelled L-e-u-n-g -- of the auxiliary
8 systems branch, and R. Raj Rajan of the -- and he was in the
9 mechanical engineering branch.

10 The meeting convened about 11:00 and there were
11 representatives from the Toledo Edison Company; that is:
12 Eugene Novak, Lowell Rowe, vice president of construction;
13 Chuck Domack, who had been placed as project manager with the
14 Toledo Edison Company just recently on Davis-Besse 1.

15 There were a lot of people. There were B&W
16 representatives, there were Bechtel representatives, and there
17 were the I&E inspectors who had been out there, a team of them.

18 And as the meeting convened, I wasn't sure of just
19 what my place was in this meeting. It was more a DSS
20 meeting than it was my meeting, which if I had set it up.

21 But questions were coming from all different areas --
22 what do we have to do or what went wrong with the auxiliary
23 feedwater system, what happened to -- was there a lot of
24 insulation around the sump pump in the containment building?

25 I think it was just normal, being a project manager

sh 1 and being used to leading meetings. I tried to direct the
2 meeting so that we would get the overall scenario before we
3 got into specifics.

4 And we convened at, oh, I don't know, it must have
5 been about 12:00 and I think we met at 1:00. And we had a
6 session where the licensee presented what they are doing.
7 I&E indicated what they had requested the licensee to do.
8 There was a dialogue between the staff and myself on various
9 questions relating to the reactor coolant system transient.
10 Also, the aux feedwater transient. Some discussion of, was
11 there any residual radioactivity in the 10,000 gallons of
12 water? What actions they were taking in regards to design
13 basis accidents to see that the design of the equipment had
14 not been exceeded by any of these transients.

15 And that went on until about 4:00 when we left and
16 came home Friday night.

17 Now they had -- the Davis-Besse plant, because it
18 was in a start-up phase, had the B&W reactimeter connected
19 to their instrumentation, which is a high speed computing
20 device which records reactor core parameters, reactor coolant
21 system parameters and some of the aux feed parameters.

22 There was a mass of data and I got a copy of this
23 and proceeded home and over Saturday and Sunday spent most
24 of those two days making a large poster-size graph of the
25 event.

sh 1 That event -- I don't have that with me because
2 the President's commission has requested that copies be made
3 of that, but I made a point to see that an additional copy
4 will be sent to you.

5 That graph was, oh, a large poster-size and it
6 basically was a plot as a function of time of several basic
7 primary parameters.

8 Those parameters were reactor coolant pressure,
9 pressurizer level, T-hot, T-cold, and one of the loops -- I
10 think it was B loop, and also saturation pressure. Yes,
11 saturation pressure, the coolant system.

12 BY MR. HEBDON:

13 Q Could we back up just a moment and let me clarify
14 a couple of points?

15 Who are the people who attended the meeting from
16 I&E?

17 A There were several people. Terry Harpster, however,
18 was the lead inspector. That was the man I talked to on that
19 30th.

20 Q Do you recall any of the other people that were
21 there from I&E?

22 A I do not recall their names. Tom Tambling,
23 however, had gone. I remember he was gone.

24 Q Did you have any meetings with I&E before you went
25 out on this trip, any meetings with the people from I&E

sh 1 headquarters?

2 A A 10-minute meeting with them as we walked in the
3 building prior to the 11:00 meeting.

4 Q But there were no meetings or briefings prior to
5 that that you know of?

6 A Just a 10-minute briefing.

7 Q Were there any meetings with any of the people that
8 would be participating in the trip prior to the trip?

9 A Not that I know of. We got out there at 11:00. We
10 immediately went into the meeting and there was just that
11 little 10-minute period.

12 Q But none during the week preceding the trip out
13 there?

14 A Now I'm still speaking --

15 Q You went out there on Friday. Now during the week
16 prior to the trip out there, were there any meetings or
17 briefings by people from I&E or from any other group of
18 people from within NRR?

19 A I know of none other than my telephone calls with
20 I&E.

21 Q By phone.

22 A By phone.

23 Q Did you prepare a trip report for the trip out
24 there?

25 A I had planned to but on Monday morning, I received a

gsh

1 call about 8:30. Jerry Mazetis said that DSS was going to
2 have a DSS briefing on their trip. And I told Jerry that
3 I prepared this large-scale poster that I was more than willing
4 for him to use to describe the scenario of events.

5 And I forget exactly when the meeting started, but
6 it started with Jerry using the plot that I had made to
7 describe the overall scenario of events. And that meeting
8 went on -- I don't know -- roughly an hour, an hour and a
9 half. And at the conclusion of that meeting, it was decided
10 that -- I believe it was Carl Seifert indicated to Roger
11 Mattson that the I&E would maintain lead responsibility in
12 evaluating this event.

13 And also, as I remember, I talked with Jerry and
14 indicated for the present, this is your meeting. Are you
15 going to make a trip report for the DSS?

16 And I got out of that meeting and I had important
17 things to do on Davis-Besse and proceeded from that point to
18 do the things which I felt I had a responsibility for.

19 To answer your question, no, I did not make a trip
20 report.

21 Q What was Mazetis' response to your question
22 concerning whether or not he was going to prepare a trip
23 report?

24 A It was done very quickly in that meeting. And I
25 do not remember exactly what his answer was, whether it was,

sh 1 yes, I'll get it done as soon as I can, or what.

2 Q Do you know if he ever did prepare a trip report?

3 A Apparently, a trip report was prepared and I learned
4 of that last Friday when I was being asked questions in the
5 President's Commission.

6 Q But you didn't see a copy of that trip report
7 prior to last Friday?

8 A No. Now there were a lot of things that I had to
9 do that week. Now I&E has lead responsibility, and as
10 project manager, I wanted to make sure that certain items
11 were being done.

12 I had some very, very strong concerns. For one
13 thing, I had a strong concern about the spurious trip in the
14 steam feedwater and rupture control system. That's what had
15 actuated the whole scenario of events to begin with.

16 Now that was a spurious trip and that means somewhere
17 or another, they were getting either in black box circuitry,
18 there was some malfunction of that electrical logic and I
19 was concerned about that.

20 I was also very concerned about the missing relay
21 in the electro-magnetic solenoid valve that had been the
22 cause of the POVR sticking open.

23 That relay was just missing and I was very concerned
24 about that.

25 And during that week I talked to Lowell Rowe.

sh 1 primarily, vice president of Toledo Edison. And my concern
2 was, was it sabotage or could it have been?

3 If it wasn't sabotage, was it possibly breakdown in
4 QA?

5 And I also talked to I&E about this.

6 BY MR. PARLER:

7 Q Who in I&E?

8 A My concern about it, I know I talked to Dick
9 Knopp about it. I know I talked to Tom Tambling about it.
10 I know I talked to Terry Harpster about it. And I expect the
11 way I deal with I&E, I also talked to Jerry Klingler and
12 Carl Seyfrit.

13 Q Were these concerns of yours expressed at the
14 meeting that you referred to earlier that took place, I
15 guess with Dr. Mattson and with Mr. Seyfrit?

16 A In other words, the meeting that took place, the
17 Monday meeting, after your visit to the site.

18 A I'm sure they were generally brought up. Whether
19 they were at that time focusing on these -- on my concerns,
20 I have no way of knowing.

21 Q Did you bring your concerns up at that meeting?
22 That's what I'm asking?

23 A No, I did not bring my concerns up at that meeting.
24 That was primarily a DSS meeting and the dialogue was between
25 DSS people.

sh

1 Q You mean if somebody in particular in a division
2 calls a meeting and other peopl attend who have strong
3 concerns about an incident, that they can express themselves?

4 A And to get a briefing on what may be going on.
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 This relay valve I was concerned about, and I talked to
2 Lowell Rowe, the Vice-president, and they indicated that
3 they were checking the whole plant out for circuitry that
4 had this type of relay valve, and in addition to which, they
5 had posted on the board a request that anybody who knew why
6 this valve was missing -- or relay was missing -- to step
7 forward.

8 I followed that through fairly closely for a period of
9 two weeks. That would be two weeks after the 30th of
10 September.

11 Now I was concerned about other items, too. I was
12 concerned about the reactor coolant pumps, because you had
13 reached saturation in that transient, and there had been
14 some bubble formation in the area around the impeller blades.

15 BY MR. HEBRON:

16 Q Back up just a second. What did you finally
17 decide concerning the missing relay?

18 A I asked if I&E was pursuing it, and in my
19 conversations with I&E they indicated that they also were
20 aware of -- the licensee had requested anybody to come
21 forward, and they were making a recheck of all areas where
22 this valve would be.

23 Q Relay?

24 A Relay. And that any information that they might
25 require from us, they would let us know about it.

1 Q Do you recall if they finally decided what
2 happened to the relay? Were they ever able to figure out
3 what happened to it?

4 A It's my understanding -- and I remember calling on
5 several other occasions through the delta-T -- that I had
6 Davis-Besse just casually asking, did you ever find out, and
7 to my best knowledge they never found out why it was
8 missing.

9 Q Did you have a theory? Do you have any idea of
10 your own what happened to that relay?

11 A My best theory is based on the licensee's best
12 theory and that was that some workman cannibalized that
13 particular relay to use in another area.

14 Q Would that have been that difficult?

15 A No.

16 Q Were you concerned that it would have been that
17 easy?

18 A I don't understand your question.

19 Q Did it raise any concerns in your mind that this
20 relay -- that the method of operating the plant and the
21 method of doing maintenance on the plant was such that
22 somebody could go in and cannibalize a relay out of a system
23 that compares part of the primary system?

24 A I just spent about 15 minutes indicating how
25 concerned I was about that.

1 Q Did you take any action to change any of the
2 administrative procedures at the plant so that it would
3 become more difficult for somebody to remove that relay?

4 A The changing of procedures is basically done by
5 Enforcement and Inspection. In the Division of Project
6 Management, you do not specifically look at those
7 procedures. Now it should be pointed out that that relay on
8 that particular system was not a safety-related system. It
9 was what was called by the licensee "a Yellow Book". They
10 had their own procedures for making sure that that system
11 worked. But the POVR was not regarded at that time as a
12 safety-grade piece of equipment.

13 Q Why wasn't it considered to be safety-grade?

14 A It was part -- it was just not reviewed at that
15 time.

16 Q Who made the determination that it wasn't
17 safety-grade?

18 A I do not know who in NRR made it, but those
19 particular relays were not regarded as safety-grade to meet
20 single failure and IEEE criteria.

21 BY MR. PARLER:

22 Q That's a position that's reflected in what the
23 Standard Review Plan or branch technical position or an
24 office letter or what?

25 A It would have been the basic Standard Review Plan,

1 the staff's review procedures, qualifications.

2 BY MR. HEBRON:

3 Q How would the fact that that relay was missing
4 have been handled, if that system had been safety-related?

5 A At the very least, the licensee would have been
6 probably cited with an infraction, and the intensity of the
7 investigation of that would have been of a much greater
8 order of intensity.

9 Q What sort of things would have been done?

10 A I&E would have, I am sure, required a much greater
11 scope of investigation into that event. DSS could have
12 become involved, if I&E had requested that by transfer of
13 lead responsibility that we look into this.

14 BY MR. PARLER:

15 Q Is whether something is classified as safety-grade
16 or nonsafety-grade, does that determine who has the lead
17 responsibility -- DSS or I&E?

18 A No. Not -- no. It's a matter -- in talking about
19 this relay, as I mentioned earlier, my concerns were why was
20 it missing. And that relates to quality assurance. And for
21 safety-grade equipment, there are criteria for quality
22 assurance and requirements that the licensee must meet. And
23 that is regulations, whether IE or DSS or NRR or any agency
24 within the Commission.

25 Q My question is what is your understanding of the

1 basic groundrules that are used to decide whether, under
2 circumstances such as we are talking about, it is I&E or NRR
3 that takes the lead responsibility investigating an
4 incident.

5 A Initially, it is I&E, because the licensee, on
6 what may be regarded a significant items, reports -- must
7 report to their respective region with a report on this.
8 That is part of the rules. And therefore, I&E is the
9 initial investigator of the event.

10 Q Right. But how about -- presumably a point might
11 be reached where a decision has to be made whether there
12 should be a transfer of that responsibility from I&E to
13 NRR. I think you referred to such discussions in the Monday
14 meeting between Mr. Seyfrit and Dr. Mattson, in which
15 Mr. Seyfrit said I&E would take the lead into looking at the
16 September 24th event. The question I am asking is at that
17 point what are the groundrules for whether I&E shall
18 continue, or whether the lead responsibility should be
19 transferred? What are the groundrules, as you understand
20 them?

21 A The groundrules are that I&E will maintain lead
22 responsibility until such time as they formally notify us
23 that they want either the whole event or some portion of it
24 analyzed by NRR.

25 Q What is your understanding of a situation in which

1 I&E would want the whole event analyzed by NRR?

2 A I can't really answer that. There are so many
3 permutations and combinations that you get into factorial
4 impossibilities.

5 BY MR. HEBRON:

6 Q Okay. Can we go back to the Mazetis briefing for
7 just a moment. Do you recall during that briefing any
8 discussions of the dynamic effects of vapor formation in the
9 reactor coolant system?

10 A Now that was a very confused meeting. People
11 would come in late, so my recollection of what is going on
12 only interlaces with the meeting. That is, people coming
13 in -- as I remember as far as PSAT being reached in the
14 formation of vapor bubbles, it was only generally brought up
15 in relation to when Jerry traced out the transient on my
16 graph.

17 Q Okay. Do you recall any discussions by
18 Mr. Mazetis concerning what-if type analyses, such as what
19 if the plant had been at higher power? What if they hadn't
20 found the stuck-open POVR sooner? Do you recall any
21 discussions of concerns of that nature?

22 A Not specifically. However, I know all of us felt
23 that because the plant had only been at one effective full
24 power day and only was at 9 percent when the transient
25 occurred that our primary thought was that it practically

1 had no fission product decay in the core and, therefore,
2 when the POVR came open and we got that 10,000 gallons of
3 water on the containment floor, the clean-up was negligible
4 from the standpoint of radioactivity. I think it's very
5 difficult at this time in hindsight and all that's gone on
6 to be very specific in what I did and did not think at that
7 time on that particular item.

8 There are other things that I was concerned with that I
9 was carrying on, if I could continue. I mentioned the
10 reactor coolant pumps, the impeller blades.

11 Q Let me just try to get a couple of these, and then
12 we'll go on to the other concerns that you had. Do you know
13 if anyone prepared a written report of the meeting?

14 A Until last Friday, the only -- it had been my
15 understanding Jerry was going to make a trip report. The
16 only time I really learned that the trip report has been
17 made was when I saw a copy of it last Friday.

18 Q Okay.

19 BY MR. PARLER:

20 Q I thought the question was about the Monday
21 meeting with DSS and I&E. Did anybody prepare a report of
22 that meeting as far as you are aware?

23 BY MR. HEBRON:

24 Q A meeting summary, as opposed to a trip report?

25 A Not that I know of.

1 Q Do you recall who attended the meeting?

2 A In part. As I mentioned, they kept coming in and
3 going out. But Carl Seyfrit was there. Roger Mattson was
4 there. Jerry Mazetis was there. Andy Szukevicz was there.
5 Vince Leung was there. Raj Rajan was there. Vic Benneroya
6 was there. Tedesco came in at that meeting. Thiadanni,
7 Vassallo-- Don Vassallo was there. I believe, though I'm not
8 sure, Jerry Klingler from I&E was there. Roger Matson was
9 there. I think -- Jim Knight was there. I think mostly a
10 representative from most of the DSS sections.

11 Q Do you recall if Tom Novak was there?

12 A Yes. Tom Novak. No, I'll correct that. I'm sure
13 Novak was there, but I can't in my mind relate seeing Tom
14 there.

15 Q You're sure he was there because you felt that he
16 should have been there? Or you're sure he was there because
17 you recall that he was, in fact, there?

18 A To answer your question, I think he was there
19 because that would have been of great interest to him.

20 Q Do you recall if Sandy Israel was there?

21 A I'll have to answer that the same way. I just
22 can't in my mind at this time remember seeing Sandy there.
23 But I will answer it the same way. I would say he was there
24 based on he would have been interested in that event.

25 Q Do you know if there were any other meetings held

1 concerning the incident other than the one on Monday?

2 A I do not know of any other meetings held regarding
3 that incident.

4 Q All right. Are you aware of an investigation
5 conducted by MacDermott of the Quality Assurance Branch
6 concerning the quality assurance implications of the missing
7 relay?

8 A Well as I have mentioned, when the event -- when I
9 first learned of it, I called Bob MacDermott because he is
10 involved in start-up testing. And I kept him updated on
11 this and was especially concerned and talked to him about
12 this relay being missing. And as I remember, it was I
13 believe a memo on October 6th from Bob to his AD, John
14 Scovall, which basically said I have looked at the event;
15 this happened; there was a half-spurious half-trip, and, you
16 know, all of the events that led through this.

17 And the closure of that memo said, I am continuing to
18 have discussions with the inspector regarding the relay.
19 And I was provided -- my name was on a copy of that memo.

20 Q Do you know if there was a follow-up memo?

21 A Not that I recall.

22 Q Okay. There was an investigation being conducted
23 by I&E. There was some sort of review or investigation
24 being conducted by DSS. You had concerns that you had
25 raised. MacDermott was conducting some sort of

1 investigation of his own. Who was in charge of it all?

2 A I&E had lead responsibility. I, as project
3 manager, had to interface. I wanted to make my assertions
4 and concerns know regarding possible equipment damage and
5 analyses that had to be done to bring that plant back
6 on-line. My responsibilities also involved talking to I&E,
7 back right after that Monday meeting, on several occasions
8 to Dick Knopp and to Terry Harpster and to Carl Seyfrit,
9 indicating are you going to be transferring some portion of
10 this to us. Because if that happens, the project manager
11 has to alert the DSS people and indicate to them there's
12 going to be a transfer of lead responsibility on Item X, for
13 instance. And we are going to have to evaluate it. And
14 because of all the priorities that DSS may be going through
15 of the plants, a project manager, if he's going to get the
16 job done, the sooner he knows there's going to be a transfer
17 of lead responsibility, the better he can get all that
18 machinery meshed to get that job done.

19 Q Okay. So I&E had the lead on the thing. But DSS
20 went out and conducted their own visit out there and their
21 own investigation without a request from I&E, from what I
22 understand.

23 A That's correct.

24 Q So they were basically operating on their own.

25 A That's correct.

1 Q Also without any coordination from your division?

2 A That's correct.

3 Q Now Mr. MacDermott, did anyone request that he
4 conduct an investigation of the QA implications, to your
5 knowledge?

6 A It -- I'm only -- this is only a supposition, but
7 I had voiced to Bob my strong concerns that I felt we should
8 look into this relay.

9 Q But you didn't actually request --

10 A But no formal request.

11 Q Do you have any feel for how effectively the
12 information that was being developed by one part of this
13 investigation was being fed to the other parts? For
14 example, were the concerns that were raised at the Monday
15 meeting by Mr. Mazetis, did those ever reach Mr. Harpster
16 by any mechanism that you know of so that he would be aware
17 of the concerns that DSS had?

18 A I understood that if they had concerns, they would
19 discuss them with I&E. But as me being involved in any
20 specific discussions in relation to DSS calling I&E, I have
21 no memory of that.

22 Q So as far as you know, then, the only interface
23 between the people in DSS that had concerns and the people
24 in I&E that were conducting the investigation was whatever
25 Mr. Seyfrit carried away from the meeting on Monday?

1 A Would you repeat that question again?

2 Q As far as you know, the only interface between the
3 people in DSS that had concerns and the people in I&E that
4 were doing the investigation was whatever information
5 Mr. Seyfrit carried away from that meeting on Monday
6 morning?

7 A I don't know if Mr. Seyfrit carried away any
8 information that morning.

9 Q Whatever he carried away, if anything.

10 A Whatever he had obtained by listening to the
11 meeting or whatever.

12 BY MR. PARLER:

13 Q Are you aware, to your own knowledge, of any other
14 efforts on the part of anyone in DSS to communicate with the
15 I&E people that were conducting their investigations and in
16 that communication tell the I&E people of particular
17 concerns that they had or some of the concerns that you have
18 expressed?

19 A As I remember it -- and it would have been in this
20 time frame -- Andy Szukevicz of the Instrumentation and
21 Control Branch called me and asked if he could call about
22 the spurious trip in the steam feedwater and rupture control
23 system.

24 Q He called who?

25 A The licensee. And I said go ahead, Andy, because

1 that's one of the areas I mentioned I was interested in.

2 Now I do remember -- and we're getting into delta-Ts of
3 time here, but I still think we're speaking in terms of two
4 weeks after that meeting, I remember Raj Rajan came around
5 and said, is there anything we are going to do. And I
6 remember Vince Leung coming around and saying, is there
7 anything we are going to do. And I don't know my exact
8 words, but to my best rememberance I told both of them, I
9 don't know if we're going to have it -- if you're going to
10 have anything to do yet. I&E has not transferred lead
11 responsibility.

12 BY MR. HEBRON:

13 Q Doesn't this whole system strike you as kind of a
14 hit-or-miss way to do an investigation?

15 A Yes, it does.

16 Q Was that the normal way of doing investigations of
17 incidents?

18 A Not having been involved in an incident of this
19 order before, I can't answer that question.

20 Q Did you raise this concern to anyone that you
21 didn't feel that this investigation was being done in a
22 particularly systematic manner?

23 A Yes, I did, to my branch chief.

24 Q What was the result of that?

25 A I don't think there was any result of that. I

gc 1 was more or less, you might say, letting off steam when I
2 talked to my branch chief.

3 Q You did it in the course of a discussion?

4 A A discussion.

5 Q Did you formalize it in a memo or a note of any
6 type?

7 A No, I did not, because I had other things that
8 were still going on in relation to this event that I felt
9 were more important. And that was to assure myself that
10 everyong, to the best of their ability, had determined why
11 that relay was missing. Were those reactor coolant pumps
12 damaged? Were the seals damaged? Were the blades damaged?
13 What was I&E doing?

14 Now I didn't need to do this, but being a project
15 manager, you've got to let those people know that even
16 though you're in Washington you are still tracking on these
17 items. I was concerned about that spurious half-trip in
18 that relay logic. I was also very concerned about whether
19 B&W would determine that there had been any exceeding the
20 design basis limits for fuel cladding or the various safety
21 systems that are based on design basis accidents out of
22 Chapter 15. That transient had been a rather significant
23 one, and I knew sooner or later -- and it's an operating
24 plant -- that that licensee would want to bring it back up.
25 And I had in my mind -- I felt I had to be sure that these

mgc

1 things were being done. It doesn't mean I didn't have -- I
2 had the most, the greatest confidence in I&E and their
3 investigation. But it's just the way you do business, and
4 they also as a result of that immediate action letter that
5 I've mentioned from I&E, they had to check that POVR, and I
6 was concerned about that. And that meant that that POVR had
7 to be successfully cycled prior to going critical.

8 Now all of these items were going on. That's what I
9 had to do. Now in the meantime, though, based on NRR and
10 their feeling that the Palo Verde qualification review be
11 completed in 30 days, which meant reviewing the entire
12 applicant's FSAR, I had that going also. So I had to assess
13 my priorities.

14 M
15 d

14
15
16
17
18
19
20
21
22
23
24
25

1 And what I'm indicating to you is how I assess
2 them.

3 BY MR. PARLER:

4 Q The people who assigned to you the Palo Verde task,
5 the people in management, presumably, to the best of your
6 knowledge, were aware with the concerns that you had about
7 this Davis-Besse event?

8 A My branch chief would have been to a greater degree
9 than anybody else because I made a point of keeping my branch
10 chief constantly briefed on what I was doing.

11 Q My understanding would be, from what you have said
12 here, that you had numerous concerns about the significance
13 of this transient, but nevertheless, another large priority
14 task was assigned to you.

15 Is that right?

16 A That's right.

17 Q And the assignment of that priority task, what
18 impact did it have on your ability to deal to your professional
19 satisfaction with all of the several concerns that you have
20 enumerated about the Davis-Besse transient?

21 A The nuclear reactor regulation, they demand that
22 project managers be able to handle what they feel that they
23 can handle. And it's up to the project manager to make an
24 assessment if he feels he's being given too much.

25 I didn't feel that I was being given too much.

sh

BY MR. HEBDON:

1
2 Q Was the Palo Verde requalification review assigned
3 to you before or after the Davis-Besse incident?

4 A Before.

5 Q Had much work been done on it prior to the incident?

6 A No.

7 Q So it would not have been particular difficult to
8 transfer that to someone else?

9 It would not have been a great of inefficiency
10 associated with somebody having to go back and redo a lot of
11 work that you had already done.

12 A Because this was to be an expedited review, yes, it
13 would have impacted it because I had the reviewers set up,
14 I had the scheduling made up, and that would have meant a
15 delta T delay.

16 Q Couldn't someone have just picked up the work that
17 you had done with scheduling the review?

18 A They could have picked it up, but there would have
19 still been a delay on the expedited review.

20 Q Of approximately how long?

21 A Oh, based on my experience, two weeks.

22 Q You were discussing your concerns with respect to
23 the incident. I think that you were talking about the
24 reactor coolant pumps and your concern about damage to those
25 pumps.

sh 1 A Yes.

2 Q Could we go ahead and pick up your discussion of
3 your concerns at that point?

4 A Well, I believe I mentioned I was -- I believe my
5 primary concern had been that relay was one. Almost
6 cotangent, or of equivalent order, was that spurious trip.
7 They were getting in that steam feedwater rupture control
8 system.

9 Q Did you ever figure out what caused the spurious
10 trip?

11 A It was eventually figured out that it was a loose
12 wire connection, I believe, to an aux feedwater pump that
13 was causing electro-static chatter. They went into quite an
14 investigation on that.

15 Anyway, I was concerned about the reactor coolant
16 pumps.

17 Q Was that a safety grade system?

18 A That was a safety grade system.

19 Q If it had not been a safety grade system, would they
20 have not conducted an investigation of that same depth?

21 A If it had not been a safety grade system, I doubt if
22 it would have got the intensity. However, an auxiliary
23 feedwater system is of such importance, and it was on
24 Davis-Besse, that I believe it makes your question somewhat
25 moot.

gsh 1 BY MR. HEBDON:

2 Q I don't understand that.

3 A Maybe I don't understand -- well, let me go back.

4 If it had been a safety grade system, it gets a certain degree
5 of review, period. It is a safety grade system and the QA
6 on that is well spelled out in the regulations and QA
7 manuals.

8 If it had not been a safety system, it would have not
9 had the QA review that a safety system -- not the intensity
10 that a safety system would have.

11 However, the auxiliary feedwater system is of
12 enough significance in a pressurized water reactor that it
13 is a safety system.

14 Q Well, let's say for the sake of argument somebody
15 had decided it wasn't a safety system. Would the investigation
16 have been conducted in sufficient depth, in your opinion, to
17 have identified the problem that caused the spurious trip?
18 Or do you think they would have just said, well, it is not
19 a safety system and it's a spurious trip and we can't find it
20 and let's go on.

21 A A non-safety system can have -- well, first of all,
22 the auxiliary feedwater system is a safety system.

23 Q I realize that. But I'm saying for the sake of
24 argument, let's say it was decided that auxiliary feedwater
25 system wasn't a safety system.

sh 1 A Well, your argument is precluding a very important
2 system, which I find hard to think of in terms of being
3 non-safety because that system is so important to feeding
4 feedwater to the steam generators and avoiding transients,
5 and in effect, because it is a safety system and is
6 important -- I'm trying to answer your question because you're
7 taking an important safety system and saying, let's pretend
8 it isn't.

9 And it's a very significant system.

10 If it was still the same system, I think the licensee
11 would have had to make -- they'd have had to find it because
12 the plant would have continually been tripping off power.

13 Q Would the fact that the plant was continuing to
14 trip off power be a safety concern or a plant availability
15 concern?

16 A It's plant availability. But every time a plant
17 trips on some spurious signal, it's going through a transient,
18 and therefore, it has some degree of safety.

19 Q But the utilities concerned would have been primarily
20 availability, not safety.

21 A I don't know that that would have been their concern.
22 Would you state that question again?

23 Q Well, you are saying that the utility -- you're
24 saying that even though the utility would not have been
25 required to conduct such an investigation, if the plant had

gsh 1 not been safety-related -- excuse me -- if the system had not
2 been safety-related, that they would have conducted it anyway
3 because of the problem of causing the plant to trip when
4 they got these spurious trips on the system.

5 What I was wondering, would their concern have been
6 the safety of the plant or would the concern have been loss of
7 availability that would have resulted from all of these
8 spurious trips?

9 A Well, I can only speculate because I don't know what
10 goes in the minds of the --

11 Q All right. You were talking about your concerns
12 with the reactor coolant pumps and whether or not they were
13 damaged. Did you have any other concerns besides the ones that
14 we have discussed so far?

15 A Yes. I had concerns that if any analyses which
16 B&W made on that transient, whether it might have exceeded
17 design capabilities of safety systems.

18 Q Do you know if any analyses were, in fact, conducted
19 by B&W?

20 A Yes, analyses were conducted by B&W. I&E evaluated
21 them and there were two -- now I don't remember these dates
22 just exactly, but there were an I&E inspection report made,
23 I believe in -- oh, around November 22. And then there was
24 a follow-up, a supplement to the licensee's LER, where they
25 went into great detail on all of these items.

sh 1 I got a copy the 29th. I believe they may actually
2 have sent that from Toledo Edison Company around the 22nd.

3 Q Of what?

4 A The supplement to --

5 Q The 22nd of what month?

6 A November.

7 Q Okay. So you received the I&E inspection report and
8 you received the licensee supplement to the licensing event
9 report.

10 What did you do with those?

11 A I Xeroxed a number of copies, called people up,
12 indicated to them that their branch would be getting a copy of
13 it, they ought to look at it, evaluated it myself, may have
14 had several discussions with people, made a point to see that
15 even though Davis-Besse was still in the division of project
16 management and review team would have been DSS, I made a
17 point to see that additional people in DOR received copies of
18 that, that they might be interested in it.

19 Q So you sent the report around to a large number of
20 people. Do you know --

21 A I sent it around to people.

22 Q All right, to people. Do you know who actually
23 read the report?

24 A Well, I know one person that read it and that was
25 me.

1 Q Okay. Do you know anyone else who read it?

2 A Yes, I know several people who had read it. Now
3 I am getting into a broad delta T span of just different
4 people I remember talking in the halls, you know, asking me
5 about this events.

6 BY MR. PARLER:

7 Q You're still in 1977, the latter part?

8 A We're now into -- early 1978, at the time I had
9 the BOPSAR/BESAR scanning review.

10 Q Incidentally, for the record, would you say what
11 that BOPSAR/BESAR review is? We all know, but others may not,
12 just what the acronym is.

13 A Balance of Plant Safety Evaluation Report -- well,
14 it's the B&W 205 assembly.

15 Q That's good enough. BESAR just comes from B&W,
16 B&W Safety Analysis Report. Right?

17 MR. COX: BOPSAR is the Balance of Plant -- the
18 BOPSAR/BESAR design, as I understand it, is a combination of
19 balance of plant design and a BESAR 205 nuclear steam system
20 design.

21 That was proposed or submitted for review by the
22 FLORO Pioneer Company as a standard reference design on your
23 Appendix O.

24 MR. HEBDON: It's an acronym for standard type of
25 design.

sh 1 THE WITNESS: Right. Anyway, during that period of
2 time, I remember that I was talking to a Mr. Jack Rowe, who
3 was in the licensing safeguard branch, and was just asking
4 him about how things were going workwise. And he had
5 indicated that he was setting up groups to discuss possible
6 sabotage on plants. And we got into this discussion. I said
7 come down to the office. I would like to show you something.
8 And Jack came on down and I showed him my Davis-Besse graph,
9 the one that I had mentioned previously. And I said, look --
10 and I went through the scenario and I said, this just
11 reinforces what you said. You can take some small item and
12 then you get a combination of events and you may be in trouble.

13 He asked if he could have my graph and he took that
14 graph and had it reproduced in small size. And as I remember,
15 he sent that out to certain people. And I also gave him a
16 copy of the report.

17 Then late -- well, in the summer of '78, Domminic
18 Thidanni -- D-o-m-m-i-n-i-c, I believe that's T-h-i-d-a-n-n-i,
19 Thidanni, of the division of operating reactors, in their
20 mechanical branch, came down and said he was evaluating the
21 event based on this supplement that the licensee had
22 provided. And I discussed it with him, and I think by that
23 time I was getting to be known as the Davis-Besse nut because
24 I was more than willing to describe this event with anybody
25 who would listen to me.

1 I discussed it with him, showed him the graph, and
2 he said, could I come back? And he wanted to know about the
3 special feedwater and rupture control system, and for about
4 a couple of weeks there, he was quite interested in this
5 event.

6 Then to my best understanding, he got pulled off of
7 evaluating the event.

8 BY MR. HEBDON:

9 Q What were his concerns?

10 A His concern was basically my concern, which did not
11 necessarily agree with some other people. The most significant
12 event had not been the auxiliary feedwater transient but was
13 the fact that the POVR was stuck open and allowed
14 depressurization.

15 I remember discussing that with Domminic on
16 several occasions.

17 BY MR. PARLER:

18 Q Which Domminic?

19 A Theodanni.

20 BY MR. HEBDON:

21 Q Why did you consider that to be the most significant
22 part of the event?

23 A Well, if you have read over the event and really
24 analyzed it, it's a small break. And the fact that you reach
25 saturation conditions and get steam bubbles in the primary

1 system is certainly not to be -- you just don't want that,
2 and that's what happened. Depending on what operator action
3 may be taken, the building of the size of bubbles and
4 possibly placing of those bubbles, you can get your primary
5 system build-up in heat and possible cutdown on the circulation
6 of the primary system around the core.

7 Q So you had a concern in that area during the time
8 of the review of the event?

9 A I got that concern when I went home that weekend
10 and from that reactimeter data plotted on that graph, and
11 that graph clearly shows the significance of reaching
12 saturation temperature. And you'll get a copy of that graph
13 for this meeting.

14 Q The significance being what of reaching saturation
15 temperature? The significance being that the boiling occurred
16 in the core?

17 A Not necessarily the core. It certainly may. But in
18 the primary coolant system.

19 Q To whom did you raise these concerns?

20 A I discussed this with I&E on whether they might
21 eventually be wanting us to analyze any of these design
22 basis accidents.

23 BY MR. PARLER:

24 Q There could you give their names again?

25 A Here, again, I talked with a lot of people from I&E

1 and it would have been either Terry Harpster, Tom Tamoling
2 or Dick Knopp because that would have been where their
3 origination --

4 Q People in region 3?

5 A Region 3.

6 Q You didn't have such discussions with people at
7 headquarters?

8 A I'm sure I had a lot of discussions, but I can't
9 be that specific of Mr. So and So and Mr. So and So.

10 BY MR. HEBDON:

11 Q Did you have any discussions with people in NRR
12 concerning these concerns?

13 A Yes, I work at NRR and I said I'd go through the
14 holes and I'd be more than willing to discuss this event.

15 BY MR. PARLER:

16 Q With the NRR technical management people such as
17 an assistant director in the division of safety systems?
18 Dr. Mattson, your assistant director, your branch chief, the
19 head of NRR, the deputy director of NRR, people such as
20 that as contrasted from conversations in the hall?

21 A To the best of my remembrance, I only discussed the
22 Davis-Besse transient with Jim Knight, who was an assistant
23 director in DSS directly. And it was more in the light of
24 asking what happened there, more of just curiosity.

25

sh

1 BY MR. HEBDON:

2 Q Curiosity on his part.

3 A On his part.

4 BY MR. PARLER:

5 Q Was this graph that you prepared over the weekend
6 after the Davis-Besse visit and which I understand you had
7 at the Monday meeting, was that graph exhibited to the people
8 of that meeting, including, say, Dr. Mattson?

9 A Yes. As I indicated, Jerry called me up that morning
10 and said that we're going to have a DSS meeting. I said,
11 Jerry, I have got a big poster card graph of this event. It
12 might help you in discussing the scenario of the event. And
13 he used that, pointing to the various transients.

14 BY MR. HEBDON:

15 Q Were your concerns about the boiling and the
16 primary and the fact that the pressure reached the saturation
17 pressure brought up during that meeting?

18 A No, they were not brought up in that meeting. As
19 I've mentioned, that was a DNSS meeting. The dialogue was
20 between DSS people.

21 Q It wasn't brought up by anyone else?

22 A Not that I remember.

23 BY MR. PARLER:

24 Q What was the reaction to the graph which you prepared
25 which, as I understand what you have said here -- graphically

gsh 1 indicated something to you that -- did it have the same
2 impression on others at the Monday meeting?

3 It told you a significant story, as I understand
4 it, the graph did.

5 A The meeting was not a well organized meeting. People
6 came in. They weren't all there to begin with. They
7 interrupted each other. It may well be that Jerry was through
8 his scenario and that graph by the time that some people got
9 in there. And I doubt if some ever knew that it existed.

10 Q Do you recall whether Dr. Mattson was at the entire
11 meeting?

12 A I do not think that Dr. Mattson was at the entire
13 meeting.

14 Q Was your branch chief at the meeting?

15 A My branch chief indicated he could not be there,
16 but that the AD would be there.

17 Q Was Domemic Vassallo at the entire meeting, as
18 far as you can recall?

19 A As far as I can recall.

20 Q Was Mr. Tedesco at the meeting, the entire meeting?

21 A Yes, I've mentioned Tedesco was -- I can't -- I
22 don't remember the entire meeting.

23 Q All right. How about Mr. Ros.?

24 A I don't remember if Mr. Ross -- I can't -- Denny
25 makes such an impression, I relate him to meetings. And I

sh 1 can't remember if Denny was there, but I'm sure he was.

2 Q I want to ask you this. After that meeting at which
3 your graph was available and apparently used, to some extent,
4 by the briefers, did that graph ever -- was it ever used again
5 in any similar meeting? Did it surface at all until recently
6 before the President's Commission?

7 A Well, I have mentioned that Jack Rowe took the graph
8 and had copies made for his use.

9 Q But he was interested in it primarily from the
10 safeguards standpoint.

11 A The graph was used quite a bit after March 30th,
12 1979.

13 BY MR. HEBDON:

14 Q After the TMI incident.

15 BY MR. PARLER:

16 Q My question was: Was it used before except for its
17 usage you have already talked about, the Monday meeting and
18 also you're using it in connection with certain individuals
19 such as Stack, Rowe, and Dominic Theodanni?

20 A No. But by that time, there were now other curves
21 that had been produced by the licensee which basically gave
22 that same information.

23 So my graph was not the only thing that existed.

24 BY MR. HEBDON:

25 Q Did you formally raise your concerns about this

gsh

1 particular incident to anyone? Did you write a memo to anyone?

2 A No, I did not. Like I said, I was primarily
3 concerned with making sure that I&E had that plant back ready,
4 based on the concerns that I had mentioned before they went
5 critical.

6 Q When you saw the I&E inspection report, did you feel
7 that the concerns that you had had been satisfactorily
8 resolved?

9 A At that time I did. Now when you -- my concerns
10 on the stuck-open POVR as an interval of time of sitting
11 looking at that graph, of reading that event, and I can't
12 say exactly when my concerns -- it probably -- the only
13 fiducial point that I can tie it to is when I talked to
14 Dommenic Theodanni and we went into some of these discussions.
15 And he asked me what I thought was most important and I
16 specifically at that time said, it's the stuck open POVR.

17 I may have said it to people before that, but that's
18 a specific time that I can tie into when I was concerned about
19 it.

20

21

22

23

24

25

pv

1 BY MR. HEBDON:

2 Q Do you recall when that was?

3 A Yes. That would have been in April, May, and June of
4 1978. I had the burnable poison rod assembly with Davis-Besse
5 then; I can relate things like that.

6 BY MR. PARLER:

7 Q Did you give your graph to the I&E people in
8 connection with their investigation?

9 A No, I did not.

10 BY MR. HEBDON:

11 Q Why not?

12 A They had the reactimeter data that I had.

13 Q So you felt they could have made the same plot?

14 A By that time, the licensee had made plots.

15 Q And the plots that you saw would essentially be the
16 same as the one that you had prepared?

17 A They weren't the same ordinate and abscissa, but it
18 was basically -- it was a function of time, the same data.

19 Q Getting back to the scenario, what happened as a
20 result of this incident, that I think we have interrupted on
21 several occasions? Did you have any more that you wanted to
22 add as far as what was done concerning this particular event?
23 Have you completed your scenario of the response to the
24 incident?

25 A I think we have all this other that's gone on, I

pv 1 mean all the other questions you've asked we've covered in some
2 manner or other.

3 There was one item: I was concerned about the POVR,
4 and I&E had stipulated in their immediate-action order that
5 licensee would be required to cycle the POVR. Now, the cycle
6 at POVR on the pressurizer requires that the plant go up to
7 hot standby at 2200 psi and 700 degrees to really test it for
8 operating conditions. And so I kept in very close touch with
9 I&E when the licensee had finished the other immediate actions
10 which would allow them to go into mode 5, 4, and 3.

11 The first time they tested the valve -- and I think
12 it was on -- they went up to hot -- they went to mode 3 on
13 October 10; I think they first tested that valve on October 16,
14 and it failed. And then they tested it on the following day,
15 and I remember that two days there I spent a lot of time with
16 I&E keeping both the I&E and the licensee to make sure what the
17 results of that test was, because I knew after that, having
18 finished all other things, that they would go critical.

19 Q Did they find out why the valve failed?

20 A I believe it was crud material on the stem that
21 caused galling, as I remember. The event is specified in an
22 LER.

23 Q Did they finally correct the problem?

24 A They corrected it, inasmuch as I know, on
25 Davis-Besse. It never stuck again.

pv 1 Q Okay. What I would like to do is go back through
2 some specific questions that I have. Some of these will be
3 somewhat redundant of some of the discussions that we've
4 already had, but I want to make sure that we've got a complete
5 record of the various issues that we're concerned about in this
6 particular incident. So, if you would bear with me on the ones
7 that you have already answered, and we'll see if we can get
8 through these.

9 At the time following the incident, were you involved
10 or still involved with the Midland or the Crystal River or the
11 Arkansas reviews? You mentioned that you had been involved
12 with those various reviews at various and sundry times.

13 A No. At the time that the incident happened, I had
14 Davis-Besse and had just been given the qualification review on
15 Palo Verde.

16 Q All right. Did you consider the incident that
17 occurred at Davis-Besse to have any generic implications for
18 the other B&W plants?

19 A At that time, no.

20 Q At some later time?

21 A I did later. I did later, just before -- well, I did
22 later in the time frame of April of 1978, just prior to the
23 burnable poison rod problem on Davis-Besse. And at that time I
24 decided I wanted to get licensing event reports and go through
25 them and see if there was any history of other valves sticking

pv 1 open. And I became so completely involved in a fairly
2 exhaustive safety evaluation on that burnable poison rod
3 assembly problem that I never got to carry it any further.

4 Q Is this something you just did on your own
5 initiative, or was it something somebody assigned you to do?

6 A Well, it's something I wanted to do on my own
7 initiative, but because of other matters I never got to do it.

8 Q Did you ever inform anyone either informally or
9 formally that this was something you felt ought to be done?

10 A I did not.

11 Q So, it was just something you were going to do in the
12 course of your --

13 A Although I had in the period of time discussed with
14 John Angelo, another project manager, what I felt was a problem
15 with licensing event reports.

16 Q What was that problem?

17 A That how were they being catalogued, what was the
18 bookkeeping, what was the sorting process of where there might
19 be similarity of more than one event, a generic-type concern.

20 Q Did you raise that concern with anyone else other
21 than discussing it with another project manager?

22 A No, I did not, because John Angelo at the time was
23 involved in systems interaction study which was being set up,
24 and he was -- that was one of the concerns of that group. But
25 I personally did not.

pv 1 Q Did you know of any other investigation or analyses
2 of the incident that were performed other than the ones we have
3 discussed so far?

4 A No, I do not.

5 MR. PARLER: You're speaking about NRC or outside of
6 NRC?

7 MR. HEBDON: Yes. By anyone.

8 THE WITNESS: Other than those I have mentioned, I do
9 not.

10 BY MR. HEBDON:

11 Q You mention that you did realize that steam had
12 formed in the reactor coolant system to some extent during the
13 transient. Did you realize that the steam formation in the
14 reactor coolant system had caused the pressurizer level to
15 increase while the leak was continuing?

16 A Absolutely, I knew that on that weekend when I
17 plotted pressurizer level and pressurizer pressure or reactor
18 coolant pressure.

19 Q So you were aware of the fact that the pressurizer
20 level was increased by the void formation in the primary?

21 A It's clearly shown as a function of time on any plot.

22 Q Is that -- what significance did you assign to that
23 fact?

24 A I did not assign much significance. I did discuss
25 that at that meeting, and I remember the operator saying that

1 after the initial depressurization and when he had his HPSI
2 pumps turned on, HPSI pumps came on when the reactor coolant
3 pressure went to 1600 psi. That actuated the HPSI. I don't --
4 I forget the exact time, but I believe it was somewhere in the
5 range of about six minutes after the manual trip, they turned
6 off those HPSI pumps. And the reason the operator at that time
7 turned those pumps off was that the pressurizer level had come
8 back up to about normal, and they were very concerned at that
9 time because they had had seal problem with the reactor coolant
10 pumps, and they wanted to get off the HPSI and get back to the
11 charging line to be sure that they were maintaining seal
12 coolant.

13 MR. PARLER: The meeting you were talking about was a
14 meeting with Davis-Besse. The trip out there; right? Not the
15 Monday meeting? the trip out there; right? Not the Monday

16 THE WITNESS: Right. Not the Monday meeting.

17 BY MR. HEBDON:

18 Q Do you feel that the increase in pressurizer level
19 was caused by the HPSI or was caused by the void formation?

20 A On Davis-Besse, at this particular point, I think
21 that the pressurizer level at that point had been caused by
22 HPSI.

23 Q And not by the void formation?

24 A Not by the void formation. Because they only reached
25 saturation, real saturation, at about six minutes.

pv 1

Q So at six minutes they reached saturation.

2

A That is correct.

3

Q But they shut off the HPSI at about 4-1/2 minutes.

4

A That's right. Because HPSI had come on very shortly after the trip.

6

Q Pressurizer level -- did pressurizer level continue to increase from 4-1/2 minutes to six minutes?

8

A Approximate, as I remember -- If I had that graph, of course, we could look at it specifically. They follow almost in suit; one interfaces with the other. Pressurizer level did increase.

12

Q So for that minute and a half, between when they shut off HPSI and when -- and the six-minute point -- what was causing pressurizer level to increase?

15

A After the HPSIs were shut off in that -- around that six minutes, it may well have been that at that time you were getting enough steam formation that it may have helped pull it up.

19

Q So you think at that point, then, there was some increase in pressurizer level as a result of steam formation?

21

A To the best of my ability, without being able to specifically look at those graphs, I still believe in that particular time frame that the primary increase in the pressurizer level was due to HPSI.

25

Q At what point in time do you think the pressurizer

pv

1 level increase was caused by the void formation?

2 A In the interval six to eight minutes.

3 Q All right. Did you realize that the operators
4 secured the HPSI before they identified and isolated the leak?

5 A Yes, because my graph has operator actions tied in on
6 the top of it.

7 Q Did you consider that to be proper operator action?

8 A At that time, I don't think I gave consideration
9 whether it was or was not proper operator action.

10 Q Why or why not? That's a vague question.

11 Why didn't you consider it to be a problem? Why
12 didn't you consider the issue of whether or not it was proper
13 operator action?

14 A Basically, because I was involved in all -- involved
15 in all the other concerns and seeing that they were addressed.

16 Q Are you saying, then, that you didn't feel that the
17 operator action was sufficiently important to be of concern?

18 A I hadn't evaluated operator actions on that
19 event, to the point where I could or could not make a
20 determination.

21 Q When you evaluate incidents, do you normally evaluate
22 the operator actions?

23 A Project managers do not normally evaluate incidents.
24 They get staff review to evaluate incidents. If you evaluate
25 incidents, it's more or less what you yourself want to do on

1 it.

2 Q All right. If you had the staff review this
3 incident, who on the staff would have reviewed the operator
4 action?

5 A It first of all would have been reviewed by I&E. If
6 I&E then had requested DSS to further look into some area, DSS
7 might have requested that the operator procedures be provided
8 to them. Operator procedures are not normally part of the
9 review.

10 Q What about the operator actions, regardless of what
11 the procedures said to do; would anyone have looked at what the
12 operators did and make a determination that what they did was
13 right or wrong, that it helped prevent the problem or helped
14 mitigate the problem or that it contributed to the problem? Is
15 there anyone in NRR that you know of that routinely makes that
16 sort of an evaluation when they are reviewing incidents?

17 A I can only speak for the Davis-Besse event.

18 Q For the Davis-Besse event, then.

19 A If there had been any request for, for instance, for
20 us to evaluate some operator response on this event -- for
21 instance, if I&E had requested that we do this -- it would have
22 been in the operator training branch, Paul Collins. And they
23 would have gone through those procedures. But no request came
24 to signal or initiate this.

25 Q And to your knowledge, no such review was done?

pv

1 A To my knowledge, no such review was done.

2 Q You mentioned that you sent out copies of the
3 analyses of the event that were prepared by I&E and the one
4 that was prepared by the licensee. Did you send a copy of that
5 to Paul Collins?

6 A I don't remember. I would have to look at the copy
7 on that cover to know it was distributed.

8 Q Could you check that and let me know at some later
9 time, whether a copy was sent to Paul Collins?

10 A (Nods affirmatively.)

11 Q Would it be normal for you to send a copy to
12 Paul Collins?

13 A It might and might not. At that time I was pretty
14 well determining -- calling up the distribution and the records
15 branch telling them when I wanted something to go to a specific
16 person or make it a standard coverage.

17 Normally, it probably would have gone, just as part
18 of the DSS and review team.

19 Q Did any or all of the events raise any concerns in
20 your mind with respect to the accident analyses, the operator
21 training, or the adequacy of plant procedures?

22 A Would you repeat that question? Could we possibly
23 take that in three parts?

24 Q Sure. Did any or all of these events raise any
25 concerns in your mind with respect to accident analyses?

pv

1 A Yes, it did.

2 Q What were those concerns?

3 A The concern was, as time developed and I thought
4 about this event, was the stuck-open relief valve and the
5 depressurization.

6 Q What was your concern? Was your concern that this
7 event -- was your concern that the stuck-open relief valve and
8 the depressurization had not been covered as part of the normal
9 accident analyses?

10 A I always wanted to check -- I actually did check on
11 -- the Chapter 15 design basis accident for feedwater
12 transients, and determined that for the most conservative case,
13 which includes loss of off-site power, that the overall
14 accident had been enveloped by the design basis accident.

15 But I was always curious as to whether any actual
16 analysis had been done on the transient itself as the
17 reactimeter data actually showed the event.

18 Q So you did look, and you concluded that the design
19 basis accidents did include the incident that occurred at
20 Davis-Besse?

21 A That the incident was enveloped by the design basis
22 accident.

23 Q /ll right. Did any or all of these events raise any
24 concerns in your mind with respect to operator training?

25 A At the time, it raised admiration for the operator at

pv 1 Davis-Besse who was on that plant. Now, that's not a concern,
2 but that was my main thought with regards to operator action.

3 Q Would you expand on that a little bit?

4 A Yes. The man actually manually tripped the reactor.
5 He didn't wait for any safety system when he saw pressurizer
6 level coming up. He had two transients going on at once: He
7 had the stuck-open relief valve and the depressurization event.
8 At the same time, he had an unknown transient occurring in his
9 steam feedwater and control system, which led to loss of water
10 in one of the steam feedwater generators.

11 He was seeing this scenario of events, not realizing
12 that all of this was going on. Whether in hindsight it was
13 right or wrong, he did trip his HPSIs when he saw pressurizer
14 level going up. And that was based partly on their concern
15 that they wanted to check those reactor coolant pump seals.

16 The man further tripped two reactor coolant pumps,
17 one in each loop, because the man had enough thermodynamic
18 capability to realize he was reaching saturation condition.
19 And he realized that those pumps turn out five megawatts of
20 heat in that system, which was probably more heat than the
21 decay heat from the core at that time. And he wanted to assure
22 himself that he was not getting cavitation and bubbles in the
23 reactor coolant impeller blade area, and had determined that
24 within 20 minutes the POVR was stuck open, and he closed the
25 block valve.

pv 1 Now, all of these things together, the man, I felt,
2 had done -- had analyzed the situation very well. And even
3 based on things that have happened since that transient, I
4 still am convinced that that operator was a very good operator.

5 Q Do you recall the name of the operator?

6 A I should. I think his name was Deravan, but I
7 just --

8 Q Deravan?

9 A Deravan.

10 Q Did you give any consideration to what would have
11 happened during this transient if the operator had done
12 such a good job?

13 A Yes. In a period of time, I think I came to the
14 conclusion that the man closing the block valve was the
15 significant operator action. But where in the period of time
16 that I came to this conclusion, I -- it's just merged into this
17 whole time.

18 Q In the course of reviewing the incident, did you give
19 any thought to what would have happened if he had not done such
20 a good job, if there had been a less qualified or less
21 competent operator there?

22 A No. No, because nobody initiated a request that
23 operator actions be evaluated, and I had the other concerns I
24 have mentioned before.

25

pv 1 Q Do you think that the operators realized that boiling
2 in the reactor coolant system had caused the pressurizer level
3 to increase?

4 A They did later, but early into that event I am not
5 sure they did.

6 Q At what point -- approximately what time in the
7 transient do you think that they became aware that the
8 pressurizer level was being influenced by boiling?

9 A Everytime they tripped one reactor coolant pump in
10 each loop.

11 Q At that time did the operators realize the boiling in
12 the core reactor coolant system caused pressurizer level to
13 increase?

14 A Not early into the event.

15 Q At what point in time did they realize the boiling
16 in the primary was having an influence on pressurizer level?

17 A When they tripped on reactor coolant pump per loop.

18 Q Do you know what caused the operators to realize that
19 the PORV was open?

20 A I believe, as I remember, they checked the tailpipe
21 temperatures.

22 Q Do you know what caused them to check the tailpipe
23 temperature?

24 A I do not.

25 Q Did you make any sort of assessment of what

pv 1 information was available to them to tell them the PORV was, in
2 fact, stuck open?

3 A Not in the early months after this event, no.

4 Q Prior to the TMI-2 accident, did you make any sort of
5 assessment of what caused them to realize that the PORV was
6 open?

7 A Not that I can remember.

8 Q Since you have said that you felt that the PORV
9 sticking was a major concern in this particular transient, do
10 you have any feelings as to why you didn't become more
11 concerned about the indication that was available to the
12 operator to realize that the valve was stuck?

13 A I think that as time went by actual thought of the
14 event would only occur at various times, and I had become so
15 involved in other reviews that this became a background type of
16 scenario.

17 In addition to that, as I have repeated, we do not
18 specifically look into operator procedures and actions. That
19 comes only through a formal review request.

20 Q Did you ever discuss this incident or any of the
21 issues raised by this incident with Joseph Kelly or Burt Dunn
22 or any other employee of B&W?

23 A If Joseph Kelly or Burt Dunn had been at that meeting
24 at Davis-Besse, it might have been discussed in that meeting.
25 but I do not remember discussing with those two men this event.

pv 1 Q Were there representatives of B&W at that meeting?

2 A Yes, there were.

3 Q Do you recall any of the concerns raised by those
4 people?

5 A B&W was primarily looking into design basis accidents
6 to see if the design, any design limits, had been exceeded for
7 the pressurizer, for the reactor coolant system, for the pumps,
8 whether there had been any fuel damage exceeding fuel cladding
9 requirements, which are really design basis analyses, and was
10 also looking into the corrective actions testing that might be
11 taken on reactor coolant pumps and pressurizer.

12 But I don't specifically remember -- at that meeting
13 they were more or less addressing our questions and concerns.

14 Q Were you ever aware of their concerns about the
15 September 24, 1977 incident? Did you ever become aware of
16 their concerns?

17 A I never -- I did not know that they were concerned
18 about the event.

19 Q Okay. How effectively does the current IE-NRR
20 relationship facilitate the feedback of operational experience
21 into the licensing process?

22 A Very badly.

23 Q Would you care to expand on that?

24 A Yes. Now, as we have been discussing, this problem
25 always comes up of lead responsibility, and lead responsibility

pv 1 is a matter of I&E until such time as they transfer, by formal
2 request.

3 There are two problems here: One, in one case, for
4 instance, Division of Project Management, or if it's DOR, for
5 that matter, whoever has project manager, has the plant, they
6 may not know that there is going to be a transfer of lead
7 responsibility coming until they see the memo. And this, then,
8 entails the fact that you have to make time available in what
9 may be a very extensive review schedule of people who will be
10 required to evaluate this event, which involves time and may
11 involve delay, needless delay, in getting an evaluation which
12 is required.

13 The same applies from the other way. I&E, when they
14 request a transfer of lead responsibility, may find that it
15 takes a long time for that transfer of responsibility to
16 finally be consummated in the safety evaluation report that
17 they need to make a determination.

18 It is almost as if these types of safety evaluation
19 are addendum to the licensing actions that are going on. There
20 is no real good fit place for these evaluations to take place.
21 That's partly due to there isn't the manpower; they are all
22 involved in other things.

23 If I could, I would like to suggest that one of the
24 best ways to take good care of this is to set up some
25 independent group -- hard, cold, analytical group -- that has

pv 1 the capability to understand reactor systems and operations, to
2 assess the licensing event reports that come in, catalog these
3 and probably use a computer for bookkeeping, though they
4 shouldn't rely on the computer itself, to determine if there
5 are events occurring more than once, twice, three times, and
6 ring an alarm bell. And this is their job: they are not tied
7 into other specific actions or scheduling that requires certain
8 actions; they are a group aloof and they can look at this hard,
9 cold, and analytically and ring a bell, if necessary, and say,
10 "Gentlemen, look at this. Is there any safety significance
11 related to this item that we feel may be a problem, because,
12 for instance, a POVR or a spurious trip has occurred in XZY
13 plants."

14 In addition, to get such a group is going to be
15 difficult because there is a lot of boredom in going through
16 LERs and to have good men that understand systems constantly
17 reading LERs, they will become bored. So you have got to have
18 some kind of a program where you put them through test
19 exercises. Just like a crew on a ship, they get bored after a
20 time, and you have got to have tests to bring them up to speed.

21 This group, though, their primary job must be
22 assessing LERs using a computer -- not relying on a computer,
23 though, other than just the mundane bookkeeping these events
24 cataloged. And that's a problem, too, because -- let's go back
25 to Davis-Besse: When somebody records on a computer card what

pv 1 was the cause of the transient, somebody, with the best of
2 intentions, will say -- might say a stuck-open POVR. Another
3 person, with the best of intentions, who had read the same
4 scenario, would say that relay was missing.

5 So, in cataloging these, there has to be a very rigid
6 regimentation that allows some absoluteness in cataloging these
7 events right. That group must be independent of other work
8 responsibilities.

9 Q There is some effort now to computerize the LERs. Do
10 you feel that that -- are you familiar at all with that
11 cataloging effort?

12 A I am not familiar enough with it to comment one way
13 or another.

14 Q Do you know of any other precursor events that are
15 relevant to the accident at TMI?

16 A Since TMI, I have learned that there are others,
17 stuck POVRs, in reading over the various publications.

18 Q Which ones of those would you consider to be the
19 most significant?

20 A I would consider two of them: one, the Davis-Besse
21 event; and the other is the combination of the stuck-open POVRs
22 on the plants.

23 Q No specific one, just the fact that it occurred on a
24 number of plants?

25 A The fact that the valve sticks open, that its

pv 1 reliability is not as high as other systems.

2 MR. PARLER: The Davis-Besse event that you just
3 referred to is the one that we have been talking about this
4 morning, the September 24, '77?

5 THE WITNESS: That's right.

6 BY MR. HEBDON:

7 Q Do you have any additional information that might be
8 relevant to our inquiry into this incident?

9 A No, not specifically. I did indicate, though, that
10 the President's Commission entered my graph as Exhibit B, and I
11 asked them if I could keep that. And they said if I got
12 photographic copies, the large size, that would be all right,
13 and I ordered two, realizing I would be down here. So, you
14 will get a copy of that.

15 Q Very good. Do you have any other information other
16 than that that you feel might be relevant?

17 A I don't believe so.

18 MR. HEBDON: Do you have any additional questions?

19 MR. PARLER: No.

20 Tom?

21 MR. COX: No.

22 MR. HEBDON: All right. Thank you very much.
23 That terminates the interview.

24 (Whereupon, at 11:00 a.m., the interview was
25 concluded.)