

MSR
JK

NUCLEAR REGULATORY COMMISSION

IN THE MATTER OF:

THREE MILE ISLAND
SPECIAL INQUIRY DEPOSITIONS

INTERVIEW OF: WARREN R. COBEAN, JR.
and ALLAN SCOTT DAM

Place - Paramus, New Jersey

Date - Monday, November 5, 1979

Pages 1 - 108

POOR ORIGINAL

Telephone:
(202) 347-3700

ACE - FEDERAL REPORTERS, INC.

Official Reporters

444 North Capitol Street
Washington, D.C. 20001

NATIONWIDE COVERAGE DAILY

8001280554

T

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

----- X
:
In the Matter of: :
:
THREE MILE ISLAND :
SPECIAL INQUIRY DEPOSITIONS :
:
----- X

INTERVIEW OF: WARREN R. COBEAN, JR.
and ALLAN SCOTT DAM

Offices of Burns & Roe
650 Winters Avenue
Paramus, New Jersey

Monday, November 5, 1979
9:30 a.m.

BEFORE:

For the Nuclear Regulatory Commission:

HANS SCHIERLING, TMI/NRC Special Inquiry Group
BARRY HORVICK, TMI/NRC Special Inquiry Group

For Burns & Roe:

TOM A. HENDRICKSON, Assistant to the President
KEVIN MURPHY, Senior Counsel
RICHARD B. DiFEDELE, Staff Attorney

C O N T E N T S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

INTERVIEW OF:

EXAMINATION

Warren R. Cobean, Jr.

4

Allan Scott Dam

77

036 01 01

macPL

P R O C E E D I N G S

(9:30 a.m.)

1
2
3 MR. SCHIERLING: This is an interview by the
4 Special Inquiry Group of the NRC of Mr. Cobean of the Burns
5 & Roe organization. Today is November 5. The location are
6 the Burns & Roe offices in Paramus, New Jersey. The
7 participants in this interview are myself, Hans Schierling
8 of the NRC, Mr. Horvick of the NRC Special Inquiry Group.

9 Mr. DiFedele, do you want to identify the Burns & Roe
10 participants, please?

11 MR. DI FEDELE: Yes. My name is Richard
12 B. DiFedele. I'm an attorney for Burns & Roe. I will only
13 be here for the first few minutes of this interview.
14 Mr. Kevin Murphy is a senior attorney with Burns & Roe, and
15 he will be here throughout the interview. Mr. Thomas
16 Hendrickson -- Tom Hendrickson, excuse me, is an Assistant
17 to the President of Burns & Roe, and Mr. Cobean,
18 Vice-president of Burns & Roe, who is being interviewed.

19 Mr. Schierling, there are two points that I wish to make
20 on the record before we proceed, being that Burns & Roe
21 reserves the right to review the transcript and to make
22 whatever corrections and modifications as are appropriate to
23 the transcript before it is deemed to be Mr. Cobean's
24 personal statement.

25 We feel that this is valuable to make any typographical

036 01 02

mgcPL 1 corrections or any technical corrections that are
2 necessary. In addition to that, we wish to state on the
3 record that this interview is subject to the confidentiality
4 agreements reached between Burns & Roe and the Nuclear
5 Regulatory Commission as evidenced by the letter dated
6 September 20, 1979, addressed to Mr. Mitchell Rogovin from
7 Mr. Glen A. Mitchell and signed by Mr. Mitchell Rogovin and
8 returned to Burns & Roe and has been the subject of
9 discussion and various interpretations by myself and
10 Mr. Frampton of the NRC.

11 That's basically the preliminary matters that we wish to
12 cover.

13 MR. SCHIERLING: Okay. Mr. Cobean will be
14 provided with a copy of the verbatim transcript of this
15 interview for his review, and, indeed, he will be requested
16 to make any corrections thereto -- in particular, those of
17 substance.

18 With regard to the letter of understanding on the issue
19 of confidentiality, we do acknowledge that this agreement
20 does apply to this interview. However, I would like to have
21 Mr. Cobean -- I would like to ask him a question, if indeed
22 he did read the Special Inquiry Group Notification Form,
23 that he understands the meaning of that witness notification
24 as modified by the letter of agreement between the Burns &
25 Roe law firm -- law firm representing Burns & Roe -- and

036 01 03

macPL

1 Mr. Rogovin?

2 MR. COBEAN: I did read the witness notification
3 form, and I do understand what it says.

4 MR. SCHIERLING: Okay.

5 MR. MURPHY: Will you clarify whether or not
6 Mr. Cobean has received a subpoena or is here voluntarily?

7 MR. SCHIERLING: Mr. Cobean is voluntarily -- it's
8 my understanding that Mr. Cobean is voluntarily
9 participating in this interview. Mr. Cobean is not being
10 sworn under oath. This is an interview, which I would like
11 to differentiate from a deposition.

12 However, I would request that Mr. Cobean be as frank and
13 forthright in all his answers as he can be.

14 Whereupon,

15 WARREN R. COBEAN, JR.

16 was called as a witness, was examined, and testified as
17 follows:

18 EXAMINATION

19 BY MR. SCHIERLING:

20 Q Mr. Cobean, let me first ask you, have there
21 been -- have you given any previous interviews or
22 depositions on the issue of your personal involvement in the
23 Three Mile Island accident or the involvement of Burns & Roe
24 in that activity, and if so, could you please identify such
25 interviews, depositions, or other statement that you have

1036 01 04

macPL 1 made?

2 A I gave a deposition to the Kemeny Commission about
3 the Three Mile Island accident and recovery, a portion of
4 the recovery.

5 Q Was there any additional interview or deposition
6 that you have given?

7 A No.

8 Q Mr. Cobean, you'll recall that we, the Special
9 Inquiry Group of the NRC, and you and other members of the
10 Burns & Roe organization had a length telephone call on
11 October -- I think October the 22nd in which we discussed
12 certain issues in some detail. I would like to cover the
13 same material today for the record so that we will have a
14 continuous record and also use that information for the
15 further questioning later on today.

16 Do you recall that telephone call, Mr. Cobean?

17 A I do.

18 Q It is also my understanding that you would also
19 like to make a preliminary statement before we go into
20 specific questions regarding your personal participation in
21 the TMI response effort and that of the Burns & Roe
22 organization.

23 A All right. Yes.

24 Q You intend to make such a presentation?

25 A I would be happy to.

036 01 05

macPL

1 Q Okay. Fine.

2 Mr. Cobean, before we do that, let me state that the time
3 span we are interested in today covers the events on March
4 28, Wednesday, March 28, through about the full first week
5 thereafter which, I think, brings us to about April the 7th,
6 Saturday, April the 7th. We will not cover today any
7 aspects of your involvement beyond that date.

8 If you feel that there are some substantial pieces of
9 information that we should look at for the later time
10 period, please feel free to identify them -- major aspects
11 of the Burns & Roe activities. However, I would like to
12 concentrate on the time before April the 7th.

13 We also will cover some aspects -- Mr. Horvick will do
14 so -- that relate to Burns & Roe activities preceding the
15 TMI accident. Mr. Horvick discussed the basic issues before
16 we went on the record, and we will discuss that later on in
17 the interview.

18 It's also my understanding that Mr. Scott Dam might
19 provide additional information in certain areas and
20 Mr. Murphy -- I think he will be available later on -- to
21 participate in the interview. Is that correct?

22 MR. MURPHY: I understand that's correct, that he
23 will be available later today.

24 BY MR. SCHIERLING:

25 Q Okay. Fine. You will be able to identify areas

8036 01 06

mgcPL

1 where Mr. Dam could provide such specific information?

2 A Sure.

3 Q Fine. Why don't we make a note then, when we hit
4 such areas. Then we can ask him the specifics?

5 Mr. Cobean, I think that covers about the preliminary
6 aspects for this interview, and I would like you at this
7 time to go ahead, to describe your activities in response to
8 the accident.

9 A All right. The accident occurred on March the
10 28th with an initiation of a reactor trip at about 4:00 in
11 the morning. The first inkling of the accident or the
12 reactor trip itself occurred when I received a report about
13 8:30 or 9:00 that morning that Rich Brownnewell, who is our
14 site engineer at the Three Mile Island -- stationed at the
15 Three Mile Island site -- had been unable to obtain entry
16 into the site security area and had called the Three Mile
17 Island office, then located at 29 Park Place in Paramus, to
18 report that he was not at his desk and that there was -- had
19 been declared a site emergency.

20 I had a previously made appointment with Mr. Wilson of
21 GPUSC, who is the director of technical functions for that
22 company, to discuss another subject, and so I called him as
23 soon as I had heard about the site emergency to see if he
24 had any further information about Three Mile Island and
25 whether our 12:00 appointment in his office was to be kept.

036 01 07

macPL

1 He indicated that he wasn't quite sure what the details
2 of the accident were at that juncture but that he was
3 leaving immediately to go to the Three Mile Island site from
4 his offices in Mountain Lakes, New Jersey. I indicated to
5 him at that time that if he had need for Burns & Roe to help
6 him in any fashion, please to let us know, and we would
7 immediately devote what resources were necessary to help
8 them solve whatever problem he saw.

9 The balance of the information that we received that day
10 came from the newspapers, television, radio reports which
11 were sketchy, contradictory, but led one to believe that, in
12 truth and in fact, a fairly severe situation much out of the
13 ordinary had occurred. Our Site Engineer, Mr. Brownell,
14 still was unable to gain access to the plant proper and thus
15 was unable to provide us with any information for the
16 balance of that day.

17 On the 29th in the morning, after having again been
18 principally informed by the news media, I called Mr. Bob
19 Arnold in his offices at Mountain Lakes. Mr. Arnold is a
20 Vice-president/Generation for GPUSC. In that conversation,
21 Mr. Arnold indicated that he suspected that the core had
22 been uncovered. He gave no estimates of damage to the
23 core. He did not, as I recall, discuss radioactive releases
24 that had been occurring or the condition of the plant as a
25 whole.

036 01 08

macPL 1 I again offered the services of Burns & Roe to assist GPU
2 in any way they found to be essential or necessary in their
3 handling of the plant. Later on that day, we received a
4 request for information from a person at the site in the
5 control room. That person's name is Ron Warren.
6 Mr. Warren, I believe, is a Metropolitan Edison employee.

7 His question was: given these tank level readings at the
8 start of the incident on the 28th, March 28, 4:00 versus
9 these tank level readings on March 29, and assuming all of
10 that water went into the basement of the reactor containment
11 building, how many gallons -- I mean, how many inches above
12 the basement level was the water level in the containment?

13 The answer was calculated and transmitted back by phone
14 to some person in the containment -- correction -- some
15 person in the control room of Three Mile Island that the
16 number Mr. Warren had given us -- it was not Mr. Warren, as
17 I recall, but the person receiving the message fully
18 understood that the request had been made by Mr. Warren and
19 would see to it that the information got to the right people
20 in the plant.

21 At that juncture, which was about mid-day of the 29th, we
22 started receiving requests for information, requests for
23 studies, requests to answer what-ifs, and requests to
24 provide interim designs for the Three Mile Island site from
25 the GPU home offices in Mountain Lakes and from the

036 01 09

macPL

1 President of GPU himself, Mr. Herman Dieckamp.

2 I directed that we open a work order, obtain additional
3 telephone services on an emergency basis into the 29 Park
4 Place offices, and augment the force of 29 to 30 individuals
5 at that Park Place location by people from -- throughout the
6 company. Their principal resources that I drew upon to
7 augment this for us, to keep up with the frequency and
8 extent of the questions and demands for information and
9 designs and procurement, came from the Forked River project
10 which was also under my direction. However, other
11 organizations within the company provided their resources as
12 requested such that by the end of the afternoon on the 29th,
13 we had established a round-the-clock effort of approximately
14 100 people per shift, of two shifts, working out of the 29
15 Park Place offices.

16 We received through the 29th, the 30th, and the 31st,
17 many requests for information, many requests for
18 procurement, many requests for design of temporary systems
19 to do two things. One was to provide additional assurance
20 that we could continue to remove the decay heat from the
21 reactor core and keep the reactor coolant system under
22 control in as far as temperature and pressure and flow were
23 concerned, and two, to provide means and mechanisms to
24 minimize the release of radioactive gas and fluids into the
25 environment.

036 01 10

macPL 1 To accomplish the latter, we went on a search nationwide
2 for large tanks of any material that could be used to house
3 activated charcoal or store radioactive fluids. The
4 activated charcoal, of course, would be used as a gaseous
5 filter to remove radioactive isotopes from gas. I forget
6 the exact number, but something like 75 to 100 large tanks
7 were procured and were en route to the Three Mile Island
8 site before the sun set on the 30th of March.

9 During the 29th and 30th, I was in frequent conversation,
10 as were my deputies, with the organization being set up at
11 the Three Mile Island site, the organization set up in the
12 GPU headquarters in Mountain Lakes and Parsippany, New
13 Jersey, and the organization established by Babcock & Wilcox
14 in Virginia. It became apparent that it would be of great
15 benefit to the whole unofficial organization that had been
16 established, if Burns & Roe sent liaison engineers to the
17 Babcock & Wilcox headquarters in Virginia.

18 And so, individuals were dispatched to perform that
19 function, and B&W was attempting to make analyses and model
20 runs for computer analysis that involved certain details of
21 the design for which Burns & Roe was responsible. And E&W
22 lacked some of the information that we had in our
23 possession, so to assist them in that mechanism, we
24 established a Liaison Office that lasted throughout the
25 period of time that you're interested in in Virginia. A

036 01 11

macPL

1 number of my conversations with Mr. Dieckamp on the 30th and
2 the 31st surrounded the mechanisms available in the plant to
3 degasify the primary coolant system.

4 Essentially, there are two, one of which is letdown and
5 makeup systems which is a process in the letdown.
6 Degasification takes place of the amount of water taken from
7 the reactor coolant system. The other mechanism is the
8 pressurizer spray depositing in a gaseous form dissolved
9 gases in the gas phase --

10 MR. SCHIERLING: Shall we go off the record for
11 awhile?

12 MR. MURPHY: Yes. I think it's best.

13 MR. SCHIERLING: Go off the record.

14 (Discussion off the record.)

15 THE WITNESS: The pressurizer spray depositing in
16 the gas phase of the pressurizer the dissolved gases from the
17 reactor coolant system, whereupon subsequent venting of the
18 gaseous -- gas phase of the pressurizer can extract gas from
19 the reactor coolant system.

20 On the 31st of March, Mr. Dieckamp called me and asked me
21 to join a group of engineers and scientists that he was
22 asking to join an industry advisory group to consult with
23 and advise him on events to control the reactor and reactor
24 coolant system and the radioactivity at the Three Mile
25 Island Unit-2. He further asked me to provide individuals

036 01 12

mgcPL 1 who were knowledgeable for consultation by members of the
2 industry advisory group in specific areas of design
3 criteria and installation and operation of features of the
4 balance of the plant for Three Mile Island and to bring with
5 us documentation that we might need such as electrical
6 elementaries, flow diagrams, system descriptions, and copies
7 of the final safety analysis reports for Three Mile Island
8 Unit-2.

9 I advised Mr. Dieckamp that it would be of benefit to
10 include Mr. Ed Wagner, who is the Burns & Roe Deputy
11 Director for Engineering, as a member of the industry
12 advisory group, as I felt his experience would be a great
13 value to Mr. Dieckamp. He agreed to include him in the
14 group.

15 Overnight, we duplicated most of the design calculations
16 and drawings that might be needed by the industry advisory
17 group, loaded them in our automobiles, and arrived early
18 morning Sunday, April the 1st, at a building designated at
19 Olmstead Air Force Base in Harrisburg, which was used as the
20 headquarters for the industry advisory group. We were among
21 the first to arrive. And so, we set up in a portion of the
22 building assigned a technical library that could be used by
23 the members of the group to provide information as required.

24 Included in the group that Burns & Roe brought back to
25 this effort were individuals who were at our Washington

036 01 13

macPL

1 Public Power System site, who had been instrumental during
2 the course of the design for portions of the Three Mile
3 Island plant, as well as individuals from our home offices
4 in Paramus and in Oradell.

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 The industry advisory group was quickly organized to address
2 itself to three major areas. One was to assess the core damage
3 that had occurred and to advise as to the size and danger of
4 the hydrogen bubble then in the reactor coolant system. This
5 group was under the direction of Dr. Ed Zebrowski,
6 Z-e-b-r-o-w-s-k-i, of EPRI, E-P-R-I.

7 Another group, under the direction of Mr. Warren Owen from
8 Duke Power, was looking at contingency factors and scenarios
9 with a specific responsibility providing advice on degasifica-
10 tion of the reactor coolant system. And the third segment was
11 under the direction of Mr. Milt Levenson of EPRI, who was to
12 attempt to outline the method by which Three Mile Island
13 should be brought from its present situation of cooling to
14 a cold shutdown condition.

15 During the next two or three days, around the clock efforts
16 by this industry advisory group addressing these separate tasks
17 met, analyzed, considered and provided advice and counsel to
18 Mr. Dieckamp for his use with the plant. On the second of
19 April, contact with Mr. Vic Stello, Mr. Mattson, was made,
20 in which the advice was provided on the various methods
21 recommended by the Levenson Committee on cooling the plant,
22 cooling the reactor plant, and proceeding to the cold shutdown
23 condition.

24 During these two or three days, continued requests for
25 designs, modification studies, and questions were provided

1 to the Burns & Roe home offices from many sources. One source
2 added was the industry advisory group, in which I transmitted
3 to the home office requests for answers to questions that
4 detailed analysis would be required to provide the answers to.
5 In addition, continued requests numbering in the thousands
6 were coming from other areas: Babcock & Wilcox, Mountain Lakes
7 and the Three Mile Island site.

8 On about the third of April Mr. Dieckamp came to me and
9 asked me to please join an organization he labeled TMI recovery
10 organization, that would be set up under his direction and
11 Mr. Bill Lee's, acting as his deputy, Mr. Bill Lee being the
12 president of Duke Power. He wanted me to establish the organi-
13 zation called plant modifications, in which I would be
14 responsible for the modifications necessary to continue to
15 cool the reactor core in transit to the shutdown condition for
16 long-term cooling, and to provide methods to control the
17 release of radioactivity to the environment.

18 I readily agreed and proceeded to establish such a plant
19 modifications group, and had under my immediate direction
20 three deputies in order that control of the operation could
21 continue around the clock.

22 The organization was divided into a procurement organiza-
23 tion, a construction organization, an engineering and design
24 organization, and a special projects organization under the
25 direction of the Westinghouse project leader, Mike Siano,

1 S-i-a-n-o, who had been tasked to augment the installed decay
2 heat removal system by installing other decay heat removal
3 systems.

4 The organization that was established by Mr. Lee and
5 Mr. Dieckamp had reporting to them three individuals or three
6 separate functions. One is administration and logistics. Two
7 was public and government affairs contacts. And three was the
8 GPU operations manager, which was Mr. Arnold and Mr. Byron Lee
9 from Commonwealth Edison, acting as his deputy.

10 Mr. Arnold's organization had the following elements: He
11 had a task management and schedule group, had the technical
12 working group, had a GPU technical support group under
13 Mr. Wilson, had a Met Ed plant operations group under
14 Mr. Herbein, and had a waste management group under
15 Mr. Frank Palmer from Commonwealth Edison, and the plant
16 modifications group under my direction.

17 MR. SCHIERLING: Off the record for a minute.

18 (Discussion off the record.)

19 MR. SCHIERLING: For the record, Mr. Cobean is
20 referring to the TMI recovery organization, the structural
21 organization of which we, the NRC Special Inquiry Group, do
22 have a copy. So Mr. Cobean, you can go right ahead and
23 identify the interactions amongst the different elements
24 there.

25 MR. MURPHY: Are you going to mark it as an exhibit

1 to this?

2 MR. SCHIERLING: No, no.

3 MR. MURPHY: Okay.

4 THE WITNESS: The function of the management of this
5 group was to have available to them enough resources such that
6 around the clock operation in all of the areas were available
7 and could be expected to be supported for an indefinite future.
8 Routine meetings were established immediately, such that the
9 technical working group would meet twice a day, once very
10 early in the morning, approximately about 6:00 to 7:00 o'clock
11 in the morning, and the other in the evening, approximately
12 7:00 to 8:00 in the evening.

13 Membership in the technical working group is as depicted on
14 this organization chart, consisted of technical support group,
15 Burns & Roe plant modification group, B&W task management,
16 industry advisory group, Mr. Levenson usually represented
17 himself, the NRC, usually Mr. Stello, and waste management
18 group.

19 The function of this technical working group was to receive
20 the output of the various line groups --that is, the technical
21 support group, the plant operations group, waste management
22 group, or the plant modifications group -- and agree with the
23 proposed plans or analyses provided by those groups and to
24 provide direction to the operations group or the plant modifi-
25 cations group to proceed with certain plant operations or

1 modifications.

2 This technical working group also was a source of most of
3 the criteria against which the design of plant modifications
4 for which I was responsible came from. The details of the
5 criteria could and usually were supplied by other line groups.
6 But generally speaking, the approval of the criteria was
7 provided by the technical working group.

8 The industry advisory group, during this span of time -- and
9 I'm now talking between the 4th of April through about the 7th --
10 reduced itself from its original number, which was approximately
11 100, to something less than that. By the 7th, I would guess
12 that it might be down to as few as 25 individuals.

13 During this span of time, that is, between the 1st and the
14 7th, national priorities had been established as a result of
15 President Carter's visit to Three Mile Island such that access
16 into any of the national laboratories for radioactive sample
17 analyses or calculational support or supply of technical
18 expertise was made available to the TMI recover organization.

19 Furthermore, national priorities were also established for
20 transportational assistance, such that when it was decided to
21 install an augmenting filtration system for the off-gas from
22 the plant, the location of fans and filter housings from the
23 Richland, Washington, area, at one of the Washington Public
24 Power System nuclear power plants, transportation for those
25 bulky and heavy components was supplied by the Air Force, such

1 that a C-5A and some C-130s were provided for that transporta-
2 tion.

3 Those components were shortly thereafter provided and
4 installed on top of the auxiliary building roof and cut into
5 the stack, which is the discharge center of gases discharging
6 from ventilation systems in the auxiliary and fuel handling
7 buildings of Three Mile Island.

8 During this span of time as well, while continuing with
9 round-the-clock operations in our home office at 29 Park Place
10 with approximately 200 people there, we quickly built the
11 organization for the plant modifications group up in excess of
12 120 people in the engineering and design portion of the plant
13 modifications organizations.

14 As well, we included about 10 to 15 purchasing individuals,
15 both buyers and expeditors, to supply the facilities needed
16 for procurement for the many designs that were being produced
17 and installed by the plant modifications group. The function
18 of all the modifications that were designed and produced and
19 installed were still for two separate purposes. One was for
20 the long-term control of the reactor coolant system and the
21 removal of the decay heat provided by the reactor core, and for
22 the control of the release of the radioactivity, both fluid
23 and gaseous, from the reactor plant.

24 During the height of this activity, in almost every case,
25 organizations that usually compete in the industry with each

1 other were working very closely together, such that in my
2 force on the plant modifications group were members of the
3 engineering and design group of the United Engineers and in
4 Mr. Wilson's force of the technical support group were repre-
5 sentatives from all the nuclear steam suppliers, doing analyses
6 cheek and jowl next to each other, and supporting each other,
7 each one of them having access into their own home offices for
8 additional assistance.

9 And in the waste management group, the operator utilities,
10 other owners of nuclear power plants supplied their best
11 resources to assist in that area.

12 It's hard to imagine a more impressive and long-lasting
13 feeling of pride in the way the nuclear industry dropped what
14 they were doing and came to the aid of a stricken plant and a
15 stricken company. All natural barriers between companies
16 dissolved and support for that company was provided with no
17 questions asked.

18 Now, I might add at the same time, one of the most valuable
19 of the contributors was the NRC itself, under the direction of
20 Mr. Stello.

21 That's as far as I've prepared to go, up through the 7th of
22 April.

23 MR. SCHIERLING: Thank you very much, Mr. Cobean.

24 I think it might be appropriate to take a quick break, if you
25 desire.

1 THE WITNESS: Okay. Right.

2 MR. MURPHY: Good idea.

3 MR. SCHIERLING: Off the record.

4 (Recess.)

5 MR. SCHIERLING: Back on the record.

6 BY MR. SCHIERLING: .

7 Q Mr. Cobean, thank you very much for the description
8 and evaluation of your activities in the TMI response effort.
9 I would like to use the information you have provided us with
10 as the basis for some questions that I have.

11 First of all, let me ask you to state your full name and
12 your position within the Burns & Roe Company.

13 A All right. My name is Warren Richardson Cobean,
14 Junior. I have a nickname called Buz. And I'm a
15 Vice President of Burns & Roe, Vice President, Project
16 Operations Division of Burns & Roe.

17 Q Thank you.

18 I will make reference to the previous testimony you gave
19 us. Mr. Cobean, when you were informed by Mr. Brownwell that
20 a site emergency had been declared, what did that mean to you?

21 A Well, it meant that they had a substantial amount
22 of radioactivity in containment. And the way you get radio-
23 activity in the containment is you have a leak from the
24 reactor coolant system into containment by some method.

25 Q To put that question into perspective, do you recall

1 any other incident where an emergency -- where the site emer-
2 gency had been declared, either at TMI or any other nuclear
3 power plant?

4 A. No.

5 Q. This was the first time that you were aware and
6 involved -- not involved, but you were aware of a site emergency
7 being declared?

8 A. Yes.

9 Q. That's the reason why I asked the question, did it
10 have any meaning to you. Earlier, you stated that you were
11 advised that there had been a turbine trip, a reactor trip.
12 This, compounded with the declaration of a site emergency, did
13 that have any special meaning to you?

14 A. Oh, yes. That there was a damage of some sort in
15 the reactor system.

16 Q. Okay. You mentioned that shortly thereafter, after
17 the talk with Mr. Brownwell, you called Mr. Wilson and dis-
18 cussed with him your plans for the day, the prearranged plans.
19 And you offered to Mr. Wilson, and in that way to the GPU
20 organization, your help, the help of the Burns & Roe Company.
21 What was the response by Mr. Wilson to that offer? Was it to
22 the degree, well, we don't know what the conditions are, we
23 don't know if you -- if we need your help? Or, we can handle
24 the situation by ourselves?

25 Can you elaborate on that?

1 A Well, his conversation was, to the best of my recol-
2 lection, that he wasn't positive of what had occurred or what
3 the details were, and that was the reason he was going to the
4 site, to try to find out; and that if they needed our help,
5 they would call us right away. But he was appreciative of the
6 offer.

7 Q He never did call back to request assistance in any
8 form, on any subject, on the 28th? I think you mentioned that
9 on the 28th, the first specific request by GPU or Met Ed -- and
10 I will be referring to the licensee as the GPU organization,
11 meaning GPU, GPU Service Corporation, and Met Ed -- the first
12 request from that organization was the determination of the
13 water level inside the containment?

14 A That's correct. Mr. Wilson himself never did return --
15 never did call and specifically ask that day for any information
16 or any help. However, that's not to say that the reason that
17 Mr. Warren was the first one to call wasn't at Mr. Wilson's
18 urging. I don't know exactly what Mr. Wilson was doing at the
19 time.

20 Q I see. So this was actually, then, a request for
21 assistance from someone within the GPU organization, Mr. Warren?

22 A Yes.

23 Q Do you know if there were any other contacts prior
24 to that by someone else at the site or from the Met Ed offices
25 in Reading?

1 A. I don't recall any contacts. I do believe on the
2 28th, I know that Scott Dam, the project manager, was not
3 there. He was in Philadelphia taking care of another project
4 that he is responsible for. So on the 28th I don't believe
5 he talked to anybody other than the person he was traveling
6 with, which was a GPU engineer.

7 And the next day, the 29th, he may have called Met Ed,
8 Reading. But I'm not aware. I don't recall who he talked to or
9 -- that's something you could find out by asking him.

10 Q. Yes. I was just going to ask you if it is all right
11 that we ask Mr. Dam directly, since he's here in the meeting.

12 A. Sure.

13 MR. SCHIERLING: Mr. Dam, did you receive any requests
14 for assistance from Met Ed or GPU Service Corporation on the
15 28th or 29th for your assistance, or Burns & Roe?

16 MR. DAM: On the 28th, I was in Philadelphia with
17 Clay Montgomery, who is the project manager for some continuing
18 work we were doing with the GPU Company on Three Mile Island.
19 And we were in Philadelphia on another project. And he was
20 the project manager, as I was at that time. While I had told
21 him, Mr. Montgomery, if there was anything we could do for him,
22 to let me know, there was no specific request for our support
23 on the 28th. I don't remember fully all my actions on the
24 29th of March. It was, you know, some time ago, and I probably
25 -- and this is my best recollection -- called around, both GPU

1 and Met Ed, seeing whether I could get in touch with anybody
2 to see what was going on in the plant, as well as see whether
3 we could do anything to help.

4 However, I can't document any of those phone calls. It's
5 the kind of thing I would have done under similar circumstances.
6 I have to presume I did the same thing. However, I did receive
7 a phone call at 3:30 in the afternoon on the 29th from
8 Ron Warren. Ron is the lead mechanical engineer for the
9 Met Ed operational engineering group.

10 MR. SCHIERLING: Let me interrupt for a moment.

11 MR. DAM: Off the record.

12 (Discussion off the record.)

13

14

15

16

17

18

19

20

21

22

23

24

25

036 03 01

kap/PL

1 MR. SCHIERLING: Let's go back on the record.
2 Talking about the call by Mr. Warren to Mr. Dam --

3 THE WITNESS: Who are you addressing this to,
4 Mr. Dam?

5 MR. SCHIERLING: To Mr. Dam, regarding the request
6 for calculating the water level inside the containment, and
7 it is inside the containment. Did Mr. Warren indicate why
8 he wanted to have that information, what his concern was?
9 And furthermore --

10 MR. MURPHY: Why don't you let him answer the
11 question?

12 MR. SCHIERLING: Let me put these thoughts all
13 together, because I think there's one answer to it. What
14 was the answer that you did calculate, and what was your
15 interpretation of that answer?

16 MR. DAM: That's many questions, not just one.

17 MR. MURPHY: It's too difficult. Do it one at a
18 time, Hans.

19 MR. DAM: Or I'll break them up and answer them.
20 The first question was: What did he, at 3:30 in the
21 afternoon, when he made the first phone call, what did he
22 exactly ask for? Which is an interpretation of your
23 question. He asked for the water level inside the
24 containment building. He said there was a leak of some
25 sort. I don't remember at the time whether he said it was

8036 03 02

kap/PL

1 from a ruptured disk from the reactor coolant drain tank,
2 which subsequently we all found out was, in fact, one of the
3 major sources of water into the containment building, but he
4 did give me a level in the borated water storage tank and
5 asked for the calculation.

6 I told him that I believed some time in the past we had
7 done various calculations on water level during a complete
8 loss of coolant accident, and had that information
9 available. And that was about all of the 3:30 phone call,
10 about all the time he had.

11 He subsequently called back at 4:30 and gave me a little
12 more sequence of events of the accident. And some time
13 around that same time frame -- and I don't know exactly --
14 he gave me various tank levels in various tanks in the
15 plant, including the core flood tank, being the borated
16 water storage tank, and other storage tanks.

17 And based on that he was interested in us doing a water
18 balance to see how much water could possibly be on the floor
19 in the containment building.

20 MR. SCHIERLING: In that calculation, did you
21 include -- let me rephrase that.

22 Were you aware that there had been a transfer of water
23 from the containment to the auxiliary building?

24 MR. DAM: I don't believe so, at that time.

25 MR. SCHIERLING: Which then would mean that the

8036 03 03

kap/PL

1 water level you calculated for the containment building
2 would have been the maximum water level?

3 MR. DAM: Based on the information we were given,
4 which was tank levels, we had no — for example, no
5 knowledge of how much water make-up they may have provided,
6 which we would not know. But in general, it probably would
7 be safe to say that would have been a maximum at the time.

8 MR. SCHIERLING: Did Mr. Warren indicate to you
9 why he wanted to have that information, what his concern
10 was?

11 MR. DAM: Again, I don't recall all the details of
12 the discussion that we had six months ago. He obviously was
13 concerned about equipment in the building, and we knew that
14 at a certain level, instruments or equipment would start to
15 become covered with water. Therefore there would be some
16 concern about the operation of that equipment.

17 MR. SCHIERLING: When you calculated the water
18 level, what was the number you did come up with?

19 MR. DAM: I personally didn't calculate it. It
20 was calculated by the mechanical engineers group. And the
21 number was roughly two feet. But I can't say much more than
22 that about exact numbers.

23 MR. SCHIERLING: Well, when I mentioned you, I
24 mean you, Burns & Roe Company. Did you attach any meaning
25 to that two-foot water level?

036 03 04

kap/PL

1 MR. DAM: In what regard?

2 MR. SCHIERLING: With respect to safety-related
3 equipment that was at such -- that potentially could have
4 been flooded at this time?

5 MR. DAM: I don't believe the two-foot level had
6 any significance regarding safety-related equipment and the
7 flooding thereof. The level that we started to get
8 concerned would be much higher than two foot.

9 MR. COBEAN: Let me interpose an answer, that I
10 happened to be there at this time as well. And we did look
11 at it from the point of view of what was possible to flood
12 out that is nuclear safety related from that level. But the
13 fact that you have two feet of water is an extremely
14 abnormal and usually is only the result of a LOCA, loss of
15 coolant accident, or flooding from some other source into
16 the containment building.

17 That in no way would be considered, then or now, a normal
18 situation that you would expect to incur some time during
19 the life of a plant. So, we were all concerned about the
20 abnormality of the water.

21 MR. DAM: In fact, we had rough radiation levels
22 inside containment which would indicate that they had a
23 problem, that they had transmitted to us.

24 MR. SCHIERLING: I would like you --

25 MR. DAM: So, I think to emphasize what Mr. Cobean

036 03 05

kap/PL

1 just said, we knew that it was a serious problem at that
2 point. Now, how serious --

3 MR. SCHIERLING: I would like to combine your
4 response, your concern, Mr. Cobean, regarding a two-foot
5 water level. Would you like to combine that or look at it
6 in conjunction with the high radiation level which you just
7 mentioned again, Mr. Dam? And furthermore, your awareness
8 of the site emergency that had been declared on March 28th
9 -- putting these observations together, did you initiate any
10 call to the GPU management, to either advise them of your
11 concern or have GPU address the request from you, assistance
12 in responding to the accident?

13 MR. COBEAN: We did not make, that I recall, a
14 special call to anybody other than provide the answer. We
15 felt that the water level being there, if it, in fact, were
16 in the containment building, is enough of an abnormality
17 that's easily recognized by anybody. That we were certain
18 that they would recognize the abnormality of the situation
19 and that was the reason for their request for the
20 calculation.

21 We did, however, in providing the answer, provided the
22 answer. And I'm not certain exactly how we answered. I
23 wasn't the person on the phone, but I do know that we had at
24 that time, only calculated the level, but calculated whether
25 or not any nuclear safety-related components could be

036 03 06

kap/PL

1 damaged as a result of that water level.

2 MR. SCHIERLING: Off the record for a moment.

3 (Discussion off the record.)

4 BY MR. SCHIERLING:

5 Q Mr. Cobeau, in your earlier statements, you
6 indicated that on midday Thursday, the 29th of March, you
7 did receive requests for information studies, "what-if"
8 situations, interim designs, and that these requests were
9 made, to the best of my recollection, by Mr. Dieckamp?

10 A Among others.

11 Q Among others?

12 A If the Ron Warren telephone call occurred at 3:30
13 in the afternoon, it was some time after that call. It's
14 kind of hard now to recollect precisely when the flood gates
15 opened, but there was almost no respite for the request for
16 information, for the request for studies and whatnot from
17 the site, as well as the Mountain Lakes people, after that
18 first call.

19 Q Thank you. I just wanted to have that piece of
20 information chronologically cleared up.

21 You indicated that these calls came from Mr. Dieckamp and
22 other people within the GPU organization. Did you at that
23 time -- and I would assume that we are talking now about
24 that early evening of the 29th -- discuss with Mr. Dieckamp
25 the implications of the observations that we mentioned

036 03 07

kap/PL

1 before, namely, high radiation level, high water level
2 inside the containment and other aspects which we discussed?

3 A I think we did. He and I personally talked
4 frequently that evening and the next day, and one of the
5 things we discussed was how we had gotten where we were.
6 And it was obvious to me, when the radiation levels were as
7 high as they were in the containment building, and when it
8 was apparent that we had water in the containment floor,
9 that we had had a loss of coolant accident.

10 And coupled with Bob Arnold's statement on the morning of
11 the 29th, that it appeared that the core had been uncovered,
12 it was apparent to me that we had had fuel failure, fuel
13 cladding failure of some consequence. And radiation level
14 at the dome, numbers as we were getting them, 29th, 30th,
15 31st -- were so high that it was apparent that a substantial
16 percentage of fuel cladding had failed.

17 Q Did you make at that time, any recommendation to
18 Mr. Dieckamp or someone else in the GPU management,
19 recommendation regarding what they should do next, where you
20 should assist?

21 A Yes, I recommended some time, probably the 30th,
22 that they should start degassifying the loop. But it
23 appeared that that had been part of their problem in
24 establishing fluid flow through the core. And that they
25 didn't appear to me at that juncture, even though I had

036 03 08

Kap/PL

1 very, very sketchy information of what they were doing, that
2 they didn't appear to me that they were aggressively
3 pursuing degassification of the primary coolant system.

4 Q You mentioned earlier the number 29 Park Place
5 offices?

6 A Yes.

7 Q Could you briefly describe what that office is,
8 compared to the office we are in right now and other Burns &
9 Roe offices?

10 A It's an office that's similarly configured insofar
11 as facilities, as the office you're currently in. It is,
12 however, considerably smaller. In that office were a series
13 of offices; private offices; one or two conference rooms;
14 work stations for engineers and designers and administrative
15 people; plus a location of all of the files, which include
16 all the design drawings, the final safety analysis report,
17 the system design descriptions, the calculations and the
18 records of contract awards and the like, that went into the
19 design of Three Mile Island.

20 Q I'm interested in identifying the function of that
21 office as compared to this office, or -- where were the
22 offices of the engineering support organization for the TMI
23 effort? Was it here? That's Park Place?

24 A 29 Park Place. First of all, Burns & Roe does all
25 of their work via projects. Projects that were assigned to

036 03 09

kan/PL

1 Burns & Roe associated with Three Mile Island were all being
2 performed at 29 Park Place. There were, of course, other
3 projects there as well, all under the direction of Mr. Dam.

4 For example, the Oyster Creek Radwaste Modification was
5 there. That was one of his responsibilities.

6 Q Okay. You earlier described the Burns & Roe
7 technical support that was mobilized. And you made
8 reference to the Forked River project which, if I recall
9 correctly, ultimately became involved in the TMI support.
10 On March 28th, the day of the accident, was there an
11 existing TMI support organization? And how many people were
12 involved?

13 A Yes, there was. On the 28th, the -- it might be
14 of some value to try to describe for you the functions that
15 that group was performing. First of all --

16 Q Let me interrupt just one moment. I mean prior to
17 the accident.

18 A Yes. That's what I'm trying --

19 Q Okay.

20 A First of all, that organization had a few
21 remaining functions to perform under the original
22 construction contract, which associated itself with things
23 like bringing the design drawings to the configuration as
24 built. Second, there were a few plant modifications that
25 had to be planned for, and for accomplishment during the

036 03 10

kap/PL

1 first refueling outage, which was scheduled '79-'80, in that
2 time frame. And those designs, procurements and packages
3 were being assembled by that same group, but under a
4 different work order.

5 And finally, there was a separate contract with
6 Metropolitan Edison, the operator of the plant, who used
7 their contract to provide "requests for improvements" of the
8 design or provide facilities that were not provided as a
9 function of the basic construction contract. Those
10 facilities could vary all the way from a change to the
11 design of some system, to the provision of additional office
12 space and things of that nature.

13 Now, those were the three functions, three separate
14 functions being provided by the same group at Park Place for
15 Three Mile Island. There were, of course, that same group
16 was also providing certain functions of the same kind to
17 Jersey Central, another operating company of GPU for the
18 Oyster Creek Power plant. And the number of people
19 associated at that time, I think was around 30 to 35.

20 MR. DAM: 40

21 THE WITNESS: 40, something of that nature.

22 BY MR. SCHIERLING:

23 Q And that group did report to Mr. Dam?

24 A To Mr. Dam.

25 Q To Mr. Dam. And this is the group that first was

036 03 11

KSP/PL

1 utilized on Thursday the 29th to participate in the
2 information retrieval studies and interim designs that
3 Mr. Cobean mentioned earlier?

4 A That's right.

5 Q And later on that day, you enlarged that group, or
6 maybe on Friday the 30th, to arrive at a shift of about 100
7 people per shift; is that correct?

8 A That's approximately right. I forget exactly when
9 it grew to that number. But it was very quickly enlarged.
10 As I say, principally from the resources supplied from the
11 Forked River project, which had a very large group of people
12 available.

13 Q You mentioned earlier that on about the 30th of
14 March, maybe earlier, that you initiated a nationwide search
15 for tanks. Was that requested by someone in the GPU
16 organization? I know you mentioned Mr. Dieckamp.

17 A Mr. Dieckamp personally asked for that.

18 Q Were you aware of the fact that Met Ed was
19 conducting a similar search?

20 A We were not at that time aware of that.

21 Q Were you aware -- did you attempt to coordinate
22 any of your efforts with Met Ed, not only on the search for
23 tankage, but any other equipment? Identify and search --

24 A When we were aware of what some other
25 organization like Met Ed was performing, then we were trying

036 03 12

kap/PL

1 to perform a similar function. We certainly would try to
2 coordinate it. But by and large we were ignorant, in the
3 very early stages, of what Met Ed precisely was doing.

4 MR. DAM: Could I add something at this point?

5 MR. SCHIERLING: Yes, sir.

6 MR. DAM: On Thursday, when I talked to Ron
7 Warren, he mentioned that Bob Keaton from GPU was to be a
8 key contact to accumulate information, or be a go-between
9 for response. And on Friday morning I talked to Mr. Keaton,
10 and we discussed in general what we were doing and what they
11 were doing, in general terms. And subsequently, we had
12 numerous discussions with Mr. Keaton in attempts to
13 coordinate information and then that contact grew. And I
14 believe Mr. Croneberger came to the contact, and we were
15 talking to him on Friday night, I remember, about who was
16 getting which tanks from where.

17 They, GPU, provided an engineer who was in our office.
18 And he was also helping to coordinate who was buying which
19 tanks. I believe that the industry in general, a number of
20 groups, were looking for tankage. This information was fed
21 back to GPU when a source had been located, so that there
22 was at least some tracking of who was buying which tanks, so
23 we weren't both buying the same tanks.

24 Now, we specifically don't know exactly what Met Ed was
25 doing. But it was our understanding that GPU was

036 03 13

kag/PL 1 coordinating this.

2 Does that help?

3 MR. SCHIERLING: Yes. Yes.

4 BY MR. SCHIERLING:

5 Q You mentioned earlier that on March 29th, March
6 30th, that there were many requests for temporary systems
7 and procurement with the objective to provide additional
8 assurance for decay heat removal and to keep the reactor
9 coolant system under control and to also evaluate means and
10 mechanisms to minimize radiation releases.

11 What specifically did you do with regard to those two
12 objectives? And to whom did you feed that information, in
13 the GPU organization?

14 A Well, we prepared some preliminary designs. As an
15 example, one of them was a design laid out in the east yard
16 of the Three Mile Island plant in which large tanks that we
17 had located and had gotten delivered or had gotten
18 transported en route to Three Mile Island, were to be filled
19 with activated charcoal and provided a piping system to the
20 various gas suppliers within the auxiliary building, such as
21 the off gas system, such as the ventilation system itself,
22 where these large tanks contained activated charcoal could
23 be used to scrub out the radioactive isotopes that could be
24 constructed out by activated charcoal, such as iodine.

25 MR. DAM: Could I add to that?

036 03 14

kap/PL

1 THE WITNESS: No. Wait a minute.

2 MR. DAM: Okay, fine.

3 THE WITNESS: Another example would be a similar
4 type of system that was, in fact, installed. The first
5 system I just described was never installed, even though the
6 design proceeded to the point where an engineering change
7 memorandum had been supplied to the construction people.

8 The other example is one that was, in fact, installed and
9 used, and that is an activated charcoal system on the
10 discharge of the exhaust -- the vacuum pumps of the turbine
11 building, where exhaust from the condenser, which was being
12 used to absorb the decay heat from the reactor via the steam
13 dump system, where this particular filter system was
14 attached to this system and scrubbed out whatever
15 radioactivity might have gone over through the steam
16 generator from the reactor coolant system, those kinds of
17 things came out of requests for designs of various kinds.

18 The principal sources, however, of what finally did turn
19 into designs that have been operated or are in place at
20 Three Mile Island, came after the organization was
21 established on-site in the plant modifications group.

22 MR. SCHIERLING: Mr. Dam, you wanted to add
23 something?

24 MR. DAM: Very briefly. The first system that
25 Mr. Cobean was describing with the tankage in the east yard,

K.../PL

1 I believe, was specifically for venting of the waste gas
 2 decay tanks. We were proceeding on two parallel paths, one
 3 was a design of a compressor and tank storage system which
 4 had been an option for release if desired, as well as a
 5 design to vent the waste gas decay tanks back to the
 6 containment building.

7 It's the latter that was finally chosen. And I believe
 8 that was something like the 5th or 6th of April when that
 9 design was stopped and we started on other designs. We were
 10 working on other designs.

11 I believe that was the system you were first talking
 12 about, is that correct?

13 THE WITNESS: Yes.

2-3

14
 15
 16
 17
 18
 19
 20
 21
 22
 23
 24
 25

8036 04 01

PL

1 BY MR. SCHIERLING:

2 Q You indicated earlier that there were efforts
3 coming into the Burns & Roe organization from the site, from
4 Parsippany?

5 A Request for efforts, you say?

6 Q For assistance.

7 A Requests for assistance?

8 Q Yes.

9 A Yes.

10 Q They came in from the Three Mile Island site?

11 A Yes.

12 Q From the GPU offices in Parsippany?

13 A Yes.

14 Q And also from B&W in Lynchburg?

15 A That's right.

16 Q Who coordinated at that time -- I think we're
17 talking now about Friday, Saturday?

18 A Yes.

19 Q Who coordinated here in Paramus, the entire Burns
20 & Roe effort? Was that you?

21 A Yes. Under me. However, even though I am not
22 certain what we call them, with deputies of mine that were
23 on and in charge of the office at Park Place on a
24 round-the-clock basis, there was a clear leader on every
25 shift who was responsible to see to it that the technical

B036 04 02

py PL

1 group of people and administrative people who had been
2 assigned for that shift performed their work and got the
3 answers out to the proper individual. And those people are
4 the, in fact, coordinators. They were on a round-the-clock
5 basis.

6 Q Mr. Cobean, can you comment on the communications
7 between Paramus and these three different elements? In
8 particular, the availability of communications to the Three
9 Mile Island site on the 28th, 29th, any difficulties that
10 you had.

11 A Well, the 28th, I can't comment on it because I
12 don't believe we really attempted to -- we didn't test the
13 communications system very thoroughly other than to try to
14 get in touch with our people at the site, own people, to
15 which we were almost completely unsuccessful other than to
16 finally call them at their home. Particularly Brownell's
17 home. We assumed because of a radiation emergency, that the
18 control room would have been so busily involved in trying to
19 use whatever communications facilities that they have, that
20 that would be next to impossible for us to obtain entry into
21 that communications system.

22 However, the 29th, I think, was the first time that we in
23 fact did make contact with the control room, and therefore
24 contact with the control room was made fairly regularly, I
25 would say, you know, almost on an hourly basis. It was

8036 04 03

PL 1 difficult to predict when you needed to have access into the
2 thing. But there were additional means established by then
3 to gain access into the control by telephone. And we did
4 the same thing.

5 One of the first things we did was to establish, I think,
6 five or six independent outside telephone lines in the Park
7 Place offices, since it was pretty obvious that the fuel
8 lines we had, one outside line and one through our own
9 switchboard, was not going to suffice, particularly at night
10 since our switchboard is usually turned off at night. So,
11 we got these exterior lines, plus facsimiles had been
12 changed, and those kinds of things, to get better
13 communications facilities at our end.

14 Q How many Burns & Roe people did you have at the
15 site on the 28th?

16 A Oh, on the 28th, I think we had four.

17 Q And they were under the direction of
18 Mr. Brownwell?

19 A Yes. He's one of the four.

20 Q I see.

21 A That's right; isn't it? Four? Secretary and two
22 designers, and Brownwell?

23 MR. DAM: Yes. Part-time secretary.

24 THE WITNESS: Yes.

25

8036 04 04

PL

1 BY MR. SCHIERLING:

2 Q Who initiated the Burns & Roe contact with B&W?
3 Was that done on the request of GPU? Did you initiate it on
4 your own? Or was it requested by B&W?

5 A I don't recall for sure. It could have been any
6 one of the three things that made the first call.

7 MR. SCHIERLING: Do you recall, Mr. Dam?

8 MR. DAM: I recall getting some phone calls from
9 B&W asking us questions. Whether that was Thursday -- I
10 think that was Friday. I don't know whether we had called
11 them first. I believe they called us first directly.

12 BY MR. SCHIERLING:

13 Q And when did you send your people to Lynchburg?

14 A I think we sent them Friday night or Saturday
15 morning.

16 MR. SCHIERLING: Off the record for a moment.

17 (Discussion off the record.)

18 (Whereupon, at 12:00 noon, the interview was
19 recessed, to reconvene at 1:00 p.m., this same day.)

20

21

22

23

24

25

PL

AFTERNOON SESSION

(1:00 p.m.)

1

2

3

MR. SCHIERLING: Back on the record.

4

BY MR. SCHIERLING:

5

6

7

8

Q Mr. Cobean, while you were discussing the activities of the industry advisory group, you made reference to a notebook. Could you please very briefly identify that notebook?

9

10

11

12

13

14

A Yes. It's a notebook that I usually carry around with me to write down things that I wish to remember, like directions from clients or notes that occur with meeting with other people, where frequently I will have to go back and look at it and see what was said. Just a notebook that I habitually try to keep data in.

15

16

17

18

19

20

Q Okay. The entries that you are referring to regarding the industry advisory group, did you make those entries on the specific dates when these activities took place? Or were they reconstructed at a later time?

21

22

23

24

25

A No. They were taken at the time that they occurred.

Q Mr. Cobean, you identified that very early -- and I think it was on Sunday -- three major activities were identified by Mr. Dieckamp for the industry advisory group to evaluate: the core damage, including the size and danger of the hydrogen bubble, under Ed Zebrowski; an effort

PL

1 under Warren Owen, contingency planning and what-if
2 scenarios, in particular with regard to degasification
3 methods; and Milt Levinson on the outline of alternate
4 methods for cooling to achieve cold shutdown.

5 Which of these three groups did you participate in?

6 A I personally participated in Milt Levinson's group
7 with the cooling plan. I asked Ed Wagner to take part in
8 the core damage group with Ed Zebowski because the hydrogen
9 bubble was their particular concern, and he did that.

10 Q How many Burns & Roe people did go down to the
11 Three Mile Island site on Sunday? A rough estimate.

12 A About 10.

13 Q About 10 people. And were all of these assigned
14 to the industry advisory group?

15 A Yes. In one form or another. There was two of us
16 that were members of the industry advisory group. The
17 balance of them, including Mr. Dam, were there for purposes
18 of providing assistance to the members of the industry
19 advisory group on questions that they might specifically
20 have and to run the technical library that we established.

21 Q How long did you stay with the industry advisory
22 group? I think you mentioned it earlier. It was until
23 about the middle of that week?

24 A About the third, I believe, of April.

25 Q Yes. I just see you indicated it was April 3.

8036 04 07

PL

1 The recommendations that the industry advisory group arrived
2 at during the days that you were a member of that group, how
3 were they integrated into the GPU response effort?

4 A We would have typically a meeting by group to
5 discuss specific things. For example, the group I was on
6 had a meeting on the second of April, in which we discussed
7 alternate cooling schemes over the short term, and then
8 alternate cooling schemes with or without power over the
9 short term.

10 The group that I was associated with, Mr. Levinson's
11 group, would explore all the implications of all of these
12 various facilities and alternate procedures and then chose a
13 series of those alternates that we favored over others in
14 some order or priority.

15 At the end of that day, I believe, we had a meeting with
16 Messrs. Arnold and Dieckamp. I am trying to recall whether
17 or not any of the NRC people were in that meeting or not, in
18 which the results of these -- this discussion for that day
19 was given to them, and they took that advice and operated on
20 it in some way. Like, for example, one of the alternates
21 that we had for the alternate cooling scheme was eventually
22 developed into a design and installed as a modification to
23 the plant by the group that I was then in charge of, the
24 plant modifications group.

25 So, that's the method in which they operated. The other

by PL

1 individuals, the other groups, also met. Usually, we all
2 met in the evening together with Dieckamp and Arnold and, as
3 I said, on occasion, Stello and other members of the NRC to
4 discuss what we had decided to do in the areas that we had
5 explored that day.

6 As a matter of fact, one day, the first day, the group
7 met with Roger Mattson, Joe Hendrie, and Dennis Ross at 6:00
8 o'clock. That's the first day.

9 Q Excuse me a moment. The first day is April 1?

10 A April 1. Yes. At 6:00 o'clock that afternoon.

11 And each of our small committees gave them a report as to
12 what they suggested in specific areas. So, typically,
13 that's how it operated over the first couple of days.

14 Subsequent to that, with the establishment of the TMI
15 recovery organization, the industry advisory group would
16 meet with this technical working group twice a day in the
17 morning and in the evening. And in that avenue, in that
18 forum, they reported and received -- they reported results
19 of work that they had done and also received tasks to
20 perform other work in the way of analysis and consideration
21 and requests for advice.

22 Q Did you in your later assignment as the manager of
23 the plant modifications group receive direction from the
24 industry advisory group to make plant modifications or --
25 let me rephrase the question this way: Did the industry

BY PL

1 advisory group make specific recommendations either to you
2 or in the forum of the technical working group you just
3 described on specific plant modifications?

4 A Yes, they did. They did, indeed, and frequently.

5 Q Do you recall any difficulties between the
6 recommendations being made by the industry advisory group
7 and the implementation of those recommendations? I am
8 talking now about the time period when you assumed the
9 position of manager for plant modifications.

10 Q I don't recall anything that you would label a
11 "difficulty." Like everyone else in the technical working
12 group, they made comments and recommendations that were not
13 generally adopted. But that happened to all of us. All of
14 us were trying very hard to do what we thought was best, and
15 it was a free-running kind of a meeting in which suggestions
16 were made along specific subject lines by the members of the
17 group, discussed, debated, and decided upon.

18 And just because the industry advisory group made a
19 specific suggestion did not, ipso facto, mean that we
20 adopted it without full explanation and consideration by the
21 other members.

22 But by and large, it was a very harmonious technical
23 working group that was set up specifically to explore that
24 kind of thing, using resources that each individual group,
25 including the NRC, had in their command to help them.

by PL

1 Q Mr. Cobean, while you were at the Three Mile
2 Island site, there was a very heavy backup effort here in
3 Paramus. Who directed that effort?

4 A Oh, one --

5 Q Is that correct?

6 A Yes, that's right. I was still attempting to
7 direct it from the site. But I had able assistance from
8 people like Howard Canter, who was specifically placed on --
9 he was one of the individuals in the office. He's a
10 director of a project operations division. And
11 Frank Spangenberg and Tip Brolin. Brolin was a project
12 manager of Forked River. And Spangenberg is a project
13 engineer on Forked River. And Andy Marathe, he's a project
14 engineer on Forked River. Those individuals ran the group
15 back here, reporting to me at the site.

16 Q In essence, the Burns & Roe organization here in
17 Paramus was your backup organization for the site?

18 A That's right.

19 Q And problems that you were facing at -- facing at
20 the site, frequently you referred them to the home office
21 here in Paramus?

22 A Oh, yes, absolutely.

23 Q When you were in charge of the plant modifications
24 group, from whom did you receive your directions to initiate
25 certain plant modifications? Was that from a consensus of

PL

1 the technical working group, or was it from an individual
2 like Mr. Arnold?

3 A Well, it was a mixture of both. Mostly, it was
4 the technical working group. On occasion, a task would be
5 started after a discussion had taken place in a technical
6 working group. The task would be started by me, and the
7 discussion of the technical working group convinced me that
8 we needed to have something put together to get ready to
9 solve that problem.

10 A good example of that is we installed two 2500-kilowatt
11 diesel generators at the site at Three Mile Island to
12 support the balance of the plant electrical power
13 distribution system in the event of loss of power. That
14 resulted from a direction that I gave my own -- the plant
15 modifications group. That resulted from a discussion of
16 alternate cooling methods with and without power that, as I
17 say, originally started in the industry advisory group, got
18 into the technical working group, and the discussion, the
19 implications of a loss of off-site power were severe enough
20 to where I thought it was warranted.

21 So, I put the wheels in motion, went back to Arnold and
22 told him I had done so. And he generally agreed with the
23 process.

24 Similarly, other people, like Wilson, for example, would
25 feed to me specific criteria of particular modifications

PL 1 that his analysis individuals had decided upon needed to be
2 done. And using that criteria, we would start the work on
3 the design.

4 That issue would always, however, come up with a
5 technical working group in which the process was discussed
6 there and general agreement that we were going to use our
7 resources in that fashion was reached by all members.

8 Now, for example, say, the NRC was always at those
9 meetings, and I don't know that there was a specific single
10 task that we performed that they did not have something to
11 say about, that they didn't, you know, agree with the idea.

12 Q So, in essence, then, the technical working group
13 was actually an executive body that initiated analysis
14 efforts, plant modification efforts, all the major
15 activities and also cleared these activities within that
16 recovery organization?

17 A That's right. That's correct.

18 Now, they didn't initiate all. As I say, all of the
19 analysis effort frequently in the large group managed by
20 Mr. Wilson, analysis would be initiated down there, but it
21 would bubble to the surface and be discussed with a
22 technical working group. It would usually result, perhaps,
23 in a change in procedure or a change in data that had
24 previously been given, or a modification criteria.

25 I might say the same thing would be true in a waste

B036 04 13

PL

1 management group, what I just described for the technical
2 support group. They would also do analyses, come to the
3 surface of the technical working group, and criteria would
4 be given to my group for design and installation.

5 Q Mr. Cobean, while we were off the record, we
6 discussed the extent to which the Burns & Roe Company
7 availed itself of the -- you might call it "connections"
8 that were offered by the Federal Government and, in
9 particular, by the White House. Can you elaborate on that?
10 Did you ever utilize that avenue in obtaining either
11 manpower, other resources, equipment, transportation?

12 A Yes. I discussed earlier on the record a
13 description of a ventilation cleanup system, filtration
14 system that was designed and installed on the roof of the
15 auxiliary building, and the delivery of the components of
16 which came from Washington State, flown there by the Air
17 Force.

18 The arrangement for that transportation was made by a
19 Burns & Roe buyer calling a certain contact number that had
20 been given to us at the Three Mile Island site staff for
21 assistance. That buyer called and asked permission or
22 assistance in getting that stuff delivered, that materials
23 be delivered from Washington State in the next day or so.
24 Subsequently, the Air Force was directed by the White House
25 to load it on their planes and fly it to Harrisburg.

8036 04 14

PW PL

1 Q You mentioned earlier that United Engineers did
2 provide manpower assistance to your plant modifications
3 group. Is that correct?

4 A That's correct, yes.

5 Q Were there any other personnel from other
6 organizations, utilities, architect engineers that
7 participated in your group?

8 A Yes, there was. There were some Gilbert Associate
9 individuals, particularly in planning and scheduling, with
10 part of our organization. General Public Utilities had some
11 of their people in our organization, particularly in the
12 civil structure -- in the construction and purchasing parts
13 of my organization.

14 Catalytic formed some of the -- formed most of the
15 on-site direct supervision of construction. Let's see.
16 Westinghouse supplied a substantial group of engineers and
17 designers to design the augmented decay heat removal
18 system. They also supplied an organization that did the
19 principal decontamination of the diesel building and the
20 auxiliary and fuel-handling basement. And I believe that
21 covers it.

22 Q It gives a very good indication that there were
23 many organizations. I had gathered from your earlier
24 statement that maybe United Engineers was the only other
25 organization there. And that certainly was incorrect?

PV PL

1 A Yes.

2 Q You mentioned that Catalytic directed the crafts'
3 effort to do the actual implementation of the modifications
4 that had to be made. Did you give the directions to
5 Catalytic about what had to be done?

6 A Yes. We did that in a method called "using the
7 engineering change memoranda system," that had been
8 established by Burns & Roe and GPU during the initial
9 construction days on Three Mile Island, wherein we would
10 present to Catalytic via this mechanism an approved drawing
11 and instructions on how to install that piece of equipment
12 or that system.

13 It was an attempt to engineer, provide fully engineered
14 steps for them to perform. There was enough
15 cross-pollination and daily contact -- even better than
16 that, even hourly contact -- between the Catalytic
17 superintendents and our engineers that if any questions
18 arose as a result of interpretation of a drawing, why, our
19 people helped them or corrected the drawing or modified the
20 drawing to make it clearer.

21 Q So, it was either you yourself or someone within
22 your organization directly dealing with the superintendent
23 of the Catalytic organization?

24 A Yes.

25 Q Do you know of any conflicts, or can you comment

8036 04 16

py PL

1 in general on the morale or attitude of the workers at TMI?
2 I am talking about the Catalytic work force to participate
3 in that effort, in the response effort. For example, did
4 you always have enough manpower available on an overtime
5 basis or whatever it might be to indeed get the job done?

6 A The morale of the people I thought was extremely
7 high, both from a point of view of the superintendent as
8 well as the actual workers, trades people. There seemed
9 never to be enough -- precisely enough people available to
10 do all the jobs that we wanted to do, simply because we were
11 trying to do them in such an extremely short period of
12 time.

13 For example, the long-term modification to cool the B
14 steam generator is a design that includes pumps, heat
15 exchangers, demineralizers, and large pipes and
16 cross-connection into existing plant systems into this
17 modification. That modification alone normally should take
18 somewhere between six to 12 months to accomplish. We tried
19 to do that in three weeks. And it's that kind of a demand
20 that was awfully hard to keep up with.

21 So, where we were short of people, we worked people
22 overtime and we worked them as hard as we thought was safe
23 for them. And we worked them as consistently as we could.

24 Finally, when we got to a single point where we realized
25 that we had taken certain trades and worked them long, very

8036 04 17

PL

1 long hours for long periods of time, we specifically gave
2 them a day off to get some rest, because we were afraid they
3 would start making mistakes. And we could not, with that
4 kind of a schedule, afford mistakes that had to go back and
5 be fixed.

6 Q Do you recall any requests that you had, either
7 for personnel, for equipment, analysis, you name it, that
8 either your organization, be it at the site, plant
9 modifications, or that Burns & Roe here in Paramus, was not
10 able to meet?

11 A Yes.

12 Q And if so, what did you do about it?

13

14

15

16

17

18

19

20

21

22

23

24

25

e4

8036 05 01

oshPL

1 A Well, there's only one request that I'm aware of
2 that we were not able to meet that we were asked to do. And
3 that is, at the same time that we were doing the engineering
4 design and installation of the B steam generator
5 modification, we were asked to perform a similar design, an
6 installation on the A steam generator on a schedule that was
7 2 to 3 weeks to complete.

8 There was no way that I could meet both requirements.

9 The B steam generator worked, had proceeded a couple of
10 days in advance of this request and was well on the path
11 towards completion of the design portion of it, particularly
12 the mechanical design portion of it.

13 When Arnold and Wilson requested that we also do the A
14 steam generator and do it in a couple of weeks, I indicated
15 that I just could not. I could not meet that schedule. I
16 could do it, but I couldn't meet that schedule.

17 And so they assigned that function then to Gilbert,
18 Incorporated, to do the engineering and design and
19 procurement of the A steam generator.

20 It was subsequently stopped a few days later well in
21 advance of the completion of the entire engineering and
22 design of it.

23 However, the procurement had been completed of the major
24 components, like heat exchangers and pumps. But it was
25 never installed -- because at the time, it became apparent

B036 05 02

hPL

1 that they couldn't meet their two-week requirement, either.
2 And so it was just stopped.

3 That's the only time that I can recall ever having been
4 requested to do something that I ended up saying that I
5 couldn't do it on their schedule. I could do it, but I
6 couldn't do it on that schedule.

7 Q Mr. Cobean, we made reference to a TMI recovery
8 organization throughout this interview, which came about,
9 it's my understanding, about Tuesday or Wednesday of the
10 week following the accident.

11 Can you comment on the operation of the TMI recovery
12 organization prior to this organization and thereafter?

13 I'm interested in interaction amongst people without this
14 organization and with an organization, its effectiveness.

15 A Well, I can only comment insofar as I viewed it.
16 Before this organization, there were just strictly two
17 phases that I was involved in. I was in a position to
18 observe.

19 One of which is where we were operating out at the 29
20 Park Place office and responding to requests for
21 information, requests for analysis and design and
22 procurement from a multitude of sources.

23 The second phase is where I joined the Industry Advisory
24 Group back in Pennsylvania.

25 So, my view is at least limited to what I had contact

ashPL 1 with. I don't think that there is any doubt, however, that
2 the imposition of the TMI recovery organization and the
3 resources that had been assembled previous to that, the
4 organizational efficiency substantially improved -- less
5 duplication of effort, I would imagine, would have to ensue
6 because it all comes from one place now.

7 And all of the people, all of the organizations working
8 on all of the problems were reporting through one
9 organization.

10 Whereas before, a lot of organizations were involved.
11 And I would imagine it would be awfully difficult for
12 Mr. Dieckamp or Mr. Arnold to keep track of everything that
13 was going on.

14 It was for that reason that this organization was
15 established, though.

16 Q Do you think the participation of the Industry
17 Advisory Group was of benefit to the recovery organization?
18 And I would like you to address that issue, if you could,
19 from two aspects: One, you as a member of the Industry
20 Advisory Group; and secondly, you as a manager of the plant
21 modifications group.

22 A Yes. I think they were of great benefit. I
23 believe in addressing the three areas of concern that were
24 originally assigned to the Industry Advisory Group, and as a
25 member of that Industry Advisory Group, I know that they

shPL

1 assigned what our country considers some of the most
2 experienced and best talents into those areas in an
3 organized, disciplined fashion to look at things in a
4 methodical way, such that resolutions could come out of
5 that.

6 Whereas before, perhaps those exact same subjects were
7 being looked at by B&W by themselves, by GPU by themselves,
8 or in conjunction with somebody else, by NRC by themselves
9 in reaching separate conclusions or based on different data
10 I think that assembled in the Industry Advisory Group, was
11 enough talent such that it merited and deserved and obtained
12 the respect and the consideration of the licensee, GPU, as
13 well as NRC in what they had to say.

14 Now, as a member of the plant modifications group, they
15 were a source of a substantial number of suggestions, as
16 were the rest of us, that I thought were particularly
17 meaningful in their recovery operation.

18 I think it was a very definite asset to the recovery from
19 TMI.

20 Q Can you recall any or some specific incidents
21 where you, as the manager of plant modifications, said let's
22 go and ask the Industry Advisory Group was they think about
23 this approach or what methods they would recommend?

24 A Yes. Back to the B steam generator system. One
25 of the functions of the plant modifications group that I

8036 05 05

oshPL

1 established was that the -- not only was my group supposed
2 to supply the design and the hardware and the installation,
3 but we were also supposed to supply a detailed operating
4 procedure of the system that we were modifying as we were
5 modifying the plant, the system that we modified after it
6 was modified.

7 Two separate procedures.

8 And the B steam generator, the process of putting the B
9 steam generator cool-down system on the line, so to speak,
10 such that you cut it in and act as a cooling heat sink for
11 the steam generator concerned me from the point of view of
12 waterhammering, in that we were going to introduce into the
13 B steam generator substantially cooler water.

14 And I wanted the industry advisory group to look at the
15 planned procedure that we had put together to see whether or
16 not that is the optimum way of bringing that system on the
17 line.

18 So, they accepted that requirement and did a study on it
19 for us. That's a specific example.

20 But they did that for other people as well, that sort of
21 thing.

22 Q Thank you. One of my last questions. You
23 mentioned before that requests came to Burns & Roe and task
24 assignments were made for specific activities.

25 Did that procedure apply to both activities at the site

8036 05 06

hPL

1 and at Paramus? And if so, can you explain on the method of
2 task assignments, can you explain that a little bit more?

3 A Well, before the establishment of the TMI recovery
4 organization on the site, as I said before, those tasks and
5 requests for information and help came from all sources to a
6 central organization at 29 Park Place.

7 When we established the recovery organization at the
8 site, they continued to supply requests for information and
9 data again from three sources to the home office at Paramus.

10 There was an attempt on my part to try to get those
11 assignments to be assigned to the home office, to be
12 assigned via myself.

13 At least I considered doing that that way.

14 But it was pretty apparent to me that that could
15 unnecessarily burden the system with delay, just to try to
16 locate where I was, because sometimes I could not be very
17 easily obtained.

18 One of my deputies, however, could

19 So I established a system such that when an assignment
20 came into the home office, they would let me know on a daily
21 basis, twice a day, what they would assign, what they were
22 working on and what the progress was and what their status
23 was.

24 So that by facsimile, they transmitted to me twice a day,
25 once in the morning and once in the evening, a status of

ashPL

1 where they were on all the jobs they were working on in the
2 home office.

3 Those status reports would also identify who had assigned
4 that task to them.

5 Q Were these only tasks assigned to Paramus by the
6 site or did that also include tasks that were assigned maybe
7 by Parsippany or Paramus and you are aware of all of the
8 support activities that were going on?

9 A Yes, sir. After we established this organization
10 in the site, task continued to be assigned to the home
11 office from Mountain Lakes, from Parsippany to a lesser
12 degree. But the principal person at Parsippany who was
13 assigning things was Mr. Dieckamp and his immediate staff
14 subordinates.

15 But we would also get them from B&W from time to time.

16 Q You mentioned earlier that Burns & Roe did keep a
17 record of all these assignments?

18 A Yes.

19 Q And that does exist?

20 A Yes.

21 Q In the Burns & Roe files?

22 A Yes.

23 Q Would you have an index to these task assignments
24 that were made through the time period of interest to us
25 today? That would be through April the 7th.

B036 05 08

ashPL

1 A I think so. I don't know what you mean by an
2 index. We have a number and a task.

3 Q A summary sheet?

4 A Title, usually. And it may have some other data
5 by who assigned it and when it was assigned and when it was
6 answered.

7 Q Would it be possible for me to look through that
8 particular record?

9 A Certainly.

10 Q Okay. Was, at any time, and again, I'm talking
11 only through April the 7th, was at any time during that time
12 period the issue of reimbursement mentioned by the Burns &
13 Roe Company, by GPU in your recovery efforts?

14 A Between Burns & Roe and GPU?

15 Q Yes.

16 A No, not to my knowledge. Not during that span of
17 time. It was subsequently, but not then.

18 Q But not then?

19 A Yes.

20 Q Mr. Cobean, we covered quite a bit of territory.
21 I would like to ask you at this time if there's anything
22 else that you would like to add to the information that you
23 have provided us with today, be it on a specific nature or
24 be it on your impression or evaluation of the recovery
25 effort, again, during the time through April 7th?

036 05 09

oshPL

1 A Well, as I said in my opening statement, I thought
2 and summoned it all up. I thought that the organization and
3 support that the industry gave to the stricken company and
4 stricken plant was phenomenal. And it demonstrated to me
5 the very close and seemingly single objective, which is
6 success and safety on the part of the industry that we all
7 seem to have inherently.

8 And when an organization like Three Mile Island gets in
9 trouble, everybody in the country that could help, that was
10 asked to help, immediately did.

11 Q I think what is important to mention here, too, is
12 the point that I attempted to address earlier. And that was
13 that the Burns & Roe Company very early into the -- very
14 soon after the accident offered its resources and made
15 itself available in support of the recovery effort.

16 And I wonder if you could comment on the fact that,
17 indeed, you did not become actively involved until Friday?
18 Would it have made any difference, in your opinion, if you
19 had number one, information available on Wednesday and how
20 things would have gone differently if you had participated
21 earlier in the recovery effort?

22 A That requires a lot of supposition.

23 MR. MURPHY: It's a lot of speculation there.

24 BY MR. SCHIERLING:

25 Q I realize that. But the fact is that Burns & Roe

ashPL

1 did become actively involved, starting late Thursday and
2 definitely Friday.

3 And, indeed, I'm asking Mr. Cobean to speculate. But I
4 also think that because of his experience and understanding
5 of the events at TMI, that he probably can have an opinion
6 on how your earlier participation --

7 Q Well, my guess is that the answer to that question
8 is to an awful degree, dependent on the role and the time
9 that that role would be played by me or anybody else in
10 Burns & Roe, or the Burns & Roe organization as a whole.

11 You see, within a few hours after 4:00, the damage had
12 been done. And at the time that we first got involved in
13 the thing, the degree of the damage perhaps was recognized
14 only to the fact that damage had been done, but had no idea
15 as to the scope of it.

16 So, in the role as a plant modifier or the role of a
17 manager of engineering, it would be hard. I would be
18 hard-pressed to argue that an earlier assignment of Burns &
19 Roe in that role would have had substantial -- made a
20 substantial difference.

21 However, all of us are very bright when it comes to
22 looking back. And my personal background is one principally
23 of operation of power plants, of nuclear power plants.

24 And had I been placed in a role in a control room, I
25 believe that I would have done -- that I would have caused

cshPL

1 in a control room, in a position of authority, I believe
2 that perhaps the sequence of events would not have followed
3 precisely the way that they did.

4 MR. HENDRICKSON: Might I add to that that Bus is
5 speaking from his own personal experience in the Navy
6 nuclear propulsion program as a plant operator. Operating
7 power plants is not a role of architect engineers under any
8 circumstance.

9 BY MR. SCHIERLING:

10 Q I certainly do appreciate that. But I think
11 Mr. Cobean has some unique qualifications to comment on
12 that. And I think we can let it suffice with these
13 statements.

14 Before I finish my line of questioning, I have one last
15 question. Did you have any problems interacting with the
16 Babcock & Wilcox Company?

17 A None at all. None whatsoever.

18 Q Did you have any interaction with Babcock &
19 Wilcox?

20 A Oh, yes. Yes, indeed. A lot, as a matter of
21 fact. One of our particular modifications was a modification
22 in which they helped do the baseline design with us at the
23 Three Mile Island site. And that is the modification which
24 we've labelled TS 6B Mod, which is a pressure reactor
25 coolant system, pressure and volume control system.

8036 05 12

ashPL

1 That's a specific example of a very close cooperation we
2 had to have in the area of specific plant modifications.

3 In the area of analysis and the area of answering "what
4 ifs," of which there were lots, our cooperation and
5 necessity of cooperating between us was almost constant and
6 was very willingly and completely given, one company to the
7 other.

8 Q I do not do this on purpose. But it seems that I
9 always have one more question. I hope that this is the last
10 one.

11 You assumed a rather unique role, and by "unique," I mean
12 that you are not a member of the GPU organization, that you
13 were from another organization and yet, you were named and
14 assumed the responsibility of an element in the recovery
15 organization.

16 While you assumed that role, did you identify yourself as
17 a -- or did you feel the need to identify yourself as a
18 Burns & Roe employee, as a member of the recovery team, as a
19 member or a GPU effort?

20 A All of us went out of our way to identify
21 ourselves only as members of the recovery team, not
22 irrespective of our company's affiliation.

23 Q In other words, that identification or that
24 association lost its identity, became a secondary nature?

25 A Yes.

cshPL

1 Q And primarily, you are speaking now, of course,
2 how did that interact, for example, with other outside
3 executives like the Mr. Lees, Byron and Bill Lee, Mr. Owen?

4 It was a universal --

5 A Well, everyone knew who everyone else was. For
6 example, Byron Lee, everyone knew he was from Commonwealth
7 Edison. But he was a part of this team and helped this team
8 everywhere he could. Not as a Commonwealth Edison vice
9 president, but as a member of the team.

10 And the same thing could be said about the other Lee,
11 Bill Lee, or could be said about Frank Palmer, who was the
12 waste management director.

13 All of us were trying very hard to play a role of
14 contribution and all of us, of course, represented other
15 companies, which we drew upon.

16 For example, Mr. Lee, Bill Lee, Duke Power, offered one
17 of the Oconee plants to be used as a guinea pig to determine
18 whether if, in the configuration we found ourselves in on
19 about the 3rd of April, 3rd or 4th of April, would natural
20 circulation start up in the B&W plant, because there was a
21 question in B&W's mind whether or not they had enough
22 verification of this computer program under the conditions
23 that we found ourselves in at that time to know whether or
24 not the computer program which predicted natural circulation
25 to occur, whether or not that could really be verified,

ashPL

1 whether or not we had enough data to be sure enough.

2 He offered his plant at the cost of over a million
3 dollars to run that experiment for them. And at the last
4 moment, B&W said, we believe that our computer program has
5 had verification enough and that the test is not needed.

6 So that's the way a member of this organization used his
7 own resources, whatever it is.

8 For example, I was on the phone daily with both Tom
9 Hendrickson and with my boss, Ken Roe, to let them know what
10 was going on. And I was constantly being provided with
11 support from them.

12 If you need anybody or you need anything, let me know.

13 And, for example, one of the first things I suggested as
14 a member of the technical working group, since I had a
15 relatively unique opportunity to do something similar to TMI
16 recovery once before at the Chalk River plant after their
17 accident, I said don't make the same mistake the Canadians
18 did at Chalk River, at which in the first couple of days,
19 all of the qualified operators that knew the plant very well
20 had been overexposed and they could not be used again for
21 another year.

22 And so, they did that. They said -- they immediately
23 bought in on that and one of the things that Tom did in the
24 home office, he put together a list of volunteers from our
25 company who would go in to be used for a one-shot basis.

ashPL

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

As an example, if somebody needed to go take a sample that was in a high radiation area, why, we would have one of those people do that.

e5

B036 06 01

macPL

1 Q When you made that recommendation, you said,
2 "Don't use all" -- what were the words, "the most qualified
3 operators of the plant."

4 A Right.

5 Q Were you talking about Met Ed operators?

6 A Yes, I was.

7 Q You were making that recommendation?

8 A To the Mechanical Working Group.

9 Q To the Mechanical Working Group?

10 A Yes.

11 Q Okay. While you were the manager here, did you
12 experience any difficulty, let's say, from employees of
13 another company to report to you as a member of the Burns &
14 Roe organization -- Company A, who would say, "Look, this is
15 not the way we do business at home."

16 A Well, not really. Not any real problem at all.
17 If you had any problem at all, it might be with specifically
18 one individual and the clients in the GPU office, but that's
19 it. But that didn't last for more than five minutes. It's
20 not worth commenting on it.

21 Q Mr. Cobean, I think your comments have been
22 extremely frank and I think will be very helpful to us in
23 preparing our report showing the role that the industry did
24 play in the response to the effort.

25 I personally do not have any additional questions. Do

8036 06 02

macPL

1 Do you have any items you would like to explore, Barry?

2 MR. HORVICK: No. Nothing.

3 MR. SCHIERLING: I want to thank you for your
4 participation, Mr. Cobean. I think we can go off the
5 record.

6 (Discussion off the record.)

7 MR. MURPHY: Are we going to receive a letter from
8 you forwarding the transcript of Mr. Cobean for him to
9 review and prepare errata and sign?

10 MR. SCHIERLING: Is that the normal procedure?

11 MR. HORVICK: I'm not sure what the procedure is.
12 People have been able to correct their transcripts, but I'm
13 not sure what the procedure is.

14 MR. SCHIERLING: I will let you know when you will
15 receive a copy of the transcript.

16 MR. MURPHY: It may not be necessary.

17 Mr. DiFedele told me that he has ordered a transcript, so if
18 that's the case, you'll have to verify that. If that is the
19 case, then when we receive the transcript that he's ordered,
20 we'll give it to Mr. Cobean. It should be sent to -- send
21 it to me, Kevin Murphy, at 550 Kinderkamack Road.

22 THE WITNESS: Or Oradell, New Jersey, zip 07649.

23 MR. MURPHY: We'll have the errata prepared. We
24 find mostly it's typographical errors. He'll sign it as his
25 Unsworn testimony, and we'll send it to you.

8036 06 03

macPL

1 MR. SCHIERLING: Fine. It is our practice, unless
2 I'm mistaken, that the individuals participating in the
3 depositions or interviews will be provided with a copy.

4 MR. MURPHY: I see. Well, fine.

5 MR. SCHIERLING: In that light, you will receive a
6 copy.

7 MR. MURPHY: Well, that may have superseded any
8 request to purchase it. If we're going to get one anyhow,
9 we'll wait to receive it from you. No sense in it. And
10 then we'll prepare the errata and send it to you at the
11 Rogovin, Stern & Huger office at 1730 Rhode Island Avenue,
12 N.W., Washington, D.C. Is that correct?

13 MR. SCHIERLING: That is the mailing address of
14 the Rogovin Company.

15 MR. MURPHY: Want us to send it to the NRC at a
16 different address?

17 MR. SCHIERLING: I do not know. I will let you
18 know.

19 MR. MURPHY: Okay. We'll get the instructions in
20 your transmittal letter, right, Hans?

21 MR. SCHIERLING: Right.

22 MR. HENDRICKSON: Off the record.

23 (Discussion off the record.)

24 MR. HORVICK: I guess we can go on the record now.
25 This is a continuation of the interview.

MSCPL

1 MR. MURPHY: It's not a deposition at all.

2 MR. HORVICK: It is a continuation of the
3 interview conducted previously with Mr. Cobean. We'll be
4 questioning Scott Dam.

5 Whereupon,

6 ALLAN SCOTT DAM
7 was called as a witness, was examined, and testified as
8 follows:

9 EXAMINATION

10 BY MR. HORVICK:

11 Q Let's see. Mr. Dam, have you read the witness
12 notification --

13 A Yes.

14 Q -- form, and you understand it?

15 A Yes.

16 Q Okay. Mr. Dam, could you tell us what prior
17 testimony you've given regarding Three Mile Island?

18 A I've given no testimony on the record.

19 Q Okay. And I would also like to get this on the
20 record.

21 Mr. Hendrickson, you have given testimony.

22 MR. HENDRICKSON: Yes, I have.

23 MR. HORVICK: In front of the President's
24 Commission. And just to get it on the record, that
25 testimony does in part cover this issue of the AEs' role?

8036 06 05

PACPL

1 MR. HENDRICKSON: It covers it extensively.

2 MR. HORVICK: And the utility's operating license
3 and decision to go into commercial operation. Okay.

4 To get into the --

5 MR. HENDRICKSON: This might be helpful. The
6 testimony was, as I remember, on Wednesday and Thursday,
7 August 1st and 2nd of this year.

8 BY MR. HORVICK:

9 Q Okay. Now, Mr. Dam, were you at the TMI site for
10 the full calendar year, 1978?

11 A Was I at the TMI site?

12 Q Yes.

13 A No.

14 Q Well, were you involved in any of the pre-op or
15 start-up tests at the site?

16 A No.

17 Q Okay. What was your involvement with TMI, then,
18 during 1978?

19 A I became the Project Manager for Burns & Roe in
20 March, 1978. Burns & Roe at that time was still involved
21 with the construction, design and construction contract for
22 the Three Mile Island Unit-2.

23 Q Could you tell us more specifically what your
24 duties were as Project Manager?

25 A The Project Manager is responsible for the overall

8036 06 06

macPL

1 operations in the company, as Burns & Roe, for the project,
2 for the project being for the design of the Three Mile
3 Island Unit-2. Burns & Roe was responsible for the balance
4 of plant design.

5 Q Let's see. Was there any significant change in
6 the character of your duties after TMI-2 gained its
7 operating license of February 8, 1978?

8 A Again, I say that I became Project Manager in
9 March, after they had the operating license.

10 MR. HORVICK: Okay. If we could go off the record
11 one second.

12 (Discussion off the record.)

13 MR. HORVICK: If we could go back on the record,
14 then. At this point, for the record, I would just like to
15 identify the authors of these questions as Larry Vandenberg,
16 V-A-N-D-E-N-B-E-R-G, and David Evans.

17 MR. MURPHY: Employees of whom?

18 MR. HORVICK: They are both with the Task Group of
19 the Nuclear Regulatory Commission dealing with precursors to
20 the TMI-2 accident.

21 MR. MURPHY: From where? From the government?
22 From the NRC offices or --

23 MR. HORVICK: Yes. They are with the NRC.
24 Right. They are.

25 MR. MURPHY: Okay.

macPL

1 BY MR. HORVICK:

2 Q If we could just back up a second, Mr. Dam, some
3 of the questions I've asked up to this point, you have
4 responded to them as an individual. If we could look at
5 some of these questions in a larger context, if you were not
6 personally responsible for certain pre-op and start-up tests
7 during 1978, are you aware of any other B&R people under you
8 or any other divisions of B&R that were involved with these
9 tests?

10 A Burns & Roe provided an engineering liaison
11 service during the start-up test program. In that regard,
12 we had an engineer assigned to the Test Working Group. His
13 name was Rich Brownwell.

14 Q If we could just discuss your attendance at any
15 monthly meetings conducted by the GPU Project Manager, were
16 there any such meetings that you know of, and did you,
17 indeed, attend them?

18 A During the design and construction of TMI Unit-2,
19 there were monthly Project Managers' meetings of which the
20 GPU Project Manager, the Burns & Roe Project Manager, as
21 well as the constructor -- and I believe B&W is the reactor
22 manufacturer -- attended. They were typically held at the
23 TMI site. I believe shortly after the operating license was
24 obtained, those meetings were stopped as far as the design
25 project goes. There were subsequent meetings called the

8036 06 08

mgcPL

1 monthly Project Managers' meetings held on the site, but
2 they dealt with first refueling project items.

3 Q In the course of any of these meetings that you've
4 just mentioned, was there talk of some kind of a target date
5 for going into commercial operation?

6 A Yes.

7 Q Could you tell us what the import of those
8 discussions was?

9 A I don't understand your question.

10 Q Okay. Was the issue a question of time or GPU
11 people saying, "We need to get into operation, commercial
12 operation," within a certain period of time?

13 A I don't remember the discussions phrased in that
14 manner. The date of commercial operation really was not
15 something that either the Project Managers or specifically
16 Burns & Roe were particularly concerned with. It was more of
17 a financial consideration or whatever. We had target dates
18 for various things that we were doing, and certainly the
19 commercial operation date was mentioned. But more
20 importantly, we were talking about a target system operation
21 date of when the plant would be at full power.

22 MR. HENDRICKSON: I think if I might elaborate on
23 that, the commercial operation date is not technically
24 oriented. Obviously, the plant must be completed and tested
25 and accepted before that. But the date is a utility matter,

mccPL

1 not something -- commercial operation is a utility matter,
2 not something the architect engineer is involved with
3 directly.

4 BY MR. HORVICK:

5 Q Right. We're just trying to pick up as much
6 information as we can in this area. I think if something
7 was passed on to you, you could perhaps tell us about it.
8 In fact, can you specifically recall what the discussion
9 concerning commercial operation did have to do with?
10 Apparently, you weren't pushed in terms of time, but
11 whatever discussion you did have along those lines, can you
12 remember what the thrust of such discussions were?

13 A There were a variety of dates, again, to target
14 system operation, 100 percent power, which we were working
15 for and various completions of tasks. By the time of
16 initial criticality, there were not too many Burns & Roe
17 related tasks that were required to be done to support 100
18 percent power. And during the spring and summer, various
19 dates were mentioned as far as target dates for 100 percent
20 power, starting like in June of '78. I think that answers
21 what you're looking for.

22 Q Yes. I think that does. Let's go on then. Which
23 GPU Service Corporation and Met Ed people did you regularly
24 work with or discuss plant problems with when you became
25 Project Manager?

B036 06 10

macPL 1 A I believe — and this is a recollection — that
2 when I became Project Manager, Dick Heward, H-E-W-A-R-D, was
3 the GPU Project Manager for the design and construction.
4 Shortly thereafter, I believe that John Barton became
5 Project Manager, and I don't remember the dates on any of
6 these changes. After Barton, Clay Montgomery became our
7 contact as the GPUSC Project Manager.

8 With regard to Met Ed, we had a number of contacts in the
9 Gary Miller site organization as well as with Met Ed,
10 Reading, and that group is headed by Dick Klingaman, and
11 there were many individuals involved in all of the
12 organizations.

13 Q Let me ask you, specifically with regards to
14 commercial operation, did you ever have any discussions with
15 any of the people that you've just mentioned regarding
16 commercial operation? Even more specifically, a need to get
17 the plant into commercial operation by a specific date?

18 A Again, this was over a year ago, and I don't
19 remember the discussions at all regarding commercial
20 operation. It was a date that was being mentioned at
21 various times. But as far as a Burns & Roe target date, it
22 really didn't play a factor in our work. It was more of a
23 general interest.

24 Q Let me ask you, had you ever heard anything about
25 a May 31, 1978, target date for TMI-2 going into commercial

8036 06 .11

macPL

1 service?

2 A I believe I said first of June, but May 31 could
3 have been the date as well.

4 Q All right.

5 A That was the date, I believe, that was chosen very
6 soon after initial criticality.

7 Q Do you have any insight as to why that date was
8 specifically picked?

9 A No.

10 MR. HORVICK: If we could go off the record for
11 one second.

12 (Discussion off the record.)

13 MR. HENDRICKSON: Back on the record. I'd like to
14 amplify Mr. Dam's responses to these questions by saying
15 that architect engineers do operate in accordance with
16 schedules for all projects. And there is also a schedule or
17 pressure on us by all clients to get the power plants
18 finished and on the line and generating electricity.

19 In the case of the Three Mile Island project and GPU, we
20 have had schedules throughout and operated and did our work
21 in accordance with schedules. And there was schedule
22 pressure by GPU, as there is from all clients, but there was
23 no undue pressure. We did the job completely and
24 thoroughly, and all requirements that we were aware of in
25 the course of the design and testing program for the plant.

8036 06 12
mgcPL

1 I might also add that our contract with General Public
2 Utilities is a standard architect/engineers contract. It is
3 unrelated to meeting particular schedules or goals. We were
4 paid for our work with a multiplier to meet our costs and a
5 modest fee.

6 MR. HORVICK: Off the record again, please.

7 (Discussion off the record.)

e6

8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 MR. HORVICK: Back on the record.

2 Mr. Hendrickson, in view of what you have just said, we
3 have looked in Mr. Cobean's deposition taken by the President's
4 Commission. At page 154 of that deposition, Mr. Cobean
5 testified that, "The client was always concerned about meeting
6 a commercial operation date. That was his principal goal in
7 life, to make that commercial operation date in some way."

8 Could you speak a little about Mr. Cobean's statement? Does
9 it in any way refute what you just said?

10 MR. HENDRICKSON: No, I don't believe it does. If
11 you read the entire section of Mr. Cobean's testimony, you
12 will see that the gist of his remarks are roughly the same as
13 mine. And that the particular quote is taken out of context.

14 Mr. Cobean was indicating that all clients are properly
15 concerned with the timely completion of their plants and
16 placing their utilities in commercial operation. But, there
17 is no one who has concern, to our knowledge, on the part of
18 General Public Utilities and in no way were short-cuts taken
19 to our knowledge, in the completion of the Three Mile Island
20 Unit No. 2.

21 BY MR. HORVICK:

22 Q Okay. Going on, Mr. Dam, you stated that you weren't --
23 that commercial operation dates were not a major concern of
24 yours. But, to the extent that you did know about the target
25 dates for commercial operation, did you report them to your

rmg 2

1 superiors? Was there any discussion about these dates? Was it
2 an important issue with your superiors to know about such
3 dates?

4 A. The commercial operation date that was discussed
5 previously was certainly mentioned to my superiors, Mr. Cobean,
6 again, for general interest. I don't remember any lengthy
7 discussions with him or anyone else in particular regarding
8 commercial operation.

9 MR. MURPHY: Ask another question.

10 BY MR. HORVICK:

11 Q. Okay. We are moving into a new set of questions
12 here relating to the April 23, 1978, transient. Were you
13 on the site when the main steam safety relief valves failed
14 to recede?

15 A. No.

16 Q. Could you tell us where you were?

17 A. No, because I don't remember there I was. I
18 remember I was not in the office.

19 MR. MURPHY: Do you have a date when that happened?

20 BY MR. HORVICK:

21 Q. April 23.

22 A. I would have to check a calendar back then of where
23 I might have been.

24 MR. SCHIERLING: Do you recall that particular
25 transient?

mg 3 1 THE WITNESS: Yes.

2 MR. HENDRICKSON: According to my calendar, Scott,
3 April 23, 1978 was a Sunday. Would that help?

4 THE WITNESS: I think Ron Toole called me at home
5 that Sunday, as a matter of fact, asking me some technical
6 questions regarding the safety valves. And I remember taking
7 some data on a notepad that was hanging up on the wall in the
8 basement.

9 BY MR. SCHIERLING:

10 Q Did he identify to you the reason for that call?

11 A That's the call I am thinking of, he was asking for
12 some information regarding the safety valves. It may not,
13 in fact, be that same call.

14 Q I just wonder, Mr. Dam, assuming that April 23 was,
15 indeed, a Sunday, you mentioned that you did become aware of
16 the main steam safety valve not receding. Were you involved?
17 Was Burns & Roe involved in any follow-up action on that
18 transient?

19 A Yes.

20 Q And if so, what were the activities?

21 A Our main activity was -- first started out with an
22 evaluation in detail of the main steam safety valves that were
23 provided by Lonergan Company, how they were supposed to perform,
24 and how in fact they were performing, along with various reviews
25 to determine what corrective action or additional testing

rmg 4

1 should be undertaken with regard to the Lonergan valves.

2 Subsequent to that time, after numerous meetings, discussions,
3 tests, et cetera, it was concluded to replace Lonergan safety
4 valves with a different designed valve. And Burns & Roe
5 provided the design for those modifications.

6 Q Was that activity requested of you by the GPU
7 organization?

8 A Yes.

9 MR. SCHIERLING: Why don't you go off the record?

10 (Discussion off the record.)

11 BY MR. HORVICK:

12 Q Back on the record.

13 Do you remember any discussion about the May 31, 1978,
14 commercial operation date in regard to this transient?

15 A Only that late in May, the date was changed. But
16 I don't even remember what the date that they changed it to
17 was.

18 Q Do you have any knowledge of what kind of factors
19 went into that change of date?

20 A Only that the plant was not going to be operate
21 at 100 percent power because the safety valves were being
22 replaced.

23 Q But you personally weren't involved in any of those
24 discussions?

25 A As we have talked, commercial operation was something

1 the utility was involved with, not Burns & Roe.

2 BY MR. SCHIERLING:

3 Q These safety valves that we are talking about, are
4 they within the scope of supply of Burns & Roe or of the
5 NSSS vendor?

6 A Burns & Roe specified the valves based on the B&W
7 design requirements. And purchasing was done by GPU, as was
8 all procurement activities for the balance of plant equipment.

9 BY MR. HORVICK:

10 Q Okay. Mr. Dam, we have another question here based
11 on Mr. Cobean's deposition taken by the President's Commission.
12 At page 157 of that deposition, Mr. Cobean testified that it
13 was important to GPU for accounting reasons, if for no other
14 reason, to try to get the plant on-line commercially before
15 the end of 1978.

16 We are aware from your testimony up to this point, that you
17 had very little import or discussion regarding target commercial
18 operation dates. But do you know anything at all about this
19 kind of reasoning in regards to a commercial operation date?

20 A. Time out.

21 MR. HENDRICKSON: Off the record.

22 (Discussion off the record.)

23 BY MR. HORVICK:

24 Q Mr. Dam, based on our questions and answers up to
25 this point, it is obvious that you know very little about the

rmg 6

1 various target dates for commercial operation that GPU and
2 Met Ed arrived at in 1978. Could you just summarize your
3 role surrounding this whole issue?

4 A Again, the commercial operation dates were mentioned
5 at various times, at various meetings. However, there was no
6 direct on Burns & Roe with those dates.

7 The one side issue with regard to commercial operation date
8 was the date that work started for the Metropolitan Edison
9 Company under our continuing services agreement for updating
10 drawings under their contract, versus updating them under the
11 GPU contract. That was one of the principal -- one of the
12 principal reasons to know the commercial operation date.

13 The work we were doing was task-type work resolving
14 reopen items. A number of those continued after the commercial
15 operation date, which were GPU's responsibility. Some were
16 turned over and became Met Ed responsibility, and we worked
17 on those for Met Ed.

18 Q Is that all you have on that?

19 A Unless there is something else you want me to say
20 specifically.

21 Q That sounds fine. Why don't we just put the lid on
22 that issue.

23 Hans, why don't you take over with some of these questions
24 regarding the valve itself?

BY MR. SCHIERLING:

Q Okay. Mr. Dam, we talked about before, the April 23 failure of the main steam safety valve, relief valve. And you indicated already that you were directed by GPU to prepare design changes in case that valve would have to be replaced. Is that correct?

A Yes.

Q When were you advised or requested by GPU to initiate that effort?

A I don't recollect. It would be in the timeframe of May, 1978. But I don't remember what exact date.

Q Specifically, what did you do, look at other valve designs, evaluated those with regard to their applicability, or what was involved?

A I think, as I said before, we first started out looking at the Lonergan valve to see what should be done to make the Lonergan valve work. In addition, a test valve was taken by Lonergan and modified by them to attempt to make the valve recede with the specified limits.

As a back-up to Lonergan not performing, Burns & Roe did a number of studies looking at valves of size and types which could be installed in place of the Lonergan valves.

A decision was reached sometime in May, I believe, that GPU wished to proceed with the detailed design of a replacement valve. And that was done.

rmg 8

1 Q It is my understanding that there was a meeting on
2 May 23rd at the TMI site on that particular issue between
3 Burns & Roe, Lonergan and GPU. Did you attend that meeting?

4 A I attended numerous meetings. I could have, very
5 easily, attended that one.

6 Q If you did not personally attend it, is it correct
7 to assume that you probably had someone else attend that
8 meeting?

9 A Yes.

10 Q Okay. Were you aware that there were other valves
11 intended to be used for the Forked River project at about
12 the same size as the Lonergan valves, but made by a different
13 manufacturer, and that they would be available in November of
14 1978?

15 A Yes, although that date was in question. At various
16 times, Crane Company would not give us a firm date. In fact,
17 I don't believe their valves had even started fabrication in
18 May.

19 So, any date that Crane would have given, would have been
20 a questionable date.

21 MR. SCHIERLING: Off the record.

22 (Discussion off the record.)

23 BY MR. SCHIERLING:

24 Q Back on the record.

25 Mr. Dam, could you please address the whole issue of these

rmg 9

1 safety release valves with respect to the availability of the
2 Crane design that were not into manufacturing yet for the
3 Forker River project, the Dresser valves, and the Lonergan
4 valve? Which one was finally opted to be installed at the
5 TMI-2 unit?

6 While we were off the record, we mentioned three valves;
7 is that correct? Dresser, Lonergan, and Crane?

8 A. Okay.

9 Q. Which is the one that was finally selected?

10 A. The Dresser valve was selected.

11 Q. And that Dresser valve was obtained from where,
12 from another nuclear power plant or was it specially ordered
13 for GPU before TMI-2?

14 A. The valves were in the Dresser shop. They had been
15 ordered by Commonwealth for one of their projects. And I
16 don't remember which project. But they had not yet been
17 shipped.

18 Q. And these are the valves that were then ultimately
19 installed at TMI-2?

20 A. That's correct.

21 Q. How much time did you have to complete that task?

22 A. It was not so much as how much time we had, it is
23 how much time it took to do it. Nowhere do I remember being
24 given: you have to have it done by a certain date. It was
25 how fast can you do it. Look at various options so that the

rmg 10

1 endproduct can be done in a reasonable -- as quickly as
2 possible. But I don't remember ever being given a date that
3 it had to be done by.

4 Q What effort, was it considered a rush job, then,
5 for Burns & Roe?

6 A It was considered --

7 Q To the extent that other work had -- other scheduled
8 work had to be dropped in order to accomplish this task?

9 A It was considered our highest priority task. And
10 as many of the staff that were needed worked on that in deference
11 to other work items which had lower priority, particularly
12 the items that weren't due until the first refueling outage,
13 which was the predominant workload of our group at that time.

14 Q The original valves that were in the TMI-2 safety
15 relief valves, they were Lonergan valves?

16 A That's correct.

17 Q They were designed according to Burns & Roe
18 specifications?

19 A Burns & Roe provided what is called a performance
20 specification. That is, we provide the set pressure, the
21 blowdown percentage, other characteristics that the valve
22 has to be made to. However, we do not tell a valve manufacturer
23 how to do his valve design in our specifications.

24 Q Why was this design selected, rather than a more
25 common design used in the nuclear industry? Let me ask you:

rmg 11

1 Is, indeed, the Lonergan design one of the lesser used valves
2 in the nuclear industry?

3 A I can't speak for the whole nuclear industry.

4 Q To the best of your knowledge.

5 A It is not -- I don't believe at that time it was
6 the prevalent design in the power industry. However, there
7 was good precedent, I believe, for that valve that was chosen.

8 MR. HENDRICKSON: Let me give also a partial answer
9 to that. This is from so long ago that I may not have it all
10 exactly right.

11 But the Dresser valve was an outgrowth of the relief valve
12 failure that had occurred.

13 THE WITNESS: You mean the Lonergan valve?

14 MR. HENDRICKSON: In one of these Virginia plants.

15 THE WITNESS: Which valve do you mean, the Lonergan
16 valve or the Dresser valve?

17 MR. HENDRICKSON: The Lonergan valve. The original
18 Three Mile Island design was an outgrowth of one of the
19 failures that had occurred a number a years ago at one of the
20 nuclear plants, one of the relief valves. It was a VEPCO
21 plant, that's right.

22 And the feature that Lonergan had provided in this valve
23 was a double discharge, which balanced or tended to equalize
24 unbalanced loads that were prevalent with the other designs.
25 And this was considered at the time a new and desirable

rmg 12

1 feature.

2 However, relief valves are very difficult. And there are
3 not very many suitable facilities for testing valves.
4 Unfortunately, this was the first chance for a full test of
5 this design. And it did not perform well.

6 We therefore had to alter the Three Mile Island plant and
7 install valves similar to earlier designs that did have,
8 as I recall, unbalanced loads. Am I correct, Scott?

9 THE WITNESS: That's correct.

10 MR. HENDRICKSON: And design the supports and piping
11 to accommodate the unbalanced loads.

12 THE WITNESS: The Lonergan valve was a much simpler
13 valve for installation and had much reduced loads on the
14 piping system. And therefore was a highly desirable valve.

15 There were 12 Lonergan valves that had to be replaced by
16 20 Dresser valves.

17 So, the valves -- the Lonergan valves, while they were
18 larger, had much less forces on to the valve stem and their
19 attachment to the piping.

20 MR. HENDRICKSON: If the valve had performed properly,
21 it would have been a very desirable valve.

22 THE WITNESS: In fact, the Forked River valves you
23 mentioned before designed by Crane, were essentially the same
24 as the Lonergan valves. That is, they were double discharge
25 T size orifice valves.

MR. HENDRICKSON: Right.

rmg 13

#7

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

kap/PL 1

MR. HENDRICKSON: Right.

2

BY MR. SCHIERLING:

3

Q You mentioned that the 12 Lonergan valves, the original Lonergan valves at TMI-2 were replaced by 20 Dresser valves.

4

5

6

MR. MURPHY: He mentioned it.

7

BY MR. SCHIERLING:

8

Q You mentioned that, Mr. Dam. In that selection of the Lonergan valves, the fact that they were quite a few less, did cost play any role in the selection of these valves, to the best of your recollection?

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

A Yes, the Lonergan valves were less expensive than either Crane or Dresser at that time. And a technical evaluation as well as a cost evaluation was done on the bids. And as I remember from looking at the history -- I was not on the project at the time -- a thorough evaluation was done, prior to placing the order with Lonergan.

18

19

20

Q There's one final question that probably will require you to go back into your memory, your recollection. Please try to do so, if you can.

You participated in various meetings, I'm sure, on the schedule, although commercial operation is not of interest to you, to Burns & Roe. But meetings where, indeed, schedule was discussed. And based on your prior testimony, the information that you have given us, you probably did not

kap/PL 1 have any -- you appeared to have not had any input into
2 these discussions; however, do you recall that ever issues
3 were discussed relating to what aspects of the TMI-2 plant
4 could be safely deleted or postponed in order to get the
5 TMI-2 unit on-line by the end of 1978?

6 A No.

7 Q You do not recall that any tasks that still were
8 not completed at that time could be postponed to beyond
9 commercial operation?

10 A I don't believe that's what you asked the first
11 time.

12 Q That's what I meant to ask the first time.

13 A Now, I'm confused about your question.

14 Q I'm asking if there were any TMI-2 related tasks,
15 safety-related, that were deleted to beyond the commercial
16 operation date of December 1979?

17 A I don't remember any commercial operation date,
18 safety-related.

19 Q '78, I'm sorry.

20 A '78. Any safety-related items that were not
21 completed before commercial operation where there was a
22 reason or need to have them completed. There were, as you
23 know, licensing commitments made in the operating license
24 for safety-related items, which would be done at the first
25 refueling outage, which was per the agreement of

kap/PL 1 Metropolitan Edison and the NRC. Those were the only items
2 that I know of that were scheduled out after commercial
3 operation.

4 MR. SCHIERLING: Did you want to add something to
5 that?

6 MR. MURPHY: I think you meant to say deferred,
7 rather than deleted.

8 MR. SCHIERLING: Deferred.

9 MR. MURPHY: Deferred beyond the commercial
10 operation.

11 THE WITNESS: I know of no items that were
12 deleted.

13 MR. SCHIERLING: Deferred or postponed, that was
14 my intent.

15 MR. MURPHY: Right.

16 BY MR. SCHIERLING:

17 Q Is there anything else that you would like to add
18 on this line of questioning regarding the need -- the rush
19 to go into commercial operation by the end of 1978?

20 A From Burns & Roe's standpoint, I don't remember
21 any particular rush as it affected Burns & Roe. There were
22 numerous discussions I'm aware of within the GPU system on
23 work breakdown between Met Ed and GPU, and who was going to
24 do what and be responsible to what, relative to commercial
25 operation.

kap/PL

1 But as it affected Burns & Roe, I don't really know of
2 anything that would show a rush.

3 MR. HENDRICKSON: Scott, there was a
4 contract-related issue before commercial operation date. I
5 believe our work fell under the original new construction
6 contract. And there was a continuing services contract
7 between Burns & Roe and Metropolitan Edison and obviously at
8 some point, tasks that still needed to be done, whether it's
9 the parking lot or the glass or whatever it is, might be
10 carried on on the continuing services contract, rather than
11 new construction contract.

12 THE WITNESS: In fact, I did mention the
13 drawings. The responsibilities were pretty well-defined in
14 November and December, which items were going to be GPU
15 response and which items were going to be Met Ed response.
16 And in fact, we had already started working with Met Ed on
17 some tasks, when Met Ed wanted to make some planned
18 improvements on the neutralizing system, for example, and
19 for make-up water in the secondary plant, things of this
20 nature, which Met Ed said it was their responsibility,
21 because they were not part of the original designer and
22 construction.

23 GPU did carry over past the first of the year, various
24 items which were of a peripheral nature.

25 MR. HENDRICKSON: I believe, isn't it true, that

kap/PL 1 both contracts are still open today and work is still being
2 done by Burns & Roe under both contracts, both the initial
3 construction and the continuing services contract?

4 THE WITNESS: That's right.

5 MR. SCHIERLING: I think that completes this line
6 of questioning. Do you have anything else to add, Barry?

7 MR. HORVICK: No. I think we've covered all the
8 issues and that's it. Thank you very much.

9 MR. MURPHY: I have a request before we go off the
10 record, and that is that the pages of Mr. Cobean,
11 Mr. Cobean's interview, be identified from the beginning of
12 his testimony until it ended. Those pages within
13 Mr. Cobean's interview that reflect Mr. Dam's few answers
14 and questions -- answers to questions be identified, and
15 then pages of Mr. Dam's interview be identified from
16 beginning to end after Mr. Cobean finished. And those few
17 pages where Mr. Hendrickson answered. Otherwise, we're
18 going to go crazy trying to get this thing properly
19 reviewed, since it's not going to be broken down. It's all
20 going to be in one package.

21 MR. SCHIERLING: Back on the record.

22 Whereupon,

23 WARREN R. COBEAN
24 was recalled as a witness and, having first been duly sworn,
25 was examined and testified further as follows:

kap/PL 1

BY MR. SCHIERLING:

2 Q At the suggestion of Mr. Murphy from Burns & Roe,
3 we would like to ask you, Mr. Cobean, two questions on some
4 prior testimony you had given. We are referring to the
5 testimony that you gave for the President's Commission. And
6 we are referring to a statement on page 154 where you
7 testified, and I quote: "The client was always concerned
8 about meeting a commercial operation date. That was his
9 principal goal in life, to make that commercial operation
10 date in some way."

11 Now, this is a statement, indeed, out of context. But
12 you --

13 A Also, it doesn't reflect the change that I made to
14 this thing. Did you realize that?

15 Q No. I didn't realize that.

16 MR. MURPHY: Is there an errata?

17 THE WITNESS: You bet there is. This doesn't read
18 English. The client was concerned about getting through.
19 There are certain things you have to do in designing and
20 building and testing a power plant that let you get
21 through. He was never trying to skip any of the steps of
22 getting through. But he wanted to get through.

23 Why did he want to get through? He wanted to get through
24 for a lot of reasons, principally, because they needed the
25 power, and second of all, that by being through they could

kap/PL

1 go -- they could declare that the plant was in commercial
2 operations. That means having completely designed the
3 plant, having completely constructed the plant and having
4 completely tested the plant. Then, they could declare
5 commercial operations.

6 Now, from an economic point of view, that had two
7 benefits to him. One is that he started generating electric
8 power for the thing, and two, he could get, hopefully, the
9 cost of that plant in the rate base for his area and stop
10 incurring additional -- and start paying off the debts that
11 he had incurred in designing and constructing and testing
12 the plant.

13 So, that's what I meant by --

14 BY MR. SCHIERLING:

15 Q Could you explain to me what you mean by saying
16 "getting through"?

17 A Well, I put it that way because I thought it was
18 the simplest way of saying it.

19 Q Getting through what?

20 A Getting through the job of designing,
21 constructing, and testing the plant. There is, as you know,
22 a design to complete of a plant. That plant has to be
23 constructed to that design. That plant then gets tested on
24 a piecemeal basis, continuing to add parts until at the end,
25 you have the whole plant being tested simultaneously as an

kap/PL 1 integrated plant.

2 Now, upon completion of all the pre-planned and
3 pre-ordained tests, meeting all the criteria for the test
4 data, test data recorded during those tests, then the plant
5 has successfully been tested. After having been
6 successfully designed and completed -- constructed --
7 that's what I mean by finishing, getting through.

8 Q Mr. Cobean, the second statement on page 157,
9 attributed to you, have you looked over that particular
10 statement?

11 A Yes.

12 Q Let me repeat it here. "It was important to GPU
13 for accounting reasons, if for no other reason, to try to
14 get the plant on-line commercially before the end of 1978."

15 I think in your previous statement you gave us your
16 interpretation of that, of this statement here, what it
17 means to get to on-line commercially.

18 Did Mr. Scott Dam provide you with any input to make that
19 statement?

20 A If he did, he did it in a very offhand way. I
21 don't remember anything. As I said in the following
22 question and answer, I have been and am still in almost
23 constant contact with a number of people within GPU. And I
24 am certain that that's the principal source of information.

25 However, Dam could have contributed to it. I don't

kap/PL 1 recall.

2 Q Mr. Cobean, you mentioned earlier that the first
3 statement had been corrected by you; is that correct?

4 A I'm almost positive it has, because the last
5 sentence does not read good English. And one of the things
6 that I tried to do when I was correcting my testimony, as
7 you see, was to try to pick up that kind of --

8 MR. MURPHY: Let's take a look and see if we have
9 the errata in the back.

10 THE WITNESS: No, we don't have the errata. We've
11 got part of the errata.

12 MR. HORVICK: My copy does have it.

13 THE WITNESS: It is not corrected. I missed that
14 one, sorry. It doesn't read good English, though.

15 MR. SCHIERLING: I think that we'll, first of all,
16 straighten out the record with regard to the errata sheet.
17 And secondly, it amplifies the statement that Mr. Cobean
18 made in the earlier testimony.

19 Would you, Mr. Murphy -- do you have any additional
20 comments on this particular issue now? I do not see any
21 need to have Mr. Lam address the same questions again. I
22 think as far as we are concerned, the information provided
23 by Mr. Cobean suffices.

24 MR. MURPHY: I'm very satisfied that the issue has
25 been fully covered.

kap/PL

1

MR. SCHIERLING: Okay, with that statement, I

2

think we have obtained the information that we wanted to

3

obtain today.

4

Again, Mr. Cobean, I want to thank you for your

5

participation and all the information. That's it.

6

Mr. Cobean, one final comment I would like to make is, in

7

case there should be any need to obtain further information,

8

either from you or someone else in the Burns & Roe

9

organization, we will let you know about it and arrange for

10

any additional interviews or depositions, if they should be

11

required.

12

That's it.

13

(Whereupon, at 3:30 p.m., the interviews were concluded.)

14

* * *

15

16

17

18

19

20

21

22

23

24

25