



President's Commission
on the Accident at Three Mile Island
2100 M Street, NW Washington, DC 20037

ERRATA SHEET

Corrections to (date) October 9, 1979 , Deposition of Robert Bores

<u>Page</u>	<u>Line</u>	<u>Change</u>	<u>To Read</u>
3	11	Should continue with line 14	"Yes, with the exception I just mentioned of the change in job title."
		Delete lines 14 and 15	
	24		"...reactors and <u>fuel</u> facilities"
4	16		"...of various <u>plans</u> and"
5	17		" <u>Fuel</u> Facilities and Materials..."
5	19		"...to our branch, <u>Fuel</u> Facilities..."
6	10	delete <u>than</u> and <u>size</u>	
	11		"...and also <u>serve</u> as a focal point, I think."
	12		"...information, from all regions <u>which</u> needs"
7	21		"get <u>corrected</u> over the past..."
8	5		"in the <u>plan</u> , of some..."
	6		" <u>and</u> to actually..."

7 and 8

Explanatory Note: Reference the upgrading of emergency plans through the NRR Task Group: The documented testimony was the Regional perception of how the upgrading of Emergency Plans was to have been accomplished. This process was changed considerably in the interim. Should you wish an accurate description of the IE role in this area as it is being done, I will be available for additional deposition.

8001280564

T



President's Commission
on the Accident at Three Mile Island
2100 M Street, NW Washington, DC 20037

ERRATA SHEET

Corrections to (date) October 9, 1979, Deposition of Robert Bores

<u>Page</u>	<u>Line</u>	<u>Change</u>	<u>To Read</u>
8	23	NRR Emergency Planning Team Leaders Team 1 Jack Roë Team 2 Dean Kunihiro Team 3 Ray Priebe Team 4 Tom McKenna Team 5 Jim Martin Team 6 Bill Axelson	
9	16		"program since <u>the</u> pre-operational <u>phase</u> for..."
11	24		"...sort of sample <u>collections</u> are..."
12	23		"of the <u>aliquot</u> if..."
15	17		"reports <u>are</u> prepared... or what- ever, <u>sent</u> back..."
	21		"actions <u>were</u> taken and..."
17	14		"whereas <u>in</u> the radiological <u>area</u> "
	15		"of this (<u>radiological media</u>) that are..."
	25		"...under the <u>license</u> , especially..."
19	18		"fact, (<u>the radiological ones</u>) in..."
20	3		"...sure that <u>risk</u> is the right word..."
27	14		"that way, <u>while</u> ..."
28	7		"...numbers of samples..."
29	22		"I always run <u>on</u> <u>to</u> things to..."
35	between 10 and 11		" <u>situation that could account for</u> <u>a higher accumulation</u> "
37	24		"...of noncompliance <u>or</u> deviations from"



President's Commission
on the Accident at Three Mile Island
2100 M Street, NW Washington, DC 20037

ERRATA SHEET


Corrections to (date) October 9, 1979 , Deposition of Robert Bores

<u>Page</u>	<u>Line</u>	<u>Change</u>	<u>To Read</u>
44	10		"...some off-site <u>measurements</u> that"
	15		"were the <u>state people</u> going..."
49	21		"really affirmative <u>data</u> back at that point."
55	23		"...and the <u>Headquarters</u> people..."
	24		"knowledgeable <u>about AMS</u> ."
59	9		" <u>task</u> . It ..."
64	64	delete <u>other</u>	
69	5	delete <u>is</u>	
79	11		"...at 1200 <u>milliRoentgens per hour</u> , to your..."
	20		"...from time to time <u>to reduce</u> "
90	13		"...than management <u>knew about it</u> . As..."
95	6		"he <u>dispatched</u> to downwind..."
97	16		"...We had <u>NOAA</u> "
103	23		"...by <u>Erich</u> "
	24		" <u>Bretthauer</u> ."
108	14		"Additional notes and logs supplied after the date of deposition, as requested: These notes deal with the type of information exchanges and activities involving my activities after arriving on site for the TMI/ Capitoal City Airport area."

CERTIFICATE

I certify that I have read this transcript and corrected any errors in the transcription that I have been able to identify, except for unimportant punctuation errors.

Date: 10/9/79


Robert J. Bores, Ph.D.

-----x

PRESIDENT'S COMMISSION ON THE
ACCIDENT AT THREE MILE ISLAND

-----x

DEPOSITION of ROBERT J. BORES, held at
the offices of the U. S. Nuclear Regulatory Commission,
Region I, 631 Park Avenue, King of Prussia,
Pennsylvania, on the 24th day of August, 1979,
commencing at 10:25 a.m., before Stanley Rudbarg,
C.S.R. and Notary Public of the State of New York.

BENJAMIN REPORTING SERVICE
CERTIFIED SHORTHAND REPORTERS
FIVE BEEKMAN STREET
NEW YORK, NEW YORK 10038

[212] 374-1138

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S :

PRESIDENT'S COMMISSION ON THREE MILE ISLAND:

ERIC PEARSON, ESQ.
Deputy Chief Counsel

NUCLEAR REGULATORY COMMISSION:

STEPHEN OSTRACH, ESQ.
General Counsel's Office
For Witness Only

o0o

R O B E R T J. B O R E S, having
been duly sworn by Eric Pearson, Esq., was
called as a witness and testified as follows:

DIRECT EXAMINATION

BY MR. PEARSON:

Q Would you state your name and present
position with the NRC for the record, please.

A Okay. My name is Robert Bores. My title is
radiation specialist, and at the present time I am
acting section chief for the Environmental and Special
Projects Section.

2 Q I have a document here of two pages
 3 entitled. "Robert J. Bores, Professional Qualifications."
 4 Would you tell us what this document is, please?

5 A Well, this document lists my qualifications, my
 6 training, job experience and is up-to-date, I guess,
 7 except for the acting section chief duties.

8 Q Did you prepare this document?

9 A Yes.

10 Q And is it accurate?

11 A Yes.

12 MR. PEARSON: I will ask that we mark this
 13 as Deposition Exhibit No. 1.

14 THE WITNESS: With the exception as I just
 15 mentioned of the ^{change in job}~~formal~~ title.

16 (Above-described document was marked
 17 Bores Deposition Exhibit 1 for identification,
 18 this date.)

19 Q Next I would like to explore your work as
 20 chief of the Environmental and Special Projects
 21 Section. What is your role as chief of that section?

22 A Okay. My role basically will be to coordinate
 23 the inspections, mostly at nuclear power plants, but
 24 also at nuclear research reactors and ^{fuel}~~field~~ facilities
 25 in the areas of emergency planning, environmental

2 protection and what were called independent measure-
3 ments for radiological effluents.

4 Q You say your responsibilities will be to
5 do these things?

6 A I have just assumed the role of acting section
7 chief since my section chief has been promoted effective
8 as of about a week ago or two weeks ago, and this job
9 is not yet posted.

10 Q What role has this section played with
11 respect to emergency planning in the past?

12 A Well, this section is responsible from the
13 inspection and enforcement standpoint for conducting
14 the emergency planning inspections, observing drills,
15 making recommendations, et cetera to licensees
16 regarding adequacy or inadequacy of various plans and
17 their performance.

18 Q Is the section now reviewing its approach
19 to emergency planning in light of the accident at
20 Three Mile Island?

21 A Yes. We are currently reviewing that. We have
22 always, I guess, had an approach where we try and
23 update and make use of deficiencies we have found in
24 the past, particularly those which seem to be generic,
25 and try to continually upgrade the section in terms of

1
2 what we will be looking at, what we will be emphasizing.

3 But since TMI, as you know, everybody has their
4 own plan or program or thoughts on what emergency
5 planning should consist of. Our section will be
6 heavily involved in the NRR task force, visiting each
7 of the sites and bringing licensee plans to the current
8 Reg. Guide requirements.

9 Q In your role concerning updating review
10 plans, how will you accomplish that task as related to
11 NRC headquarters? What will the relationship of the
12 two units be with respect to that project?

13 A I am not sure how much you know about the way our
14 headquarters operates. When you say "headquarters,"
15 there are lots of different branches in headquarters.

16 Our direct headquarters counterpart would be the
17 ~~Field~~ ^{Fuel} Facilities and Materials Inspection Division.
18 That only deals with things that our branch here -- it
19 is a counterpart to our branch, ~~Field~~ ^{Fuel} Facilities and
20 Material Inspection Branch here -- so it is the head-
21 quarters equivalent of that.

22 But there is also a licensing NRR group. There
23 is research. There is standards, all of these various
24 groups down there, so when you say "headquarters," I am
25 not sure I really understand what your question is.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q How about your role as compared to your counterpart in the Field Facilities Division?

A I think our role would be much larger in that we will physically accompany the inspection teams to each of the sites.

The headquarters group will have some role in terms of trying to coordinate schedules; maybe try to accommodate the regional schedules a little bit more ~~than~~ manpower ~~wise~~-wise, so that we can physically get everybody in, and also ^{serve as} ~~is~~ a focal point, I think, for us to feed information, ~~which~~ ^{which} from all regions ^{needs} to be entered into the considerations for the upgrading of the plan.

Q Who do you think will make the major recommendations to utilities concerning changing the existing emergency plans that they have in place? Will that be Region I, your section, or will that be a branch or division in NRC headquarters or whom?

See errata

* A My understanding as to how this works is that there is a team leader. There are six teams. There are team leaders for each of these teams. There are certain criteria that they will be looking for in current licensees' plans. They will be bouncing these plans off of the Appendix E, as well as the emergency

2 planning regulatory guide, Reg. Guide 1.101, taking a
3 look at any deficiencies in there, maybe adding some
4 other recommendations which have come out specifically
5 as a result of TMI, into a sort of checklist for what-
6 ever criteria that they will be doing, and then go
7 into the site and taking a look at the plant and
8 facilities, equipment, procedures and that sort of
9 thing.

10 The team leader I think will have the major
11 responsibility for looking at the present planning and
12 bouncing it against the guide's requirements and that
13 sort of thing in making those recommendations.

14 Of course, the legality of backfitting plans, if
15 they need to be backfitted, to the Reg. Guide will
16 obviously come out of the NRR group. IE will be playing
17 an instrumental role in that they know what is going on
18 at the plant, they know the plant from previous
19 inspections, they know the weak spots, they know the
20 generic problems, things that they have been trying to
21 get ~~critiqued~~^{corrected} over the past number of inspections.
22 So by being team members they will have a big impact
23 here in influencing, I think, the team to say, "Okay,
24 this is the criteria which need to be met, and these
25 are the options for meeting those criteria."

2 But at least there are some endpoints there
3 which will finally be pinned down I think in terms of
4 the plan as to what must be done, what would be nice
5 in the plan^y, of some of these things,
6 ^{and} ~~but~~ to actually see the whole flow of the emer-
7 gency plan, how it should be carried out in all these
8 aspects.

9 Q Can you identify who the six teams are?

10 A I know some of the team leaders, but I don't
11 know all of them. I guess that is what you are looking
12 for is the team leaders.

13 Q Yes.

14 A I have got a list of them. I can give them to
15 you afterwards if you want or I can give you a couple
16 of names.

17 Q If you have a list of the teams and their
18 leaders.

19 A I don't have the team makeup, but I have the team
20 leaders.

21 MR. PEARSON: Fine. If you would provide
22 us with that list at the conclusion of the
23 deposition, that would be helpful.

* See Errata

24 Q I would like to focus, if I can now, on
25 the role you played during the accident itself.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

What position were you in within the NRC at the time the accident occurred?

A I was a radiation specialist.

Q What were your responsibilities in that capacity?

A I was doing emergency planning, as well as environmental protection inspections.

Q Did you have involvement with Three Mile Island prior to the accident in your capacity as radiation specialist?

A Only in environmental inspections.

Q What would your role be with respect to environmental inspections?

A I was the inspector who had looked at the program since ^{the} pre-operational ^{phase} for Unit 1.

Q What period of time did you assume that responsibility relating to TMI?

A I would have to go back and take a look at my inspection reports, but my recollection would indicate that it is back about the spring of '74.

Q The spring of '74 through to the time of the accident?

A Yes.

Q Can you characterize generally the

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

performance of Three Mile Island with respect to environmental concerns during the time that you were inspector?

A Okay. I guess generally I would say they were about average in terms of performance. It is kind of hard to judge because their technical specifications might have been tougher than some of the other plants and not as tough again as some others.

Actual performance was probably about average. They had some problems, and I think they were somewhat shallow in terms of their management support aspect. They had one individual, for example, to take care of all the radiological-environmental monitoring programs as one of his duties.

Many facilities have two or three or more people to take a look at those programs and keep on top of it.

Q How many persons do you think Three Mile Island should have dedicated to that role?

A There probably should have been about three of them at least.

Q Full-time?

A Yes.

Q And instead they had one person part-time?

A Well, on paper, you know, he is there full-time.

2 But whenever there is an outage, he could get drawn
3 onto the site for personnel monitoring and that sort
4 of thing. He was drawn on for those requirements, and
5 someone else who did not have the background would
6 then have to fill in.

7 Q About how frequently would you inspect or
8 would someone from Region I inspect Three Mile Island
9 prior to the accident, with respect to environmental
10 monitoring?

11 A It is about a yearly type inspection, annually.

12 Q Would that inspection normally be announced
13 or unannounced?

14 A Normally it is unannounced.

15 Q When that inspection would be conducted,
16 what particular items would the inspector be looking
17 for?

18 A Okay. Maybe it would be easiest to sort of run
19 through a typical approach that I would make in doing
20 an environmental inspection.

21 I would show up at the site unannounced and meet
22 with someone in charge. It might be the health
23 physicist or the plant supervisor. I would find out
24 what sort of samples ^{collections} are going on right now then that
25 day, if there is any going on that day.

1

2 Q How would you find that out?

3 A Just ask, are they out collecting samples. If
4 they are collecting samples, I will try and get out
5 there and meet them somewhere along the line, so I can
6 observe the routine sampling collection or whatever is
7 going on. If it is biological and if I have to make
8 some special arrangements to accompany them, I will
9 try and do that.

10 I may have to come back in the evening because
11 that is when they will be doing sampling. I don't
12 particularly care to accompany on a special collection
13 type thing because then that sort of throws a bias
14 into what you see anyway. Just being there does or has
15 to have some bias. They may or may not be a little
16 more careful with procedures or whatever.

17 But, in any event, you are able to observe the
18 full process of sample collection, the siting or
19 location of where they are taking their samples,
20 preserving samples, if that is necessary, logging them
21 in, marking the samples for later analyses, taking
22 them back to the laboratory, observing the selection
23 of the aliquatⁱ if that is what it is of the sample,
24 splitting samples or keeping reference samples for
25 later analyses.

2 Q Normally would you split samples and then
3 NRC would conduct an independent analysis of the
4 sample and see if it turned out the same?

5 A Environmentally the only time we would do that
6 is if we had a problem or suspected problem, I guess,
7 with the media.

8 Q With a media?

9 A Well, with the medium, the particular type of
10 sample, where the result appeared to be higher or
11 lower than usual, that would be about the only time we
12 would split a sample.

13 But what I am talking about here in terms of
14 splitting samples is for the internal quality control
15 program, if they have any, and if they don't have one,
16 then we ask how they can -- how can you have any faith
17 in the measurements or result that you are getting
18 back; what sort of assurance do you have that the
19 results have any meaning?

20 They usually indicate that, well, if it is iden-
21 tification of biological specimens or this sort of
22 thing, they have certain key references that they use,
23 and you might take a look at what those references are.

24 They probably have one or two or other consul-
25 tants to whom they can go to identify a particularly

2 puzzling specimen or specimens which they are not sure
3 of and ask for identification and that sort of thing.

#2
4 Q How long would an inspection take?

5 A A typical two-unit inspection I guess would
6 probably be on the order of four days, I would guess,
7 depending again on how the utility is arranged. In
8 some places they will have everything done on-site.
9 All of the data is collected by plant personnel or
10 utility personnel and is worked up and analyzed by
11 utility personnel, and the records are available right
12 there.

13 In some other places they will have the program
14 split in that biological programs are contracted out
15 to a contractor who is across the river somewhere, and
16 part of the records are over there. Utility personnel,
17 plant personnel, themselves, will have no input at all
18 for this program.

19 The radiological may be a split function in that
20 plant personnel actually collect some of the radio-
21 logical samples. Someone else may collect the addi-
22 tional or the remaining radiological samples and send
23 out the samples then to another contractor for radio-
24 logical analyses. Then the data are fed back into the
25 corporate headquarters.

1
2 For example, this is basically how the Met Ed
3 operation was.

4 Q Do you have something more to say?

5 A When you go to a utility like that, if you are
6 going to do the full inspection, you need to look at
7 the biological contractor to see what he is doing.
8 You need to deal with the plant people for those
9 aspects in which the plant personnel are involved
10 because they are usually involved in the maintenance
11 of equipment, as in Three Mile Island. They are also
12 involved in certain non-radiological discharges which
13 we take a look at. So you have the biological people
14 there. You have the plant people here for other
15 things that you need to look at, and then back to the
16 corporate where they have the data coming back in,
17 reports ^{are} prepared, Q.A. checks or whatever, ^{sent} back to them
18 for resolution, audit, audit results and that sort of
19 thing, as well as records as to what sort of deficien-
20 cies have been found by them and what corrective
21 actions ^{were taken} and that sort of thing. That is taken care of
22 back in the corporate office.

23 So that by the time you get the complete cycle
24 done, you will have spent probably five days.

25 Q Is there a requirement in your inspection

1
2 and enforcement manual or in any other location which
3 would require that an inspector check out contractors
4 and other persons, other than the utility, who are
5 involved in the entire sample collection and analysis,
6 preservation, et cetera process?

7 A I don't think there is a specific requirement
8 that says, "Thou shalt check out all contractors."
9 However, as part of the inspection program, unless one
10 takes a look at who is doing the work and what sort of
11 procedures, et cetera being used, you cannot under-
12 stand really the results coming out of it. You don't
13 know what these results mean because they may be biased
14 by the collection method or by the analytical methods.
15 So one does need to take a look at the full picture.

16 Q Is it fair to say that looking at the full
17 spectrum of the parties is a routine inspection function
18 that inspectors in this office normally follow?

19 A Yes. We may not each time see each contractor.
20 One of the contractors that we do not see as often as
21 some of the others are the radiological contractors.

22 Q Why is that?

23 A Well, because our hold on them is even weaker,
24 is weaker than on the biological contractors.

25 In other words, we have no regulatory authority

2 over the vendors per se, and our authority must extend
3 through the inspection of the licensee's program.

4 We have gone to radiological contractors, and I
5 think we have done everyone in our region at least
6 once, in conjunction with a licensee inspection.

7 Q But why do you say there is less of a hold
8 on radiological contractors than on biological
9 contractors?

10 A Because the biological contractors typically are
11 working very closely with the utility personnel, and
12 this is just an extension of taking the samples over
13 there and working with them. They are doing the
14 sampling and everything, whereas ⁱⁿ the radiological ^{area} ~~is~~
15 typically samples of this ^(radiological media) that are packaged up and
16 shipped off to a contractor, who may be much more
17 remote. The biological contractors are normally
18 adjacent to the site.

19 Q What would happen if a contractor refused
20 to allow an NRC inspector entry to observe their work?

21 A I think they would have problems.

22 Q Can you be more specific?

23 A I think they would have problems in that the NRC
24 needs or has the right to access to work being performed
25 by the licensee under the license, especially on-site.

2 I don't think there is any problem on that, being local.
3 It is just an extension of that process.

4 Q Assuming that is the case, then it would
5 seem to me -- and perhaps I'm wrong -- that you would
6 have the same hold on all the different contractors,
7 as far as the right of access to see their work is
8 concerned.

9 A I think that is pretty true. I have always felt
10 that way, if I had a licensee representative with me,
11 and I limited my inspection to those areas in which
12 the licensee had data involved.

13 In other words, if I am looking at a Met Edison
14 I talk about the Met Edison work and there is a Met
15 Edison fellow there. I do not reach out to one of the
16 other utilities, for contrast, to see how they handled
17 their data with respect to radiological or the
18 particular type of analysis or whatever.

19 (There was discussion off the record.)

20 Q Do you consider it a weakness in the
21 inspection program or not that the radiological
22 contractors and other contractors might not be
23 inspected as frequently as the rest of the utility's
24 work or activity?

25 A Yes.

2 Q You do consider it a weakness?

3 A Yes.

4 Q Would you tell us why?

5 A Well, at the present time there doesn't appear
6 to be any requirement for any certification or method
7 or standard for laboratories. The only enforcement
8 tool that we have is through the licensee.

9 If we find results that do not appear to be satis-
10 factory or are erratic, that sort of thing, our tool
11 is only to go back to that licensee. We cannot go and
12 look at the contractor across the board with all his
13 dealings.

14 I think it would be much better if there were a
15 certification of laboratories and some method of
16 assuring that they maintain some level of quality.

17 Most contractors are pretty good, as a matter of
18 fact, (the radiological ones) in our region at this time.
19 In the past that has not always been true.

20 Q Assuming that the work of radiological
21 contractors or biological contractors was inaccurate,
22 and assuming that the lack of inspection would not
23 reveal an inaccuracy, can you in any way quantify what
24 added risk in your judgment that inaccurate information
25 or lack of inspection would present that would otherwise

2 not be there?

risk

3 A I am not sure that ^{is} the right word. I think
4 the biological or the entire environmental program is
5 geared I think to looking for changes as a result of
6 plant operation. It is not there to be a "go-no go"
7 type flag for plant operation.

8 The purpose of the environmental program I think
9 is to confirm that the preliminary analyses which had
10 been done before plant operation, before plant
11 construction et cetera are right, that this plant is
12 not going to have a major effect on the environment.

13 But if you have contractors who do sloppy work
14 biologically, et cetera, you may not know that maybe
15 there is a thermal effect which is gradually changing
16 species composition or eliminating a species or having
17 other effects in a given area or, in fact, you know,
18 promoting a given species over all others in a given
19 area. They are all biological effects. Some of them
20 are rather subtle. With others it takes a long time
21 to observe, particularly when you go into the biological
22 aspect because you have natural cycles of abundance
23 and scarcity of various type of species, and that is
24 affected by the amount of rainfall, the climate and
25 everything else.

1
2 So it varies from year to year, as well as
3 naturally cycling.

4 So in assessing, I guess, the impact of the
5 plant on the biological, let us say, so it would affect
6 the concept for setting up the program initially.

7 The radiological and environmental monitoring
8 program is sort of looked at as a confirmatory program
9 again in that the tech specs require analyses of all
10 effluents before they leave the plant, and they must
11 be within certain limits or you cannot release materials.

12 If they are within the tech spec limits, then,
13 according to the preliminary analyses which have been
14 done before plant operation, you would project that
15 the dose to any given population can only be on a
16 certain magnitude, assuming a certain amount of
17 consumption of various media for usage of materials,
18 what have you, that the dose to an individual in the
19 population can only be a certain amount.

20 This then is an independent check on those
21 numbers to say, "Okay. Here we found a certain amount
22 of material out in the environment. This would repre-
23 sent a certain dose to an individual. Are the numbers
24 correct? Can we confirm what has happened? Indeed,
25 if there were some release which was in excess of the

2 limit for some reason, we can confirm and say, 'Okay,
3 while it was in excess of the limit, this only means
4 a fraction of a millirem additional exposure or maximal
5 exposure of the individual. It is not 100 millirem or
6 it is not 10 millirem or it is not any rem.'"

7 So we know where it is at, and if you have
8 problems doing this confirmatory measurement out here
9 in the environment, then you have lost that tool in
10 trying to evaluate what has happened or what is
11 happening.

12 Again environmental changes are normally quite
13 slow to develop. I think what you have to see for
14 these media is a gradual increase. If you are looking
15 for the effect of the radiological emissions from a
16 plant, and the work is done carefully using the same
17 types of methodology without switching back and forth
18 or having spurious results, only then will you be able
19 to observe these trends.

20 Q With respect to the inspection process
21 that you have outlined concerning samples and watching
22 how samples are collected and watching how they are
23 logged in and watching how they are preserved and so
24 forth, do you see any other weaknesses in the inspec-
25 tion program, other than the one you have just mentioned?

1

2 A Other than the contractor aspect?

3 Q Correct.

4 A I guess the only other weakness that I might say
5 which we might have is we would like to get back to
6 some of these people more frequently than we are, and
7 that is primarily because of manpower.

8 Q How frequently would you think would be
9 adequate or preferable?

10 A That depends on the form of the particular
11 utility. Obviously someone who is doing a good job
12 and has always been doing a fairly good job, you don't
13 have any problem letting go a year or a year and a
14 half or maybe even two years if that has been sort of
15 the historical record of it.

16 If you have a utility where you go back or you do
17 an inspection and you find out they have got problems
18 all along in here and problems up here (indicating)
19 and in addition problems are not either communicated
20 to management for resolution or they just lay there and
21 management says, "That is not important. We have to
22 spend our money for something else," and the problems
23 don't get taken care of, you want to get back to those
24 maybe within a couple of months, give them time to get
25 their problems corrected, and then get back out there

2 and see whether indeed they are taking care of the
3 problems or whether they may have just shifted the
4 emphasis of problems to something else, that is, taking
5 care of it in piecemeal fashion.

6 You pointed out that this was wrong and they
7 fixed this, but over here are identical items which
8 they never bothered to touch or didn't even recognize.

9 And so the problem is that one might want to get
10 out there maybe two or three times in between the
11 routine, let us say, one or two times between the
12 routine to be sure they have taken the corrective
13 actions.

#3

14 Q When you conduct an inspection, do you do
15 things other than what you have mentioned thus far?
16 You have thus far talked about sampling and checking up
17 on the sampling with contractors and so forth. Do you
18 do other checks or inspections than those that you
19 have mentioned thus far?

20 A Yes, we obviously have to take a look at what
21 the results show. We take a look at the annual report.

22 Q What report?

23 A Annual environmental report and try to trace
24 through samples, so that is we have gone through the
25 analyses, how records are kept to the time it gets

1
2 reported, so that one can follow any trend, look at the
3 trends on a year-to-year type basis or between samples.

4 We look at the quality assurance data, the
5 resolution of problems that they may have identified,
6 the audits that they have conducted or have not
7 conducted of the programs, items which we had flagged
8 on the previous inspection either as non-compliance
9 items or items that we just wanted to follow up on, or
10 items we needed more information to determine whether
11 it was satisfactory or not.

12 We take a look at those to make sure that where
13 corrective actions were needed, they were taken, that
14 where items were left open that they are now satis-
15 factorily resolved, in addition to perhaps carrying
16 along some items which one might have seen at a
17 previous inspection at some other utility that may have
18 some generic implication.

19 We look at the way the management assures that
20 the program is conducted in accordance with requirements.
21 We look at manpower, for example, and what sort of
22 training they have. Is it a biologist who is expected
23 to know everything about all the radiological or is it
24 the other way around, a guy who is a physicist who is
25 expected to run the entire program by himself and has

1
2 no idea of what anything other than a tree is, a fish
3 or whatever -- what sort of competence he may have,
4 what sort of perhaps consultants they have, the
5 manpower situation, and again the feedback to manage-
6 ment, proper level of management, to assure resolution
7 of any problems.

8 Q Can you estimate the percentage of time
9 that you would use during a normal inspection in
10 reviewing the documents that the utility has prepared
11 concerning its operation of the plan?

12 A Environmental inspection programs are a little
13 different than some of the other ones in that they can
14 vary tremendously from inspection to inspection.

15 Obviously if you get out to a plant in mid-January
16 you are going to find very little sampling going on
17 out in the river or lake or out in the ocean.

18 The amount of physical observation of sampling
19 that you are going to be doing will be rather limited
20 at these times of the year. So at those times of the
21 year it will be maybe 70 percent record review and it
22 may go down to 50 percent in summer.

23 Q What assurances do you get from the utility
24 that the records that they are showing you are accurate?

25 A The assurances I think have to come from,

1
2 number one, the quality control that the utility and/or
3 the contractor have done in comparison with those
4 results, in other words, that quality control program.
5 That is the first thing.

6 The second thing I think is the traceability of
7 particular samples. If you pull, let us say, a sample
8 collected at Station 14 on April 2nd for a given type
9 of analysis and try and trace that sample through the
10 entire analysis to where it is entered into the docu-
11 ment, if you can do this on a sample or a number of
12 samples, it gives you an idea of how the record system
13 is working. If you don't find any discrepancies along
14 that way, while it is a sampling program, it gives you
15 some assurance that the system does work.

16 Any of your inspections are just sampling. They
17 are not audits per se. We anticipate the licensee
18 does audits. All we can do, all we have time for is
19 to sample, since obviously these programs are much
20 much larger than what an individual inspector can do.

21 As I mentioned, some of the utilities have teams.
22 They may have four or five or six or seven or ten
23 people working on the environmental program. They can
24 do an audit.

25 Q Normally on an inspection would you track

2 one or two or three samples from the point of collec-
3 tion to the point of final analysis to determine if
4 there are any discrepancies that show up in the
5 process?

6 A Yes, that is one of the criteria. Another is
7 after you have looked at numbers of samples...

8 Q What are numbers?

9 A Numbers ---after several years of doing inspec-
10 tions, you have got a feel for what various levels of
11 various parameters are. And so when one takes a look
12 at the results, and if one sees numbers which appear
13 out of that range, one immediately questions them in
14 his mind and particularly the ones to follow up on.

15 Those are generally the ones that one selects.
16 They are not really random samples that one picks, but
17 rather he will take this one and take this one and this
18 one and let me see the results on these (indicating).

19 Q Would it then not be the case if you saw a
20 sample analysis that indicated the results that you
21 thought would be expected that in that case you probably
22 would not isolate that sample for some more intensive
23 study?

24 Not unless you found some problems with the
25 others. I mean, I think that the little time one has,

2 one has to obviously select samples which have a
3 higher probability of problems with them. If you start
4 running into problems with those, then you will start
5 pulling others at random.

6 Q When you finish an inspection of a facility
7 and you have checked a few samples through in greater
8 detail, and those samples turn out to be okay, as far
9 as you can tell, when you leave, do you feel as if
10 your inspection in that regard has been adequate? Are
11 you satisfied that the facility at that point is doing
12 its samples and collection and preservation and
13 analyses in an accurate way?

14 A I don't think I ever feel satisfied that I
15 couldn't have done any more. You always run out of
16 time, at least I feel I have always, and if I only had
17 a little more time I would have liked to have looked at
18 this and that. Or maybe I should have spent more time
19 here. At least that is the way I feel. I don't feel
20 like I am done and now I have to spend two more hours
21 before my plane arrives, that sort of thing.

22 I always run ~~ou~~ ^{on to} of things to do, but if I feel
23 strongly that I ought to spend a little more time on
24 it but couldn't, that is one of the things I will
25 indicate on my notes for next time to take a look at,

2 to make sure I spend more time in that area next time.

3 Q Do you feel after one of these inspections
4 that you can reliably state on the inspection report
5 that you believe that the facility is handling its
6 sampling and analysis properly?

7 A Certainly, if they were.

8 Q Right. Assuming that the results of your
9 inspection on a small group of samples did check out?

10 A Yes. Well, they are compared in numbers of ways.
11 I mean, that is only one way of following it.

12 If you followed it this way, through the sequence
13 of analysis up through, that is one method of arriving
14 at a decision as to whether or not the samples are
15 meaningful. Another criteria is to look at the whole
16 batch of them, and you compare stations -- station as
17 a function of time versus another station as a function
18 of time. Then you have the overall annual report and
19 you look at those results. You compare that in your
20 mind to some other station, some other plant rather,
21 whose results hadn't been that different from it.

22 So it is not really based on just the few
23 samples that one follows through. That is only one
24 method or mechanism of showing the traceability I
25 think of individuals to this.

1
2 Q What would another mechanism be by which
3 you could make determinations as to the accuracy of
4 the information the utility would be showing you?

5 A Well, as I mentioned, you could take a given
6 station, a given sample station as a function of time,
7 and take a look at the variability or the uniformity
8 of the numbers there, providing releases have been
9 approximately the same, and if there are no weapons
10 testing in that immediate period, which could have
11 influenced the samples, so you could look at the
12 uniformity of the data through there, and also you can
13 compare it to a previous time period or the time
14 period after that, and you can compare it to another
15 sampling location.

16 You also have information that you have gotten
17 over the past number of years maybe at that station,
18 maybe at this plant or maybe at another plant, from
19 doing environmental inspections, and you know what the
20 general range of this nuclide is in this particular
21 type of sample.

22 You look at that. Then, in addition to that,
23 you are looking at their quality control program. You
24 are looking at samples which were split prior to
25 analysis and analyzed either by two separate contractors

2 or by the same contractor to a separate analysis by
3 another method or as a blind sample. In other words,
4 the contractor didn't know that this particular Sample
5 10 is the same sample as No. 7, only it was split.

6 So you look at those results. When you follow a
7 couple of them through, that is only one portion of
8 the check.

9 Q Do you have requirements that the utility
10 split samples and analyze them under different
11 methods or that the utility have blind samples, so that
12 you can check up and compare it to another sample, the
13 origin of which is known to the utility?

14 A Only a few of them. Only a few of the plants now
15 have those specific requirements. The new ones do,
16 those with newer technical specifications.

17 Q Do you think it is a shortfall for the
18 plants that do not have that requirement?

19 A Yes, very definitely, although through the
20 process of inspection and pointing out deficiencies
21 that could fall down through the cracks without a
22 quality control program, most of the licensees have
23 instituted some form of quality check. Maybe it is
24 not formal, but most of them have now got some sort of
25 program. It may not be what you would like to see,

2 but they are coming along.

3 Q What would happen in this event if during
4 your review you found a sample analysis which indicated
5 results that would not be expected, given the other
6 information you know about the sample, and you decided
7 to look into it in greater depth; how would you deter-
8 mine if you could answer this in the abstract that a
9 sample of that sort was inaccurate?

10 A Okay. There is little one can do on the basis
11 of the paper. I can follow through, take that sample
12 and follow it on back. You look for mathematical
13 problems or arithmetic-type problems.

14 If you can't find anything which would indicate
15 that it is an arithmetic-type error or problem with
16 yield or anything else back here, then the next thing
17 is to try and find out what the licensee had done
18 about it.

19 Has he recognized it as being an atypical type
20 sample? If he hasn't, why not? What are his acceptance
21 criteria? If he doesn't have any, why not? If he has
22 acceptance criteria and has identified it, what has he
23 done about it? Did he go and re-sample? Did he
24 re-analyze this particular sample to confirm that
25 result?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

So these are the types of things that one has to go through.

Q Let us assume the utility has done nothing about this atypical sample.

A Well, I think that would be sort of a negative finding in our inspection report, and one of the recommendations certainly that we would have to make to the utility management is that they have a mechanism of recognizing these things, first of all. Maybe that is the reason that they didn't recognize it as an atypical sample, and then recognizing it and then following up on it.

After all, we have enough problems with samples which show a slightly positive nuclide arrangement without having things which are atypically large, having to explain when they may not even be real. They may be some sort of analytic problem.

When one points this out to the licensee, they are usually receptive to the idea of resolving these.

(Continued on following page.)

T-4

1

Bores

SR/mf

2

Q Would it be fair to say that it would be difficult for you to challenge the result of that atypical sample, assuming the numbers all worked out?

3

A Absolutely, although if you do find an atypical sample, one of the things we certainly do is take a look at the effluent for that period, and see if there is something in the effluent which could explain this atypical result -- a gaseous release, a larger gaseous release during a particular month or a meteorological *situation that could account for a higher accumulation* in that given direction. That is one of the ways of pursuing it.

4

If the releases were all the same, the same order or less and the meteorology cannot be utilized as a tool of transporting material there, one in one's mind sort of rules out a good portion of plant responsibility for putting it out there. But still it is the plant's responsibility then for assuring that the data are worthwhile.

5

So if there is some reason to suspect that it is plant-related, we certainly will follow that even more closely to take a look at the other records. We will cut off with our own inspection into that area and try and resolve these areas.

6

Q In your personal experience doing these

2

1

Bores

2 types of inspections, have you ever found instances
3 where in your judgment the utility was fraudulently
4 maintaining records?

5 A I have not.

6 Q If the utility would fraudulently insert
7 a statistic with respect to a sample to make it look
8 like the rest of the samples, rather than standing
9 out as an atypical sample, would there be any reliable
10 means by which you would discovery that?

11 A I think one of the ways of doing that would
12 be primarily, as I had indicated before, by following
13 samples through from collection to analyses.

14 Q But in that event, if they fraudulently
15 were doctoring a sample result so that it appeared
16 to indicate what would be expected in that circum-
17 stance, would it be fair to conclude it would be
18 unlikely you would uncover it?

19 A The likelihood is not very large. You had
20 asked whether a fraudulent type situation had arisen
21 before. I don't think in terms of utility records,
22 but a number of years ago with the Shippingport
23 reactor, there was some controversy which did come up
24 regarding analyses done by a contractor.

25 Here I think it was picked up primarily

2 because the utility did not look at the results they
3 were getting. Some of the numbers they were publishing
4 were very atypical, which turned out to be a tip-
5 off. It turned out I think the contractor in that
6 particular case had "dry labbed" a number of the sam-
7 ples.

8 Q What does that mean?

9 A They have never performed the analysis but
10 rather provided some numbers. They had either lost
11 the sample or something.

12 Q When you finish inspections, is it also
13 routine that you will fill out an inspection report?

14 A Yes.

15 Q Is it also routine, if that inspection
16 report reveals some possible problems at the plant,
17 that you would follow that up with a letter to the
18 plant indicating the results of the inspection?

19 A There is always a letter to the plant with
20 inspection results and, as a matter of fact, en-
21 closing the inspection report.

22 The only time the licensees are asked
23 to address or respond to negative findings, which
24 we call items of non-compliance ~~are~~^{or} deviations from
25 commitments they had made or problems which needed

2 to be corrected but may not be specific violations.

3 Q With respect to Three Mile Island, did
4 you ever send to them inspection reports or letters
5 indicating items of non-compliance?

6 A Yes.

7 Q And can you characterize generally how
8 responsive the utility was to correcting whatever
9 problems the inspections had revealed?

10 A I guess I would have to say they were generally
11 responsive in correcting the problems that we revealed
12 in the inspection.

13 I would also have to say though that the
14 emphasis seemed to stop with the correction of the
15 specific problems that had been identified.

16 In other words, they did not look for
17 similar problems which were not cited this time, but
18 you would come back out and almost identical situations
19 may have come up with another type of sample or another
20 type of sample equipment, that sort of thing.

21 They were not systematic in following
22 through the entire corrective action.

23 Q So is it your statement that the utility
24 would take specific responses to the specific viola-
25 tions?

2 A Yes.

3 Q But would not go beyond that to determine
4 if there were any across the board weaknesses of
5 the same type that had been inspected?

6 A Yes.

7 Q Were other utilities, to your knowledge,
8 more responsive in this vein?

9 A Some were and some were not.

10 Q Let us focus now on actually what happened
11 during the accident and your role in it.

12 A I had no role in the accident.

13 Q I mean your responsive action. I have
14 here two packages of documents. The first package
15 contains 32 pages. The first 27 pages are consecutively
16 numbered and purport to contain notes that you com-
17 piled on March 28 and March 29 of 1979, the first
18 two days of the accident. The remaining pages are
19 numbered one through five, and they purport to contain
20 notes that you made on Friday, March 30, concerning
21 the accident. Have you reviewed these pages?

22 A Yes.

23 Q Is it your testimony that these pages
24 are notes that you compiled during that time and
25 that they are accurate to the best of your knowledge?

1
2 A Yes.

3 Q Is it also, to the best of your knowledge,
4 true that this is the total sum of notes that you
5 compiled during these three days?

6 A That is kind of difficult to say.

7 Q Are there any other notes that you have
8 compiled during that time that you know of that are
9 not contained in this package?

10 A I don't know of any others.

11 Q I would only ask at the conclusion of
12 the deposition that you check to see if there were
13 any further notes and that if there are any, I would
14 appreciate it if you would make them available to
15 the Presidential Commission. Will you do that?

16 A Sure.

17 MR. PEARSON: First I would like to mark
18 this package of 32 pages that was just noted
19 as Deposition Exhibit 2.

20 (32-page document was marked as Bores
21 Deposition Exhibit 2 for identification, this
22 date.)

23 MR. PEARSON: I also have a second
24 package containing 16 pages each page of which
25 is identified as "Incident Messageform."

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Because the numbers are non-sequential, I will outline them for purposes of the record.

The first page is B-2. The second page is B-2-continued. The next two pages are entitled "Control Number B-3. The next group of pages is B-4 through B-9 inclusive. The next two pages are B-10, one page being a continuation of the other. B-11 is the next page. There are two pages entitled "B-12," the second being a continuation of the first. The final incident messageform is Control Number R-53A.

Q Have you reviewed these sixteen pages?

A Yes.

Q Did you prepare them?

A Yes.

Q To the best of your knowledge, are they accurate in their content?

A Yes.

MR. PEARSON: I would like to mark these as Deposition Exhibit 3 please.

(Above described documents were marked Bores Deposition Exhibit 3 for identification, this date.)

1
2 (A brief recess was then taken.)

3 Q When we recessed, we were about to begin
4 talking about your personal involvement and response
5 to the accident at Three Mile Island. Maybe we could
6 begin with the general comment by you as to what role
7 you played during the course of the accident, what
8 functions you performed in a general sense.

9 A Okay. Well, on the day of the accident I was
10 acting section chief for E&SP Section, and in our own
11 Incident Response Plan, the section chief is the com-
12 munications man. He is the fellow who notifies other
13 agencies and maintains contact with the State and
14 other Federal Agencies and coordinates assistance
15 as necessary and that sort of thing.

16 Q In that role would you be the primary
17 contact of Region I or the exclusive contact in the
18 region?

19 A The primary, because there were so many calls
20 coming in and out that I'm not sure that I got all of
21 them; not for the State of Pennsylvania. I know
22 Tom Elsasser who is the State liaison officer, made
23 the initial contact.

24 Q With which groups did you maintain contact
25 during the course of the accident?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A During the course of the accident -- that is kind of a long way back. Let me talk about the first couple of days.

Q Let us say through the end of Friday, March 30.

A The State of Pennsylvania, particularly Bureau of Radiological Health, Department of Energy, EPA, and I would say the prime contact there was for dissemination initially. Then we got into some of the water discharge criteria type discussions with them, several other states and the aerial monitoring was part of the deal.

Q Is that ARMS?

A AMS, Aerial Monitoring Service. It used to be ARMS, Aerial Radiological.

Q Are these parties the primary ones with which you were in contact or are there others that would also be primary?

A We spent quite a bit of time talking to the AMS people, but also with the RAP Teams initially.

Q With whom were the RAP Teams affiliated?

A Also Department of Energy. There was this particular contact with Brookhaven National Laboratory, the Region's RAP Response Team.

1
2 Q Can you characterize the general subject
3 matter, if there is one, of your contacts with the
4 Bureau of Radiological Health?

5 A General discussions, obviously TMI, updated
6 status as we understood it to make sure that they
7 had the same word that we did.

8 We understood that they were going to
9 be performing some iodine analyses or confirming the
10 iodine analyses in some off-site ~~statements~~ ^{measurements} that
11 Met Edison had done. That information obviously
12 was of much interest to us. We were trying to coordinate
13 whether or not the RAP Teams, that is the Radiological
14 Assistance Teams, ought to be pulled in and, if so,
15 were the ~~statements~~ ^{people} going to ask them to come in or
16 it would fall on the NRC to do that.

17 I guess generally it was just to make
18 sure that they were aware of the status and
19 were kept abreast of any developments as they occurred.

20 Q What types of matters did you discuss
21 with people from DOE during that period of time?

22 A Well, with DOE, again we went through the
23 status of the facility, and the discussions resulted
24 around whether or not we wanted them to come to the
25 site or stand in readiness for assistance at some

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

future time. That was with both the AMS people and with the RAP people out at Brookhaven.

As it turned out, we asked the AMS people to come in to the Harrisburg area and get set up, and the State asked RAP Teams to get set up.

Q And what range of matters did you discuss with the Commonwealth of Pennsylvania personnel?

A I believe I discussed that here before.

Q Would you clarify that for me?

A You asked me what we had discussed with Pennsylvania.

Q That is the BRH specifically?

A Yes.

Q When did you first become aware that there was a problem at Three Mile Island?

A It was about 8:00 o'clock in the morning.

(Continued on the next page.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q On Wednesday, the 28th?

A On Wednesday, the 28th.

Q You were in these offices?

A Yes.

Q Do you recall from whom you heard that?

A Not specifically. Five months ago I could have told you precisely. It was someone who had gotten a call from the answering service, and I think it was someone in the Safeguard Branch. It may have been Jim Joyner.

Q When you then given instructions as to what to do to respond to the accident?

A Well, I knew that what we would be doing or should be doing was to get set up upstairs in our Incident Response Center and to assemble people, management people, so that we could effectively get our response initiated.

Q Did you do that?

A Yes.

Q How long did it take you to set up the Incident Response Center and to have it actually working?

A I would say we probably had the center set up within about five minutes and phone calls initiated to

5.2

2 the site perhaps within the next five minutes, which
3 was maintained throughout most of the first several
4 days.

5 Q From the time that the first Incident
6 Response Center was set up and during your active
7 involvement with the accident, was it your role to
8 receive and relay communications at the center?

9 A No.

10 Q No?

11 A We had a line setup dedicated for operation. We
12 had another line setup dedicated for the radiological,
13 and I was doing the communications with regard to
14 other Federal agencies coordination, and with the
15 State, and trying to keep those people informed. I was
16 working out of my office at the time because I needed
17 an extra line.

18 Q I see. You were actually in your office,
19 rather than at the Incident Response Center?

20 A Well, and running back to update the people here
21 and get further information and pass it on down.

22 Q Did you during that time ever assume the
23 role of giving advice as to what actions might be taken
24 at the plant or other actions that might be taken in
25 response to the accident?

5.3

1
2 A Not to the plant, I don't believe. I think our
3 advice certainly was discussed, management in part as
4 the role of alternate program planning officer for the
5 regional office.

6 Q Did you then in that capacity give advice
7 to outside persons as to what emergency responses, for
8 example, might be taken as the accident proceeded?

9 A Not outside the office. This was with regard to
10 our own response, what we should be doing, who we
11 should be sending, what sort of equipment, that sort
12 of thing.

13 Q On Wednesday, the 28th, you have testified
14 that you received telephone calls, and I would like to
15 ask you concerning some of those calls, in your note
16 on Page 2 of what has been identified as Deposition
17 Exhibit 2, there is a call marked in at 10:45 a.m.
18 Could you tell us about that telephone call and explain
19 in greater detail what happened during that telephone
20 call?

21 A Okay. I called the State of Pennsylvania and I
22 talked to Margaret Reilly and again discussed the
23 status of the plant as we both understood it.

24 I passed on a reference to her which was given
25 to me by Jim Martin of NRR, which had to do with the

5.4

2 methodology of evaluating iodine which might have been
3 deposited on pasture grass.

4 Margaret Reilly passed on some discussion
5 apparently that she had heard from the site in which
6 the B&W people had indicated that they did not think
7 that there was any fuel melt.

8 Q Do you have any independent recollection of
9 this particular conversation?

10 A It is sort of vague after five months.

11 Q Do you remember if Margaret Reilly during
12 the conversation was in an emotional state or if she
13 was very calm or what her perception of the gravity of
14 the accident was, things of that sort?

15 A It was probably as calm as anybody else, let us
16 put it this way, at the time because we couldn't pay it
17 much weight because, I mean, she certainly was
18 thinking about it, and I'm not sure any of us had any
19 real grasp of how serious the accident was. We were
20 still looking for numbers. We hadn't gotten thinking
21 really affirmatively ^{data}~~by~~ ~~back~~ at that point.

22 Q So is it fair to say that everybody was
23 rather calm at that point, rather than upset?

24 A I would say so, yes. I think we knew something
25 serious happened, and although she had indicated that

5.5

2 B&W didn't think there was any fuel melt, I don't think
3 there was any doubt in any one of our minds that they
4 obviously had destroyed the integrity of the fuel.

5 Q Did you perceive at that time that there
6 was a serious risk to the health of the public?

7 A No.

8 Q Is it your recollection --

9 A As existed at the time, no.

10 Q I have a record here of another telephone
11 conversation on March 29 contained on Page 5 of
12 Deposition Exhibit 2. It is logged in at 1300 hours,
13 1:00 p.m., from the Department of Energy. Do you have
14 any independent recollection concerning this telephone
15 call?

16 A Yes, some.

17 Q Could you share that with us, please?

18 A Well, this was a call back to the Department of
19 Energy headquarters, and they wanted to know if we
20 here at Region I wanted to establish an open line with
21 the DOE headquarters emergency center.

22 At that time I said we did not want to do that.
23 I later confirmed this with my management because we
24 did not have anyone to man an open line essentially.
25 We felt that we could get through any time we wanted

5.6

1 to the DOE at headquarters.

2 In addition, the Andrews Air Force Base contingent
3 of the AMS people had indicated that they would be
4 flying to TMI in two helicopters and I had confirmed
5 at this time that the AMS people did not have air
6 sampling capability aboard, and that the measurements
7 that they would be taking would be based on gamma
8 measuring instruments only.

9 Q They would be samples taken from helicopters,
10 however, is that accurate?

11 A Gamma measurements from helicopters, not air
12 sampling capability.

13 Q Is there an indication of an emergency
14 operation center that DOE maintained?

15 A Yes, that is their DOE-EOC.

16 Q What is your understanding of the role that
17 the DOE Emergency Operations Center would play during
18 the accident?

19 A Again the DOE-EOC, I look at as being a center
20 sort of manned around-the-clock in the Washington area
21 to sort of coordinate the overall DOE manpower effort
22 coming in, sort of similar to our Incident Management
23 Center at the NRC in Washington.

24 The DOE contingent rather seemed to operate

5.7

2 rather independently, rather than from direct input,
3 and it was the operating contingent of the DOE to keep
4 this Emergency Operations Center informed as to what
5 was going on or the needs and that sort of thing. We
6 were one of the inputs to the center.

7 Q Did DOE maintain routine and frequent
8 contact with Region I here throughout the course of the
9 accident?

10 A From their Emergency Operations Center?

11 Q Correct.

12 A During the first few days we probably had half
13 a dozen telephone calls or so from them. Then they
14 were sort of left out of that direct link because our
15 communications went to the site, to the AMS people
16 directly on-site, to the Pennsylvania Department of
17 Environmental Resources, BRH, the people there. So we
18 had input going that way, and from DOE on-site to
19 their Emergency Operations Center.

20 Q As a general matter do you feel that
21 Region I was adequately informed concerning the ongoing
22 activities of the DOE during the accident?

23 A We were generally pretty well informed as to
24 the aerial monitoring that had been going on, as well
25 as the meteorological work, the ARAC type work.

5.8

2 We were not really in the reporting chain at all, as
3 far as ground surveys, what they had found or air
4 sampling, in other words, what the RAP teams were
5 finding.

6 These results we had to get out of the State and
7 had to ask the State for. This was for the first
8 several days at least.

9 Q Did you consider that a problem that DOE
10 was not providing this information on a routine basis?

11 A I don't know if I would consider it a problem.
12 I guess it would have been nice to find out yesterday
13 their finding something or, yes, their finding a lot
14 or their finding nothing. But as far as getting back
15 detailed information, I'm not sure that that would
16 have helped us tremendously and that we were getting
17 quite a bit of other input from our own survey teams
18 and from the Met Edison survey teams.

19 Q Was there any discussion that you recall
20 at that time concerning DOE communication or lack of
21 communication with Region I?

22 A I think I talked to the State about it, and we
23 really didn't have a contact with the DOE RAP team
24 leader, as I recall it, but the State was getting all
25 the data, and we would get feedback through the State

2 that way.

3 Q Would the Region I emergency plan provide
4 for contact with DOE personnel during an emergency of
5 this sort?

6 A It would if we had initiated the requested
7 assistance. In this case, the RAP was essentially
8 responding to the State's request, as opposed to the
9 NRC's request.

10 Q I see. So had you initiated a request to
11 DOE, it would be your expectation that they then would
12 have placed you in the routine information chain, and
13 the communications would have been more extensive?

14 A Yes, certainly.

15 Q Who instructed the AMS people to go the
16 site to take samples and generally conduct monitoring
17 activities?

18 A To go to the site? You mean into the Harrisburg
19 area?

20 Q Correct.

21 A I instructed them to do that, based on discus-
22 sions I had with my management.

23 Q Was it then the intent of Region I to pay
24 for their services at some later time?

25 A We had concurrence from headquarters.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q When did that concurrence arrive and what are the circumstances around that to your knowledge?

A I would have to go back to my notes here. At 11:00 o'clock I called and requested that the aerial monitoring craft be brought to the TMI proximity. So it would have had to be probably between, I would say, 10:45 or 10:50 and 11:00 o'clock that we got the concurrence.

Q Do you remember the reasons why this region determined that they would like the assistance of the AMS people?

A Well, at this point, after we had initially contacted them, I guess we felt it would be a lot better to have them in the area, so we could use them if we wanted them.

The initial decision was, "Okay, let us bring them into the area," and before they got to the site, as a matter of fact, a decision had been made to go ahead and fly as soon as they had gotten there.

Q Was that Mr. Grier's decision?

A No, I think the decision was perhaps made out of headquarters by Bernie Weiss and the people who were knowledgeable about AMS.

Q I notice in your notes on Page 7 there are

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

a series of three or four conversations which begin at 1410 hours.

A Yes.

Q It seems to relate in the first entry, 1410, it indicates Bernie Weiss said that the ARMS crew was to "fly." What does that mean?

A That means as soon as they got into the area, to begin surveying.

Q So that was the actual go-ahead order to them, to go off a standby capacity and actually --

A Yes. In actual fact they were en route. So this conversation was related to the DOE-OEC, so that as soon as these people arrived in the Harrisburg area and contacted back to their office, to let them know that they had arrived and they would get the go-ahead to fly.

Q To your knowledge did they immediately follow that order and begin their activities?

A Yes, as soon as they got there.

Q Again on the 28th on Page 8 of Deposition Exhibit 2, there is a telephone call logged at 1530 hours from Reilly of Pennsylvania, and the note indicates she was becoming less convinced of any off-site airborne problem. Do you know why she was becoming

1
2 less convinced at that point?

3 A Yes, I think the State at this point had analyzed
4 one or more of the early off-site charcoal cartridges
5 that had been collected by Met Edison, and Met Edison
6 had indicated that there was 1×10 to the -8 micro-
7 curies per cc, and the State analysis showed that the
8 samples contained less than the minimal detectible
9 activity, which was on the order of 1×10 to the -11
10 microcuries per cc.

#6

11 Q Did you have any further discussion with
12 Margaret Reilly at that time beyond what you have just
13 indicated?

14 A I can't recall at this point.

15 Q Again on the 28th, on Page 11 of Deposition
16 Exhibit 2 logged in at 1820 there is an indication that
17 you called Tom Gerusky of Pennsylvania. Again it
18 indicates that the purpose for the call was simply to
19 contact, to exchange information. Did you routinely
20 stay in touch with Mr. Gerusky for this purpose?

21 A Yes. Gerusky or Reilly or Jane Fischer, whoever
22 was there in that same office.

23 Q Do you recall if you called him at this
24 time after he had just returned from a briefing with
25 the Governor?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A No.

Q So that was a fact that you simply learned for the first time?

A Yes.

Q Did Mr. Gerusky tell you anything about the briefing with the Governor or the press conference?

A Not particularly; not particularly that I can recall, let us put it this way.

Q Do you have any independent recollection beyond what these notes maintain with respect to that conversation?

A No. I think this is pretty much as I can recall it at this time.

Q I would like to refer you to another conversation referred to in your notes on Page 19 of Deposition Exhibit 2 logged in at 1320 hours, and this was a conversation with John Sears. Who is John Sears?

A John Sears is with the NRC Nuclear Reactor Regulation, and I'm not sure what his exact title is.

Q Your note indicates that he asked questions about the TMI emergency plan implementation.

A Yes.

Q It further indicates that he did not know or is that you?

2 A I did. He wanted to know whether the plan was
3 fully implemented, whether there were any problems
4 with the plan's implementation, generic aspects, that
5 sort of thing, and I simply informed him our people
6 had been mighty busy out there and simply had not
7 gotten around to that stage. You have to handle the
8 crisis situation before you go back into a routine
9 ~~test~~^{task}. It is simply what I tried to give him.

10 Q When you were speaking of the emergency
11 plan implementation --

12 A Talking about TMI emergency plan, as opposed to
13 our implementation of the incident response plan.

14 Q Was it a concern to you that there was no
15 available information concerning the implementation of
16 this emergency plan on the 29th when this call was
17 logged in?

18 A Not particularly, because we knew they had teams
19 out. We knew we had people there on-site who were
20 following the course of events, including what surveying
21 was being done. We had additional capability of our
22 own there, and any lack, I guess, or failure of Met Ed
23 to implement portions of the emergency plan I think at
24 this point would have been picked up or would have been
25 past history. In other words, actions would have been

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

supplemented by another force at that point.

As to any real problems with the emergency plan, it would have to come later when we looked at everything in the full investigation.

Q I would like to focus for a moment on the controversy concerning the dumping of waste water from the site on Thursday afternoon. You have in the notes a couple of conversations which relate to that event or proposed event. Rather than simply running through the conversations, perhaps you can tell us your understanding of the way these events occurred and refer to the conversations as you do it, if that would be a more convenient way of going through this matter.

A Let me just look at these things first. With regard to the IWTS --

Q What is "IWTS"?

A Industrial waste treatment system water, I guess what you need to know is a little bit about what the problem was.

It appears that on the afternoon of the 29th samples were taken of different effluent streams and that sort of thing and analyzed primarily by the NRC at this point.

The IWTS effluent showed levels of Xenon 133

2 and 135 which were noble gases in this water.

3 Q Would that be unexpected?

4 A It was somewhat unexpected I guess because this
5 is a normal clean industrial waste. That is all it
6 is, and no radioactivity is anticipated. In hindsight
7 it is probably as a result of gases being in the fuel-
8 handling building and the primary and auxiliary
9 building and mixing with the industrial waste water in
10 the sumps.

11 What we had was simply some of this gas being
12 carried out with the sump water.

13 Q How were you aware of that at the time that
14 this was happening? How did you know at the time that
15 the waste water was showing some measurement of radio-
16 activity?

17 A These were the results of NRC analyses.

18 Q They were relayed to you, so you were
19 personally aware of them?

20 A Yes.

21 Q What time was that information relayed
22 approximately?

23 A I think what you will have to do is check our
24 message forms, and you will probably find it in there.

25 Q Do you have any recollection as to when

2 that came in?

3 A I don't have any personal knowledge, but it must
4 have been before 1430.

5 Q 1430 on March 29?

6 A Yes.

7 Q That is some background information
8 concerning the waste water question. When did you
9 first hear word other than that concerning it, in
10 other words, what happened next?

11 A Oh, well, there was some controversy here whether
12 or not it could be dumped legally.

13 I guess the consensus was that, as far as any
14 radiological hazard, there really wasn't because as soon
15 as it mixes with the water or in the process of
16 churning with the other water in the river, it would
17 simply outgas, and the activity would be released from
18 the water, so that it wouldn't be a hazard downstream.

19 In addition, since this industrial waste treatment
20 system pump is a normally operating system, if you
21 shut it off or isolate it, what will happen is the sump
22 will overflow and simply run down into a storm drain
23 and be discharged directly to the Susquehanna River,
24 without any dilution from cooling tower blowdown and
25 that sort of thing.

2 So it looked like the best alternative would be
3 simply to discharge it at a controlled rate with
4 dilution before it hit the river.

5 Q How did NRC Region I to your knowledge
6 become aware that the utility was planning to dump
7 this waste water?

8 A I was trying to guess. This information must
9 have come from the mobile laboratory on-site or from
10 the control room, one of the control room links to the
11 Region I office.

12 Again you may have to go back to the regional
13 radiological incident message forms to find out
14 precisely how it got in.

15 Q Was there any concern in Region I respecting
16 this proposed dumping of waste water material?

17 A Initially there was concern about how it had
18 gotten into the water and, second, whether or not any
19 limits might have been exceeded. So after that evalua-
20 tion had been performed, I don't believe we had any
21 major concern.

22 Q Were personnel from Region I aware at the
23 time how the radioactivity got into the waste water or
24 were they surprised that that could have occurred
25 under any set of facts?

2 A I'm not sure we could term it "surprise" that it
3 could have occurred at all. I think what we did was
4 sort of surmise how it must have happened because we
5 were looking at pretty much any effluent stream from
6 the Island at that point, just looking to make sure we
7 had all paths isolated. There was a concern that there
8 might be some loss of radioactive water somewhere ~~other~~
9 from the Island. So any pathway that could be
10 thought of was sampled.

11 Q Was the utility contacting the region at
12 that time to request permission to dump or to simply
13 indicate that they intended to do so?

14 A I think the utility had requested permission to
15 dump to keep it from overflowing.

16 Q So at that point there was no dump ongoing?

17 A No, I think they had isolated it once it had
18 been identified.

19 Q And what did the region do with that
20 request?

21 A That information was passed on to IE headquarters,
22 the Incident Management Center.

23 Q Who passed it on?

24 A Region I probably from the Incident Operation
25 Center here up to the Incident Management Center in

1
2 Washington.

3 Q Do you know which persons were involved in
4 that specific conversation?

5 A Not specifically. Again that information should
6 have been recorded on an incident message form.

7 Q What did headquarters of NRC do with that
8 request?

9 A I think you will have to ask NRC headquarters
10 what they did with it.

11 Q You don't have personal knowledge
12 concerning that?

13 A No.

14 Q Did you participate in any conversations
15 concerning the waste water dump by either relaying the
16 request to the parties or relaying the response to the
17 request back to the utility?

18 A No. My contact had been primarily with the
19 State and with the regional people here, the positions
20 here.

21 Q You have an entry on Thursday, the 29th,
22 logged in at 4:20 in the afternoon, which I believe
23 was a conversation between yourself and again Margaret
24 Reilly from the State of Pennsylvania.

25 A Yes.

1
2 Q Can you describe that conversation for us?
3 A This conversation, according to the record here,
4 indicates that I had called Margaret Reilly to inform
5 her of the decision by TMI to dump the 400,000 gallons
6 of water through the IWTS by the normal release pathway
7 at approximately 200 gallons per minute with the
8 dilution flow from the plant as I had described
9 earlier.

10 Q You used the words "decision of TMI" to do
11 this. Is it fair to say that it was really their
12 preference but they were awaiting NRC concurrence with
13 that action or had they actually made a firm decision
14 to your knowledge to do that?

15 A I don't know at this point. I can't remember.

16 Q To your recollection was this the first
17 information that Margaret Reilly had concerning the
18 proposed waste water dump?

19 A That is difficult to say because I had discussed
20 this information with Tom Gerusky earlier, and
21 obviously one of the reasons for discussing it would
22 have been to keep him informed of the options available.
23 So I guess she should not have been surprised if there
24 was a decision to dump that waste.

25 Q When you earlier spoke with Tom Gerusky on

1

Bores

67

2 this --

3 A I think it was at 1420.

4 Q Can you find it here in the notes?

5 A 1430 (indicating).

6 Q Do you recall whether this was the first
7 time that Mr. Gerusky had heard of the possibility that
8 the plant might be releasing this waste water?

9 A I don't know.

10 Q You don't recall if he had a reaction of
11 surprise or anything of that sort?

12 A No. I think I had enough trouble trying to
13 record all my own comments.

14 Q In these two conversations did you have
15 reason to think that Pennsylvania personnel, that is
16 Mr. Gerusky or Miss Reilly, were in any way unduly
17 concerned about this release?

18 A No.

19 Q Do you have any independent recollection
20 as to whether Reilly or Gerusky had contacted others
21 concerning this release and their views on it?

22 A I am sure they were in contact with the site
23 personnel because they also had an open line to the
24 site.

25 Q When you were talking with Margaret Reilly

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

at 1620 hours, 4:20 in the afternoon, on March 29th,
and you informed her concerning the TMI decision, what
was her reaction to that?

A She didn't see any particular problem with it,
and as a second thought she had inquired if anybody had
looked at Tritium being mixed with it. I informed her
that, as far as I know, nobody had looked at it, but I
would find out and get back to her.

Q Is it your recollection that this conver-
sation took place prior to your knowledge as to what
decision NRC headquarters would make concerning the
TMI request to dump?

A Yes.

(Continued on following page.)

T-7

1

Bores

SR/mf

2

3

4

Q Did you become aware on Thursday of what the Headquarters recommendation or decision concerning the dump was?

5

6

7

8

A Yes, I think that was Thursday night to the first time I got a feel for where they were assessing and trying to iron out problems I guess with the State and other agencies within the State.

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

Q What kind of a feel did you get?

A What sort of feel? I thought that what was happening was becoming a big political issue at that point and that people were trying to make political decisions when there wasn't really a technical basis, if one looked at the radiological implications involved.

Q How did you make these impressions or reach these conclusions?

A I think based on our earlier evaluation of the amount of activity in the water, the type of activity that was there, it's expected duration in that water; in other words, it would have been gone entirely by the time it would have reached the first potential water user downstream anyway.

Q Did groups with whom you were in contact share your concerns about the politicizing of this

2 whole matter?

3 A I think some did.

4 Q Who do you remember?

5 A I think the State did. That is Margaret
6 Reilly and Tom Gerusky and his office and the
7 Radiological Health Bureau.

8 Q You have a conversation logged in at
9 7:45 p.m. with Margaret Reilly?

10 A That is 19:45.

11 Q Was it during this conversation that
12 she indicated to you that she was concerned that
13 this waste water dump might be taking on a greater
14 importance than it should?

15 A At this point she indicated I think she was
16 getting pressures from other groups from water
17 quality within the state.

18 Q Within the Department of Environmental
19 Sources, you mean?

20 A Yes, and possibly from downstream water users,
21 from perhaps EPA, who were concerned with technicalities
22 of their NPDS permit requirements.

23 Q Did she indicate she was getting pressure
24 from persons outside of Pennsylvania concerning this?

25 A No, I think it was primarily -- I think she

1
2 got pressures even coming down from the Governor's
3 office and other State representatives, people who
4 make political decisions, but not necessarily technical
5 ones.

6 Q Was she in any way upset or concerned
7 about these developments?

8 A Yes. I would certainly say she was very con-
9 cerned about them. Upset about them? I don't know.
10 It takes a lot to get Margaret upset, I think in
11 some ways.

12 Q Did she indicate to you at that time that
13 she thought that any decision -- she suspected the
14 NRC might take the wrong position or make the wrong
15 decision concerning this waste water dump question?

16 A I don't know if I got that impression or not.

17 Q Do you have any other independent recol-
18 lection of this conversation with Margaret Reilly?

19 A No.

20 Q You have noted here at 7:00 p.m., 1900
21 hours, on page 24 a conversation between yourself
22 and a Mr. Langford?

23 A Yes.

24 Q Who is Mr. Langford?

25 A Mr. Langford is the Region III EPA representative

4

1

Bores

2 with whom we have a sort of informal agreement to
3 contact for dissemination of information related
4 to releases from power plants or any of our licensees,
5 that sort of thing.

6 Q Was he the person with whom you were in
7 contact in Region III?

8 A Yes, he is one of the people, yes.

9 Q Who were the others, if you recall?

10 A Well, the other people I've contacted later
11 on in the accident at Harrisburg, for example?

12 Q You indicated in this conversation note
13 that you told him of the release of IWTS effluent,
14 and I assume that is Xenon?

15 A Yes.

16 Q To your recollection, was that the first
17 information that Langford had concerning that dis-
18 charge?

19 A It appeared to be, yes.

20 Q Did you call him or did he call
21 you?

22 A I tried to get him. This indicates that I
23 had called him. I think I have some notes where I
24 tried to call him much earlier.

25 Q What prompted your call to Langford?

5

1

Bores

2 Why did you try to call him?

3 A To inform him of the activities in the IWTS
4 and release or at least possibility of that release.

5 Q Was Langford in any way irritated or
6 upset or did he show any emotion concerning the
7 fact that he had not received any information of
8 this from sources other than yourself?

9 A I didn't get that impression from him.

10 Q Did he comment at all concerning that
11 aspect, the route by which the notification of the
12 release reached him?

13 A No. I didn't get that impression at all.

14 Q What was his reaction to the information
15 that you gave him? You gave him a status report,
16 I think. What was his reaction to that?

17 A Well, he had some additional questions, I guess,
18 and he went back and asked whether the discharges
19 had been continued from the day before, in other
20 words, was activity also released the previous day
21 or had it just started. I think we talked about
22 perhaps radiological implications, these sorts of
23 things.

24 Q Did you have any involvement with the
25 matter of the waste water discharge after your

2 conversation with Margaret at 1945 hours on the
3 29th?

4 A I'm not sure I know what your question is
5 about "involvement."

6 Q Did you hear any other information over
7 the telephone with respect to it?

8 A I would have to go back and take a look at what
9 was logged.

10 Q So you're saying that this log that
11 we have in front of us, Deposition Exhibit 2, would
12 contain --

13 A Any additional.

14 Q Any additional information of your
15 involvement?

16 A Yes.

17 Q Let us focus on Friday, the 30th.
18 Before we do that, is there anything else concerning
19 the activities of Thursday, the 29th, that you
20 would want to mention for the record that we haven't
21 covered?

22 A It was busy.

23 Q Very busy, I'm sure. Let us focus on
24 the 30th. When did you arrive at the office on
25 the morning of Friday, the 30th?

Bores

7 1
2 A About 0800.

3 Q During Friday, the 30th, did you perform
4 any functions other than as a communications person
5 with respect to the accident?

6 A No.

7 Q In the notes that you have, there is
8 logged a call at 0815 a.m. from Mr. Hahn of ARMS.
9 Mr. Hahn indicates, according to your notes, that
10 he was getting some conflict in management direction,
11 and you have indicated NRC Bethesda via DOE
12 Headquarters and Region I.

13 Q Could you give us some more information
14 about his concerns of this conflict in management
15 and direction?

16 A Okay. Herb's concern was that IE management
17 in Bethesda were apparently feeding some information
18 to him through the DOE Headquarters as to what was
19 expected, and we at Region I were also giving some
20 directions, and Herb was concerned that the informa-
21 tion that he was getting may not be consistent, and
22 he would have liked to have had at this point, I
23 guess, someone on-site whom he could contact.

24 Q Particularly it was getting more and
25 more difficult to get any sort of communications.

8

1

Bores

2 He would have to pick up the phone, for example, and
3 it was almost impossible for us from Region I to
4 contact them.

5 We could not get a circuit, that is a
6 telephone circuit.

7 At the other end, it wasn't much easier.
8 But they could pick up the phone and wait until a
9 circuit cleared, instead of going through dialing
10 all the numbers and then wait and get the busy
11 circuit.

12 He had some concern there, that the com-
13 munications may even get worse. So I think what
14 he was looking for is someone on-site to whom
15 they could go for direction, to try and cut out
16 some of this.

17 Q So part of his concern then was to
18 determine from whom he should take his marching
19 orders?

20 A Yes.

21 Q And from whom he should take information
22 and distribute information?

23 A Yes.

24 Q Did he at that time indicate that he
25 was experiencing significant delays in relaying the

2 information that he would gather to persons who would
3 use it?

4 A Yes.

5 Q Did he go into any great detail on that
6 particular fact?

7 A I think the major delay that he had mentioned
8 was through the telephone hookup. Incidentally,
9 even back here with the apparent management conflict
10 or a fear of management conflict of direction, he
11 was told that the directions ought to be coming from
12 Region I, that NRC-Bethesda information should be
13 relayed to Region I and factored in through Region I
14 direction. That was the way the apparent conflict
15 was to be resolved.

16 Q What was your response to his problem?

17 A That was it.

18 Q When you arrived here at Region I on
19 Friday morning, what was the atmosphere in the
20 office? What was the feeling with respect to the
21 state of the reactor and the problems it was causing
22 at that time, at the time of your arrival?

23 A As I recall, it was sort of more of the
24 same from when I went home on Thursday night or
25 Friday morning early, the same sort of thing. The

10

1

Bores

2 reactor appeared to be in a stable type situation,
3 certainly not very desirable from a cold shutdown
4 type status, but no worse than it had been before,
5 and the temperatures seemed to be declining, which
6 would be significant.

7 Q At 9:00 o'clock in the morning, according
8 to your notes on Friday, you received a call from
9 Mr. Hahn, which relayed a question I believe from
10 Orin Henderson of PEMA, Pennsylvania Emergency
11 Management Administration, which you indicated as
12 Pennsylvania Civil Defense.

13 (Discussion off the record.)

14 Q During which Mr. Henderson questioned
15 concerning a news release that may have occurred from
16 the site. Could you give us more information concerning
17 this particular conversation and your interpretation
18 of the condition at the plant after that conversation?

19 A Well, after five months it is kind of difficult
20 to remember precisely what was going on, but, as I
21 recall, he was asking DOE what information the NRC
22 had concerning additional releases from the site,
23 or that, in fact, the site would be increasing the
24 amount of activity which was being released.

25 I had indicated that what was happening

1
2 is that some of the waste gas tanks were being dumped
3 because of pressure buildup from the reactor letdown
4 system, and that during those dumps, the activity
5 was increasing.

6 Q Where was Mr. Hahn when he placed that
7 call, to the best of your knowledge?

8 A Capitol City Airport.

9 Q Was the release that Mr. Hahn was referring
10 to, was that the release that supposedly had been
11 measured at 1200 ^{milli Roentgens per hour} ~~miligrone~~, to your knowledge?

12 A I can't comment on that because I don't know
13 about this. As far as I know, in the Region I incident
14 response log I looked for that, and we do not have
15 any "1200."

16 Q Do you have any independent recollection
17 regarding this conversation, as to whether it
18 heightened your sense of concern as to the plant?

19 A Not particularly, in that we knew that the
20 plant had been venting from time to time ^{to} ~~on~~ reduced
21 pressure in some of the waste gas tanks, and that
22 the venting occurred over short intervals of time,
23 then the level would drop back down again.

24 Q Is it fair to say that it is your
25 understanding then that at that time there was no

2 new information which would indicate that a continuous
3 release might constitute a greater hazard to public
4 health was ongoing or about to begin or anything
5 of that sort?

6 A Would you restate that?

7 Q Is it your understanding then at that
8 time, after this conversation, that there was no
9 cause to believe that the condition of the plant
10 had worsened to the extent that it would constitute
11 a greater threat to public health?

12 A Okay, that is correct.

13 Q You have logged in also at 9:55 a.m.,
14 a conversation with Mr. Hahn wherein you indicate
15 to Mr. Hahn that Harold Collins of the NRC Headquarters
16 had made an evacuation recommendation?

17 A Yes.

18 Q Could you tell us when you first became
19 aware of that recommendation and how?

20 A The first awareness I had of that recommendation
21 was on a call from Hahn at 9:55 on Monday, March 30th.

22 Q That call was from Hahn or you called
23 Hahn?

24 A Oh, I'm sorry. That is when I did call
25 Herb Hahn. I had been trying to reach him, I guess

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

earlier, and I could not get through. I finally
did get through, and he told me of the radio
broadcast.

(Continued on the following page.)

8.1

1
2 Q Okay. Were you surprised to hear that
3 information?

4 A Yes.

5 Q Was it your immediate decision upon hearing
6 that information that the recommendation out of head-
7 quarters was a mistake?

8 A Yes. Well, the first thing they wanted to do was
9 to verify that, in fact, that decision had been made
10 because we hadn't seen anything in plant status or
11 heard anything in changes in plant condition which
12 would seem to warrant any such recommendation coming
13 out.

14 So the first thing I did was to check with
15 personnel out here in the Emergency Incident Management
16 Center here, whether they heard anything different or
17 anything which changed the status of the reactor.
18 They had not.

19 I informed the regional director immediately.
20 He verified through the Incident Management Center
21 down in Bethesda that I&E had made no such recommenda-
22 tion. They had not.

23 Q This is Mr. Grier you are then speaking to?

24 A Incident Management Center of the NRC people
25 down there on the open line we had.

8.2

2 Q And he said you had nothing to do with
3 this recommendation and he was wondering what was
4 going on?

5 A Yes. They had not made the recommendation from
6 the Incident Management Center.

7 Q Does he remember with whom he spoke?

8 A Sure, it is in the log. I don't know. I would
9 guess whoever was on. It might have been Sneizek or
10 it may have been -- I'm not sure.

11 Q Jumping back for a moment to the 9:55 a.m.
12 conversation with Mr. Hahn, did he precisely tell you
13 what the Collins recommendation for evacuation was or
14 simply say, "There has been a recommendation to
15 evacuate"?

16 A That is essentially, as far as I got it. Maybe
17 it was within a five-mile area or something. I can't
18 recall at this moment. When I heard those words, it
19 sort of set the hair prickling on the back of my neck,
20 so to speak.

21 Q To your best recollection was that the first
22 notice of the NRC headquarters evacuation recommenda-
23 tion that this office at Region I received?

24 A Yes.

25 Q Did others in Region I share your initial

1

Bores

83

8.3

2 skepticism concerning the evacuation recommendation?

3 A Yes. I started to go through the sequence

4 here, I guess. I told Mr. Grier about it, and

5 Mr. Grier confirmed with headquarters that we had not

6 made, "we" being both Region I personnel as well as

7 I&E personnel down in the Incident Management Center --

8 had not made that recommendation.

9 I immediately tried to call the State Emergency

10 Center where I understood that Mr. Henderson was and

11 I could not get through.

12 Q Where is that call logged in in here?

13 A Here (indicating).

14 Q Are you pointing to 9:55?

15 A Well, this is 10:00 o'clock.

16 Q 10:00 o'clock?

17 A Okay.

18 Q You placed that call and what happened?

19 A Then I called Gerusky. I placed a call to

20 Gerusky and had Grier talk to Gerusky.

21 Q For the record, the 10:00 o'clock conver-

22 sation didn't get through because it was busy?

23 A Yes.

24 Q The 10:05 conversation was to Gerusky.

25 All right. What happened at that conversation?

8.4

2 A I talked to Tom and I told him we did not make
3 the recommendation. I put Mr. Grier on to reaffirm
4 that we had not made the recommendation for evacuation,
5 and he told us that apparently Chairman Hendrie and
6 Collins had made the recommendation based on an
7 earlier dose rate.

8 Q Was your understanding of that conversa-
9 tion that Mr. Gerusky had more information concerning
10 the evacuation recommendation than even you did?

11 A Yes, that is true. The indication was from him
12 that these earlier numbers upon which the evacuation
13 had been made were not properly evaluated. That was
14 his understanding of the problem.

15 Q Did Mr. Gerusky indicate to you the source
16 of his information concerning the identity of the
17 parties who had recommended evacuation?

18 A It probably was from Henderson. I don't know
19 if he made that clear.

20 Q Did Mr. Gerusky specifically mention
21 Chairman Hendrie as one of the persons who made the
22 recommendation?

23 A Yes.

24 Q Did he indicate to you any reasons why he
25 thought that the information available to NRC

8.5

2 headquarters may not have been properly evaluated?

3 A Because he was also in contact with the site,
4 and he knew the situation at the site was not a
5 continuous release situation, and there had been some
6 early releases in the morning, but those had been
7 terminated some several hours before.

8 Q Was Mr. Gerusky upset at this point?

9 A Yes.

10 Q Would you characterize him as being
11 extremely upset?

12 A Yes. I would say that I would characterize most
13 of us as being extremely upset about it.

14 Q Did Mr. Gerusky during that conversation
15 indicate what his intentions were to reverse the
16 situation or take any action because of it?

17 A Gerusky felt that since the announcement had
18 come in that he could not totally reverse the recommen-
19 dation, that about the best he could do was to say
20 that the State was recommending that people stay indoors
21 and shut the windows, but that the NRC had essentially
22 blown any chances of letting the situation, badly
23 evaluated or whatever, just go away.

24 Q Did he indicate at that time that he had
25 any intention of following the recommendation?

8.6

1
2 A No, he didn't indicate that.

3 Q Did he indicate whether he would consider
4 NRC headquarters as a credible source of information
5 in the future?

6 A He would not have indicated that.

7 Q He would not have. What happened after
8 that conversation with Gerusky, which is logged in at
9 10:05?

10 A 10:05 or 10:15?

11 Q After the 10:05 conversation you have an
12 entry at 10:15.

13 A Okay. 10:15 I guess Grier went back to head-
14 quarters again. This was Moseley. Apparently this is
15 where the confirmation of that earlier phone call was
16 at 10:15, and he confirmed there that it was not head-
17 quarters' recommendation, that is IE headquarters
18 recommendation for evacuation.

19 Q So there was a call placed to Mr. Gerusky
20 to further clarify the source of the evacuation
21 recommendation?

22 A Yes.

23 Q Do you have any independent recollection
24 at all of that conversation other than these notes?

25 A No. Things were going pretty fast at this point,

8.7

2 and the notes were probably more abbreviated than they
3 should have been because of trying to get everything
4 done and trying to keep up with the documentation as
5 well.

6 Q The next conversation I would like to
7 mention is at 10:55, although your notes indicate at
8 10:30 you made attempt to call Mr. Hahn, but that the
9 circuits were busy.

10 A Yes.

11 Q At 10:55 apparently you did speak with
12 Mr. Hahn. Did you at the same time speak with Joe
13 Deal?

14 A I think they were sequential on the same phone
15 call, as opposed to extensions.

16 Q So it was one call and one party would get
17 on the line, and then the second party would get on
18 the line?

19 A Yes.

20 Q You have a note concerning that conversa-
21 tion, that there was a request for clarification of the
22 NRC recommendation for evacuation?

23 A Yes.

24 Q Was that request for clarification by
25 Mr. Hahn or Mr. Deal or both?

8.8

2 A I can't recall at this point.

3 Q You further indicated that you, meaning NRC
4 Region I, did not recommend evacuation, but the State
5 did recommend sheltering?

6 A Yes.

7 Q Could you tell us when you first became
8 aware that the State was recommending sheltering?

9 A This is essentially what Tom Gerusky had
10 mentioned in the earlier telephone conversation at
11 10:15.

12 Q So at that time he did indicate he was going
13 to advise a less drastic response to the problem?

14 A Yes.

15 Q Do you have any independent recollection
16 concerning this conversation that is not expressed in
17 these notes?

18 A No.

19 Q During that time, which is Friday morning,
20 was this office aware of the several conversations
21 that occurred between Chairman Hendrie and Mr. Thornburgh
22 of Pennsylvania concerning evacuation recommendations?

23 A Of the specific conversations, no, only that the
24 feedback we had gotten was through the State, Gerusky,
25 and that somehow or other Hendrie had made his

8.9

1
2 recommendation to the Governor.

3 Q Were there complaints among persons here
4 in the region that this decision making was being
5 made either at the wrong levels or without consulta-
6 tion with the proper persons?

7 A I'm not sure how much -- what was your word?

8 Q Complaints --

9 A How much complaint there was of it. Certainly
10 there was that feeling that persisted. I guess we
11 certainly would have liked to have known about it, and
12 I think those of us who were here felt that the
13 criteria for evacuation under the State plan, for
14 example, certainly had not been met, and we felt we
15 should have been in on an evaluation as to whether or
16 not evacuation ought to be recommended, as did
17 Mr. Gerusky.

18 Q Let me move onwards to Saturday, if I might.
19 As I understand it, the White House on Saturday
20 assigned the NRC to be the lead agency concerning
21 coordinating, collating, gathering environmental
22 monitoring data. Were you aware of that on the 31st,
23 which would be Saturday?

24 A No.

25 Q When did you become aware of that?

8.10

2 A I became aware of it, it must have been about
3 the 2nd or 3rd of April.

4 Q Did that cause a problem?

5 A When I became aware of it?

6 Q First of all, maybe we should clarify.
7 When you say "I became aware of it," you mean yourself,
8 personally?

9 A Yes.

10 Q Do you have reason to believe that the NRC
11 Region I was not aware of it on the 31st?

12 A I probably would have been aware of it if other
13 people, other than management ^{know about it.} As a matter of fact,
14 as a point of clarification, I am not sure -- this
15 decision, I guess, to have the lead agency for environ-
16 mental data was later explained in another memo which
17 didn't come out yet. It hadn't been out yet.

18 Q Who wrote that memo?

19 A Watson.

20 Q Do you know the date on that memo?

21 A I probably have copies somewhere around, but I
22 would say that was probably maybe around the 10th of
23 April that assigned the EPA as the lead agency for
24 environmental --

25 Q Environmental monitoring?

8.11

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A Yes.

Q Originally did the White House make a decision to assign NRC to be the lead agency and then they changed that?

A I am not sure what the ramifications of that were. I think we had assumed -- somebody had mentioned that the NRC was going to be the lead agency for compiling all this information and, as a matter of fact, I was told that I would probably have the task of doing that, and then it was changed, I believe.

Q During the first five or six days of the accident when the concern may well have been greatest, who was in fact operating as the lead agency with respect to collating and coordinating environmental monitoring data?

A I'm not sure there was a lead agency per se those first few days. The DOE came in. The RAP teams came in. One of the tasks that they had set up was to provide Pennsylvania with all the information that was being gathered, so they were not the prime gatherer, themselves, DOE, but they were rather entering things into the system, so that Pennsylvania would have access to everything and all the data.

As a matter of fact, the environmental data was

1

#9

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

Q But you do think there was a common action on the part of the agency to give their information to the Commonwealth of Pennsylvania?

A Yes, as well as anybody else who wanted it, yes.

Q When the Whitehouse did assign the NRC on Saturday, the 31st, is it fair to say that you did not see any change in the operating procedures of the agencies gathering information due to that assignment?

A As far as I know, nothing was official. I went to the site as indicated on Sunday, the 1st of April, and was assigned as liaison between the NRC then and all the other Federal agencies, as well as with Met Ed, to gather environmental information.

There was no official sheet of paper, as far as I knew, that ever reached the site designating us as the official agency for doing this. It was sort of hearsay.

Q Are you aware of any direct oral communication designating NRC to take this role?

A Not any direct, let us put it this way, so that information was available. If you asked for it, you got it. I think other people had the same sort of implication, that the NRC would be a lead agency in doing it. So information was provided us, and we fed

8.12

1
2 then fed into the Pennsylvania system. The NRC was
3 fed in and the Met Ed data was fed in and the EPA data
4 was fed in, but I'm not sure that there was a lead
5 agency per se.

6 Q Is it fair to say then that DOE was not
7 organizing the inter-agency effort to collect environ-
8 mental information or environmental data?

9 A No. As a matter of fact, it appeared very much
10 like each agency was sort of doing what it felt it
11 should or wanted to do and providing that input into
12 a data system, so that rather than there being a
13 coordinated program laid out with, okay, Agency No. 1
14 doing these tasks and Agency No. 2 doing these other
15 tasks and Agency 3 doing these tasks, and the State
16 will do these things and the licensee will do whatever
17 these are and lay out assigned responsibilities and
18 that sort of thing, this was never done. Instead it
19 was sort of each agency coming in with its own idea of
20 what it wanted to do and went ahead and pursued that,
21 so that some of the things had considerable overlap.

22 I don't know of any particular program or
23 particular area which had gaps that I can think of as a
24 result, but there wasn't an overall coordination, I
25 don't believe.

2 back summaries of our information and Met Ed's infor-
3 mation back that way. So there was a good exchange
4 of information, let us put it that way.

5 Q So then if I can characterize your testimony,
6 you are indicating that during the first five or six
7 days of the accident it was each agency pursuing its
8 own activity without any coordinated overlay, so there
9 would not be duplication of effort?

10 A That is correct.

11 Q Did that situation change after the first
12 five or six days of the accident?

13 A Not really.

14 Q Not really?

15 A Not really.

16 Q Is there any minor way in which there may
17 have been changes?

18 A Some of the overlap disappeared as the agencies
19 did.

20 Q I see. Do you know if the NRC received
21 any orders in the first two weeks of April directing
22 it to take over any responsibilities that DOE might
23 have in this area?

24 A No. Let me just indicate that one area of
25 coordination that did exist to a large extent was the

2 fact that DOE had provided some teams to work at the
3 TMI site under direction of the NRC what we call
4 environmental shift coordinator. He had a number of
5 NRC personnel, as well as then some DOE teams, which
6 he ~~dispensed~~ ^{dispatched} to downwind locations to make measurements,
7 take samples and that sort of thing. So that was a
8 coordinated effort.

9 Q Between DOE and NRC?

10 A Yes.

11 Q Was that the extent of the coordination
12 that you know of between those two?

13 A Well then, of course, the AMS flights was not
14 only routine on a certain frequency, but there were
15 also demand-type flights. In other words, plant
16 conditions change, and we would request and get flights
17 to cover certain situations. So that was coordination.

18 Q Do you know if there were any attempts
19 being made by any of the agencies to increase the
20 coordination of their work during the first phase of
21 the accident and during the period after the urgency
22 lessened?

23 A I think, well, the major coordination effort would
24 have come about as a result of the daily 5:00 o'clock
25 briefings which were held at the airport, where people

2 found out what other people were doing and maybe were
3 persuaded by that, if they are going to do this, let
4 me instead of sampling, go somewhere else and sample
5 or something like that because the sample locations,
6 at least those fixed locations, were known to most of
7 the other agencies.

8 Q How did you know of these 5:00 o'clock
9 briefings? How did you know that they occurred?

10 A I was told of them when I got on the site the
11 first day.

12 Q When was that?

13 A One of the other individuals from the NRC went
14 with me on the first day and introduced me to several
15 of the key personnel, and thereafter I was the NRC rep.

16 Q Why did you go to the site?

17 A I was asked to.

18 Q For what purpose?

19 A To be a liaison between the NRC and the other
20 agencies.

21 Q And at whose direction?

22 A My branch chief.

23 Q Did you attend all of the 5:00 o'clock
24 briefings after your arrival?

25 A I think there was one of them which I did not

2 attend, and that was the second to last one before DOE
3 left. That was a Sunday I believe or a Saturday.

4 Q Do you remember the date approximately?

5 A It could be retrieved from the records. It must
6 have been about the 19th of April.

7 Q Approximately two weeks or so?

8 A Yes.

9 Q Were there regular attendees at these
10 meetings?

11 A Yes.

12 Q Who were they?

13 A The attendees were representatives from each of
14 the agencies involved -- EPA, AMS people, EG&G was
15 doing the flights, Lawrence Livermore people, people
16 who were doing the ARAC calculations. We had NOAA
17 representatives there, I from NRC, the RAP teams and
18 sometimes several different people would say what they
19 had, EML, Environmental Measures Laboratory, HEW, the
20 State, and I'm not sure of anybody else. I would have
21 to go through my list.

22 Q Who chaired these meetings?

23 A Generally the DOE.

24 Q And for what purpose were the meetings
25 called?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A Just information exchange of events which happened during the day or since the last meeting, of findings during the day, survey results, sample results. I would in addition try and present an updated status of the plant conditions.

Q Would that be your general role at these meetings, to comment on the status of the system as it were of TMI?

A My role was to provide environmental data as well, but, in addition to providing that, it seemed like they were very much anxious to find out what was happening at the plant and could they expect additional releases, what are they doing, are they going down into the cold shutdown, that sort of thing.

Q Do you think these meetings helped to coordinate the response of these agencies?

A To some extent, yes. The people were finding, let us say, when they did see some iodine, other people started looking for iodine -- I guess if people would or, for example, when things were found in some milk, other agencies started doing some milk samples. So to some extent, I guess it did.

But there still was no plan of action which was coordinated among all the agencies. Everybody looked

2 at what they were doing or wanted to do and was sort
3 of implementing it.

4 Q Was there ever discussion at these meetings
5 about formulating a plan of action or coordinated
6 approach to this information gathering effort?

7 A I tried it several times.

8 Q And what happened?

9 A They all thought it was a good idea. A committee
10 was not formed, so we didn't get to that stage of
11 Federal bureauracy.

12 Q If they thought it was a good idea, in your
13 judgment why was there no committee formed or action
14 taken?

15 A I don't know.

16 Q Is it clear from your recollection that no
17 one left these meetings with marching orders or advice
18 as to what to do next as to the next day's meeting?

19 A It is clear they were each taking direction from
20 their own agency. So, you know, one agency did not say
21 to another, "How about getting some of these samples?"
22 It did not occur.

23 Q Did you perceive during these meetings or
24 otherwise any rivalry among the different agencies that
25 were performing this function?

2 A Not particularly. If you are looking for rivalry
3 in the sense of trying to keep information from others
4 so that you would have an advantage or something, no.

5 I think the cooperativeness was certainly
6 expressed I think quite well, if the agencies who
7 typically may be battling constantly in normal situa-
8 tions, certainly at the staff levels that were there
9 the inter-agency coordination was very close.

10 Q Would you feel that the exchange of infor-
11 mation was essentially uninhibited?

12 A Yes.

13 Q Are there any other comments or observa-
14 tions you have concerning these meetings that you
15 would like to volunteer for the record?

16 A No, I thought they were very useful. It was
17 certainly probably the major way of updating everyone
18 on what all the various agencies had found. It
19 certainly highlighted things that a particular agency
20 or agencies had found, including the negative informa-
21 tion, you know, samples with no measured activity.

22 Q On April 13 our records indicate that the
23 White House issued an order that made EPA the lead
24 agency.

25 A Okay.

2 Q When did you first become aware of that
3 order?

4 A Probably about April 14. As a matter of fact,
5 I think that -- let me just ask here -- was this the
6 date that the memo was signed?

7 Q I'm not certain. I am only certain that
8 the order was issued in some form on that day.

9 A Whether written or oral, I don't know. I don't
10 know when I first became aware of it. I heard of it
11 several days before we saw the actual memo, let me put
12 it this way. Whether April 13 was the day it was
13 formally sent out or the memo had been around but had
14 not reached the site for several days before, I don't
15 know. We knew about it, but we couldn't read it for
16 several days.

17 Q Did you have information with respect to
18 why the White House was designating EPA the lead agency
19 at this point?

20 A Not particularly, no.

21 Q Did you have any background information on
22 their decision at all?

23 A No. I knew there were some people I think in
24 NRC who felt it should have been the NRC who gathered
25 the information to be designated.

2 Q Who were these persons?

3 A Those were people in management down in head-
4 quarters.

5 Q Is it fair to say that this information
6 concerning the reaction of particular NRC persons was
7 secondhand or thirdhand?

8 A Yes.

9 Q In your experience?

10 A Yes.

11 Q Did the order after it was received change
12 the method of operation at all on-site concerning the
13 information-gathering activities?

14 A Not particularly. EPA did initiate after some
15 time a series of meetings, I guess, as to how they
16 wanted the data given to them, provided to them and
17 that sort of thing.

18 Q "After some time" refer to when, if you
19 know?

20 A Oh, I guess probably within a week or so after
21 the memo came down and we could read it.

22 Q Did you attend any of these meetings?

23 A Yes.

24 Q Did you attend them all or how many?

25 A I attended several of them. George Smith attended

2 I think some of the rest of them.

3 Q At this point were the DOE meetings that
4 you were holding at 5:00 p.m. terminated or were they
5 still ongoing?

6 A The memo came out about the time that DOE was
7 withdrawing from the site, with the exception of the
8 AMS, the aerial monitoring survey team. So there was
9 really no connection between discontinuing the 5:00
10 o'clock briefing and the EPA takeover. It was just
11 sort of coincidental.

12 Q Was it your perception that EPA was taking
13 over the role that DOE had earlier, after the issuance
14 of the Whitehouse order?

15 A Not particularly. I don't think DOE ever had
16 that role. DOE was just assisting the gathering of
17 that information and providing that information to the
18 State.

19 As far as that function, EPA assumed I guess or
20 had taken up some of that responsibility to assure that
21 the State continued to get some of that information.

22 Q Who chaired the EPA meetings?

23 A The EPA meetings were generally chaired by Erick
24 ~~Bretower~~ Bretthauer.

25 Q Can you tell me who was in attendance

1
2 generally at those meetings?

3 A Agency-wise?

4 Q Yes.

5 A DOE through Hahn and Deal. NRC --

6 Q Through yourself?

7 A Myself, George Smith. Leo Higgenbotham was at
8 one I know. Pennsylvania would have been Tom Gerusky,
9 Margaret Reilly. HEW was John Villfort who went to
10 one and I think Charlie Cox and Hank Rechen. There
11 were numbers of other people.

12 Q Can you give us your general observation
13 as to the usefulness that these meetings had?

14 A Well, these meetings generally set the bases for
15 types of information that were expected from each of
16 the agencies by EPA: Such things as reporting format,
17 schedules or anticipated schedules, at least.

18 So they were meetings that had to be held if you
19 wanted to get an organized type of input into your
20 reports.

21 Q Is it your view that had meetings of the
22 sort that these were been conducted earlier at the time
23 of the accident and thereafter it would have been
24 helpful in the response to the accident?

25 A No, not particularly because here we are talking

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

about not information gathering per se but information recording in information reporting format or the type of information that needs to be reported.

Q Do you have any general observations with respect to the entire accident which you haven't volunteered that you would like to for the record?

A Well, I guess my impression is that as far as off-site effects from this accident they were rather minimal.

The in-plant aspects were a very serious type accident, and I guess in a way it gives me somewhat of a confidence in the safety systems of plant design criteria, et cetera that if you can have such a serious accident and still minimize the exposures to the general population.

Q Do you have any thoughts concerning the quality of communications during the accident?

A Quality?

Q Among persons who were responding.

A There were a number of problems of communications. One of them is being able to have a system by which you can definitely get through without having to wait and wait and wait because you are being saturated by all kinds of other telephone calls. It would have been

2 nice to be able to reach the party to whom you are
3 trying to get proper information from or information
4 to. I realize that sometimes these parties are not
5 accessible.

6 Q Do you think that the response capability
7 was limited or in any way inadequate due to the
8 communications setup that existed?

9 A I think the response was certainly limited by
10 the type of communications we had. In other words,
11 had we had better communications set up, I think the
12 information flow not only back to this office but on-
13 site between personnel and maybe even between other
14 agencies could have been facilitated and may have made
15 for a better response.

16 Q Do you think the existence of the emergency
17 plan at the site, that is the TMI emergency plan, made
18 for more effective response to the emergency?

19 A Just having a plan?

20 Q Having the plan that they did.

21 A I think I would have to defer this to Mr.
22 Donaldson. He has been the inspector on that, and I
23 think he would be able to comment on that since he is
24 on the investigation team.

25 MR. PEARSON: I have no further questions.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Counsel for the NRC indicates he has no further questions.

MR. OSTRACH: That is correct.

MR. PEARSON: So that concludes the deposition.

(The deposition concluded at 1:30 p.m.)

Robert J. Bores

Robert J. Bores

Subscribed and sworn to
before me this 9th
day of October
1979

Delores M. Waddell

Notary Public

Delores M. Waddell, Notary Public
Upper Merion Township, Montgomery County
My Commission Expires Sept. 27, 1982
Member, Pennsylvania Association of Notaries

o o o

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I-N-D-E-X

<u>Witness</u>	<u>Direct</u>
Robert J. Bores	2

E-X-H-I-B-I-T-S

Bores Deposition
for Identification

Page

1	Two page document entitled "Robert J. Bores Professional Qualifications"	3
2	32-page document	40
3	16-page document	41

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C-E-R-T-I-F-I-C-A-T-E

STATE OF NEW YORK)
) ss:
COUNTY OF NEW YORK)

I, STANLEY RUDBARG, C.S.R. and Notary
Public of the State of New York, do hereby certify
that the foregoing deposition of ROBERT J. BORES was
taken before me on the 24th day of August, 1979.

The said witness was duly sworn before
the commencement of his testimony; that the said
testimony was taken stenographically by myself and
then transcribed.

The within transcript is a true record of
the said deposition.

I am not related by blood or marriage to
any of the said parties, nor interested directly or
indirectly in the matter in controversy, nor am I in
the employ of any of the counsel.

IN WITNESS WHEREOF, I have hereunto set
my hand this 27th day of August, 1979.

Stanley Rudbarg
STANLEY RUDBARG C.S.R.