

ORIGINAL

OC
SRE

Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION
TMI SPECIAL INQUIRY GROUP

INTERVIEW OF JOHN ANDERSON

PLACE: Little Rock, Arkansas
DATE: Wednesday, November 28, 1979

(THIS TRANSCRIPT WAS PREPARED FROM A TAPE RECORDING.)

POOR ORIGINAL

ACE - FEDERAL REPORTERS, INC.

Official Reporters

444 North Capitol Street
Washington, D.C. 20001

NATIONWIDE COVERAGE - DAILY

Telephone:
(202) 347-3700

8001280572

T

CR8634

TMI SPECIAL INQUIRY GROUP

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Little Rock, Arkansas

Wednesday, November 28, 1979

(THIS TRANSCRIPT WAS PREPARED FROM A TAPE RECORDING.)

8634 01 01

NRCmte

1 VOICE: Okay. The date is November 28, 1979. It
2 is 10:05 a.m. We are in an office on the second floor of
3 the administration building at ANO in Russellville,
4 Arkansas.

5 Present is John Anderson, refueling coordinator
6 and acting quality control manager at ANO for Arkansas Power
7 & Light; also Stephen Riggs with the law firm of House,
8 Holmes and Jewell, representing AP&L.

9 Present for the NRC TMI Special Inquiry Group are
10 James Creswell and Frederick Hur.

11 Q Mr. Anderson, we've given you a copy of a document
12 entitled "NRC Special Inquiry Group Witness Notification."
13 Have you read the document?

14 And. VOICE: Yes, I have.

15 Q VOICE: Do you understand the information
16 contained in it?

17 And. VOICE: I understand it and I don't think of any
18 questions.

19 Q VOICE: Okay. If we could start out, you could
20 give us a brief history of your nuclear-related experience.

21 And. VOICE: Let's see. The dates, it would be back
22 about 1967 when I was assistant superintendent at our
23 Ritchie steam electric plant, fossil unit, when I was
24 selected as part of our nuclear program.

25 So I came to Little Rock for a couple years as a

NRCmte 1 mechanical engineer at our general office, working on the
2 nuclear program. Then I was assigned chief quality
3 assurance coordinator for the nuclear project for AP&L. And
4 if my memory serves me right, in early 1970 I was made what
5 was then called plant superintendent of this plant; and
6 served until the middle of 1978, at which time I was made
7 the refueling coordinator there, and I've given you that.

8 So that's the time history. Did you have other
9 things you wanted?

10 Q VOICE: I think that's satisfactory for the
11 introduction. Jim may have some more specific questions.
12 But I'll turn it over to Jim.

13 *Creswell* VOICE: Mr. Anderson -- Jim Creswell speaking --
14 could you give us an idea of what your responsibilities were
15 as a plant superintendent?

16 *And.* VOICE: Well, it was complete charge of the
17 plant, all the people at the site working for AP&L, involved
18 with the plant, reported to me. So I had administrative
19 responsibilities as well as overall site responsibilities,
20 including some construction responsibilities. But
21 basically, I was concerned with the plant per se.

22 Q VOICE: Okay. As a plant superintendent, who did
23 you report to?

24 *And.* VOICE: I reported to -- our organization has
25 changed in Little Rock. But I reported to our Little Rock

8634 01 03

NRC:te 1 head office, to the director of power production, and later
2 on to the vice president in charge of production, which was
3 the generation and construction department, which came into
4 being; and some intermediate titles in between there.

5 Q VOICE: Okay. Mr. Anderson, who specifically did
6 you report to in the time period of say September of 1974 to
7 the end of 1975?

8 *And.* VOICE: I reported to Bill Cavanaugh during that
9 period.

10 Q VOICE: Okay, sir. Now, you mentioned before that
11 you were a QA coordinator.

12 *And.* VOICE: Yes, for the construction of ANO-1.

13 Q VOICE: What were your duties as a QA coordinator?

14 *And.* VOICE: My duties consisted of the QA effort of
15 AP&L. I was in charge of that.

16 Q VOICE: I see.

17 *And.* VOICE: It was a small organization. It consisted
18 of auditing and of really -- I had some inspectors, also,
19 who were stationed on the site. And I had site
20 responsibility as well as off-site responsibility. I went
21 around to the manufacturers and audited their programs,
22 looked at their shops, reviewed all of our vendors'
23 programs. I'm not saying I did this all personally; I was
24 responsible for their programs, including the
25 architect-engineer for this unit, the Bechtel Corporation.

NRCmte 1

2 So my responsibility, in a nutshell, was all of
3 the QA-type responsibilities for AP&L as in regard to the
4 nuclear plant.

5 Q VOICE: Okay, sir. You mentioned that you had
6 some responsibilities in the area of conducting audits at
7 manufacturing facilities. Did you personally conduct or do
8 you know of any audits that were conducted at the Babcock &
9 Wilcox facilities, either at Lynchburg or, say, Mount Vernon
10 in Ohio?

11 A. VOICE: Yes, indeed, I have. I have conducted
12 audits at the Mount Vernon facility, and also the -- what is
13 it, the Canton facility?

14 Q VOICE: Barberton?

15 A. VOICE: Barberton facility. And Lynchburg, the
16 general offices, yes.

17 Q VOICE: During any of those audits, did you review
18 the design or construction of the pressurizer for ANO-1?

19 A. VOICE: I doubt it. I doubt that I went into
20 detailed engineering. However, I did -- in that
21 responsibility, we reviewed -- a small staff reviewed
22 engineering work of B&W, and in that capacity I don't
23 remember whether I -- I do not remember whether I reviewed
24 the pressurizer or not.

25 Q VOICE: Do you recollect ever observing the
pressurizer during construction?

NRCmte

- 1 *And.* VOICE: Oh, yes.
- 2 *Q* VOICE: You did do that?
- 3 *And.* VOICE: Yes, I did. The installation, you're
- 4 talking about, during construction?
- 5 *Q* VOICE: At the plant here?
- 6 *And.* VOICE: Yes.
- 7 *Q* VOICE: Yes. I was speaking more like its --
- 8 during its fabrication.
- 9 *And.* VOICE: No, I don't believe that I -- I remember
- 10 the steam generator as well, but I don't -- and I remember
- 11 the pressure vessel (Inaudible). I mean, well, I don't
- 12 remember whether I saw the pressurizer under construction or
- 13 not. I don't remember.
- 14 *Q* VOICE: Okay. Mr. Anderson, I'm going to show you
- 15 a copy of a memorandum from the Babcock & Wilcox Company
- 16 dated September 6th, 1974, from a Mr. Kaylin, the site
- 17 operations manager for B&W, addressed to you. I'd like for
- 18 you to look at that and refresh your memory.
- 19 *And.* VOICE: Okay.
- 20 (Pause.)
- 21 *And.* VOICE: Yes, I -- my memory is refreshed.
- 22 *Q* VOICE: Okay, sir.
- 23 (Laughter.)
- 24 *Q* VOICE: In this memorandum, Mr. Caylin is pointing
- 25 out that they had a test at Three Mile Island which showed

NRCmte 1 that their pressurizer level dropped to 33 inches, as
2 indicated by their level instrumentation. He further says
3 that it was probably compounded -- this response was
4 compounded by a turbine bypass valve sticking open. And he
5 says that evaluation of data of transients from other
6 plants, like Oconee Units 1 and 2 and Three Mile Island Unit
7 1, confirms that relatively low levels in the pressurizer
8 may be reached before a transient is turned around. He
9 further points out that the lower tap at Arkansas is 40
10 inches above the lower tap at TMI and Oconee 1 and 2, and
11 that the possibility exists that the level indication will
12 be temporarily lost during a significant reactor coolant
13 temperature trip, pressure transient.

14 And he recommends that you increase the normal
15 operating level in the pressurizer to 210 inches. And he
16 says, if you have any questions about that, get back in
17 touch with him.

18 What -- Mr. Anderson, what did you do with that
19 memo after you got it?

20 *And.* VOICE: This memo was brought to the attention of
21 my staff, and we had considerable interest in it. So we
22 analyzed or we studied it. We looked at it. We did the
23 normal things you do whenever you find something that you're
24 immediately interested in in a plant that's starting up.

25 *Q* VOICE: Well, how did that information strike

8634 01 07

NRCmte 1 you, Mr. Anderson?

2 *And.* VOICE: Well, in one sense I -- what we had pushed
3 B&W for was to be sure and let us know of things that you
4 find at other plants. Don't stick them in your files
5 somewhere. So, in the positive note, this was --

6 *Q* VOICE: How'd you go about that, Mr. Anderson,
7 letting B&W know that you wanted to know about these other
8 --

9 *And.* VOICE: Well, we had meetings with them all the
10 time during that period and earlier, particularly earlier.
11 And I had come from a startup of a supercritical fossil
12 plant, and so I recognized that a lot of these things
13 weren't getting from one customer to another of the
14 manufacturer of, in that case boilers, in this case NSSS
15 systems. And other people, not just me.

16 So we in these meetings tried to make sure that
17 B&W knew that they needed to get this information out. I
18 don't know if this was a result of that. I just know we did
19 that, and from this I thought that was a positive note, to
20 say that, yeah, we've got this concern. So that was my
21 reaction: It was a positive thing that they had brought
22 this to our attention.

23 *Q* VOICE: I see. Do you remember who you talked to
24 at B&W during these meetings and expressed this concern that
25 they provide you with information about what's going on at

NRCmte 1 other plants?

2 *And.* VOICE: I can't name any names. That's been too
3 long ago. But we were in like dozens and dozens of
4 meetings, as you know, during the construction phase and the
5 beginning of operation phase. I'm sure that any number of
6 people at B&W were knowledgeable of our concern. But I
7 don't have any names.

8 *Q* VOICE: Do you recollect any instances where you
9 felt that B&W hadn't apprised you of problems that they'd
10 picked up on other plants?

11 *And.* VOICE: Well, I can't think of any specifics at
12 all, you know. But during the years to follow, if this is
13 pertinent, what I think was the most important meeting that
14 I attended was the B&W users meeting, whereby the
15 superintendents and managers all got together. And we --
16 during -- I remember any number of times -- not me
17 particularly, but others have said: Be sure and keep
18 letting us know of these site-related problems.

19 I don't know if it was brought up, any specific
20 instances where they were not. But we all recognized this
21 thing that we've been talking about. Vendors tend to want
22 -- or tend to not bring out, maybe, some of their troubles.
23 I think B&W's been better than the ones I've been familiar
24 with in (Inaudible).

25 So I don't know. I don't have any specifics, and

NRCmte 1 I don't at all -- but as I say, I remember the users meeting
2 at which this also came up with myself and various other
3 superintendents saying, be sure and keep us informed of what
4 others are doing.

5 Q VOICE: Okay, sir. Now, looking at that memo,
6 now, you said you contacted your plant staff. Who were the
7 types of people that you would contact over an issue like
8 that?

9 And. VOICE: This would normally -- would come -- I
10 would normally bring up something like this at -- what we
11 had at that time was a group supervisors meeting. We had
12 seven or eight group leaders under myself and the assistant
13 superintendent, which covered all of the areas. And we met
14 right along.

15 And also, the plant safety committee would have
16 been given this kind of information. Probably specifically
17 the operations manager would have been given this
18 information.

19 Q VOICE: Okay. Next I'm going to show you a
20 document here that looks like it's a routing sheet to the
21 plant safety committee from yourself, and it has a written
22 statement here, "Unreviewed safety question documented in
23 PSC minutes." And the initials on here are "GHM." Could
24 you identify who that is, please, sir?

25 And. VOICE: Yes. That's Gordon Harvey Miller.

NRCmte 1 Q VOICE: Okay. Do you recall his making a comment
2 like that?

3 *And.* VOICE: No, I don't guess I specifically remember
4 that exact comment. I just remember the total situation. I
5 don't remember specifically that comment.

6 Q VOICE: The next document I'm going to refer to is
7 a memorandum from Gordon H. Miller, chairman of the PSC --
8 that's the -- the PSC is --

9 *And.* VOICE: Plant safety committee.

10 Q VOICE: Plant safety committee. Addressed to
11 you. And this is dated October 2nd, 1974. And I quote from
12 about the second page of this document. It says:

13 "The PSC feels this is an unreviewed safety
14 question, since no analysis appears to have been conducted
15 to verify that pressurizer will not go solid during a load
16 rejection without reactor trip, thus also causing potential
17 loss of pressurizer level indication. The PSC recommends
18 that B&W be requested to justify the location of the low
19 level tap at ANO based on the Three Mile Island Unit 1 and
20 Oconee 1 and 2."

21 Do you recall what action was taken as a result of
22 the plant safety committee concerns in this area?

23 *And.* VOICE: I think in generalities I remember, yes.
24 We were -- the plant safety committee, they reported to me.
25 And I was very concerned at the situation, because it had

8634 01 11

NRCmte 1 been brought up. So the actions that were taken were to try
2 to get something moving on this, to resolve it. And we --
3 and I dealt with Little Rock to get them involved in this
4 evaluation and requested -- and of course, on the site B&W
5 was involved as well, knowing our concerns.

6 So yes, that was the action that was taken. We
7 involved Little Rock and B&W in this.

8 ① VOICE: Okay, sir. Looking at the next document
9 here, a memo from yourself to Mr. William Cavanaugh, dated
10 October 15th, 1974, you state that: Considerable ANO staff
11 review, including that of the plant safety committee, has
12 resulted in no specific recommendation as to whether to
13 change our pressurizer set point to 210 inches, as
14 recommended by the referenced B&W letter. We hesitate to go
15 to the higher setting because of the possibility of the
16 pressurizer going solid under certain conditions. Please
17 investigate this B&W request.

18 Consideration should be given to the reason that
19 the ANO pressurizer lower tap is 40 inches higher than Three
20 Mile Island and Oconee 1 and 2, which gives us less
21 indication of pressurizer level. When your review is
22 complete, I recommend the B&W request be reviewed by the SRC
23 to determine that no un-reviewed safety question exists.

24 Okay. Now, you've asked a question here: Why is
25 the ANO pressurizer level lower tap 40 inches higher than

NRCmte 1 these other plants. What was the response to that,

2 Mr. Anderson?

3 *And.* VOICE: At that time I don't remember ever getting
4 a satisfactory response from B&W on why that was changed.

5 *Q* VOICE: Okay, sir. What was -- you say a
6 satisfactory one. Did you receive some comments from them?

7 *And.* VOICE: I think I asked and asked here. We all
8 asked and Little Rock asked, and we talked back and forth.
9 I really -- it seems to me like they may have said that -- I
10 don't know what they said. All I remember -- you know, all
11 I can say at this point is that they were telling me why
12 this was.

13 Now, whether -- I said satisfactory. I'm sure
14 they had, you know -- must have given some reason. But I
15 never got a -- I never got what I call a satisfactory
16 response to that.

17 *Q* VOICE: Does that happen to you very often, that
18 you ask a question like that and you don't get a
19 satisfactory response?

20 *And.* VOICE: Oh, yeah. My son in chemistry right now
21 -- (Inaudible).

22 *Q* VOICE: Okay. I could appreciate that in your
23 personal life. But in regards to the operation of this
24 nuclear power plant, do you have any similar type of
25 experiences?

NRCmte

1 *And.* VOICE: I don't know. I'm sure I must have. When
2 you've got nine jillion things, you're bound to end up with
3 some of these type of things. Hopefully, they all get
4 satisfactorily answered, you know, in some period of time.

5 I don't know whether I answered you or not.

6 *Q* VOICE: Let me ask you another question, then,
7 Mr. Anderson. In looking through this correspondence that I
8 have here on this subject, I see the words "unreviewed
9 safety question" appear several times, which lends a great
10 deal of significance to this particular issue that we're
11 discussing.

12 Do you or have you customarily received
13 unsatisfactory answers on issues of this type in the past?

14 *And.* VOICE: Well, I didn't mean to say that we had an
15 unsatisfactory answer to the issue. It's more kind of a
16 side question as to why it was there, you know, which really
17 I suppose doesn't have to be answered, as long as we can --
18 it's shown that the parameter -- if it's no safety factor,
19 or answered -- I don't know that we could require an answer
20 of anybody (Inaudible) or not.

21 To me, while I really wanted the answer, out of
22 curiosity and all, I was much more interested that we
23 resolve the big picture than I was in why did you change
24 ours differently from the earlier models in these units, you
25 see.

NRCmte 1

Q VOICE: But wasn't this, this question the result of a review and a decision by the plant safety committee as a body?

2
3
4 And. VOICE: This question of why the level tap is 40
5 inches higher? I believe they -- I believe -- maybe I'm
6 not sure about that, but I remember asking the question
7 verbally many times. I think I asked it in writing. And I
8 believe maybe the plant safety committee did, too. Right
9 now I can't recall that for sure, to say that that question
10 was asked. I believe it was.

11 Q VOICE: Well, there is correspondence that
12 indicates that Mr. Cavanaugh asked more than once the same
13 question of B&W.

14 And. VOICE: I believe that's correct.
15 (Pause.)

16 Q VOICE: Well, B&W's made this recommendation to
17 increase the level, and your plant safety committee has
18 taken a look at it and they have an objection to that. They
19 feel it's an unreviewed safety question, without any
20 analysis.

21 So what's the next thing that happens?

22 And. VOICE: Well, the next thing that happens is,
23 before we do anything, we get that reviewed. We get that
24 question reviewed.

25 Q VOICE: And that review consists of what?

8634 01 15

NRCmte

- 1 *And.* VOICE: Well, that review consists of the
2 engineering, normally now, an engineering review and a
3 review by the plant safety committee. They review these
4 unreviewed safety questions. So as I remember it, we asked
5 that that be reviewed by the plant safety committee, this
6 problem.
- 7 Q VOICE: Okay. What was the result of that review?
- 8 *And.* VOICE: Well, in the big picture -- I don't
9 remember the times or the details -- the plant safety
10 committee did review this situation.
- 11 Q VOICE: What was their determination?
- 12 *And.* VOICE: No unreviewed safety question.
- 13 Q VOICE: And then they submitted that to you or to
14 your --
- 15 *And.* VOICE: Well, I'm a member of the safety review
16 committee. Yes. I don't remember if they submitted it to
17 me or I got copies of all the safety review committee
18 meeting minutes. And I can't say that I was there and
19 involved or whether I got the minutes or just what happened
20 there.
- 21 Q VOICE: You don't recall whether you objected to
22 their decision?
- 23 *And.* VOICE: No, I don't recall.
- 24 Q VOICE: This is all taking a little bit of time,
25 and the plant is going through startup. What's happening

NRCmte 1 at the plant meanwhile to address this problem?

2 *And.* VOICE: Let's see, what is happening at the plant
3 to address this problem? I guess it was more what we talked
4 about, sending it off and talking about it among ourselves
5 and the staff talking about it, more than -- that's the
6 thing, I guess, that happened.

7 *Q* VOICE: But I'm asking more to the effect, is the
8 operator having to take any action to counteract this
9 tendency to lose level indication?

10 *And.* VOICE: Well, during -- during our early
11 operations, we indeed found that our pressurizer level
12 indication did go offscale low. And so they were aware.
13 They took -- they were aware of it and they took necessary
14 action, being aware of this potential problem.

15 *Q* VOICE: What was that necessary action,
16 Mr. Anderson?

17 *And.* VOICE: Well, I guess -- I think what we did was
18 watch to see -- we watched to see that it did not get us
19 into trouble. Now, there were some actions taken during the
20 whole period there of time.

21 *Q* VOICE: Yes. I'm trying to understand what those
22 actions were.

23 *And.* VOICE: All right, now. Say it again so I can go
24 back specifically and see if I can answer.

25 *Q* VOICE: Sure.

8634 01 17

NRCmte

1 *And.* VOICE: I'm not sure I can answer, but I can try.

2 *Q* VOICE: Okay. Let me go back and restate the
3 question. While all these reviews are taking place, there
4 is a problem under certain conditions at the plant where you
5 will lose pressurizer level indication. Now what I'm asking
6 you is, specifically, was the operator given any
7 instructions during this period of time to take any actions
8 to deal with the problem?

9 *And.* VOICE: Well, I don't remember specific
10 instructions that were given to do this action other than do
11 your normal things well and keep this -- keep aware of this
12 potential problem of going off the scale at the lower end.
13 The things that you do, we more or less wanted to make sure
14 we did all those things.

15 *Q* VOICE: Well, what are the things that you do?

16 *And.* VOICE: All of the things that you do during a
17 trip, do you mean, or what?

18 *Q* VOICE: You said there are things that you do to
19 address this particular problem. What are those things that
20 you do?

21 *And.* VOICE: Well, one of the things you can do is
22 start additional makeup pumps.

23 *Q* VOICE: Okay.

24 *And.* VOICE: Make sure you take your proper action on
25 your letdown system.

8634 02 01
NRCmte

1 Q VOICE: That's to isolate it?

2 And. VOICE: Or throttle it. I don't know what the
3 procedure is. Whatever the procedure is.

4 Q VOICE: Was there a procedure change made during
5 this time period to instruct the operators to do that?

6 And. VOICE: I don't know whether there was or not. I
7 meant -- you know, when I knew you were coming, I meant to
8 find that out and look back and see. But as far as my
9 memory goes, I can't tell you. I wasn't that involved in
10 that much operational precision detail.

11 Q VOICE: But your perception is that the operators,
12 if they had a problem, would start an additional charging
13 pump and isolate letdown?

14 And. VOICE: Yeah, it needed it, and we did start
15 additional makeup pumps on various occasions, as we tried to
16 see the whole ramifications here in this.

17 Q VOICE: Okay. I'm going to show you another
18 document now. This is from a Mr. Kaylin, who was site
19 operations manager for B&W, directed to you, dated October
20 29th, 1974. And the subject is the acceptance criteria on
21 pressurizer level. Would you take a look at that and
22 refresh your memory?

23 (Pause.)

24 And. VOICE: Yes, I'm familiar with this.

25 (Pause.)

B634 02 02

NRCmte

1 *And.* VOICE: I may have to refer to if there are
2 detailed questions, because I don't -- I'm not memorizing it
3 or anything. I'm just familiar generally.

4 *Q* VOICE: Okay, sir. Mr. Kaylin states in this memo
5 that a recent scheduled reactor trip at ANO-1 from 40
6 percent full power resulted in pressurizer level varying
7 from 180 inches to a minimum of 34 inches. He says the test
8 procedure acceptance criteria for pressurizer level limits
9 -- for pressurizer level limits the variation in level to
10 180 inches plus or minus 140 inches, which puts the level
11 reached during the trip slightly below the minimum.

12 The 40-inch level is above the highest pressurizer
13 heater bank, and is the heater power cutoff. That would
14 infer that the level reached during the trip was sufficient
15 to cut the highest pressurizer heater bank off, or perhaps
16 all the heaters.

17 Do you -- could you comment on what the
18 significance is of that statement, that is, that the heaters
19 would cut off?

20 *And.* VOICE: No, I don't guess I can.

21 *Q* VOICE: Would that tend to remove the pressure
22 control capability of the pressurizer?

23 *And.* VOICE: Yeah, I'm not really -- I would think so.
24 I'm not really able to comment much on that. I would think
25 so.

8634 02 03

NRCmte

Q VOICE: Okay, sir.

It says: During normal pressurizer operations the level must be maintained between 40 and 320 inches indicated, for the entire system to automatically restore the design reactor coolant pressure and pressurizer level. It further states that: During reactor trip, the only requirement which should be imposed on the pressurizer is that the level remain between zero and 320 inches indicated.

He says: The location of the instrumentation is such that you ensure sufficient volume of water in the pressurizer at zero inches, and that a steam bubble will still exist when the level is at 320 inches on the high side. He says: The design of the pressurizer is such that the volume of water remaining in the pressurizer would not be sufficient to keep all the heater banks covered during the cooldown of the reactor coolant following reactor trip, but was sized to keep the lower head completely full during a reactor trip from 100 percent full power.

He says: The acceptance criteria and your test procedure should be revised to apply only to normal pressurizer system operation, and another acceptance criteria of zero to 320 inches indicated be established for a transient associated with a reactor trip.

What did you do with this memo once you received

8634 02 04

NRCmte 1 it?

2 *And.* VOICE: Oh, gosh. I can't remember. You know,
3 you're asking me to remember back many years ago, and I
4 can't. I don't know what I did with it specifically.

5 *Q* VOICE: It appears that the --

6 *And.* VOICE: I assume we -- you go ahead.

7 *Q* VOICE: It appears that the acceptance criteria
8 was changed on the test and then you signed off on the
9 test.

10 *And.* VOICE: I believe that -- I imagine that would be
11 right, yes. I imagine -- what I was going to say -- I
12 imagine what we did is -- we had a test working group
13 during this startup and initial operation period. And what
14 we probably did -- what we did, I imagine, was take this
15 under consideration in the test working group and do our
16 homework and look at it and see if we could change our
17 acceptance criteria.

18 *Q* VOICE: So your perception is or your recollection
19 is that the test working group approved that change?

20 *And.* VOICE: My perception is that the test working
21 group approved that, yes.

22 *Q* VOICE: Okay. Were you relying predominantly on
23 them to make the technical decisions as to whether the test
24 was adequate or not?

25 *And.* VOICE: Well, on the test working group?

NRCmte

1

Q

VOICE: Yes.

2

And.

VOICE: Well, we looked to them. We put a lot of responsibility on them. And it's not like it was unreviewed, and it's not like our operational group did not get involved, and it's not like our Little Rock group didn't get involved on this, the whole picture, the initial writing of the test procedure as well as changes.

8

But yes, I in the end had to sign off on these, and of course I tried to stay aware, too, and see that the proper review was given. But we did have considerable expertise on this test working group. So we -- we put considerable responsibility on them, yes.

12

13

Q

VOICE: Mr. Anderson, do you recollect at any time during this review that anyone mentioned that there might possibly be some design deficiency associated with not being able to meet the acceptance criteria?

16

17

And.

VOICE: I don't -- no, I don't remember that. I just know that we all, once we got to digging into this thing, we all -- I'm talking about the staff here -- we wondered, was this -- why this situation was. And we wanted to get to the bottom of it. We wanted to be assured, and we wanted to know that there was or wasn't a problem.

20

21

22

23

But no, I don't specifically remember anybody who or anybody bringing up that question.

24

25

Q

VOICE: Mr. Anderson, what I'm trying to

8634 02 06

NRCmte 1 understand, I guess, is this: Why would the test be
2 approved if there were still these outstanding concerns and
3 questions?

4 *And.* VOICE: Well, you know, there are -- that's what
5 the testing program is for, I think, to see if -- you go
6 through the tests and you analyze them and you look at
7 them. And if the turbine generator has some problem that
8 might not be according to the test, you analyze that and you
9 see if indeed the original specs were wrong, or if you need
10 to adjust those, or you need to tighten down on them. I
11 think the same thing would hold true to an NSSS system. You
12 go through these tests, and obviously everything you write
13 down originally, even to how you do each one of these tests,
14 has to be altered.

15 So you go through a review of all of these, and if
16 there are adjustments that have to be made, you do the
17 proper things to get those adjustments made, and you're
18 aware of the significance of some of these. Some are much
19 more significant than the others. So you just do your --
20 you do what your responsibility is. If you hit a brick
21 wall, you stop right there until you get something
22 resolved.

23 I don't -- I'm not sure I'm answering it, but I'm
24 trying to.

25 *Q* VOICE: Did you have a chance to talk to

8634 02 07

NRCmte

1 Mr. Cavanaugh about the things in this acceptance criteria?

2 And. VOICE: At that time, I haven't got the slightest
3 idea if I did or not. I just don't know. I imagine I did,
4 but I don't know.

5 Q VOICE: Okay.

6 (Pause.)

7 Q VOICE: Next I'm going to show you a memorandum,
8 again from Mr. Gordon H. Miller, chairman of the safety
9 review committee, to yourself, dated February 3rd, 1975, and
10 the subject is Arkansas Nuclear One plant safety committee
11 meeting. This meeting took place January 28th, 1975.

12 (Pause.)

13 Q VOICE: There's a statement in this memorandum
14 under the subject of new business which states: The
15 committee reviewed Letter NDC-2183. That would have been a
16 piece of AP&L correspondence?

17 VOICE: (Inaudible).

18 Q VOICE: And it says: pressurizer level set
19 point. And did not concur with loss of indication
20 statement. Committee views this as an unreviewed safety
21 question.

22 And. VOICE: I don't remember details, but generally I
23 think I know it.

24 Q VOICE: Okay. Did you ever consider, during any
25 step of this process that we've gone through in discussing

8634 02 08

NRCmte 1 this correspondence, at that period of time, notifying the
2 NRC of these problems?

3 And. VOICE: I don't have the slightest idea. I'm sure
4 that they were here all the time during that period, and
5 they knew what was going on, and we talked with them. And
6 you know, with a jillion and one problems, as you know, when
7 you start up a plant. And it's not like you record all the
8 conversations and whether it was documented we talked to
9 them or not. I just don't know. But I'm pretty sure they
10 must have been aware of this problem. They were right here
11 with us.

12 I would say my guess is they knew.

13 Q VOICE: I'm not necessarily calling for you to
14 have documentation that you talked with them. I'm asking
15 you, say, did you ever call them into your office and
16 discuss this issue with them?

17 And. VOICE: I don't know. I swear, I could not begin
18 to remember that far back. I might -- no, nothing comes to
19 mind that I can say I called them in my office and talked to
20 them about this.

21 Q VOICE: Are you aware --

22 (Gap in recording.)

23 ~~Q~~ Q VOICE: Are you aware of anyone on your staff
24 communicating these problems to the NRC?

25 And. VOICE: From my memory, I'm not aware if they did

8634 02 09

NRCmte 1 or didn't. You know, I just can't go back that far and come
2 up with that kind of detail. I wish I could, but
3 (Inaudible).

4 Q VOICE: Okay, sir. Let me ask you this: How did
5 you normally with the NRC inspector as far as problems are
6 concerned? Did you ever talk to them just informally about
7 some of these problems?

8 And. VOICE: They interfaced in their good -- you know,
9 their good time, as opposed to me, they came to certain
10 meetings, I remember, you know, and were welcome. And they
11 talked to my staff and myself. But it was more -- my
12 interface was more like if problems came up, then they
13 would come in and talk.

14 And then they always -- back then they didn't have
15 a resident inspector, and they would come in in this period
16 of time. Nearly all the time they were here. But they
17 would come in when they got here and they would exit
18 interview with me. And any problem they would have, if they
19 would have a problem getting any information or if they
20 would have a problem of any kind, they came in to me. And
21 then we would talk about plant status, and that I remember.

22 But I cannot in any way remember whether the
23 precise subject was brought up or not. I sure don't.

24 Q VOICE: Okay, sir.

25 And. VOICE: I'm just guessing that it certainly was.

8634 02 10

NRCmte 1 Everything else was. I don't know why that shouldn't have
2 been.

3 (Laughter.)

4 *And.* VOICE: Whether we wanted to talk about it or
5 not. No, we talked to them. We talked to them, had
6 communication with them.

7 *Q* VOICE: In your opinion, in your judgment, as a
8 standard procedure would you have discussed a matter like
9 this with the NRC inspector?

10 *And.* VOICE: Well, there were not just this one
11 problem, but many of them, of course, during any startup,
12 and we were no different. And we discussed with them. But
13 I -- there was not like at that time any checkoff sheet,
14 even mentally a checkoff sheet: Have I told him everything?
15 It was more that they set their pace, what they wanted to,
16 and they went to the meetings and they went in the plant,
17 and they looked at the record. They did things more than
18 depending like me or some staff member telling them
19 precisely what it was.

20 They, in their sense of independence, if that's
21 the right word, and wanting to set their own pace, they
22 wanted to say what we'll look at, so that they didn't get
23 influenced by us to look at something while something else
24 was going on. And they more took the initiative.

25 But then we did sit down occasionally and talk.

8634 02 11

NRCmte 1 But there was no -- I had no mental checklist that I would
2 try to keep that would say, have I told them about this
3 problem or that problem, other than the requirements for
4 reporting things. It was more their type initiative, I
5 would say.

6 *B* VOICE: Okay, sir. The next memorandum I'm going
7 to show you is from yourself to Mr. Cavanaugh, dated
8 February 6th, 1975. And you state: Below are comments on
9 regard named subject, the subject being the Unit 1
10 pressurizer level set point, as listed by the plant safety
11 committee. You said: I concur with the plant safety
12 committee and -- and I'm quoting this out of context: As
13 far as the plant safety committee is concerned, when all
14 pressurizer level indication is lost, then there is no way
15 to know whether the core is covered with water, and
16 therefore a safety question exists which is unreviewed and
17 probably not easily solved.

18 What do you mean by "probably not easily solved"?

19 *And.* VOICE: Well, it turned out easier than I
20 thought. I just didn't think this might be any easy
21 solution to this kind of -- or any easy way to define all
22 this properly. I guess right at that time I just didn't
23 think it would be something that could come about overnight
24 by the waving of a wand.

25 And you know, during operations we like to have

8634 02 12

NRCmte 1 everything perfectly good, so that there's no way we can
2 ever get in any problem. And engineering has to look at the
3 details of can we do this kind of thing or not.

4 So in the process of our normal feeling of, hey,
5 let's get -- let's make sure that everything here is
6 totally right -- we were concerned about this. And so,
7 specifically, it did not seem up to this point that there --
8 just exactly what the final resolution might be and how we
9 could do that.

10 So we worked at it. We talked about it. We were
11 concerned. We didn't right all see how that if that
12 pressurizer dropped out below the chart, below the zero on
13 the chart, for one instant, we didn't know where it was, you
14 see. And at the moment we didn't realize there were other
15 parameters that might assure us that we would be all right,
16 which we later on began to see.

17 So we were just expressing our concern and that we
18 didn't have -- we weren't able to offer anything that would
19 wave this wand or that would get us started on a solution
20 that would be acceptable to myself and to the plant safety
21 committee. It looked like a tough problem at that time to
22 finally resolve.

23 Q VOICE: What made it so easy to resolve?

24 And. VOICE: Well, we were later on shown, and after
25 enough talking and analyzing and seeing, figuring, studying,

8634 02 13

NRCmte 1 we were able to see that, if we could not cool down the
2 reactor coolant -- and I don't -- I mean, I'm talking
3 something you probably know a lot more than I do about the
4 whole thing -- but if we could simply not cool this, the
5 reactor coolant inventory down rapidly, if we could keep it
6 warmer, then it would not shrink as much and it would not
7 disappear below the chart, the zero on the chart.

8 Now, we knew we had lots of level left in the
9 pressurizer. But to an operator, when it's below the zero,
10 you know, you just don't like to see that as an operator.
11 So --

12 Q VOICE: Did your operator -- excuse me,
13 Mr. Anderson. Did your operators complain about this, not
14 having enough level indication?

15 *And.* VOICE: I don't remember that they complained
16 about it. They were involved in some of the talking on
17 this.

18 Q VOICE: Were they concerned about the loss of
19 level?

20 *And.* VOICE: Oh, yes, they were concerned.

21 Q VOICE: It is one of the major parameters that an
22 operator looks at during a transient, is it not?

23 *And.* VOICE: Yes.

24 (Pause.)

25 Q VOICE: Okay. The next document is a transmittal

8634 02 14

NRCmte 1 from Marshall L. Pendergras, secretary of the safety review
2 committee, to the members of the safety review committee.
3 The subject was Arkansas Nuclear One, Unit 1, safety review
4 committee meeting minutes of March 3rd, 1975. In this
5 document it's stated:

6 Follow-up action was recommended on the 28th
7 January minutes. The plant safety committee reviewed
8 Letter NDC-183, pressurizer level set point, and determined
9 it to constitute an unreviewed safety question. The SRC,
10 which is --

11 *And.* VOICE: Safety review committee, the Little Rock
12 -- the off-site committee.

13 *Q* VOICE: -- had previously reviewed this letter and
14 found it -- found it to not constitute an unreviewed safety
15 question. Since there had been little communication between
16 any plant safety committee members and safety review
17 committee members on this matter, there was some confusion
18 about it.

19 More information will be gathered and presented at
20 the next SRC meeting.

21 That tends to indicate that there really wasn't a
22 firm position on the safety review committee's part at this
23 point in time as to whether it was a safety -- unreviewed
24 safety question or not.

25 *And.* VOICE: I don't know. I guess what I remember

8634 02 15

NRCmte 1 is -- what I think I remember is that the safety review
2 committee had said that there was no -- you know, we had
3 asked for a review of this question. And what I remember
4 was that they came out with the answer that there was no
5 unreviewed safety question here.

6 Q VOICE: How would you have known that?

7 And VOICE: Well, as I say, I was either -- I was a
8 member of that committee, and then -- I don't say I attended
9 all the meetings all, but I got all of their minutes, both
10 in the normal process of sending them to the plant and as a
11 member. So I would have gotten them in either one of two
12 ways. Or maybe -- maybe it was that. I don't remember.

13 Q VOICE: Well, do you recollect whether they asked
14 you to do anything else, or just more or less stay in that
15 state there, where there was some confusion?

16 (Pause.)

17 And VOICE: No, I don't remember. I don't remember.
18 I just remember that the big picture was that they had said
19 no unreviewed safety question in the end.

20 Q VOICE: Next document here, dated April 15th,
21 1975, from Mr. Cavanaugh to yourself, subject, Arkansas
22 Nuclear One, pressurizer level set point. And it says:
23 Attached is reference three from B&W, which provides their
24 answers to PSC comments on loss of level indication in the
25 pressurizer following reactor trip. From that letter it can

8634 02 16

NRCmte 1 be seen, as long as water remains in the pressurizer the
2 core will remain covered and the high pressure injection set
3 point will not be reached. If the pressurizer empties, high
4 pressure injection will be automatically initiated due to
5 the rapid pressure drop mentioned in their letter.

6 How did that memo strike you?

7 (Pause.)

8 *And.* VOICE: Well, we -- in the big picture, we were
9 concerned that we understood and knew what would happen, and
10 we agreed -- I don't remember how this one struck me. But
11 we began to understand better what they were talking about
12 as we corresponded and as we communicated with them. So it
13 was a gradual understanding on our part of what -- I mean,
14 we got across our concerns, I think, and they got across --
15 and Little Rock worked with us. And B&W finally
16 communicated with us.

17 It was a growing process on all our parts, I
18 think. And we began to get a better handle on the whole
19 picture, the handle being that no longer on a normal trip
20 would it -- I don't say it'll never go below zero; I'm
21 saying that as this progressed on and as we had trips, we
22 did not go below the zero mark in a normal trip on the
23 pressurizer.

24 So it all began to come together in an
25 understanding of what we did have here, a better

NRC:mte 1 understanding.

2 Q VOICE: Next I'm going to read from the minutes of
3 plant safety committee meeting that took place on April
4 29th, 1975. In unreviewed business, it's stated:

5 The committee reviewed the letter of B&W to
6 Mr. Cavanaugh dated April 3rd, 1975, addressing pressurizer
7 level set point per your request, Mr. Anderson's request.
8 The letter was reviewed and committee concurs that this
9 answers the test deficiency.

10 What deficiency are they referring to? Any idea?

11 And. VOICE: No, but I imagine it's the test that
12 required 40 inches, that the level not go below 40 inches,
13 I imagine. I don't know.

14 Q VOICE: So at this point you would be resolving
15 the test deficiency from the reactor trip?

16 And. VOICE: I guess, I guess.

17 Q VOICE: Okay.

18 And. VOICE: Without researching I can't say
19 specifically yes. But I think.

20 Q VOICE: And this says:

21 The plant safety committee feels that it's
22 questionable that this is satisfactory for operation to
23 allow the level to go off-scale. The only way to maintain
24 pressurizer level on-scale is to initiate high-pressure
25 injection upon reactor trip. Recommendation that the

8634 03 01

NRCmte 1 safety review committee review this, considering the high
2 pressure to the reactor coolant system thermal sleeve design
3 cycle limitations.

4 It seems to me that you and your staff are,
5 throughout these correspondence, raising issues, raising
6 concerns.

7 *And.* VOICE: Yes.

8 *Q* VOICE: And you're forwarding them on up into
9 corporate headquarters.

10 *And.* VOICE: Yes.

11 *Q* VOICE: You're acting with some tenacity about
12 this subject. You have a concern here. Over and over and
13 over again it's demonstrated.

14 Do you feel that those concerns were adequately
15 addressed?

16 *And.* VOICE: I believe they were. I think they --
17 well, you know, as the correspondence seems to show, we
18 didn't back away from it. Nobody seemed to back away from
19 it. We kept working on it and working at it, and our
20 concerns were transmitted, and tenacity indeed was shown,
21 and the answers were forthcoming and the proof was in the
22 pudding of the later trips, it seems.

23 I don't say everything about this plant or any
24 plant or a school bus or anything else is perfect. But
25 yes, if you seek less than perfect, which you have to --

8634 03 02

NRCmte 1 nothing -- nothing is perfect. And the fact was that we --
2 as we went on, we began to resolve this to the plant's
3 satisfaction.

4 We weren't -- we weren't willing to let it go
5 until we -- by somebody in B&W saying, hey, we're the
6 ultimate, we know it's all right, so you guys just take our
7 words on it and let it go. We weren't willing to do that.
8 So we kept our tenacity. We kept any questions we had. And
9 we would keep referring back and trying to get the answer,
10 until we finally got the thing resolved to our
11 satisfaction. Whether it's perfect or not, I don't know.

12 Q VOICE: In July of 1975, it would appear that B&W
13 finally did an analysis, a quite extensive analysis here,
14 consisting of some 31 pages of text and drafts, about this
15 subject. Do you recall what was done after this analysis
16 was received as far as Arkansas Power & Light was concerned?

17 A VOICE: No, I don't. You know, I can give you the
18 big picture, I think. But the sequence, without a detailed
19 study, I don't believe I can give you. I think I've
20 answered what you asked. I'm not sure. I know we did have
21 a considerable analysis and I know we have -- did look at
22 the injection, as we looked at our control room and our
23 safety valves, and we looked at all the parameters, and we
24 did things. And just the sequence of it, I don't know.

25 Q VOICE: Do you recollect a visit to the site by

8634 03 03

NRCmte 1 Mr. Jim Finney of B&W in the spring of 1975?

2 And. VOICE: No.

3 Q VOICE: I believe it was May of 1975.

4 And. VOICE: I don't recollect specifically.

5 Q VOICE: Do you recollect ever talking to a B&W
6 employee about that you were still considering this issue to
7 be a significant safety concern and considering reporting it
8 to the NRC?

9 And. VOICE: No, I don't. That doesn't come back to my
10 memory right now. I'm not saying I didn't, because many
11 gallons of water have been under the bridge. And no, I
12 don't specifically remember -- I've talked to Jim Finney
13 many times, you know, and I couldn't begin to separate out
14 the time and the date you mentioned.

15 Q VOICE: I have a document here from Arkansas Power
16 & Light addressed to Bechtel Power Corporation, which I
17 assume was the architect-engineer for your project.

18 And. VOICE: Yes.

19 Q VOICE: A letter from Mr. Cavanaugh to Mr. Stoker,
20 who was the project manager.

21 And. VOICE: Yes.

22 Q VOICE: It's dated August 5th, 1975. The subject
23 Arkansas Nuclear One, Unit 1, pressurizer level transmitter
24 modification. Can you -- there appears to be a string of
25 correspondence involved with this subject. Can you give us

NRCmte 1 your recollections of why Bechtel was contacted?

2 *And.* VOICE: I can give you the big picture, I think.
3 As a result of looking into the situation of the pressurizer
4 level going below zero on the chart, and recognizing that
5 other B&W NSSS systems had a lower tap for the pressurizer
6 level transmitter, since we looked at things that we might
7 could do about lowering our -- or increasing our readings,
8 lowering the lower tap, if you will, so that we could read
9 lower.

10 And one of the things we considered and had
11 Bechtel to look at was what could we do. One of the things
12 that came up was tapping into the lower part of the surge
13 line below the pressurizer level, the line that attaches to
14 the lower pressurizer. And there was a possibility of
15 connecting onto a drain there to give us an increase in
16 level indication.


17 And as I remember, they were asked to look at the
18 possibility of attaching this pressurizer level there, and
19 they did look at this. And in the process of evaluating
20 this, there were, I guess, two things: One is I guess we
21 began to get a handle on the whole thing and maybe not need
22 it; and the second thing was that, to go this route, you
23 have to consider that on a trip the velocity out of the
24 pressurizer through the surge line will affect -- the
25 pressure differential between the two that makes it surge

8634 03 05

NRCmte 1 out would affect the level indication, since the level
2 indicator is a pressure differential device, and would make
3 it read incorrectly to the low direction when the surge was
4 out of the pressurizer. And as I remember it, that was the
5 basic reason we did not go to that system there.

6 So we were looking at all, we thought all the
7 possibilities that we could look at.

8 (Pause.)

9  VOICE: The last piece of correspondence that I
10 found on this issue was dated December 10th, 1975, in a
11 letter from Mr. Smith, the project engineer with Bechtel, to
12 Mr. Cavanaugh. The subject was the pressurizer level
13 transmitter modification, and it states:

14 During the November 20th, 1975, AP&L-Bechtel
15 Engineering coordination meeting, we promised to submit a
16 proposal to resolve the pressurizer level indication
17 problem. Our proposed solution is to provide a new level
18 transmitter, to be installed as shown on the attached figure
19 and used in conjunction with the existing level
20 transmitter.

21 And he goes on to describe the phenomenon that
22 you've been discussing, where it can give you erroneous
23 readings and so forth. Apparently, one of the things that
24 you wanted to do with the level indication was determine
25 if the B&W calculations were accurate, by actually

NRCmte 1 measuring these changes.

2 *And.* VOICE: I forget that.

3 *Q* VOICE: What -- what was done after this? This
4 says: Please advise if you want us to proceed with the
5 detailed design.

6 *And.* VOICE: Well, what I remember was that it was
7 decided not to go with this lower level tap, because of the
8 -- you know, you can have too many indicators on your board,
9 and if you don't trust one you're a lot worser -- worse --
10 "worser" -- a lot worse off than you are without it. You
11 ought not to have it if you don't trust it. So what I
12 remember was that I believe we just decided not to go with
13 that.

14 Now, I don't remember being in -- I don't remember
15 this, the details of how we decided or when or anything
16 else. And I can't even swear that's why we decided that
17 way. But that's what sticks in my mind.

18 *Q* VOICE: Is that where the issue died, roughly
19 around the first of 1976?

20 *And.* VOICE: I wouldn't know the time frame at all. I
21 believe that -- around the first of '76. Maybe so, pretty
22 well.

23 *Q* VOICE: Okay. I want to change the subject now.

24 *And.* VOICE: Okay.

25 *Q* VOICE: I'd like to talk about an event that

8634 03 07

NRCmte 1 happened, and I'm not sure when it happened. My best guess
2 is it was 1974. It involved the failure of an EMOV,
3 electromatic operated valve.

4 *And.* VOICE: Right.

5 *Q* VOICE: And I'd like to get your recollections of
6 what happened during that event.

7 *And.* VOICE: Well, if it's -- I know a little bit about
8 electromatic relief valves, since for 30 years now -- 30
9 years ago I first was involved with electromatic relief
10 valve and have dealt with them through that time to one
11 degree or another, originally doing some actual tests on
12 them, and safety valves, too.

13 What I recall was that our address to the
14 electromatic relief valve during hot functional testing --
15 we call for a test of that relief valve, and in the process
16 of testing it this relief valve stuck open. And so, by the
17 proper manipulation, we closed off the block valve ahead of
18 this.

19 Of course, that's, as you know better than I do,
20 that this electromatic relief valve is not a code safety
21 valve, and the reason it's there is so you can close off and
22 work on it and repair it. So that then you can open it back
23 up and use it instead of your code valves.

24 Well, anyhow, this failed open. So we closed off
25 the block va ve, and then we worked on it, and I think we

8634 03 08

NRCmte 1 found that the pilot -- this thing isn't -- well, you know
2 how they work. This has a pilot on it, and the pilot
3 discharges somewhere, and it discharged in, essentially into
4 the quench tank, into the line from the safety valves and
5 this valve that goes to the quench tank.

6 Anyhow, we found that it went into there. So that
7 was changed to go to the reactor building atmosphere, the
8 pilot valve and the discharge line. And that's all --
9 that's what comes to mind. But I'm not sure that's either
10 what you had in mind.

11 Q VOICE: Do you have any idea when the event
12 actually happened?

13 *And.* VOICE: During hot functional testing is the only
14 time, as I recall, it happened, before we ever went
15 critical.

16 Q VOICE: Okay. Now, it appears that the design
17 change that was made to reroute the vent from the pilot was
18 made in September, around September 16th of 1974, which is
19 after you went critical and started power ascension testing.

20 *And.* VOICE: Uh-hmm.

21 Q VOICE: Now, what was the condition of the valve
22 since it had failed in hot functional testing until it was
23 repaired?

24 *And.* VOICE: I don't know whether we had that block
25 valve closed off there or not. I assume we did.

8634 03 09

NRCmte

1

Q

VOICE: Did the plant safety committee review that

2

decision to do that?

3

A

VOICE: I just don't -- I just don't know. I don't know. It would not take that. It would not take their review in a situation like that.

4

5

Q

VOICE: Okay. Is there anything else you could tell us about that event that you recall?

6

7

8

A

VOICE: No.

9

Q

VOICE: The impact on the operators when it happened, or anything that happened in the plant? Any other equipment damage that happened?

10

11

12

A

VOICE: Not that I recall. Not that I recall.

13

Q

VOICE: Do you remember whether the test that -- when the valve failed, were the tests worked out satisfactory, satisfactorily?

15

16

A

VOICE: I haven't thought about that since it happened and I could not begin to tell you without some research. I'm sure it did. In the process of doing our tests, we looked at all the tests and got them all properly signed off.

20

21

Q

VOICE: Before you into initial criticality and power operation, you should have, what, test deficiencies like that cleared up?

22

23

24

A

VOICE: Well, I don't know about ones like that or not. That's not a code safety valve. It's like excess --

25

8634 03 10

NRCmte 1 not excess value; that's not a true statement. It's a
2 desirable -- it's a desirable feature rather than any
3 required feature.

4 So I doubt that we would have required that
5 something like that -- you know, it's like something on the
6 secondary system that you can do without, maybe. That may
7 not be a good comparison. But it's something that you can
8 do without. So I don't think that we would require that to
9 be signed off, finished, before we went critical.

10 Q VOICE: Well, we've been looking at the test
11 documentation for that test and we can't find the records in
12 there where the valve failed. Maybe we haven't looked at it
13 close enough.

14 And. VOICE: You know more than I do about it. It's
15 been a long time ago.

16 Q VOICE: Okay. At this point I'm going to turn it
17 back to Fred and see if he has further questions.

18 Hess VOICE: Let me ask one question. We talked a lot
19 about the plant safety committee and the safety review
20 committee. Would you tell me what is the plant safety
21 committee, what are its responsibilities, and what is the
22 safety review committee and what are its responsibilities,
23 and how they relate?

24 And. VOICE: Well, that's a long speech there. But
25 generally, the safety review committee, the off-site

8634 03 11

NRCmte 1 committee, is composed of individuals who cover the spectra
2 of the things you do at a nuclear plant, and it is a big
3 review committee that does audits and looks at records, the
4 necessary records, and who is interested that the safety --
5 that the whole -- everybody involved with the company and
6 with anything else, anybody else that's here, that they
7 consider safety as a prime factor. And with this expertise,
8 they're able to look at the whole coverage of things that
9 they're chartered with.

10 And they, for instance, look at certain
11 procedures, and they look at potential unreviewed safety
12 questions. They are the assurance in the setup that says
13 the plant is operated according to all the standards and the
14 codes and is operated safety, and isn't bypassing these
15 things and isn't in trouble because their QCR organization
16 is not functioning or functioning wrongly, or their
17 operating group doesn't have the training, or something like
18 that.

19 So that's the safety review committee. But of
20 course, we have in our tech specs the specific requirements
21 of what they do and the details and the way they operate.
22 And we have had a charter and have one now, which defines
23 precisely what they do. And they look at -- well, for
24 instance, they look at the minutes of the plant safety
25 committee.

8634 03 12

NRCmte

1 And there's always been one or two or three
2 members of the plant safety committee on the safety review
3 committee. So they communicate in that way and by the other
4 ways of correspondence and by their coming up here
5 periodically.

6 Now, the plant safety committee is concerned with,
7 again there, they're whole -- all of their requirements are
8 in technical specifications, and what they do and how they
9 do it. And they -- that group consists of knowledgeable
10 individuals, again, in the fields that the plant deals with
11 -- health physics and operations and the various phases of
12 management and all.

13 And they're charged with responsibilities of
14 looking also at any unreviewed safety questions, looking at
15 procedures, at special, for instance, work plans that come
16 up. So that we are sure that, from the plant -- well, from
17 the plant as well as other places -- we are sure that things
18 are done according to our tech specs and codes and
19 standards, and they're done safely. And a lot of things you
20 come across, like in the work plan, you know, it could say,
21 repair the -- let's say, make it, repair the code safety on
22 the pressurizer or something. And in their review they'll
23 make sure that the proper conditions are there and that the
24 plant safety is not lowered and it's done at the right time
25 and all of that.

8634 03 13

NRCmte

1 So they look at special problems submitted by the
2 plant manager, at his request.

3 Q VOICE: Is it fair to say that both groups
4 basically perform the same function, but maybe the plant
5 safety commission -- committee -- performs it on a more
6 detailed level than the safety review committee, and the
7 safety review committee is an overview committee on a
8 corporate level?

9 And. VOICE: They do that, yes. But the safety review
10 committee looks at a lot bigger -- the safety review
11 committee looks at all the things that are not just
12 on-site. But generally speaking, the plant safety committee
13 looks at things on-site in detail, whereas the
14 corporate-level off-site committee, one of their functions
15 is to look at the plant safety committee to see that it is
16 performing. But they look at things off-site and they --

17 Security is a good example. The plant safety
18 committee does not look normally at like industrial safety
19 or so much at security. But the safety review committee
20 off-site is charged with enough audit to see that security
21 is performed properly, an audit function. The plant safety
22 committee does not audit security.

23 Q VOICE: Okay. I have no more detailed questions.
24 I guess if you have anything you would like to state, any
25 comments you'd care to make, we appreciate them at this

8634 03 14

NRCmte 1 time.

2 VOICE: I don't think of anything, except to say
3 that we hope that we have cooperated to the best of our
4 knowledge. A lot of detail, I have to confess, I just
5 don't remember. I could look up perhaps some of it and get
6 it if I had to. But I hope that's not interpreted to mean
7 that we weren't to -- I wasn't trying to remember, because I
8 was. And so in my case, in our case, we're trying to
9 cooperate with you and give you what you want, and we hope
10 you get it.

11 VOICE: We certainly appreciate that, and I think
12 we recognize it was a long time ago. We're asking you about
13 some specific things many years ago.

14 With that, it's now 11:35 and we'll terminate the
15 interview. We thank you very much for your time and your
16 effort you put forth this morning.

17 VOICE: Thank you.

18 (End of recording.)

19

20

21

22

23

24

25