

8/29/79
lth - ce

cp
chick

Petition to
be made on
p. 55

F

(FROM 12046)

IN THE

POOR ORIGINAL



OF

RICHARD C. KNOP

Place - Glen Ellyn, Illinois

Date - August 23, 1979

Pages 1 - 80

Telephone:
(202) 347-3700

ACE - FEDERAL REPORTERS, INC.

Official Reporters

444 North Capitol Street
Washington, D.C. 20001

NATIONWIDE COVERAGE - DAILY

~~8001290060~~
8001290060

NUCLEAR REGULATORY COMMISSION

IN THE MATTER OF:

THREE MILE ISLAND

SPECIAL INQUIRY GROUP

- - -

INTERVIEW

OF

RICHARD C. KNOP

Glen Ellyn, Illinois

August 23, 1979

The interview commenced at 9:00 a.m. on August 23, 1979, in Room 3, Building 4, 799 Roosevelt Avenue, Glen Ellyn, Illinois.

APPEARANCES:

FRED FOLSOM, Nuclear Regulatory Commission staff;

FRED HEBDON, Nuclear Regulatory Commission staff.

* * *

CR 6508
HFE
mgc 1-1

P R O C E E D I N G S

(9:00 a.m.)

MR. HEBDON: Would you raise your right hand please? Do you swear and affirm that the testimony you are about to give shall be the truth, the whole truth, and nothing but the truth, so help you God?

MR. KNOP: I do.

Whereupon,

RICHARD C. KNOP

was called as a witness and, having been first duly sworn, was examined and testified as follows:

EXAMINATION

BY MR. HEBDON:

Q Have you read and do you understand the witness notification as attached to the memo sent to you concerning this interview?

A. Yes.

Q Do you have any comments or questions concerning that?

A. No, I don't.

Q Would you please state your name?

A. Richard C. Knop, K-N-O-P.

Q What is your current occupation?

A. I am a Section Chief in the Construction Branch.

Q What is your current position?

mgc 1-2

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A. That is my current position.

Q What was your position in late 1977?

A. I was Section Chief in the Operations Branch.

Q How many people reported to you at that time?

A. I think it was five.

Q Did a Mr. R. N. Tambling work for you?

A. Yes, he did.

Q Did a Mr. T. L. Harpster work for you?

A. No, he did not.

BY MR. FOLSOM:

Q What is the difference between those two men's assignments -- Mr. Tambling and Mr. Harpster?

A. Mr. Harpster was in a support group.

BY MR. EEBDON:

Q To whom did you report?

A. To Mr. Fiorelli.

Q Would you describe your employment history including positions held in the NRC, and this is just a brief summary.

A. How far do you want to go back?

Q As far back as you want to go, until you finished college.

A. I finished college in 1952. From '52 -- let me make sure of these dates -- 1952 to 1954, I was at Hanford and worked for the General Electric Company. I was in the Army for two years in the Artillery School teaching electronics.

mqc 1-3

1 I went back to Hanford, worked for the General Electric
2 Company at that time, and I worked in various capacities
3 as an engineer or in operations for General Electric. I
4 believe it was 1967 at which time United Nuclear took over
5 the same duties, and I just switched employers and had the
6 same job and worked there until 1971, at which time I came
7 to work for the Commission.

8 My first assignment was in the pre-operational testing
9 program, reviewing the pre-op testing of various reactors.
10 In 1973, I became Section Chief in the Construction Branch
11 and was there approximately one year. And during
12 zation I moved to Operations as a Project Section Chief and
13 was in that position until early February this year, at which
14 time I went to the Construction Branch.

15 Q What is your educational background?

16 A I have a BS in electrical engineering from Gonzaga
17 University in Spokane.

18 Q Could you explain briefly the difference between
19 an operations section and a support section?

20 A The operations Project Section has the overall
21 responsibility for coordination of inspections to follow up
22 on unresolved items and that type of thing, and the support
23 groups generally consist of a group of specialists that follows
24 either like pre-operational testing or like containment leak
25 tests or some speciality.

1 Q I would like to ask you some questions concerning
2 an incident that occurred at Davis-Besse on September 24, 1977.
3 What I would like to get at as much as possible is what you
4 knew prior to the accident at TMI -- and I realize it is
5 hard to separate what you knew then from what you know now --
6 but to the best of your ability, if you could try and answer
7 these questions from the perspective of prior to TMI.

8 Prior to March 28, 1979, what knowledge did you have
9 concerning the incident that occurred at Davis-Besse that
10 occurred on September 24, 1977?

11 A I don't recall the specific telephone calls that
12 were made and precisely when they were made, but some time
13 during the day on the 25th, which was a Sunday, -- that point
14 was refreshed this morning by Mr. Tambling --

15 MR. FOLSOM: It's perfectly all right that you should
16 have your memory refreshed. There's no need to apologize
17 for that.

18 MR. HEBDON: In fact, we have been going on the
19 assumption that the 24th was a Friday, but someone
20 told us different yesterday.

21 THE WITNESS: At any rate, they called and they
22 notified us that they had a severe transient -- that they had --
23 and some of these facts are really hazy. I'm not sure how many
24 things were known on Sunday and how many things were known on
25 Monday. I can't separate them, so they may be mixed up. But

mgc 1-5

1 that they had had a trip of the steam feedwater rupture
2 control system, and during that trip the auxiliary feedwater
3 pumps had only come up to half speed. This had caused a swell
4 in the primary system to the point where the pressure
5 relief valve had opened and a transient ensued of blowdown
6 during which time -- I don't remember the exact numbers, but
7 I think it was 10 or 15 minutes after the incident -- they
8 realized that the relief valve was stuck open and closed the
9 block valve. I don't know how much we notified headquarters
10 on Sunday, and I'm not sure who did that. I can't recall
11 specifically. Our log up there indicates we called a Mr.
12 Schumacker, who was probably the Duty Officer, I'm not sure.

13 BY MR. HEBDON:

14 Q This is at I&E Headquarters in Washington?

15 A Yes. That was on Sunday, and I don't have the
16 time. And then on Monday we had discussed it with Kermit Witt.
17 The record shows that we discussed it with him on Monday.

18 Q Who is he?

19 A He is at I&E Headquarters also, and I don't know where
20 you want me to go from there.

21 Q Why don't you just go ahead and go through just
22 basically a discussion of the whole chronology, as much as you
23 can remember it.

24 A Do you want to go through the transient?

25 Q No. More the chronology of the investigation and

mgc 1-6

1 review of the incident, and we will get into some discussions
2 of the specifics of the transient a little bit later.

3 A. Okay. Sometime during that day, we decided that
4 we would dispatch an inspector to the site, and again it was
5 refreshed this morning -- I could not remember that Tambling
6 was not available -- but Mr. Harpster was selected to go, as
7 the best, most competent person to go, and he was dispatched
8 to the site and he arrived there on the 26th.

9 Q. Why was it decided that Mr. Tambling should go ahead
10 and participate in the training he was scheduled for, rather
11 than going to the site?

12 A. I can't recall. Like I said this morning, I didn't,
13 until Tom reminded me I had forgotten that he went to school
14 that week.

15 Q. What was your perception of the severity of the
16 transient at that point?

17 A. I felt it was a very severe transient, and required
18 follow up as far as dispatching somebody immediately there,
19 if I remember correctly. The event had occurred on the
20 previous day, and we were fairly certain that they were in a
21 safe condition and that they weren't going to take any action
22 that would require us to put somebody on a plane immediately
23 and get over there, because the event had happened the day
24 before really.

Q. Was there any concern in your mind about the fact

mgc 1-7

1 that they did wait until the following morning to report the
2 event?

3 A. I honestly can't recall.

4 Q. Just from your perspective now?

5 A. From a perspective now, definitely. The requirement
6 is within 24 hours. It is possible that some of the 1:--
7 use that to get their house in order before they do notify
8 us, to really understand and wait until the storm clears,
9 until they do report it.

10 Q. Do you feel that is what they were doing in this
11 case?

12 A. I don't recall.

13 Q. Now, one of the things that I have been trying to
14 get a feel for is how severe people at the time felt that the
15 .. was. NOW you've said
16 transient. Yet I find that a little bit inconsistent with the
17 fact that you then let Mr. Tambling, who was the principal
18 inspector go ahead and go to a training session rather than
19 go to the site and investigate the incident.

20 Do you recall at all the thought processes or the decisions
21 that were made and the discussions that led to that?

22 A. No, I don't.

23 Q. Do you at all find that inconsistent?

24 A. Not totally. Mr. Harpster is a very competent
25 inspector in his own right, and we did have telephone

mgc 1-8 1 conversations back and forth between the Region and Mr.
2 Harpster, and Bill Little, who was his Section Chief at that
3 time, participated in the inspection on Friday. I don't
4 recall if he was there more than a day during that week or
5 not, but at least he was there during that time.

6 Q Was Mr. Harpster familiar with the plant? Had he
7 conducted inspections there before?

8 A No, he had not. I don't recall if he had or not.

9 Q But you don't think that he had?

10 A I don't think so.

11 Q Go ahead, if you would, with the chronology of
12 events. I guess we are to the point now of Mr. Harpster
13 going to the site.

14 A Mr. Harpster determined that the auxiliary feed-
15 water pump had not come up to speed due to a binding in the
16 auxiliary feedwater pump. I think at that time they had
17 discovered that the reason given for the failure of the
18 relief valve was the fact that a reset relay had been left
19 out of the control system, such that when the pressure relief
20 valve tripped, instead of resetting -- whatever the reset
21 band was -- I don't know, it's several hundred pounds --
22 instead of resetting on a fairly infrequent basis, as soon as
23 it dropped down below a trip point, it would reactuate again
24 and it recycled about that point about nine times, as the
25 charts show. And that is about all I can recall. I do have

1 a list of things that we did discuss. I don't know at what
2 point. He also determined that the quench tank had over-
3 pressurized and caused the rupture relief valve to burst.
4 The water from the quench tank had impacted upon a ventilation
5 duct and insulation on a vessel, and sometime at the conclusion
6 of Harpster's inspection, we had the following problem areas
7 identified: determined the cause of the initiation of the
8 steam feedwater rupture control system, spurious trip, make
9 an evaluation of the cool-down rate, review the pressure
10 excursion on the primary system including the blowdown effects
11 on the core and effects of boiling on the primary system
12 fuel, a review of the steam generator going down, whether there
13 was any problem with the primary, secondary delta P limits
14 exceeded due to the thermal shock when the steam generator
15 blew dry, the causes of the relief valve malfunction.

16 It was initially thought the high pressure injection
17 pumps maybe did not inject at the proper point.

18 Q Could you elaborate on that particular concern
19 a little?

20 A If I recall, the concern was that for some time after
21 the actuation of the high pressure injection pumps, the high
22 pressure injection pumps did not show flow.

23 Q Was this in all legs or just one leg?

24 A I can't recall.

25 Q Okay.

mac J-10 1 A I think quite a bit substantially later Mr.
2 Creswell brought up the concern, nearly a year later, on that
3 particular incident.

4 Q Is the concern that Mr. Creswell brought up later
5 the same concern that you are talking about here?

6 A I am not sure it is exactly the same, but during
7 this particular inspection, this particular problem was
8 resolved to the satisfaction of whichever inspector looked
9 at it. I can't recall that.

10 Q Okay.

11 A And then there is an item here, containment annulus
12 delta P. And this was kind of an action plan that we developed,
13 and we subsequently sent the licensee and immediate action
14 letter.

15 Q Excuse me. Before you go on, the document you were
16 just reading from -- what is that?

17 A That is just some notes that were made up. You are
18 welcome to have them.

19 Q When were they made up?

20 A It was that first week. I'm not exactly sure which
21 day. Or maybe it was the week after Harpster's inspection.

22 Q But these were made up at the time frame of the
23 incident?

24 A Yes.

1 Q This is just a single page of notes. There is no
2 title. There are two columns, one headed "Transient" and one
3 headed "Problem Areas."

4 A This was decided in a meeting that we had between
5 Mr. Fiorelli and myself, and I can't recall who the other
6 participants were. I think it was Bill Little and Terry
7 Harpster, but I'm not positive.

8 On Friday we sent an immediate action letter to
9 Toledo Edison.

10 Q I don't think there is a need to read the specific
11 requirements.

12 A We asked them if they would do certain things and
13 complete them prior to restarting operations.

14 Q Was that the end of your involvement in that parti-
15 cular incide. ?

16 A Of course, I reviewed the inspection report that
17 Mr. Tambling and others prepared. There was a meeting at the
18 site on the 30th in which I believe Terry Harpster and
19 Bill Little participated in, and a number of gentlemen from
20 NRR. I have the list somewhere.

21 Q All right. I would like to go back and ask you some
22 specific questions.

23 Why did you feel that this particular incident was
24 significant?

25 A Because of the magnitude of blowdown to the point

1 where they essentially went down to the point where potential
2 boiling could have occurred.

3 Q Why did that cause a concern? Why did you feel that
4 made the incident significant?

5 A It is just an unusual transient that -- any blowdown
6 of a vessel, whether it's BWR or PWR, we would follow up on.

7 BY MR. FOLSOM:

8 Q I'm the layman in this operation. What is a blowdown?

9 A A blowdown is the terminology we use whenever you
10 have an open area due to a crack or valve being open and you
11 are dropping pressure very rapidly.

12 Q Okay. I want to ask one other question. Was there
13 any relationship between the failure of the auxiliary feed
14 pump and the PORV failure? These things were coincidental,
15 relatively speaking. But did they have any relationship?

16 A Well, the relationship was that the failure of the
17 auxiliary feedwater pump to come up to speed caused the primary
18 system to swell, increasing the pressure and bringing it up
19 to the trip point. That is the relationship.

20 Q And that tripped the PORV?

21 A Right.

22 Q Which then cycled nine times and failed, failed open?

23 A Right.

24 BY MR. HEBDON:

25 Q Okay. We discussed the fact that Mr. Harpster was

1 sent to the site and he conducted some work there. Could you
2 tell us specifically what he was told to do?

3 A. I can't tell you in this particular case, but
4 normally, if we know the licensee is going to be down a long
5 time, the main response you want to do is: number one, see
6 that the plant is in a safe shutdown condition; number two,
7 try to determine as much as possible all of the parameters of
8 the transient, make sure that they're recorded properly and
9 the proper people looking at them.

10 But specifically what his instructions were, I
11 can't remember.

12 Q. Did you talk with or meet with any representatives
13 of the utility?

14 A. I talked -- I talked with them at various times
15 during this incident, or I talked with Harpster -- I can't
16 recall -- on the weekend of the occurrence. I think the call
17 came in to a duty officer, which is normal. I believe the
18 record shows it was Mr. Heishman took the call.

19 Now, whether Mr. Heishman called me or called
20 Tambling, I don't recall, first. Tom talked to, I believe it
21 was Evans, but I'm not sure, of the utility.

22 The only conversation that I know for sure, and
23 it is because it is in the immediate action letter, is because
24 I talked to somebody on the 29th to get their concurrence in
25 what this immediate action letter would be. And apparently

1 I talked to both Mr. Grant and Mr. Evans at that time. And
2 Mr. Fiorelli and myself were on this end.

3 Q They worked for Toledo Edison?

4 A Yes.

5 Q What concerns were raised by the utility as a
6 result of this transient, as a result of these conversations
7 that you had with them?

8 A I don't know if I follow what you mean. You mean
9 concerns with our demands or concerns with the transient?

10 Q Either one.

11 A The only concern that I can recall voiced during
12 this time -- and there may have been others -- was that when
13 they were getting ready to go back into operation, we asked
14 that they test the pressure relief valve. And I don't
15 remember the exact conversation, but they were afraid of
16 testing it at power because they were afraid that it would
17 leak.

18 Relief valves have a history of leaking when they
19 are actually at power. We felt it was important and they
20 conceded to do it.

21 Q So they did finally agree to test it at power?

22 A Yes.

23 Q What was the advantage of testing it at power,
24 as opposed to just testing it hot?

25 A I felt that it just gave a better test, that was

1 the situation in which it had failed before. I don't recall
2 the exact situation, but they had tested it at lower pressure,
3 I think around 600 pounds, some number of times, as we had
4 agreed to, and it had failed once. They made an adjustment
5 on the stem travel, tested it another number of times at
6 600 pounds and once at full pressure.

7 Q Did you talk with or meet with any representatives
8 of NRR?

9 A I didn't, but our people did at the site. I may
10 have talked with -- I don't know if I directly talked with
11 them or we talked indirectly through I&E. I can't recall.

12 Q Do you recall what their concerns were or what
13 problems they saw with this transient?

14 A I don't recall any specific ones. They came out
15 because it was deemed to be an unusual transient also, and
16 the licensee gave them a presentation of the event on the 30th
17 as well as our people.

18 Q Do you know if anyone from I&E requested that NRR
19 come to that meeting on the 30th?

20 A I don't recall specifically, no.

21 Q Would it have been normal for your people to ask
22 that they send representatives?

23 A It would not be a normal situation. It is fairly
24 normal to inform the project manager, at least give him the
25 opportunity to want to come.

1 Q Do you recall any conversations that you might have
2 had with Leon Engle, who was the licensing project manager
3 at the time?

4 A I don't recall any specific conversations, but I
5 do recall as a normal practice we tried to keep him informed.

6 Q Do you recall any discussions with him concerning
7 the possibility that the missing relay in the PORV control
8 system was sabotaged?

9 A That point came up during the investigation and
10 we can find no reason to believe that it was sabotaged, because
11 we do know that the relay was installed during preoperational
12 testing, as I recall, and it was felt that possibly one of the
13 crafts people picked it out of this one --

14 but we did ask the licensee to do a thorough review
15 of all of the cabinets. There were some other problems. But
16 one of the problems involved is that the pressure relief valve
17 was thought not to be safety-related at that time, of course.
18 Technically, I guess it still is, but it's probably going to
19 be changed.

20 Q Prior to the accident at TMI, it remained non-safety-
21 related?

22 A Yes.

23 Q Did you talk with --

24 A Oh, we did also -- I recall we did send a PN in to
25 headquarters, I believe it was on the 26th. I presume

1 everybody knows what a PN is.

2 Q Was it normal to send in a PN on a transient such
3 as this?

4 A Yes.

5 Q Did you talk with or meet with anyone else concern-
6 ing this event?

7 A Do you mean other than inspectors?

8 Q Well, other than the people we've already talked
9 about.

10 A I don't recall. We met Mr. Creswell substantially
11 after this period of time on some concerns that he had.

12 Q I think we will get into those in a little while.
13 Did you receive a memo or a copy of a memo from
14 a Mr. Lenwood Ross of NRR to Carl Seyfrit of I&E headquarters
15 concerning or describing some concerns that a Mr. Gerry Mazetis
16 of NRR had?

17 A I don't recall it.

18 Q For the record, this is a memo from D.F. Ross to
19 Carl Seyfrit, dated October 20th, 1977. The subject is
20 "Davis-Besse 1, Abnormal Occurrence, 9/24/77."

21 Do you recall ever seeing that memo? If you want
22 to take a moment to read it, please feel free.

23 (Pause.)

24 A I don't specifically recall, but I do know that
25 Mr. Tambling carried on a number of conversations with NRR.

1 I don't know if it was specifically this gentleman or not, and
2 I may have seen that, but it doesn't ring a bell.

3 Q Do you know if the concerns that were raised in
4 this memo were addressed in the investigation that was cond-
5 by Mr. Tambling and Mr. Harpster?

6 A I can't say specifically, because I don't recall
7 the memo.

8 Q Well, if you want to, take a few minutes to look
9 at the concerns that are discussed here and see if those
10 raise any new issues or any issues that you don't recall
11 having been considered in the investigation that was conducted.

12 A I do know in item number two that that was a
13 Creswell concern subsequent to this. I do not recall whether
14 it was at the time. And whether specifically three and four
15 were involved -- Mr. Tambling was the reviewer -- I don't
16 know. I can say I do know that they were talking back and
17 forth, and it was my understanding that at the end of it,
18 based on these conversations, that there were no further
19 questions by NRR at the conclusion of our investigation report.

20 MR. FOLSOM: Off the record, please.

21 (Discussion off the record.)

22 MR. HEBDON: Back on the record.

23 For the purposes of the record, we would like to
24 have this document included in the record at this point for
25 reference purposes.

(The document referred to follows:)



UNITED STATES
NUCLEAR REGULATORY COMMISSION
WASHINGTON, D. C. 20555

DAVIS Besse
SEPT 24, 1977


OCT 20 1977

Note to: Karl V. Seyfrit, Assistant Director, Division of Reactor Operations
Inspection, IE

Subject: DAVIS-BESSE 1 ABNORMAL OCCURRENCE (9/24/77)

Some areas of interest to us that are appropriate for the TE formal report
are:

1. Potential for, and core cooling consequences of, insulation debris inside containment after a LOCA. If large pieces could break off, could they get to, and block the sump?
2. ~~The operator's role in participating in the event should be related.~~ For example, the manual actions associated with the control of level in SG #2 should be described. ~~The operator's decision to secure HPI flow based on pressurizer level indication should be explained.~~
3. ~~The dynamic effects of vapor formation in the reactor coolant system during the transient~~ (where and when it occurred, RC pump cavitation effects, RC pump seal effects, etc.) ~~should be described.~~
4. ~~Adequacy of AFW capacity~~ with regard to this transient are of interest. For example, evaluate the observed primary side heatup against the design capability of one AFW train. Also, the adequacy of the AFW actuation setpoint (SG level), should be examined against the number of cyclic stresses allowed over the life of the plant.


D. F. Ross, Jr., Assistant Director
for Reactor Safety
Division of Systems Safety

cc: G. Mazetis ✓
T. Novak

Contact
G. Mazetis, NRR
Ext. 27341

1 BY MR. HEBDON:

2 Q Did you receive the Toledo Edison reports concerning
3 this particular incident?

4 A Yes, the region did.

5 Q Did you personally receive them? Did you personally
6 see them?

7 A I personally saw them, yes.

8 Q Did you review them?

9 A Yes, I did.

10 Q What were your conclusions after reading the
11 reports?

12 A Outside of what we covered in our inspection
13 report, I don't recall any questions I had.

14 Q So you felt that the issues that were discussed in
15 the reports from Toledo Edison had already been adequately
16 covered in the inspection that you conducted, that your people
17 conducted?

18 A Yes.

19 Q Did you approve the inspection report prepared by
20 Mr. Tambling and Harpster?

21 A I would have to check, but it would be normal practice
22 for me to. I have it here.

23 Yes, I did approve it.

24 Q You mentioned that it is normal practice for you
25 to approve inspection reports. What did your approval of that

1 report imply?

2 A. It implies that I have had an opportunity to read
3 it and determine that there is enough information to adequately
4 describe the inspection report from my vantage point.

5 Q. What did you do prior to approving the report?

6 A. I don't understand.

7 Q. Did you read it in detail? Did you glance through
8 it? Did you discuss it with anyone?

9 A. I can't tell you on a specific case. I don't
10 recall.

11 Q. Would it have been your normal practice to review
12 the report in considerable detail, or was it normally some-
13 thing you would just give a cursory reading?

14 A. Normally I would review it in detail.

15 Q. What was done with the report after it was approved?

16 A. There is a standard distribution to which it is
17 sent.

18 Q. So it was sent on a standard ---
19 various and sundry people?

20 A. Yes.

21 Q. Do you know what those various people are supposed
22 to do with the report once they receive it? Is there any
23 subsequent analysis done by any groups or is it just taken
24 and reviewed and then filed?

25 A. There is none that I am aware of. It is mainly a

1 record of the inspection.

2 Q That would have gone to I&E headquarters also,
3 wouldn't it? Or let me ask you that the other way around:
4 Would that inspection report have gone to I&E headquarters?

5 A I honestly don't know.

6 Q Do you know if it would normally go to NRR?

7 A I do know that Leon used to see a lot of our
8 inspection reports. How he got them, I don't know.

9 Q But you didn't make a point of sending them to
10 anyone at NRR?

11 A No.

12 Q Did you see or discuss any reports produced as a
13 result of investigations or analyses of this incident other
14 than the ones we've already described?

15 A Mr. Creswell had some concerns relative to this
16 that I've read, at least. I don't know what my involvement
17 was with them. I mean, I can't recall.

18 Q We'll talk about Mr. Creswell's involvement a
19 little bit later.

20 Were you aware that a Mr. McDermott of the Quality
21 Assurance Branch in NRR conducted an investigation of the QA
22 implications of this incident?

23 A I can't remember specifically. Bob has done
24 several reviews of this nature and I can't recall in this
25 specific instance.

1 Q Do you know of any other investigations or analyses
2 of the incident that were performed?

3 A I don't know if NRR wrote up something other than
4 that memo as a result of this or not. I don't know.

5 Q You don't recall seeing anything?

6 A I do not recall seeing it.

7 Q You don't recall anybody mentioning they had seen
8 anything?

9 A No.

10 Q Who was responsible for coordinating the investiga-
11 tion of the incident at Davis-Besse?

12 A Normally the project inspector would do it. In
13 his absence, I would do it.

14 Q So it would be an I&E region function to be in
15 charge of the investigation?

16 A Yes.

17 Q Did you feel that there were clear lines of
18 authority associated with the investigation of this incident?

19 A Yes, I felt there were.

20 Q Do you feel that the investigation of the incident
21 was conducted in a coordinated and systematic manner?

22 A Yes. Just knowing the expertise of the individuals
23 involved, I would say yes.

24 Q The reason I ask is that it strikes me as a little
25 strange. I&E was conducting an investigation. DSS sent some

1 people out here to conduct some sort of an investigation.
2 Mr. McDermott apparently was doing some work involved with
3 this.

4 Does it seem to you that it is a little unusual
5 that so many different people were working on this and
6 apparently not bringing their concerns to you as the coordina-
7 tor of the investigation?

8 A. When I say that I was the coordinator, I'm talking
9 about the week that Mr. Tambling was absent. Mr. Tambling
10 did have many conversations with NRR subsequent to his coming
11 back from school.

12 Q. Did you feel then that he was aware of these
13 various other investigations and analyses of the incident
14 that were going on?

15 A. The only thing that I can specifically recall is
16 that he did have discussions with NRR to make sure that before
17 we closed out our inspection over there and allowed them to
18 restart, that NRR did not have any outstanding questions that
19 would preclude startup.

20 Q. Did you consider the generic implications of this
21 incident at all?

22 A. Yes. We wrote a proposed bulletin on the failure
23 of the auxiliary feedwater pump, which eventually came out in
24 a memo to the regional directors, because it was deemed to be
25 too narrow of a problem to get the circular treatment.

1 As far as the event itself, the PN to some extent
2 serves that function that, here is a problem occurring. The
3 PN gets a wide distribution.

4 Q But the PN is about, as I recall, about less than
5 a one-page summary.

6 A Yes.

7 Q So it doesn't go into it in any great depth.

8 BY MR. FOLSOM:

e-2 9 Q Did you dismiss the PORV failure as non-generic?

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

1 A. I can't recall the specific review that was made
2 on that. At the time of the incident, it was felt that the
3 failure of the PORV was due to the missing reset relay, which
4 we felt was highly unusual and not apt to happen anywhere else
5 again. Relief valves themselves, unfortunately, are not in
6 that situation. And I don't know whether the fact that it was
7 non-safety-related entered into the thing. I can't recall.

8 BY MR. HEBDON:

9 Q. I would like to ask you some questions about the
10 specifics of the incident itself and the transient that
11 occurred. Did you realize during the course of your review
12 that steam formed in the reactor coolant system during the
13 transient?

14 A. Before the inspection report was out we did. I
15 don't know when I knew that.

16 Q. What significance did you assign to that fact?

17 A. My concern was to determine that neither the vessel
18 nor the fuel elements sustained damage. Based on Mr. Tambling's
19 review of the B&W information, that did not occur. And I
20 don't know if NRR reviewed that same information or not. I
21 can't recall.

22 Q. Did you realize that steam formation in the reactor
23 coolant system caused pressurizer level to increase while the
24 leak continued?

25 A. While pressures continued to drop, do you mean?

1 Q Yes.

2 A Yes.

3 Q Did you realize that at the time?

4 A Not as a specific incident, no.

5 Q I guess I'm a little bit confused. At the time of
6 the incident, during the time of the investigation, did you --
7 were you aware of the fact that pressurizer level went up while
8 the HPI pumps were shut off and while the leak was continuing
9 from the PORV?

10 For purpose of reference, we have a graph here on
11 the wall that was prepared by Mr. Leon Engle based on some
12 reactimeter data that he collected at the site. If you'll
13 notice here, one of the parameters that is plotted is presurizer
14 level, and it comes -- -- -- and then -- -- --
15 -- -- -- system cools off. Then it starts to come back up, which I
16 think most people attribute to the high pressure injection
17 system.

18 At this point here, about four and a half minutes,
19 they secure the high pressure injection system, and you see
20 the pressurizer level start going back down, as you might
21 expect. But then here, at about six minutes, with the leak
22 continuing, the leak wasn't isolated until out here at 20
23 minutes, and with the high pressure injection system secured,
24 you see pressurizer level turning and start to go back up
25 again, and in fact increases over a matter of about a minute

1 and a half, to a point where the pressurizer is completely
2 full. And it remains that way out until about 35 minutes into
3 the transient, at which point the pressurizer level drops
4 sharply.

5 Did you recognize this particular part of the
6 transient from time 6 until about time 36 in the course of your
7 review?

8 A. No, not in the terms of that presentation.

9 Q. You have not seen that particular graph?

10 A. No, not in terms of what you described there. I
11 was aware of the graph. I was aware that they shut off the
12 high pressure injection pumps. I did not tie those two factors
13 together.

14 Q. When you looked at this graph, what explanation --
15 or did you have an explanation -- for why the pressurizer level
16 was going up there, starting at about six minutes?

17 A. No.

18 Q. You just didn't focus in on that issue?

19 A. I did not focus in on that issue.

20 Q. Did you realize that the operators secured the
21 high pressure injection system before they identified and
22 isolated the leak?

23 A. I don't recall that I did at the time of the
24 inspection. I know that Mr. Creswell identified it subse-
25 quently. I don't really remember if that was identified

1 during this inspection or not.

2 Q If we could back up for just a moment, I missed a
3 point here.

4 A If at the time you conducted your review of this
5 particular incident, if you had noticed this fact, that the
6 pressurizer level went up starting at about six minutes, what
7 significance do you think you would have assigned to that fact?

8 A Well, the fact that in the light of, after
9 Three Mile Island, of course, I would have suspected that
10 possibly there could have been a bubble somewhere else.

11 Q Prior to Three Mile Island, what do you think you
12 would have surmised?

13 A I don't know if I would have picked up on that or
14 not.

15 Q Did this particular incident raise any concerns in
16 your mind concerning the analyses of postulated accidents?

17 A The inspection was conducted to see that we felt
18 that the licensee's analysis was bounded in this thing, and
19 that was one of the determinations that we had at the end of
20 this inspection, that it was bounded by a previous analysis.

21 Q Did this event raise any concerns in your mind
22 concerning operator training or the adequacy of plant
23 procedures?

24 A The main concern that I recall was that there was
25 some confusion on the part of the operators in regards to the

1 steam feedwater rupture control system, that was identified
2 by Mr. Harpster. And that was the only one that I can recall.

3 Q Do you recall any of the specifics of those concerns?

4 A No, I don't. I do know, I think, if I remember
5 correctly, we asked him to do a reorientation of the operators
6 prior to startup.

7 BY MR. FOLSOM:

8 Q Did that reorientation include an admonition to
9 the operators not to secure the HPI?

10 A I don't believe it did. I can't recall if that was
11 an issue at that point or not. I don't honestly remember.

12 BY MR. HEBDON:

13 Q In the course of your review of incidents such as
14 this, what consideration do you normally give to what the
15 operators will see and what they may or may not do with the
16 information?

17 A Generally speaking, unless I'm on an inspection
18 myself, unless the inspector brings up the specific concern,
19 I'm not sure I would get involved in that.

20 Q If you were on the inspection yourself, what
21 consideration would you give to what the operators did?

22 A Well, as I mentioned, one of the first things an
23 inspector should do is, after he determines that the plant is
24 safe, is review the transient, the actions by the people; if
25 there was an operator error, to try to determine why the

1 operator error occurred, whether it is faulty information,
2 faulty procedures or whatever.

3 Q Do you know whether or not that type of analysis
4 was done during this incident?

5 A I do know that it was done in regard with the
6 steam feedwater rupture control system. I don't recall
7 whether it was done on the HPI or not.

8 Q When you analyze incidents such as this, do you
9 give any consideration to what would have happened if the
10 plant had been at different initial conditions? For example,
11 if the plant had been at a much higher power level?

12 A We normally would. I don't recall if we did in
13 this one or not.

14 Q Is there a formal method or procedure that you
15 use to analyze that type of what-if sort of analysis?

16 A No, we don't.

17 Q So it is just something that the inspector should
18 do in the course of his review?

19 A Yes.

20 Q During your review of this particular incident,
21 did you feel that the plant responded as you would have
22 expected it to respond?

23 A Are you talking about the plant, physical plant?

24 Q The physical plant.

25 A Well, I guess, given the events that occurred, I

1 felt that the plant responded the way it should have, yes.

2 Q Did you feel that the operators responded as you
3 would have expected them to respond?

4 A It is my understanding that, again, we had a
5 problem with the steam feedwater rupture control system. I
6 don't recall the specifics on that.

7 As far as the HPI being shut off, that was at least
8 not a big issue until about a year later.

9 BY MR. FOLSOM:

10 Q May I back up to your answers about the analysis
11 of the procedure on a what-if basis? Now, you recall that
12 Mr. Hebdon asked, do you have an automatic procedure for
13 precipitating what-if questions in the course of the inspection,
14 and you said, no, that that was up to the individual inspector.
15 So am I correct in stating that this what-if range of questions
16 depends entirely on the imagination and initiative of the
17 inspector?

18 A And expertise. That doesn't mean that we don't
19 say what-if in the region. Mr. Fiorelli and myself may have
20 conducted some what-if things, but I don't recall, honestly.

21 BY MR. HEBDON:

22 Q Did you consider any of the events that occurred
23 to have generic implications to other plants?

24 A We wrote a letter to headquarters requesting them
25 to issue a bulletin on the failure of the governors, the

1 auxiliary feedwater pump. Other than that, I don't recall
2 anything that we determined to be of a potential generic
3 nature.

4 Q Do you now consider that any of the events had
5 generic implications other than the one bulletin that you
6 prepared or proposed?

7 A Well, obviously, the transient itself had generic
8 applicability. We don't oftentimes document a transient such
9 as that in a bulletin. We normally relate to hardware things.
10 So, given the time now, I would probably have issued a bulletin
11 on the PORV.

12 Q Given the concerns that were raised by Mr. Creswell
13 later on concerning the securing of the high pressure injection
14 system, would you have felt that that had generic implications?

15 A Given the review of that graph, in light of
16 Mr. Creswell's concerns and a review of that graph in terms
17 of the fact that there may be voiding similar to Three Mile
18 Island, at this time I would, yes.

19 Q Do you have any idea why these concerns were not
20 considered to be generic at the time?

21 A I don't recall, other than the fact that, at least
22 in my case, the shutting off of the high pressure injection
23 pumps and the possible voiding in the core did not come
24 together until after Three Mile Island. That was never
25 expressed to me by Mr. Creswell or anyone else.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q What was your impression of the ability of the operators?

A I'm not sure if it was the event, I think other than the steam system, the general opinion was that the operator responded quite well at the time, other than the later timing of shutting off the high pressure injection pump which was somewhat later.

Q Were there any considerations given to the possibility that less qualified or less able operators might respond as well?

A I don't know.

Q What is your assessment of the knowledge or awareness of the operators concerning the implications of the reactor system pressure approaching saturation?

A I think that they were aware of that at the time.

Q How confident are you in that?

A I have no idea. Do you know if they realized that boiling was occurring in the reactor coolant system?

A I don't recall.

Q Do you know what caused the operators to take that action?

A I don't know if it was a process or a failure. If it was directly, it was the failure of the...

1 Q What was your impression of the knowledge and
2 ability of the operators?

3 A I'm not sure if it was this event or some other
4 event. I think other than the steam feedwater rupture control
5 system, that the general opinion was that the operators
6 responded quite well at the time, other than the later ques-
7 tioning of shutting off the high pressure injection pump,
8 which was somewhat later.

9 Q Was there any consideration given to the fact that
10 possibly less qualified or less able operators might not have
11 responded as well?

12 A I don't know.

13 Q What is your assessment of the knowledge or
14 awareness of the operators concerning the implications of the
15 reactor coolant system pressure approaching saturation pres-
16 sure? Do you think that they were aware of that at the time
17 of the incident?

18 A I have no idea.

19 Q Do you know if they realized that boiling was
20 taking place in the reactor coolant system?

21 A I don't recall.

22 Q Do you know what caused the operators to realize
23 that the PORV was open?

24 A I don't know if it was a process of elimination.
25 If I remember correctly, it was the tail pipe temperature's

1 going up, but I'm not positive of that.

2 Q Did you ever discuss this incident or any of the
3 issues raised by this incident with a Mr. Joseph Kelly or
4 a Mr. Burt Dunn or any other employee of B&W?

5 A I did, no.

6 Q Were you aware of their concerns about this
7 incident?

8 A No, I was not.

9 MR. HEBDON: Could we go off the record for just
10 a minute.

11 (Discussion off the record.)

12 MR. HEBDON: Let's go back on the record.

13 BY MR. HEBDON:

14 Q Do you recall receiving a memo from Mr. Tambling
15 concerning the adequacy of recorders in plants?

16 A No, I don't.

17 Q For the record, what I'm referring to is a memo
18 from T.M. Tambling to R.C. Knop, dated April 5th, 1978. The
19 subject is "Recording Instrumentations to Record Planned-
20 Unplanned Reactor Transients, Davis-Besse 1."

21 Do you recall ever seeing that particular memo?

22 A I'm sure I did see it. I don't recall it. I
23 think this has to do with -- yeah, Reg Guide 1.97 and the
24 bulletin.

25 Q Do you recall at all what your assessment was of

1 the concerns that were raised?

2 A. It had primarily to do with -- I don't recall
3 specifically, but the concerns were that they did not meet,
4 fully meet Reg Guide 1.97.

5 Q. Do you recall what you thought should be done with
6 the memo?

7 A. I don't recall if I subsequently passed it on to
8 headquarters or not. I don't know.

9 Q. I have here two other memos. One is a memo from
10 Mr. R.C. Knop to Mr. J.H. Sniezek, dated April 6th, 1978.
11 The subject is "Recording Instruments, Davis-Besse." And the
12 second one is a memo from G.R. Klinger to Mr. Knop, dated
13 May 11th, 1978.

14 Q. Do you recall either of those two memos?

15 A. Well, obviously I signed them, the one to
16 Mr. Sniezek, so I did. I am sure I saw this one here also,
17 but I don't recall.

18 Q. Do you recall if you had any concerns that these
19 issues should be referred to NRR?

20 A. I believe the one memo states that it was referred
21 to Mr. Engle.

22 Q. And do you recall --

23 A. It says "In conversation with Mr. Engle, generic
24 applicability of 1.97 to operating plants being determined."

25 Q. Do you recall if you were satisfied with the

1 results of the response to the memo?

2 A. Backfitting of plants is an issue that we often get
3 into and review in reviewing reg guides that have been applied
4 to particular plants, and it is not uncommon that it goes to
5 NRR for generic review when they get -- I don't remember what
6 they call the group, but going back through and looking at all
7 the plants on a backfit basis.

8 Q. Regulatory Review Requirements Committee, is that
9 what you're thinking of, in NRR? It's also called the R³C or
10 the Ratchet Committee.

11 A. No. This is a group that is now looking at
12 Dresden 1, 2.

13 Q. The Systematic Evaluation Program, SEP program?

14 A. Right. And it's my understanding that that type
15 of thing, compliance to the later reg guides, will be addressed
16 in that SEP.

17 Q. Do you have any feel for when the SEP group would
18 get to Davis-Besse, for example?

19 A. I would assume it would be two to three years, at
20 least.

21 Q. Do you know if the concerns raised in that memo
22 ever reached the people in NRR that were working on backfitting
23 Reg Guide 1.97?

24 A. No, I don't.

25 Q. Would you have expected that they would?

1 A Yes.

2 Q Did you discuss Mr. Tambling's memo or the response
3 received from I&E headquarters with anyone?

4 A I don't recall.

5 Q I would like to call your attention to a
6 January 8th, 1979, memo written by Mr. Creswell. I have a copy
7 of the memo. For the record, it is a memo from J.S. Creswell
8 to J.F. Streeter. The subject is "Conveying New Information
9 to Licensing Boards, Davis-Besse Units 2 and 3 and Midland
10 Units 1 and 2."

11 A Are you familiar with that particular memo?

12 A Yes, I am.

13 Q Do you recall if you received a copy of it?

14 A Yes, I did receive a copy.

15 Q Do you know if Mr. Creswell raised similar concerns
16 prior to the date of that particular memo?

17 A On item one, I don't recall that that was an issue
18 before that time. It could have been. I don't recall the
19 timing.

20 On item two, I think that did come up somewhat
21 before that. It had been reviewed at one of the other sites
22 and not determined to be a safety problem.

23 Item three has been a subject that first came out --
24 I was first aware that Mr. Creswell had a concern about shrink
25 in pressurizer levels from where -- in that neighborhood of

1 April or May.

2 Q Of what year?

3 A Of '78.

4 Q What was the reason for your becoming aware of that
5 concern?

6 A He -- what was the mechanism?

7 Q Yes.

8 A I believe I was told by Mr. Tambling, if I remember
9 correctly.

10 Q That particular concern is one I would like to focus
11 in on a little more than the others, because of the fact that
12 it potentially is more closely related to the TMI accident
13 than any of the others seem to be.

14 Q Do you recall what Mr. Tambling said to you
15 concerning Mr. Creswell's concerns?

16 A No, I don't recall the specific conversation.

17 Q Do you remember why he brought it up?

18 A It is normal practice for him to bring any
19 outstanding issue to me as a result of -- I mean, we just have
20 a very close relationship. Tom is very conscientious and has
21 a pretty low threshold for keeping me informed.

22 Q Do you recall what he said Mr. Creswell's concerns
23 were?

24 A Not specifically, no. I don't know if you want
25 generalities or not.

1 Q Generalities would be fine.

2 A The only thing I recall is that he had a question
3 that the pressurizer level had either went off scale or was
4 very near being off scale, as I recall, and that he wanted
5 some information from Davis-Besse to further give him infor-
6 mation to determine the significance of that.

7 Q Is that off scale high or off scale low?

8 A Off scale low.

9 Q Why was Mr. Creswell involved in this?

10 A My recollection is that on an event that occurred
11 in November, a loss of off-site power --

12 Q This is November 1977?

13 A I'm not sure of the date. It is a 1977 date.

14 During the loss of off-site power, they had -- one
15 of Mr. Creswell's duties was to review the pre-op,
16 pre-operational power ascension testing program for Davis-Besse.

17 Can I go off the record until I collect my
18 thoughts?

19 MR. HEBDON: Sure. Let's go off the record for
20 a minute.

e-3

21

22

23

24

25

mgc 4-1

1 MR. HEBDON: Let's go back on the record.

2 THE WITNESS: Mr. Creswell's duties included
3 review of pre-operational test results. The licensee wanted
4 to use that November, '77, incident as the basis for not doing
5 the natural circulation test, and his review of that, his
6 test results caused him to have some concerns about pressurizer
7 level.

8 BY MR. HEBDON:

9 Q Were his concerns about pressurizer level directly
10 related to his review of the question of using the data in
11 place of the natural circulation test or was this more of a
12 peripheral issue that came up as part of his review of the
13 data?

14 A I couldn't answer that question. I don't know.
15 I would assume it was a peripheral issue, but I don't know.

16 Q Could you discuss briefly the chronology of
17 events that took place from, I guess, April when he first
18 raised this issue until January when he prepared a memorandum
19 for a Board notification?

20 A I can't recall specific dates or anything.

21 Q That's quite all right. Whatever you can recall
22 will be fine.

23 A Somewhere, I think it was in May, he -- and I believe
24 it was Mr. Tambling, and I don't know if John Streeter was
25 involved or not -- called Davis-Besse and asked them for an

mgc 4-2

1 analysis of the event. I think he looked at something again
2 in August. I think there was some more discussion back and
3 forth, but I'm not positive. When Davis-Besse wanted to
4 establish a dual set point for steam generator level because
5 of natural circulation considerations, we felt that was an
6 NRR issue, and we asked NRR to get involved.

7 Now somewhere about that time in December in a conversa-
8 tion that Tambling, myself, and I don't remember who else
9 was there -- had with, I believe it was Chuck Domeck of
10 Davis-Besse -- he indicated that there may be possible
11 situations in which the pressurizer would not only go off
12 scale but would also go out of the pressurizer. We passed
13 this on to NRR. I don't recall exactly who that was, and we
14 got back an initial interpretation that -- I believe Mr.
15 Creswell was at the site, if I recall, at this time; so was
16 Mr. Streeter -- that if you required ECCS to alleviate a
17 transient, an operational transient, like loss of feedwater,
18 that that could be a potential safety question.

19 Q Now who was it that provided you with this conclu-
20 sion?

21 A It was NRR. I'm not exactly sure of the name.

22 Q But somebody in NRR?

23 A I'm sure it is in Mr. Tambling's phone log.

24 Q Okay.

25 A This was passed on to Mr. Creswell at the site and

mgc 4-3

1 Mr. Streeter. We were supposed to have a conference call
2 between Davis-Besse, NRR, and ourselves to discuss that. We
3 were unable to get a hold of NRR that evening during normal
4 working hours. I got a hold of Brian Grimes sometime during
5 the evening, and we set up a conference call to be held the
6 next morning -- Saturday morning, the 23rd.

7 At that point, Mr. Creswell and Mr. Streeter returned
8 from the inspection and we met in my office to call NRR and
9 Toledo Edison. At that time it was determined that the
10 previous conclusion that you could not use ECCS for a transient
11 such as this was not an unrelated safety problem, provided
12 there was no vessel piping and fuel damage.

13 Q So the conclusion was, then, that the possibility
14 of draining the pressurizer -- let me rephrase that question.
15 Was the conclusion that you reached that the pressurizer
16 wouldn't empty?

17 A No.

18 Q Or was the conclusion that if the pressurizer
19 emptied, it still was not an unreviewed safety issue.

20 A The latter.

21 Q So the conclusion reached as a result of that
22 phone conversation was even if the pressurizer empties, it is
23 still not an unreviewed safety issue?

24 A Yes, because there was no fuel damage or primary
25 system damage.

mgc 4-4

1 Q Do you recall what Mr. Creswell's reaction was to
2 that particular conversation?

3 A I don't recall his exact words. I don't even know
4 if he expressed any exact words.

5 Q Do you recall, either based on that conversation or
6 any subsequent conversations, what his reaction was?

7 A Obviously he wrote the memo subsequent to that, and
8 still listing that as a concern, so it was still a concern
9 in his mind. Now as to whether it was an unreviewed safety
10 question or not, I'm not sure that the conversation with NRR
11 satisfied him on that or not. I don't know.

12 Q The fact that he later raised the issue again,
13 would that seem to indicate to you that the discussion with
14 NRR did not alleviate his concerns?

15 A I'm trying to separate whether it was an unreviewed
16 safety question or whether he had concerns.

17 Q Okay.

18 A I don't know whether he still considered it an
19 unreviewed safety question after that point or not, but
20 obviously he still had concerns relative to the transient.

21 Q If we take the assumption that he agreed that it was
22 not an unreviewed safety issue, would it be reasonable for
23 him to still have concerns about the transient?

24 A I think you can have concerns about many things
25 that aren't unreviewed safety questions.

ngc 4-5 1

Q So it would not have been unreasonable then, for
2 him to still be concerned, even if he agreed that it was
3 not an unreviewed safety issue?

A Yes.

BY MR. FOLSOM:

Q We're still talking about the November, 1977,
7 transient?

A I don't know if you can separate the September and
9 the November incidents as far as Mr. Creswell is concerned.

MR. FOLSOM: Okay.

BY MR. FERDIN:

Q Well, how would the September --

A I think his concern was that the pressurizer was
14 too small. I don't know. Specifically, I don't know.

Q Were you involved with the initiation of an
16 investigation of Mr. Creswell's concerns by Mr. Foster and
17 Mr. Kohler?

A I was, at least in the conversations, involved in
19 those. Yes.

Q Could you describe what transpired?

A I think -- if I recall correctly, Mr. Creswell had
22 some concerns that either Davis-Besse and/or B&W was not
23 giving him the facts -- was withholding information from
24 him.

Q Concerning what?

mgc 4-6

1 A On the pressurizer level problem.

2 Q Now is this the low pressurizer level problem that
3 we have been discussing?

4 A I think he had a lot of concerns beyond that
5 particular one, but that was one of them certainly.

6 BY MR. FOLSOM:

7 Q And the timing of this is after NRR had resolved
8 that it was no longer a safety issue?

9 A Yes, I think so. I think it was after, but I'm not
10 positive. I honestly can't say. I don't remember.

11 BY MR. HEBDON:

12 Q Do you recall why Mr. Foster and Mr. Kohler conducted
13 their investigation? What caused it to be initiated?

14 A Do you mean the two individuals or the investigation?

15 Q The investigation.

16 A I'm missing something. I thought we discussed that.
17 The reason was that Mr. Creswell had some concerns that, for
18 whatever reasons B&W and/or Davis-Besse were withholding
19 information.

20 Q Is it common practice for an inspector to have
21 concerns such as this?

22 A No, I don't think it is common. The time you would
23 normally come to that assumption is when events occurred
24 which would lead you to believe that no everything is on the
25 up and up. I think a normal inspector has that in the back

page 4-7

1 of his mind. By the very nature, he has to ferret out
2 information sometimes.

3 Q Would it have been common practice if an inspector
4 had a concern such as this that possibly information was
5 being withheld to conduct a formal investigation?

6 A As far as I'm concerned, it was a formal investiga-
7 tion.

8 Q Was that a normal practice, to conduct a formal
9 investigation if an inspector had a concern such as the one
10 Mr. Creswell raised?

11 A Sure. Yes.

12 Q If I understand you correctly, inspectors having
13 concerns such as this was not a particularly normal or common
14 occurrence?

15 A That's right.

16 Q Do you know why Mr. Creswell was not included in the
17 group that investigated the allegations?

18 A Mr. Streeter felt that he wanted an outside look,
19 and so he went to another person with the understanding that
20 before Foster and Kohler went to see either the licensee or
21 B&W that they would interrogate Creswell and others to get all
22 of their concerns and get all of their background and that
23 type of thing.

24 Q Did you have any feeling or any perception that
25 one of the purposes of the investigation was to try and lay

mqc 4-8

1 to rest once and for all Mr. Creswell's concern?

2 A. I don't really recall specifically. I do know in
3 general that John had some doubts in his own mind, and he
4 wanted an outside look to determine whether there really, in
5 fact, was a problem.

6 Q. John who?

7 A. John Streeter.

8 Q. Was it your feeling that prior to the investigation
9 Mr. Street and the other people in Mr. Creswell's management
10 did or did not have a firm feeling as to whether or not
11 Mr. Creswell's concerns were valid?

12 A. As I just stated, I think there was some doubts as
13 to whether some of the concerns were valid.

14 Q. Did you review the technical evaluation of Mr.
15 Creswell's concerns that was prepared by I&E Headquarters?

16 THE WITNESS: Could we go off the record?

17 MR. HEBDON: Sure.

18 (Discussion off the record.)

19 MR. HEBDON: Let's go back on the record. What I
20 have here is a memo from Norman C. Moseley to W. E. Thompson.
21 The subject is "Notification of Licensing Boards."

22

23

24

25

mqs 4-9

1 And this concerns the issues that were raised by Mr.
2 Creswell and includes an evaluation of each of the items.

3 BY MR. HEBDON:

4 Q Do you recall seeing that?

5 A No, I have not seen this. I was in the Construction
6 Group at the time that this was generated.

7 Q Were you aware that Mr. Creswell discussed his
8 concerns with Commissioners Ahearne and Bradford and the
9 staff?

10 A Only obliquely. It was hearsay information.

11 Q Hearsay from whom?

12 A I don't remember. I had heard that he had been
13 in communication with Commissioner Ahearne. I was not aware,
14 I guess, of the other.

15 Q Was this before or after the accident at TMI that
16 you became aware of that?

17 A I don't recall.

18 Q Based upon the experience gained as a result of the
19 TMI accident, what significance do you assign to the issue
20 raised by Mr. Creswell?

21 A Well, the pressurizer level thing -- I'm not aware
22 of what has been done since February, but as far as the
23 fact that under some conditions you could void the pressurizer,
24 it is my understanding that that is still a potential and still
25 not deemed to be an unreviewed safety question, so in that

mgc 4-10

1 specific instance, I don't know that anything has changed.

2 Q Would low pressurizer level or even voiding of the
3 pressurizer, does that particular issue have an relevance to
4 the accident at TMI, in your opinion?

5 A The most significant issue involved, as far as
6 Creswell was concerned, was the shutting off of the high
7 pressure injection pumps, which I understand relates to the
8 September 24 incident.

9 Q Was it your understanding that that concern was
10 closely tied to Mr. Creswell's concern about low pressurizer
11 level?

12 A No.

13 Q Do I understand you, then, that you don't feel
14 that those two issues were closely tied together?

15 A They were never explained as being tied together.

16 Q So as far as you're concerned those are two
17 separate issues?

18 A Yes. They were at the time. Now, I think there
19 is some relationship, of course.

20 Q Staying for the moment with the issue of the low
21 pressurizer level, do I understand you that that particular
22 issue doesn't really relate to the accident at TMI?

23 A I don't know how to answer that question. Obviously
24 there was a low pressurizer level that was induced by a
25 transient, which involved a loss of feedwater to the secondary

mqc 4-11

1 system and low pressure occurred. I don't know enough about
2 the Three Mile Island incident -- as I understand it from
3 only hearsay -- that had the operators left the high pressure
4 injection pump on at Three Mile Island, there probably would
5 not have been a significant core damage.

6 Q But that is a different issue. I think we concluded
7 a moment ago that the high pressure injection is one issue and
8 the low pressurizer level, which was the issue that was
9 discussed in this concern about B&W withholding information
10 and the Board notification and all of the rest that we have been
11 discussing here, is a separate issue.

12 A What I'm saying is that the loss of feedwater by
13 itself, it's my understanding that the transient analysis
14 shows that there would have been no fuel damage, and so from
15 that standpoint, then, the low pressurizer level is still not
16 an unreviewed safety question.

17 Q Okay. Let's go back, and I would like to talk about
18 this concern that Mr. Creswell had about securing the high
19 pressure injection. When did you first become aware of that
20 concern?

21 A I don't recall. I think it was August of '78.
22 I'm not sure.

23 Q How did you become aware of that concern?

24 A I don't recall. I don't know if it was reading
25 the inspection report or discussions with Mr. Tambling or

mgc 4-12

1 Streeter.

2 Q What was your understanding of the concern?

3 A The understanding was that the operators took an
4 incorrect action in shutting off the high pressure injection
5 pump when they were below 1600 pounds.6 Q Did you agree at the time that that action was,
7 in fact, improper?8 A I think my understanding at the time was that I
9 didn't think it was proper, but given the transient -- I
10 can't recall exactly, except that -- I just can't remember.
11 I know I had a disagreement with Creswell, but I don't
12 remember. On the technical issue involved, I don't remember.13 Q Do you have anything in your files that might
14 refresh your memory concerning what the disagreement was?

15 A No, I don't. I'm sorry.

16 Q As I understand it, the operators --

17 A As I recall, though, we did cite them and get
18 them to agree they wouldn't do it again.19 Q As I understand it, they in fact changed the
20 procedure at Davis-Besse to include a step to warn the
21 operator not to secure the high pressure injection?

22 A Yes, that is my understanding.

23 Q Do you know when that change was made to the
24 procedure?

25 A No. It is documented in one of the inspection

mcg 4-14

BY MR. HEDDON:

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

Q What is your overall impression of the abilities
 and attitude of Mr. Creswell?

1 A I think he is very strong technically. He is
2 very good at determining problems. He has had some problems
3 with various utilities who consider him to be abrasive. And
4 I don't know if this is a feeling felt by others or not, but
5 I have had some problems in communicating with him and being
6 able to understand what his problems are. I don't know if
7 that is my failing or his failing.

8 BY MR. FOLSON:

9 Q Is he abrasive in your relationships with him?

10 A No, I don't think so.

11 Q Do utilities consider other of the inspectors to
12 be abrasive at times?

13 A I think every inspector is sometimes abrasive.
14 But I think there is a magnitude rather than anything else.

15 BY MR. HERDON:

16 Q Did you have any feeling Mr. Creswell is a
17 troublemaker?

18 A Not in those terms, no.

19 Q Not in what terms?

20 A Not in terms that he was a troublemaker. The
21 feeling, I guess frustration, that I had sometimes was that
22 he tried to handle too much from his office and not do enough
23 site inspection, and that was partly mitigated by the fact
24 that he was having some problems, [REDACTED] problems which I don't
25 want to go into.

1 Q I would like to ask you some general questions
2 concerning the functioning of the NRC in general and I&E in
3 particular.

4 Q What is your general perception of the relationship
5 between I&E headquarters and the I&E regions?

6 A I kind of view the regional I&E function to go out
7 and do inspections and determine adequacy within the scope
8 of their ability; and where they don't have the ability, to
9 request either the I&E or NRR assistance. I feel the function
10 of I&E is to inspect the requirements and those requirements
11 are set by NRR.

12 Q I feel that I&E headquarters is the focal point of
13 things that are happening around the country. They are the
14 people who have specialists in certain areas, and during
15 transients such as the ones we've been discussing, we normally
16 would discuss it with them. In some cases we've even brought
17 I&E headquarters people out to review transients also.

18 Q Backing up just a little, do you remember any
19 discussions between I&E headquarters people and the regional
20 people concerning the two incidents that occurred at
21 Davis-Besse, the one in November and the one in September?

22 A Could you repeat the question?

23 Q Do you recall any discussions between I&E regional
24 people and I&E headquarters people concerning either of the
25 two transients that occurred at Davis-Besse, either the one in

1 A. No, I have not been told that. I don't think it
2 has been a problem, generally speaking. As long as you are
3 restricting -- the special reports reflect facts and not
4 opinions. As long as you stay within those confines, I don't
5 see any problem.

6 BY MR. HERDON:

7 Q Could you freely contact technical reviewers in
8 other offices to discuss technical concerns?

9 A Well, we have on a number of occasions. The thing
10 we do have to do when we do do that is normally make another
11 call to I&E headquarters, either before or after, and explain
12 why we wanted to talk to them. But we do it on a fairly
13 routine basis.

14 Q Have you ever felt any pressure not to contact
15 these people directly, but to work through I&E headquarters
16 instead?

17 A When we are talking about strictly technical
18 matters, I don't think there is normally any problem. When
19 we are talking policy or when we fail to keep I&E headquarters
20 involved, then there is a problem.

21 Q Does I&E review plant procedures?

22 A Yes.

23 Q What is the purpose of that review?

24 A To determine that the format on a sampling basis,
25 that the procedures are adequate.

1 Q What do you mean by adequate?

2 A That they are adequate to operate the plant, given
3 the training of the operators.

4 Q Who conducts that review?

5 A That review is done by various inspectors, depending
6 upon -- it is a normal part of three or four different modules.
7 In other words, if you're going out and doing a review of
8 calibration, they review calibrations. If you go out to look
9 at operating procedures, then they review the operating
10 procedures.

11 Q Now what percentage of the operating and emergency
12 procedures are actually reviewed by the inspector?

13 A During preoperational testing it is a very high
14 number. During normal operation, I think it is a third of the
15 procedures, operating procedures and emergency procedures,
16 every year, if I remember correctly.

17 Q A third each year?

18 A I think so.

19 Q Is this a detailed review or is this just ensuring
20 that the procedure exists?

21 A No. I think, if I remember correctly, the
22 procedure -- there was a change some time in the last several
23 years and the thrust is now more towards reviewing for
24 technical adequacies in addition to making your review on
25 just general grounds, as compared to commitments in the FSAR

1 and that type of thing.

2 Q Do you recall approximately when that type of change
3 was made?

4 A I'm not sure it has been made in the operating
5 procedures yet, but I know it has been made in callibration
6 and surveillance requirements. But the thrust -- the
7 difference in the thrust is that we reviewed them in that
8 period for adequacy and now we review and concur that they will
9 do the job.

10 I don't know if that is a slight distinction or not.

11 Q I guess I don't understand the distinction. Could
12 you explain that a little more?

13 A Well, I guess maybe from an accountability stand-
14 point, before we reviewed the procedure period and now we have
15 to review them and determine that the information contained
16 in them is technically adequate to perform the job. It is just
17 a little bit different.

18 Q So before you would just review the procedure to
19 see if it existed?

20 A No, they reviewed it in detail. The thrust is that
21 there is more accountability today, that you essentially have
22 to say, yes, that procedure is adequate. Before you could
23 have maybe reviewed a third of it and said, I reviewed that
24 procedure, and maybe reviewed all of it.

25 I'm not saying that there has been any change in the

1 depth of inspection. I don't know if there has been or not.

2 Q Now, as I understand it, you're saying that the
3 plant operating emergency procedures in the pre-op phase, a
4 very high percentage of them are reviewed from the perspective
5 of technical adequacy?

6 A There is a level given -- I don't recall what that
7 is -- that is a minimum that is normal practice. Most of the
8 inspectors go above that normal number.

9 Q And that is some fairly high number?

10 A Yes.

11 Q Do you have any feel for what the percentage is?

12 A It would vary with the inspector and the site, but
13 above the minimum.

14 Q Just a rough estimate. Are we talking about
15 ten percent, 50 percent?

16 A I would say normally you would probably be talking
17 about 60 or 70 percent as a minimum, maybe even in some cases
18 100 percent.

19 Q Okay. And then once every three years, essentially,
20 or on a three-year cycle, these procedures are reviewed again?

21 A Yes.

22 Q From this perspective of technical adequacy?

23 A Yes.

24 Q Now, when the inspectors review these procedures,
25 do they review them from the perspective of what the operator

1 sees and what he may or may not do as a result of what he sees?

2 A. I don't recall that specific requirement of that
3 procedure, no. I can get you a copy of the procedure manual.

4 Q. If you could, I would appreciate it.

5 Is it your understanding that when the inspectors
6 review these procedures, that they look at the procedures from
7 the perspective of what the operator sees?

8 A. I don't know. It is possible that at least in
9 some cases the operator does not go out to the board and look
10 at the board, if that is what you mean. Normally the review
11 would be done in the office or at the site, but not a walk-down
12 per se of the procedure.

13 Q. Well, I'm not even so much concerned about it from
14 a walk-down perspective as I am from the idea of, would an
15 inspector looking through a procedure come to a point and
16 say: Here is a place where the operator might go astray;
17 maybe we had better put in a precaution here to keep him
18 headed in the right direction.

19 A. I know that the addition of precautions and that
20 type of thing is a normal thing that the inspectors bring up.
21 My point is, when you review a procedure, in your review it
22 says, turn Switch B, and you see that Light XYZ lights up,
23 if you perhaps do that procedure on a walk-down basis where
24 you would simulate B and you would look up and see if XYZ is
25 readily available to be seen -- I'm not sure that is done.

1 And so that might be a problem.

2 Q I'm looking at it from a little different perspec-
3 tive, and that is the type of thing where the operator would
4 look at a procedure and maybe the procedure says that for A --
5 well, take the example of the Davis-Besse incident -- for a
6 loss of coolant accident, you can expect -- or the operator
7 should look at pressurizer level and pressurizer pressure.

8 And if, say Mr. Creswell had been reviewing that procedure and
9 without the benefit of that particular incident had come up to
10 the conclusion that, well, gee, pressurizer level might not be
11 a good indication, that might hang up -- an issue that has been
12 brought up by a number of people -- might he say, well, gee,
13 maybe we better put in a precaution here to warn the operator
14 that, although normally pressurizer pressure and pressurizer
15 level are good indications, be careful because pressurizer
16 level might hang up?

17 A Yes, I would say normally speaking an inspector
18 would do that. Whether or not he does it is based on his
19 knowledge of that particular plant and his background and his
20 knowledge of previous transients that happened at other places.

21 Q Okay. Now, this sort of review would be done by
22 the principal inspectors or would it be done by the specialists,
23 or both?

24 A It could be done by both.

25 Q Who would normally do them, the majority of it for

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

the operating and emergency procedures?

A. For the operating, the principal inspector would normally do that.

Could I go off the record for a minute?

MR. HEBDON: Sure.

(Discussion off the record.)

e-5

BY MR. FOLSOM:

Q. What is your feeling about whether your people reviewing plant emergency procedures should do a desk review or a walk-through review?

A. I don't know. I didn't really think too much about this until I got involved in this other task force and the lessons learned kind of thing. There are arguments both ways. Some of the people who have the cookbook procedures find that they get lost in them; they are so detailed that they forget the steps that happened two or three pages before that. And as far as walk-throughs, I think the thing you could pick up on some occasions -- and I don't know whether it would be worthwhile or not -- would be the fact that maybe on the detailed procedures, just how confusing it is to ask a guy to look at a bunch of different parameters that may or may not be important in turning that switch.

I don't know. I really don't have a feel. I don't know of any inspector who has done a walk-through of all procedures. I think where there is any question in the licensee's setup, the inspector takes the procedure with him and goes and looks at it. It is not a normal thing. I don't believe.

BY MR. HERBON:

Q. Do you know if the utilities do walk-throughs of all their procedures?

A: I know we have been advocating that substantially in the last year or so.

Q: Do you know if they do it?

A: I know in the case of some sites. I don't know necessarily in the case of Davis-Besse. I can't recall specifically.

Q: In the case of some sites they do?

A: Yes, they do. That is one of the strong points that we made with Commonwealth Edison during our meetings with them.

Q: Superior to, within the last year or so, the utilities did not do a walk-through of all their procedures?

A: I don't know. What I'm saying is that we have been putting more stress on walk-through procedures in the recent past, because in the case of Commonwealth Edison we found some procedures that they physically could not do, and a walk-through would have shown that.

Q: Would that have indicated to you, then, that they had not done a walk-through?

A: Not only that they had not done a walk-through, but they were probably not using the procedure as written.

Q: Do you ever discuss any issue that comes up in the course of the review of procedures with the licensing reviewers in NRC?

A: I've never gotten involved with that since I've

1 been an inspector myself. We get involved quite a bit on
2 preoperational test procedures in discussions with NRC.
3 As far as operating procedures, we don't get into all that
4 much. The inspectors themselves may.

5 Q What is your perception of the relationship between
6 IAE and NRC?

7 A I view IAE Headquarters as kind of a focal point
8 where we send information in and if it is within the scope
9 of their capabilities, you probably will get the response out of
10 IAE Headquarters. If they think your concerns are not valid,
11 they're going to send them back and say they're not valid.
12 If they feel it is a valid issue and that they don't have the
13 expertise or the time to do it, then they send it to NRC.
14 And this is normally done by a formal change in lead
15 responsibility.

16 Q In your opinion, how effectively does the current
17 IAE/NRC relationship facilitate the feedback of operational
18 experience into the licensing process?

19 A I would say we have a problem. As I've discussed,
20 that is one of the items we want to cover in this task force
21 on construction enhancement -- is a better mechanism for
22 defining problems at one site and relaying them to another
23 site. And I would say the same is true for operating plants.

24 Q What about as far as feeding back the information
25 and the concerns that you identify on operating plants into

mgc C-6

1 the design review.

2 A I'm sorry. I don't understand the question.

3 Q What I'm trying to get at is, you're out here in
4 the field, and you are seeing the plants operated, and you
5 are seeing the plants as they're build and that sort of thing,
6 and what I'm wondering is how effectively the concerns you
7 are raising and the problems that you are seeing are getting
8 fed back into the people who do the licensing review or the
9 design of plants?

10 A I don't have a feel for that. I'm sorry.

11 BY MR. FOLSON:

12 Q Let me give you an example, if I may. You just
13 mentioned that Commonwealth Edison on a walk-through or was
14 show to have operating procedures that the operator could
15 not possibly accomplish. Well, obviously, the plant itself
16 and the design of the plant caused this result, did it not?

17 A No. I would say in most cases it was a poorly
18 written procedure. In other words, I can't recall any
19 specifics.

20 Q Well, if it were not a poorly written procedure
21 but a plant design where the valve was up here out of reach
22 and the indication was down here where you could hardly
23 see it, and you fed this back to your headquarters, would
24 it get over to NRC and be operated on by them?

25 A I doubt it, but there is another consideration.

mgc 6-7

1 Essentially every plant you go into the chances of you having
2 a situation where the valve is up there and the lights are
3 down there where you can't see it, the odds are probably
4 way up there that the other plants don't have that same
5 configuration, even though they're all B&W plants or
6 Westinghouse plants or GE plants. Each layout and each
7 control board is dramatically different to begin with from
8 plant to plant, like even from a Westinghouse plant to a
9 Westinghouse plant or a GE plant to a GE plant.

10 I don't know if I answered your question.

11 MR. HEBDON: Let's go off the record for a minute.

12 (Discussion off the record.)

13 MR. HEBDON: Let's go back on the record.

14 BY MR. HEBDON:

15 Q Is there a method in I&E to exchange information
16 among inspectors of similar plants in different regions?

17 A There is not a formal method. Where we think there
18 is a problem that could be occurring at various sites, we
19 do do that. I can't recall any specifics where we've done
20 it, but I do know in individual cases we have called other
21 project inspectors and asked them, "Hey, do you have this
22 kind of problem at your site, or should you be looking at
23 this?"

24 Q But as far as you know, there is no mechanism by
25 which you get together all of the B&W inspectors for a day

page 6-8

1 and have them sit down and discuss what they are seeing and
2 the concerns that are coming up and that sort of thing?

3 A. No.

4 Q Is there any such meeting for supervisors, section
5 leaders, or branch chiefs?

6 A. No.

7 MR. HEBDON: Could we go off the record for a moment?

8 (Discussion off the record.)

9 MR. HEBDON: Let's go back on the record.

10 BY MR. HEBDON:

11 Q You just mentioned that there were meetings where
12 people involved with specific technical problems get together
13 from time to time. I think leak rate testing was one you
14 just mentioned?

15 A. Yes.

16 Q Do you know if there are any periodic meetings for
17 branch chiefs or section leaders where they get together
18 discuss problems that they are experiencing?

19 A. There are periodic branch chief meetings for all the
20 branches. They discuss significant problems to some extent.
21 They also go into a substantial number of administrative
22 discussions -- not all technical.

23 Q Is this within the region or from region to region?

24 A. It is -- the branch chiefs meet in a particular
25 meeting at some periodic interval. I don't know what that

pgc 6-9

1 interval is.

2 Q So this would be all the branch chiefs from all
3 the different regions?

4 A Or for a particular branch, like the Construction
5 Branch.

6 Q So all the Construction Branch branch chiefs would
7 meet somewhere?

8 A Right.

9 Q For all the different regions?

10 A Right.

11 Q So that would be the collection of all of the
12 regional Constructon Branch branch chiefs?

13 A And I&E Headquarters would be represented also.

14 Q Approximately how often is that done? Do you know?

15 A I think it is three months.

16 Q So it is roughly once a quarter?

17 A Yes.

18 Q Do you feel that there is any need to have similar
19 meetings at the inspector level?

20 A As I mentioned before, I think we need some kind
21 of system -- whether it is meetings or whether it is an
22 operating experience newsletter, whatever -- to better tell
23 individual inspectors about specific problems at other sites.

24 Q What is your perception of the difference in
25 review procedures or review philosophy for safety-related

mgc 6-10

1 versus non-safety-related systems?

2 A. You're talking about operating procedures now?

3 Q. No, your review procedures, inspection procedures.

4 A. Our inspection procedures are aimed at safety-
5 related equipment and activities.

6 Q. What sort of review do you do with respect to non-
7 safety-related systems?

8 A. It depends upon the system that you're talking about.
9 Rad waste facilities get a very significant amount of review.
10 Condensate systems would receive practically nothing.

11 Q. What about a system such as the PORV, which is non-
12 safety-related?

13 A. Normally, you would find the actions for operating
14 the PORV in the safety-related procedures, so I would say
15 that that normally would be reviewed.

16 Q. Would you normally review the control circuits of
17 a safety-related system. Let me start that over; would you
18 review the control circuits for a non-safety-related system
19 such as the PORV?

20 A. Not normally.

21 Q. What is the basis of deciding if the system is
22 safety-related or not safety-related?

23 A. Each licensee is required by the regulations to
24 submit a list of Q listed items, and that appears in the
25 FSAR.

mgc 6-11

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q Do you know what basis is used for deciding which systems are included on that list?

A. It is reviewed by NRR as part of the FSAR submittal. And it is any activity or hardware component that would mitigate or prevent an incident.

Q Any incident?

A. Any activity.

Q Is it your opinion that the designation of systems as safety-related versus non-safety-related is applied in a consistent and rational manner?

A. I think we have problems. You're talking about in utilities now?

Q Well the utilities propose the list, but is the NRC that approves it. And what I am really concerned about is the list as it finally appears. Do you know of cases where part of a system is safety-related and parts not safety-related, and there is no particularly clear reason why the differentiation is made?

A. Well, there are systems which are obviously safety-related and non-safety-related are intermixed. And an example I can think of offhand, if my recollection is right, is that the pump for BWRs is considered to be safety-related as far as the pressure retaining boundaries are concerned but that the motor is not considered to be safety-related.

mgc 6-12

1 Q Well one example that somebody cited to me along the
2 way is the fact that the diesel is a safety-related but the
3 air start system for the diesel and the fuel to run it are
4 not safety-related systems.

5 A I would disagree with that interpretation.

6 Q What interpretation?

7 A I would say that the air start system, as far as
8 the air tanks to assure a minimum number of starts, would be
9 safety-related, and I think we would normally treat it as such.
10 As far as the fuel oil, I believe that the whole thing would
11 be safety-related. There may be some point past like a day
12 tank or something where there are some circumstances that might
13 not be safety-related.

14 Q So then it is your understanding that in the cases
15 you know of this differentiation of safety-related versus
16 non-safety-related has been fairly consistent?

17 A In most cases. There are exceptions. In the
18 construction area is where you usually run into some of this
19 because of installation of systems. We get into the area
20 where we just had a discussion of the safety-related cable
21 trays for electrical cables, and there is at least one AE
22 who has taken a position that the trays themselves were not
23 safety-related, and we came out with an information bulletin
24 that states that they are.

25 Q Do you know of any instances where inspectors have

mqc 6-13

1 raised a concern that a particular system should be safety-
2 related?

3 A. I think it is a common feeling for a lot of
4 inspectors that there are things that you have in a plant that
5 by themselves are not safety-related. And I think most of
6 them accept that, based on the definitions given. But they
7 feel that to some extent, like operation of a feedwater pump
8 in a BWR, has safety implications, and yet it is a gray zone
9 when you get into that kind of an area.

10 Q. Is that sort of concern particularly common?
11
12
13
14
15
16
17
18
19
20
21
22
23
24

1 A. I think it is common in certain areas, like feedwater
2 pumps is one; rad waste system is another. Those are the only
3 ones that really stand out in my mind.

4 Q. I think to back up to a question concerning the
5 incident that occurred at Davis-Besse in September that I
6 forgot to ask earlier, did you give any consideration to the
7 possibility of changing the administrative procedures to
8 minimize the possibility of someone removing the relay that
9 caused the PORV to cycle?

10 A. I don't recall that. The only thing I do recall is
11 we asked them to make a rather thorough document search to
12 make sure that there were not other problem areas. I don't
13 recall that we asked them not to put in a procedure that you
14 don't put in components. I would think something like that
15 almost goes without saying. I don't know if we did or not.

16 Q. Well, did you have any concerns that it was that
17 easy for someone to remove a relay that ultimately resulted in
18 a loss of coolant accident?

19 A. I can't recall specifically whether we addressed the
20 fact that they did or not.

21 Q. Do you know of any other precursor events that are
22 relevant to the accident at TMI?

23 A. You're talking about other than the situations where
24 other sites have had operator errors? I mean, not related to
25 Three Mile Island?

1 Q Do you have any feeling for what percentage was
2 intentional and what percentage was accidental?

3 A I don't know of any situations where an operator
4 took an action to intentionally damage equipment. I don't
5 know of that is the thrust of your question.

6 Q Well, what I'm wondering is, in a case where the
7 operator invalidated a safety system due to a lack of under-
8 standing of the fact that he was doing it, or was it a matter
9 of he knew that he was invalidating the system, but in order
10 to save time or because he didn't think it was going to cause
11 any problem, he went ahead and did it anyway?

12 A I don't think most of them would look at it as
13 invalidating the system. We cited Quad Cities several years
14 ago for turning off an ECCS pump because they felt that there
15 were no safety concerns with doing that, and the pumps sitting
16 there going against a dead head, they were afraid they could
17 have problems with the pump similar to the PVI shutoff at
18 Davis-Besse.

19 Q This was at Quad Cities?

20 A Yes.

21 Q Do you recall when that was?

22 A No. It was two or three years ago.

23 Q Why did they secure the ECCS pump?

24 A They were involved in a transient. I recall the
25 citation, but I don't recall the transient. And they argued

1 that the citation was not in order because they felt they had
2 everything under control. It has been so long ago, I don't
3 remember what the transient was.

4 Q Would you have any more detailed information about
5 that particular transient in the files?

6 A I should be able to find it in the files.

7 Q Could you find it for us and provide a copy, if you
8 would?

9 A Yes.

10 Q Thank you.

11 Do you have any additional information that might
12 be relevant to our inquiry into the events surrounding the
13 accident at TMI?

14 A I can't think of any that we didn't discuss.

15 MR. HEBDON: Do you have any additional questions?

16 MR. FOLSOM: I can't think of any.

17 MR. HEBDON: Do you have anything else to add?

18 THE WITNESS: No.

19 MR. HEBDON: Okay. Thank you very much.

20 (Whereupon, at 11:25 a.m., the interview was
21 concluded.)

e-7

22

23

24

25