



NRC PDR

**UNITED STATES  
NUCLEAR REGULATORY COMMISSION**

**In the matter of:**

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS,  
SUBCOMMITTEE MEETING ON BABCOCK AND  
WILCOX WATER REACTORS

POOR ORIGINAL

**Place:** Washington, D. C.

**Date:** April 8, 1980

**Pages:** 1 - 196

INTERNATIONAL VERBATIM REPORTERS, INC.  
499 SOUTH CAPITOL STREET, S. W. SUITE 107  
WASHINGTON, D. C. 20002  
202 484-3550

8004170320

1 UNITED STATES  
2 NUCLEAR REGULATORY COMMISSION

3 - - -

4 Room 1046  
5 1717 H Street, N.W.  
6 Washington, D.C.

7 Tuesday, April 8, 1980

8 The Advisory Committee on Reactor  
9 Safeguards, Babcock & Wilcox Water Reactors Sub-  
10 committee, met, pursuant to notice, at 8:30 a.m.,  
11 Mr. Harold Etherington, Chairman of the Subcommittee,  
12 presiding.

13 PRESENT:

- 14 Mr. Jesse C. Ebersole  
15 Dr. Steven Lawroski  
16 Mr. William Mathis  
17 Mr. Jeremiah J. Ray  
18 Dr. Ivan Catton  
19 Dr. T. Theofanous  
20 Dr. Z. Zudans  
21 and others

22 - - -  
23  
24  
25

VM  
pe

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

P R O C E E D I N G S

CHAIRMAN ETHERINGTON: The meeting of the Advisory Committee on Reactor Safeguards Subcommittee on B&W Water Reactors will now come to order. I am Harold Etherington, Subcommittee Chairman. The other members present today are Mr. Mathis -- I guess that is all so far. Later we expect to have Mr. Ebersole, Dr. Lawroski, and Mr. Ray.

Also present today are ACRS consultants: Dr. Catton, Dr. Theofanous, and Dr. Zudans. Oh, excuse me. Mr. Ray is here.

MR. RAY: That's all right, Harold. My wife overlooks me, too.

CHAIRMAN ETHERINGTON: The purpose of this meeting is to continue the Subcommittee review of the sensitivity of B&W reactor systems to feedwater transients. The NRC Regulatory Staff has been considering halting construction on B&W plants because of such presumed sensitivity.

Mr. Harold Denton, NRR Director, has decided that "based on preliminary information on the status of plant construction and design changes already made, construction of these plants should be permitted to continue pending evaluation of plant-specific information."

This decision is contained in his letter to the

1 Commission, dated January 22, 1980. The Subcommittee will  
2 review this decision and the full ACRS will provide its  
3 recommendation in a letter to the Commission.

4 It may be necessary for the Subcommittee to hold  
5 one or more closed sessions for the purpose of exploring  
6 matters involving proprietary information. This meeting  
7 is being conducted in accordance with the provisions of the  
8 Federal Advisory Committee Act and the Government in the  
9 Sunshine Act.

10 Mr. Peter Tam is the Designated Federal Employee  
11 for the meeting. The rules for participation in today's  
12 meeting have been announced as part of the notice of this  
13 meeting previously published in the Federal Register on  
14 Monday, March 24, 1980.

15 A transcript of the meeting is being kept, and it  
16 is requested that each speaker first identify himself or  
17 herself and speak with sufficient clarity and volume so  
18 that he or she can be readily heard.

19 We have received no written statements or requests  
20 for time to make oral statements from any member of the  
21 public. Do members and consultants have any comments  
22 regarding the meeting schedule or contents? I think  
23 we'll pick this up in executive session. We'll have a  
24 short executive session which will be of course,  
25

1 but not recorded. I think this has reminded the Committee  
2 of the purpose of this meeting. I think I'll make a few  
3 further comments on the history leading up to the meeting.

4 (Whereupon, an off-the-record discussion ensued.)

5 MR. NOVAK: I guess I'm just wondering -- will  
6 the staff be provided with copies of this fellow's report?  
7 I don't know the title. I have to apologize --

8 CHAIRMAN ETHERINGTON: I think, Tom, this is a  
9 matter of policy. The person's draft is a first draft.  
10 It is going to be rewritten, and I think we'll have to leave  
11 it to perhaps Mr. Frailey or the Chairman of the Committee  
12 to decide whether it is a public document or not.

13 MR. NOVAK: Okay. Certainly the only point in  
14 bringing it up is as I listen to the presentations, I can  
15 expect that as you listen to the staff's discussions today,  
16 you may sense some differences. Now, in truth, they may  
17 be able to be put together. You may -- the differences  
18 may be decipherable once all the facts are known.

19 My only point is saying that certainly all of  
20 the information that we are providing to the Committee,  
21 we would welcome that the fellow's group look at for  
22 the purpose of joining together the two reports. I  
23 think this is the only problem I would see is that if we  
24 don't have an opportunity to look at each report, there  
25 are going to be differences, and they will not be

1 explainable. I think that's the problem I see. I think  
2 as you see our discussions, you'll see a different flavor.  
3 Even the characteristics of the plant might be described  
4 differently. And then you're going to say, well, look,  
5 we just saw this report, and we saw that report. Are we  
6 analyzing the same plant or not?

7           And in an attempt to keep this to a minimum --  
8 I don't think we'll ever get it all out of there -- but  
9 I think that would be the only reason I would suggest if  
10 possible the staff be provided with a copy of the fellow's  
11 report when it's appropriate only to try to reconcile  
12 certain differences. We might want to keep that as we  
13 go on.

14           You will see some differences between our under-  
15 standing -- the way we have described the performance of  
16 the plant versus what the fellows have described although  
17 we supposedly are all using the same data base. That  
18 being the safety analysis reports.

19           DR. THEOFANOUS: Tom, those differences may be  
20 instructive themselves?

21           MR. NOVAK: Oh, they're instructive, yes.

22           DR. THEOFANOUS: We don't want to eliminate the  
23 differences. I think the whole idea is to give some  
24 independence and learn from those differences. If you  
25 use the same data base, then either the differences are

1 semantic or they are substantial. If they are substantial,  
2 you learn something from it. If they're only semantic,  
3 again, we learn something from it.

4 MR. NOVAK: I agree. I think the only point I  
5 was making is I would like to see that the differences are  
6 explainable. The record should not suggest that there is  
7 -- that the differences are there, but for some reason they  
8 were never explained.

9 DR. CATTON: I've read both reports. I can't find  
10 differences that are so great that I would have trouble  
11 trying to explain them.

12 MR. NOVAK: Well, all I was doing was I was --  
13 perhaps being a little premature, but when I saw some of  
14 the performance characteristics -- CE, Westinghouse, B&W  
15 plants -- for example -- we have some other performance  
16 characteristics. The curves do not -- they need not fall  
17 on top of one another.

18 There are differences, and perhaps sometime  
19 this morning we will take a few minutes, and there are  
20 some summary slides that we can show which show different  
21 characteristics. They are different, but as I say, I  
22 think they can be explained.

23 DR. CATTON: They looked at a little different  
24 characteristics, but the conclusions that they came to  
25 were roughly the same.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. NOVAK: Fine. Okay. I'm willing to be wrong. I just sensed that the direction that I saw was that there may be some residual functions that would not be explainable.

CHAIRMAN ETHERINGTON: I think we recognize, Tom, there have been some discussions internally somewhat along those lines.

MR. NOVAK: Well, are you prepared now to go on with the staff's presentation? Thank you. First of all, I think it would be useful, at least, for me to bring this up to today. And then I'll ask Bob Tedesco to discuss the first topic on the agenda.

As you recall, the purpose of this Subcommittee meeting was to continue our discussions regarding the staff's view of B&W plants presently under construction. On January 22, 1980, Mr. Denton sent a memo to the Commission commenting on whether there was a need to halt portions of construction of plants, of B&W nuclear steam supply plants.

The conclusion being looking at the stages of construction of all of the plants which presently have CP's and for the work that was presently underway by each of the licensees, the staff concluded that there was no basis at this time to halt construction.

We were looking forward, then, to discussing these views with the Committee and obtaining their comments on



1 going ahead with construction of the plants at this time  
2 with an ongoing review to see where improvements in the  
3 plants can be made to reduce what we have termed sensitivity  
4 of the ones which are steam generator designed.

5 CHAIRMAN ETHERINGTON: Tom, in the letter of  
6 January 22, Mr. Denton said he chose to go ahead -- to let  
7 construction go ahead. Is that the condition now? They  
8 are going ahead, or is there any hold?

9 MR. NOVAK: No, they are continuing.

10 CHAIRMAN ETHERINGTON: Okay.

11 MR. NOVAK: And our view today is that they should  
12 continue.

13 CHAIRMAN ETHERINGTON: Yes.

14 MR. NOVAK: Now, at the time we wrote that  
15 letter, the work that was being done in terms of -- well,  
16 it's been termed an IREP study, or a mini reactor safety  
17 study, was being performed at the Crystal River plant.

18 This was an attempt, in my view, to try to high-  
19 light those particular scenarios that presented the greatest  
20 risk in terms of accident consequences for a B&W design.  
21 On the agenda today, you will see that we will be discussing  
22 the results as they are today of that work.

23 During the interim period, of course, there was  
24 what's been termed the Crystal River incident which was an  
25 event wherein you had a secondary side transient resulting

1 in HPI actuation, and I think you're very familiar with that  
2 transient. It resulted in some 40,000 gallons of water  
3 being pumped through the pressurizer relief and safety  
4 valves and being discharged into containment.

5 That plant is presently shut down, and it's  
6 scheduled to -- there is a reload going on -- refueling,  
7 and it's scheduled for restart at the earliest May 15,  
8 and hopefully no later than June 1.

9 Now, in about the middle of March, Mr. Denton,  
10 reviewing the operating experience of B&W plants and  
11 particularly the incident at Crystal River, formulated a  
12 task force to be chaired by Mr. Tedesco. I was a member  
13 of it. And a number of people who worked on the sensitivity  
14 studies of the plant still under construction provided their  
15 views to this task force.

16 We've attempted to maintain the continuity in  
17 this area. I think it's proper now to let Mr. Tedesco to  
18 bring the Subcommittee up to date as to the background  
19 and where we are today with the task force. You have been  
20 provided a report, I understand, and we're prepared to  
21 highlight that, summarize the recommendations of that report  
22 and answer as many questions as we can.

23 It's my understanding that most of the members of  
24 the task force are here today.

25 CHAIRMAN ETHERINGTON: Tom, who is going to tell

1 us what the Committee should address in its letter to the  
2 Commission?

3 MR. NOVAK: That's my responsibility. We can do  
4 it now. At least, let me start. I think as I go on, you'll  
5 probably have more questions. As I said, the original  
6 intent of this meeting and the full Committee meeting later  
7 this week was to obtain the views from the Committee with  
8 regard to their support or non-support for continued con-  
9 struction of B&W plants.

10 We would like to enlarge that scope today. We  
11 would like to enlarge it to have you also comment, and we  
12 think there is a single letter that can be written which  
13 addresses also the requirements, or recommendations of this  
14 task force report for plants in operation.

15 And it would seem very obvious at least to me that  
16 many of these recommendations to some degree would be  
17 backfit recommendations. They're not backfit. They would  
18 be forward-fit in a sense to plants under construction.

19 But I see a molding of the views that were pre-  
20 sented in Mr. Denton's letter to the Commission in early  
21 January regarding plants under construction and the recom-  
22 mendations now that are being made to Mr. Denton via this  
23 task force report.

24 We expect that -- Mr. Tedesco will mention the  
25 schedule. We expect to discuss this report with the

1 Commission later this month. It may be just a week or two  
2 off.

3 CHAIRMAN ETHERINGTON: Tom, this report -- are  
4 you referring to New Reg 0667?

5 MR. NOVAK: Yes, I am.

6 CHAIRMAN ETHERINGTON: Of course, we've only just  
7 received that, and I don't think the Committee -- well, the  
8 Committee may be willing --

9 MR. NOVAK: I recognize that you may decide that  
10 based on the fact that we're asking you to integrate the  
11 views expressed by our report into the views that you would  
12 express with regard to plants under construction would say  
13 we're going to have to continue these discussions. And  
14 we are prepared to continue these discussions.

15 I don't practically see how you could write a  
16 letter on the complete story this month.

17 CHAIRMAN ETHERINGTON: All right. That's clear.  
18 Thank you.

19 MR. NOVAK: Mr. Tedesco is prepared to summarize.

20 CHAIRMAN ETHERINGTON: Could I ask just one more  
21 question? Permitting construction to continue is without  
22 prejudice to any ultimate decision that changes must be  
23 made, of course?

24 MR. NOVAK: That's correct.

25 CHAIRMAN ETHERINGTON: Thank you.

1 MR. NOVAK: I would view it that construction  
2 today is preceding at the applicant's risk in a sense.  
3 If there is a backfit requirement, it would be so included.

4 MR. MATHIS: Tom, one other question. Aren't  
5 the plants under construction today subject to the orders  
6 that have been issued for the older plants?

7 MR. NOVAK: No, they're not.

8 MR. MATHIS: They're not.

9 MR. NOVAK: No. That's a technicality, but --

10 MR. MATHIS: I thought the modifications applied --

11 MR. NOVAK: Well, many of those plants have al-  
12 ready gone ahead and made modification that would be  
13 certainly in tune with the orders that I think you're re-  
14 ferring to which permitted the restart of the B&W plants.

15 MR. MATHIS: Yes.

16 MR. NOVAK: Yes. I think the flavor of those  
17 orders are certainly contained within the design of these  
18 plants presently under construction.

19 MR. MATHIS: Thank you.

20 MR. TEDESCO: Good morning. Bob Tedesco from  
21 the staff. And I have been designated to be the chairman  
22 of the B&W task force. It started with Mr. Denton's concern  
23 regarding the acceptability of the recent events that  
24 have occurred at the B&W plant. Namely, the Crystal River  
25 event of February 26 and then the CONEE event last November.

1                   And while the Crystal River event itself is not  
2 one that we would consider to have endangered or caused  
3 great concern about the health and safety of the public,  
4 Mr. Denton expressed an unwillingness to accept such a  
5 plant response for a transient event.

6                   In other words, one that would lead to a challenge  
7 of the engineered safety feature resulting in the release of  
8 about 40,000 gallons of water from a primary system into  
9 the containment. Considering foremost in the relatively  
10 short period of operation of the B&W plant which is estimated  
11 to be on the order of 38 reactor years, there does seem to  
12 have been too many of these undesirable events involved  
13 in the B&W plants.

14                  Further, since the TMI-2 accident, additional  
15 hardware and operational changes have been imposed upon the  
16 B&W plant. They certainly have contributed to improve  
17 safety in their operational performance. Namely, the  
18 lessons learned and the owner's action that we have all  
19 discussed over the past year. So with the background we  
20 have been faced with about the operational history and  
21 the actions that we have taken, Mr. Denton set forth to  
22 establish our present task force to get him a prompt  
23 assessment of the acceptability of the plant's operations  
24 with regard to their sensitivity in the secondary side  
25

1 perturbations. Namely, we're dealing with transients involv-  
2 ing under and overflowing types of events.

3 And to this end, we have issued a draft of our  
4 report of New Reg 0667 that Mr. Etherington referred to.  
5 And this report was issued to the public on April 2 of this  
6 year. Now, we have no -- well, Mr. Denton, I should say --  
7 has no formal position as yet regarding the recommendations  
8 that the task force has made in this report. And the  
9 reason being that Section 7 of the report had not been com-  
10 pleted yet.

11 Section 7 of the report will deal with an attempt  
12 to make a qualitative assessment of the risk reduction  
13 potential of each of the recommendations that the task force  
14 has made. And Section 7 is being developed with the  
15 assistance of the probabilistic analysis staff.

16 Now, if you get in conversation with B&W operating  
17 plant owners to be ambitious and vigorous in their pursuit  
18 of ways to improve the plant response, to anticipate a  
19 transient such as the loss of feedwater event. And so  
20 we are looking to actions that would both prevent and  
21 mitigate the consequences of the various transients.

22 I'll think you'll find that the thrust of our  
23 report tends to rely more towards the mitigation aspect.  
24 But we certainly don't want to indicate at any point that  
25 we're saying that ways to prevent should be not be

1 encouraged; and continue to look at ways of prevention.

2 Now, from a longer-term look, the task force  
3 believes that acceptance criteria should be established  
4 to give us a little better insight on how we're approaching  
5 the outcome of anticipated transient on a uniform basis  
6 for all plants.

7 I think one of the things that we're finding  
8 is that we're having transients. And the recovery aspect  
9 varies from plant to plant. Some are perhaps more  
10 sensitive than others based on their B&W experience.

11 And we feel that in the long term the best way to  
12 approach that, and we've identified this in our report --  
13 was to encourage the development of criteria to deal with  
14 anticipated transients. And our report contains several  
15 examples of such an approach that we have put in there as  
16 suggestions and not really as an exhaustive recommendations  
17 at this point.

18 We also would encourage B&W to take a lead  
19 toward developing such criteria. Mr. Denton is going to  
20 request or is requesting the advice of the ACRS regarding  
21 the recommendations that are set forth in our report.

22 And as Tom has pointed out earlier, we'd like  
23 to consider the advice of the Committee on a broad basis  
24 to not only include the operating plants but also the  
25 plants that are under construction. Realizing that Section 7



1 to our report has not been made available yet, it's probably  
2 wise to look forward to another meeting with the Subcommittee  
3 and the full Committee.

4 Now, we do expect in our Section 7 to be made  
5 available within a week or two, and that's roughly a time  
6 scale that we are looking forward to. Now, the report  
7 that you have has been given to Babcock and Wilcox. It has  
8 also been given to the owners of the operating plant at  
9 a meeting that we had with them on April 3.

10 But today we are prepared to discuss the result  
11 with the Subcommittee and the full Committee on Friday of  
12 this week. Our Commission briefings have been established  
13 for the 16th of April, and we are again planning to meet  
14 with the owners on the 23rd of April. And that's the time  
15 that we would hope that our complete report will have been  
16 provided for their review.

17 So with the background I established, I would  
18 like to now start to brief the Committee about where we  
19 are on this task force. And you have been given handouts  
20 so we can run through it.

21 DR. ZUDANS: Are you going to explain later by  
22 what you meant by qualitative risk assessment?

23 MR. TEDESCO: Yes, sir, that will come up as we  
24 go along. All right. Here is a little background of the  
25 task force that it was established by Mr. Denton, the

1 Director of the Office of NRR, on 12th of March. The charge  
2 was to provide a short-term assessment regarding the B&W  
3 plant experiences we have had, and then to set forth any  
4 additional licensee requirements to give us assurance  
5 regarding the capability of the plant in a safe operation  
6 to respond to the anticipated transient.

7 Now, the main areas of review that the task force  
8 addressed were as follows: (1) regarding the sensitivity of  
9 the plant response; (2) and the recovery from each type of  
10 transient involved in the overcooling and undercooling  
11 event. We were considering the effect of consequences of  
12 malfunctions and failures in the ICS, the integrated control  
13 system, that we have all heard so much about in the past  
14 year.

15 Then, of course, the non-nuclear instrumentation  
16 system which manifested itself at OCONEE and RANCHO SECO  
17 most recently, and the Crystal River event, too. Then add  
18 the effectiveness of all the on-going actions that we have  
19 been given since TMI looked at our Lessons Learned Task  
20 Force, our Bulletins and Orders Task Force, concerning  
21 the efforts of the industry, the Commission Review Group  
22 by Mr. Rogovin, the Presidential Commission, our staff  
23 action plan -- all these things have been brought into the  
24 picture since TMI, and we want to overlay these things upon  
25 the operating history to see where we are.

1 So we're given a very, very ambitious charter for  
2 a very short period of time. I think you have to perhaps  
3 give a perspective that this is not the end of all review  
4 on the situation. There is an ongoing review of the Crystal  
5 River event itself, and you'll hear more about it some  
6 other time.

7 Now, the results of our review, as we discussed  
8 earlier, are presented in part in New Reg 0667 entitled "The  
9 Transient Response of Babcock and Wilcox Designed Reactors."  
10 It was released on the second of April of this year.

11 Section 7 which is a implementation of the recom-  
12 mendation based on risk reduction potential will be provided  
13 later. And this is the work that we have done by Frank  
14 Ralston and his company in the probablistic assessment  
15 branch.

16 CHAIRMAN ETHERINGTON: Are handouts of these  
17 transparencies available, Bob?

18 MR. TEDESCO: Yes, sir. Bryon?

19 CHAIRMAN ETHERINGTON: Oh, I'm sorry. We have  
20 them already. I didn't realize.

21 MR. TEDESCO: All right. The members of the task  
22 force -- the next slide I'll run through briefly --

23 (A slide presentation ensued.)

24 MR. TEDESCO: They are representative from major  
25 segments of NRC within the Office of Nuclear Reactor

1 Regulation and the Division of Operating Reactors, myself  
2 as chairman. And then Vince Panciera and Brian Sheron from  
3 Reactor Safety; and Dominic Tondi from Plant Systems.  
4 Again, from the Division of Systems Safety, we have Tom  
5 Novak and Dale Thatcher.

6 From the Division of Project Management Bob  
7 Capra and Brook Wilson. Then from the other offices --  
8 the Office of Inspection and Enforcement, Ed Blackwood from  
9 Headquarters and Don Quick from Region II have been following  
10 Crystal River pretty much.

11 From our Office of Research, Mark Cunningham.  
12 Then we have the special assistance of Frank Rowsome and  
13 Matt Taylor who are doing Section 7. We have a consultant  
14 from Oak Ridge, John Anderson. I'm sure you have been in  
15 contact with before.

16 The next slide gives a general finding about the  
17 B&W plants that the task force has come up with. We have  
18 found that the B&W designed plants do indeed express a  
19 more responsive aspect to secondary side perturbations  
20 than the other light water reactors. In this regard, we  
21 have identified the once through steam generator design  
22 that is basically a sound design in our opinion.

23 But yet because of its inherent design aspect  
24 it does require or it is highly interactive and responsive  
25 to code. It does require a rapid reponding to code systems

1 to maintain its capability.

2 DR. CATTON: Bob, in the design of the once-through  
3 steam generator, how do they decide on the water volume?  
4 Is there some criterion for responsiveness that leads to a  
5 particular volume

6 MR. TEDESCO: It deals mainly with the availability  
7 of the plant to operate in a designed condition that the  
8 response of the transient. Now, the design condition,  
9 the plant does respond properly. When you have off set  
10 conditions plus failures on top of it that the thing really  
11 manifests itself in a very responsive way. The things have  
12 a tendency to respond in another system. You know, if you  
13 keep water in your steam generator, it should be all right.  
14 But there are other demands placed upon the system that  
15 kind of interact in a way that, you know, it's kind of hard  
16 to keep up with it.

17 If you want a control system itself and not a  
18 safety system. And therefore, it is not designed for fail-  
19 ures, and therefore when a failure does occur, it does  
20 interact with the plant. And that's what you're seeing  
21 happening.

22 DR. CATTON: I understand. The amount of water  
23 that is in the steam generator is a result of a normal  
24 operating characteristic that you want it to have. And then  
25 it gets into trouble or it becomes more sensitive for

1 these off normal transients.

2 MR. TEDESCO: You have a much shorter time response  
3 upon which you have to resort.

4 DR. CATTON: So the increase in the volume of  
5 water in the steam generator, you would lose the nice  
6 characteristics of the ICS.

7 MR. TEDESCO: That question has come up, and we  
8 have faced it. And I don't think we're in the position to  
9 say just having more water would make the steam behave  
10 differently because there may be other interreacting  
11 aspects that we're not aware of that may affect it.

12 But I don't -- I guess I'm going to hesitate  
13 in giving an overwhelming acceptance of the suggestion  
14 that you had more water, and we're all right. That would  
15 make another aspect of it.

16 DR. CATTON: I didn't mean to suggest that  
17 either.

18 MR. TEDESCO: This certainly is an appealing  
19 approach. And I think indirectly we're saying yeah. And  
20 therefore we want to put our emphasis in making available  
21 more water for the steam generator.

22 The next one has to do with the high degree of  
23 overall plant interaction is, indeed, inherent in the ICS  
24 than it was through the steam generator. Now, based upon  
25

1 the design features and the faster response to transient  
2 in the off-set conditions, there is also an effect on the  
3 operator. And we have found that the operators are  
4 perhaps required to take more rapid action and have a  
5 better understanding of the instrumentation that the face.

6 They're responding to the fast response on the  
7 plant compared to operators of other plants of levers and  
8 guides. And I think that is shown up pretty well in  
9 Crystal River and also -- even during normal transients,  
10 the operators are instructed to take certain actions  
11 of terminating the one and having them make up another  
12 pump right away.

13 So they're called upon here to respond more  
14 promptly than the other would have to do it. But those  
15 are kind of general findings that we had. We can go into  
16 more details as contained in the report of where we are.

17 And our recommendations are given on the next  
18 slide with the purpose being to minimize the frequency  
19 and the consequences of the secondary side perturbation.  
20 That we have found that, you know, we want to provide more  
21 reliable instrumentation at the control systems. We want  
22 to really focus and give great emphasis to maintaining the  
23 availability of that heat sink.

24 And we want to really focus our attention -- our  
25 whole review upon that heat sink. As we really come down

1 the whole issue of the steam generator to keep water, the  
2 plant responds all right.

3 And then also it continues through the trip  
4 action into the recovery program. And that bears heavily  
5 upon what the operating experience is showing us. The  
6 areas that we have looked at involving the auxiliary people  
7 on the system, the INC system, the valiant operational  
8 matters -- the general area of improvement that came out of  
9 our task force efforts as we went into our review.

10 Now, you might ask a question about -- well,  
11 what will I do with all these things again, and the task  
12 force looked at that in the sense that we would make a  
13 recommendation that it is our recommendation that came out  
14 of review should be incorporated into our task action  
15 plan that the NRC is developing at this time.  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25



2/1

1 MR. TEDESCO: The auxiliary feedwater system  
2 is what you see on this slide here is that first recommendation  
3 that the system be operated to meet the requirement of the  
4 engineer safety criteria that it be safety graded. And  
5 the question regarding the hydrogen I requirement that we  
6 are indeed dealing with flash and arc wheel with our  
7 operators and have for a number of years, our placing and  
8 fixing of their original design base. And we're asking  
9 of the assistance of the probabilistic analysis staff to  
10 give us an assessment of the effectiveness and benefits  
11 that you might derive or might not derive from the requirement  
12 of firm hydrogen requirement.

13 So, that of the task force held in abeyance any  
14 particular recommendation at this time that the upgrading  
15 is too seismic designed.

16 Now, your basic situation to upgrading may not  
17 be a feasible option concerning the plant. And in this  
18 regard we would certainly be open and give consideration to  
19 the admission of a dedicated system. A dedicated system  
20 being -- being a separate train system different from what  
21 exists or what may be upgraded already, but add a third  
22 train to it.

23 Now, that speaks roughly to your fluid system.  
24 So, along with that we would look for automatically initiated

2/2

1 and controlled engineered safety features that are completely  
2 at this point independent of the ICS and Non-Nuclear  
3 Instrumentation and other nonsafety systems. That we want  
4 to now cut this system out from any interaction with the  
5 plant that really gives it full visibility and full requirements  
6 of an engineering safety feature from the mechanical fluid  
7 system all the way through the control system.

8 Now, in this regard we also recognize -- or --  
9 well, if you liken the word task force to the bulletins  
10 and task forces, they have taken some action to upgrade  
11 certain aspects of the off feedwater system. Namely, the  
12 auto start and the indication of feedwater fall. So, we  
13 would say, "Look, we want to get another look to how to go  
14 about selecting the auto-start signal to insure obstimentation  
15 of the provision to get the feedwater system non-aligned in  
16 the loss of anticipatory. So, you want to get as much lead  
17 time as possible to inhance the availability of feedwater  
18 by proper selection of the start signal. Now, that might  
19 be a trip of the feedwater pump. It might be some other  
20 aspect that deals with the level of the steam generator.

21 Now, as far as the level controlled, this would  
22 be, again, an engineered safety procedure in a manner to  
23 prevent overcooling during recovery of that from feedwater  
24 transient.  
25

2/3

1 Then, Item C deals with a recent Park-21  
2 notification by TVA that the manner of the task force is  
3 somewhat in parallel with the notification by TVA.

4 Here we are looking at means to prevent the  
5 spill at the steam generator not only to prevent over-  
6 cooling but to prevent filling up the -- the main steam line.

7 The letter that we got from TVA in reponse to  
8 a B&W concern indicates that if you overfill the steam  
9 generator in the steam line that the potential for failure  
10 exists, and failing of all the steam lines would be an  
11 event that has not been evaluated. So, we are recommending  
12 that a high level trip -- well, something like a high level  
13 trip be provided to insure that we would not overfill the  
14 steam generators or steam lines. And there would be something  
15 to terminate the steam water flow. And this is not the  
16 capability.

17 Now, Item 3 here is a rather specific recommendation  
18 that focuses on one particular plant--the David-Besse  
19 Plant--on this particular plant there's a design presently  
20 includes two steam-driven feedwater pumps. There are no  
21 provisions at this point for an electrically-driven pump.

22 So, we are, perhaps, clarifying and reaffirming  
23 the concerns expressed by B&W concerning that diverse-drive  
24 pump provided for the Davis-Besse Plant due to diversity and  
25

2/4

1 one that would not place continued reliance upon the  
2 availability of steam from the steam generators for off  
3 feedwater.

4 Number 4, our experience at Crystal River show  
5 that adverse interaction was from the system that we called  
6 a steam line break detection and mitigation system. The  
7 system that was supposed to terminate the feedwater flow to  
8 a portion of the steam generator that had experienced a  
9 steam line break. That this system will isolate that part  
10 of the plant where you get a low pressure indication. A  
11 system of breaking the steam line.

12 Well, it so happened that Crystal River that we  
13 did not have a steam line break, but we did get an indication  
14 of low pressure, and therefore, that told the feedwater  
15 system to not cause the feedwater to flow into the  
16 generator. Well, we want to eliminate that adverse interaction  
17 and indeed provide a system that, you know, we have to  
18 reevaluate and modify these systems that it would be capable  
19 of differentiating between a steam line break and the over-  
20 cooling and undercooling transients. So, that when there is  
21 a need for feedwater we would have it. And that there is  
22 a need for feedwater -- or a feed line break -- or a  
23 feedwater line break that we should notify the plant.

24 Now, we have a couple of notes down here that  
25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

we have interacted with the reports from IMPO on the Crystal River event. And the items that would go through here do parallel many objectives of IMPO. Also, we have referenced a section in our Task Action Plan with recommendations found in general ways of where we would also include them and very specifically.

CHAIRMAN ETHERINGTON: Would Item 3, Bob, most of the time have two motor driven pumps; do they?

MR. TEDESCO: No, most of the plants have diverse systems. And they have steam and electric.

CHAIRMAN ETHERINGTON: Most of them do?

MR. TEDESCO: Yeah. Now, OCONEE presently has only stream-driven pumps. And they have -- they have committed to install electrically-driven pumps.

Tom, do you know the schedules on that? For OCONEE?

MR. NOVAK: For OCONEE?

MR. TEDESCO: Yeah. When it --

MR. NOVAK: They are installed. OCONEE has actually six motor-driven pumps and three steam-driven that will cover the three units. They've -- I'm not quite sure yet whether a complete separation has occurred but eventually the auxiliary feedwater system for each unit when would be composed of one steam-driven and two-motor driven.

1 Traditionally, though, the other operating B&W  
2 plants have one steam, one motor-driven with the exception  
3 of the Davis-Besse Plant which has two steam driven.

4 The next area is instrumentation and control  
5 features.

6 Incidentally, the numbers you see along the margins  
7 here are the numbers that also correspond with our reports.  
8 I've lined them up here that way.

9 Now, in this particular category about improving  
10 the reliability of the instrumentation and the plant control  
11 system some -- the lessons learned on Crystal River that we  
12 have as a task force looked at, has led us to a recommendation  
13 of improving the separation and channelizing the power buses  
14 and the signal paths for non-nuclear instrumentation so that  
15 you meet -- try to expect much better independence of these  
16 power buses so that a failure of one bus does not give  
17 you a failure of the system. You have a channelized  
18 capabilities. So that if one bus would fail you would still  
19 have indication from the other buses.

20 The question came up about the consequences of  
21 the failure of some of these instruments after their motor  
22 failure when it failed at mid-scale and really what -- what  
23 effect did that have on the operators' response. Would there  
24 be a preferable way for failing at the zero scale or full  
25

1 scale. So, this had to be considered.

2 Also, that whenever failures of this type occur  
3 the operator should have proper information to tell him  
4 which instrument went -- had failed so that therefore his  
5 corrective action would not be impeded by the failed instru-  
6 ment.

7 Control systems should have the inherent design  
8 capability so that any detection of gross failures in  
9 their mode of operation, that they should be able to terminate  
10 their action automatically and not just run wild.

11 Next one would be a review and a rearrangement  
12 as necessary of the non-nuclear instrumentation power buses  
13 to provide a redundancy of indication for each reactor coolant  
14 and secondary system loop.

15 MR. EBERSOLE: Bob, may I comment?

16 MR. TEDESCO: Yes, sir.

17 MR. EBERSOLE: I always have a problem when you  
18 mention redundancy when you're talking about indicating  
19 instruments because by and large they have a bi-directional  
20 potential. They tell the operator to do the right thing or  
21 the wrong thing. And when he has contradictory instrumentation  
22 he frequently, when he's just dealing with just one instrument  
23 at a time and not for the wholesale collapse of the division,  
24 he won't know which instrument is correct. So, what do you do  
25

2/8  
1 about that. It's different when you're indicating to an  
2 operator what to do than it is when you're telling a control  
3 system what to do and you're obligated to tell it what to do.  
4 Here the operator must make the choice between two signals  
5 that he sees.

6 MR. TEDESCO: Yes. Well, that -- you know, that  
7 is kind of related to B and C that when he does have a  
8 failure when it's difficult to tell by some system --

9 MR. EBERSOLE: Which is correct?

10 MR. TEDESCO: -- where --

11 MR. EBERSOLE: Which is the failure.

12 MR. TEDESCO: Yeah. Because, you know, how  
13 do they fail?

14 MR. EBERSOLE: Yeah.

15 MR. TEDESCO: And which ones are they?

16 MR. EBERSOLE: Well, the simple-minded solution,  
17 of course, is to auctioneer and have three-channel systems  
18 and believe two and reject one. But that's pretty expensive.  
19 And diversity, I think, ought to be mentioned someplace.

20 MR. TEDESCO: Well, if you get down to Number 6  
21 you might find some of our --

22 MR. EBERSOLE: Okay.

23 MR. TEDESCO: -- into that. If not, we'll talk  
24 about it again.

25 Item F here deals on the prompt followup action



2/9

1 that we believe that should be taken. In our review of  
2 the B&W report regarding the SCS reliability analysis, also  
3 the NSAC and INPO recommendations of Crystal River, and  
4 their IE Bulletin 79-27 which deals with the event  
5 when we begin to lose our non-nuclear instrumentation power  
6 supplies.

7 And Number 6, which I referred to, also in  
8 response to Mr. Ebersole, sets up a condition here that  
9 we would like to have a select data set, safety grade, made  
10 available to the operator that would give him high quality  
11 indication of select set of data regarding the principal  
12 plant parameters and these would be available to him  
13 independent of a non-nuclear instrumentation. And they  
14 would show forth certain of the critical parameters that  
15 he would use in assessing the event as well as the current  
16 and recovery action. And I think we have all referred to  
17 at different times our discussions with you on the task  
18 action plan and on the lessons learned that we call it  
19 the basic stage factor or the system stage factor consisting  
20 of Number D -- I.D.2 in the

21 We're looking more and more favorable upon the  
22 preferred set of data that IMPO has also made direct  
23 references to this too. We're dealing with items on  
24 reactor coolant system pressure, pressure on the level,  
25

1 reactant coolant system temperatures, makeup tank  
2 level, reactor building pressure and temperature, our  
3 once-through steam generator level and pressure and  
4 some of our nuclear instrumentation.

5 Now, these things would be available to the  
6 operator. When it starts getting abnormal or unusual  
7 indications in the control room of an event, these  
8 systems would be available to him to enable him to  
9 make an assessment in very reliable ways.

10 DR. ZUDANS: Do you think this also the  
11 rate tank is an indication to the same category?

12 MR. TEDESCO: Well, I'm not sure. You  
13 have a certain cutoff level.

14 DR. ZUDANS: Well, supposing you had the same  
15 type of event in TMI --

16 MR. TEDESCO: All right. So you have your  
17 reactor building section --

18 DR. ZUDANS: But that is subsequent.  
19 That's already a consequence after you have something:  
20 overcooling or undercooling. That means that later  
21 in the history I would think --

22 MR. TEDESCO: No. We were really at that  
23 point of trying to be selective in asking ourselves  
24 what does he really need quickly to identify it.  
25

1 DR. ZUDANS: I think that's quicker than  
2 the actual building --

3 DR. TEDESCO: We also have acquired the  
4 indication by the safety valve and the relief valve.  
5 A valve indication telling you no -- whether or not  
6 you're pouring out water through your valve.

7 DR. ZUDANS: But you don't list it here.

8 DR. TEDESCO: No, that's a given. That's  
9 already required.

10 DR. ZUDANS: It's already required.

11 DR. TEDESCO: Yes, sir. That's a require-  
12 ment that's already implemented in all the plants.

13 DR. ZUDANS: I think the maintain level  
14 or something for pressure --

15 DR. CATTON: The response to the reactor  
16 building temperature pressure is very slow.

17 MR. TEDESCO: Well, once you rupture that  
18 tank, you do see a change after that.

19 DR. CATTON: But it's a lot slower than  
20 what took place in the tank.

21 DR. ZUDANS: I'm not saying that we should  
22 exclude "E" -- no, it's an important one.

23 MR. TEDESCO: Yeah, right. Okay.

24 DR. CATTON: I have another question. In  
25 reading your report, it mentioned -- I believe it's

1 your report that one should be able to distinguish  
2 between undercooling and overcooling. I don't see  
3 any instrumentation here that's going to allow you to  
4 do that, or is that going to be brought up somewhere  
5 else?

6 MR. TEDESCO: I don't remember that about  
7 the cooling.

8 MR. SHERON: Brian Sheron from the staff.  
9 I don't think we've actually looked at the instrumenta-  
10 tion with respect to fully distinguish between over-  
11 cooling and undercooling event.

12 DR. CATTON: You said something about establish-  
13 ing a method determining whether the RCS is undergoing  
14 an overcooling or undercooling event. Would instru-  
15 mentation required to do that be added to this  
16 recommended list once you determine how you're going  
17 to do it?

18 MR. TEDESCO: Do you have a reference in  
19 our report you're referring to?

20 DR. CATTON: Your report kind of --

21 MR. TEDESCO: Yeah, I know. We can check it  
22 during the break.

23 DR. CATTON: I think it had to do with  
24 inadvertent pumps on, pumps off -- somewhere in that  
25 section.

1 MR. TEDESCO: No, in ours, the reactor  
2 coolant pump question -- that certainly is one that  
3 hasn't been resolved yet by many, many people.  
4 And one of the recommendations we did make in our report  
5 is that industry and NRC try to look at it together  
6 and try to resolve the restart criteria as well as  
7 for NRC staff -- and though I'd have to review the  
8 whole question on this hand pump trip. Tom, do  
9 you have something?

10 MR. NOVAK: Well, I don't want to spend  
11 much time. I think you would agree that in terms  
12 of undercooling versus overcooling that if one were  
13 to take a snapshot of those parameters and read them  
14 one would be able to make a very educated guess as  
15 to whether you're undergoing a particular transient  
16 one way or another, specifically reactor coolant  
17 system pressure.

18 Now, I agree, once you have reactor trips  
19 and where you are in time -- these sets of parameters  
20 depending -- we'd like them to be trend type parameters.  
21 That's what you're looking for, I think, is to follow  
22 the trend of these parameters so that you can, then,  
23 evaluate the transient that is ongoing.

24 But there is really no great sophistication.  
25 We feel that those parameters are a snapshot that an

1 operator can go to and look at the state of the plant,  
2 primary and secondary. He'll know pressure level,  
3 temperatures, primary, secondary. That's what I  
4 think we're trying to do. Just tell him what his  
5 plant is; what the state is at that time.

6 As you try to go beyond and say, all right,  
7 now give us information to help diagnose the  
8 transient, then you have to go to -- you may have  
9 to go to more information.

10 You know -- the small steam generator tube --  
11 steam generator tube rupture, for example, could you  
12 diagnose that from that piece of information you  
13 have there? You may or may not depending on what time  
14 you're at when you took that snapshot in terms of  
15 parameters.

16 There is, and I think you appreciate -- there  
17 is a shadowing of events. Every event does not just  
18 come out and give you a description that is unique.  
19 There are many events that look alike at certain  
20 times, and I don't intend to say that this is going  
21 to help the operator to determine all of it.

22 But he will know what the state of his  
23 plant is at that time, and it's an attempt, then, to  
24 let him move over and distinguish what other informa-  
25 tion in that control room is also good.

1                   That's what I would personally think is one  
2 of the attributes of that list there.

3                   DR. CATTON: When I look at your snapshot,  
4 I don't see how I would make energy columns across  
5 the steam generator?

6                   MR. NOVAK: I don't. I agree.

7                   DR. CATTON: And it seems to me that that's  
8 just a few more temperature measurements.

9                   MR. TEDESCO: Now, he would know if he had  
10 water in the steam generator. He would know what the  
11 pressure is of the parameters. You know, what we don't  
12 want to end up doing is taking every data in the control  
13 room and introducing it as a special set of data.

14                   When you ask yourself the question -- what  
15 can I give the operator for prompt indication so that  
16 he would make the input to enable him to make a  
17 prompt assessment of what is going on, not to run the  
18 whole event from here, but introduce a direction.

19                   DR. CATTON: I understand. Maybe it's  
20 just my rather narrow view, but I feel that being  
21 able to make a heat balance quickly from the various  
22 components in your system would be very informative.

23                   MR. SHERON: Dr. Catton, I don't -- some of  
24 the transients that have been experience in these  
25

1 plants have been a combination of initially being an  
2 undercooling event which then leads to some other  
3 trip or some sort of protective function, the set  
4 point being reached.

5 And then it carries over to an overcooling  
6 transient. I think it would be very difficult to  
7 ask an operator to be sitting there and continuously  
8 assessing whether he is overcooling or undercooling.

9 I think Crystal River was to some extent the  
10 example of that where the initial loss of the steam  
11 generator inventory, and the fact that the PORV was  
12 stuck open, and they reached a high pressure set-  
13 point, and then once they SCRAMed the plan, because  
14 the valve remained open, it just depressurized all  
15 the way down; kicked on the HPI to pump the system  
16 back up again.

17 So it's not clear that you have one type of  
18 event or another, I think, during the initial stages.

19 DR. CATTON: For the sake of being stubborn,  
20 I cannot -- I just can't believe that a heat balance  
21 won't help.

22 MR. EBERSOLE: As a matter of fact, the  
23 heat balance is the root of everything you're looking  
24 for.  
25



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

DR. CATTON: Exactly. And I don't understand the resistance.

MR. TEDESCO: Wait. We do not preclude a heat balance. But, you know, the heat balance in less than a minute -- in a fraction of a second -- this is the stuff that the operator responds to. Recovery action to find out what the heck is going on when they're not in the heat balance is going to take a little longer.

MR. EBERSOLE: But if you're going to respond to this instrumentation to a heat -- water heat effect which is an overcooling transient --

MR. TEDESCO: You would certainly find out from what happened to the temperatures that the reactor coolant and the amount of the pressure.

MR. EBERSOLE: You wouldn't know what caused it.

MR. NOVAK: That's correct.

MR. TEDESCO: No, he's gotten the system. He sees a change happening -- change that's outside his normal operating limits. He knows -- he has the directions that he can start to follow in his diagnostic -- you know -- he's depicting events that take everything away from him even though he has to

1 run around the whole control room into the cabinet  
2 to find out what is happening. We're trying to give  
3 him, now, something that would enable him to give him  
4 a direction.

5 MR. EBERSOLE: Bob, can you interface this  
6 list there with other instrumentation that we have  
7 talked about in the past like this level and the  
8 saturation meter or the void meter? I can't put  
9 this batch of instruments in conjunction with other  
10 things which are going to be --

11 MR. TEDESCO: No, we're not -- this is not  
12 a substitute. Now, the saturation meter is an  
13 operational instrument right now, and the safety  
14 rate -- it's already there. He has that. Now, the  
15 water in the vessels -- that was a long-term action  
16 from which is learned that is at the stage now of  
17 review. We're not removing any of those requirements  
18 here.

19 DR. ZUDANS: This set of instruments is  
20 equivalent, say, to an altitude meter in an airplane?  
21 It's something that you have to know all the time  
22 -- visible. This is a fixed type of deal, and you  
23 may need a lot of other things to tell you where you  
24 are.  
25

1 MR. TEDESCO: It won't fly the airplane, but  
2 it sure as heck helps if you know when you're in it.

3 DR. ZUDANS: It's a good thing. It's a 100  
4 feet from that. In addition to that one tank informa-  
5 tion, I thought, say, reactor building is very  
6 important some information as to it --

7 MR. NOVAK: One last point, and I don't  
8 think we disagree. I think it's a question of what  
9 the objective was of this list. As we reviewed the  
10 operating history of Crystal River, OCONEE units,  
11 and the RANCHO SECO event, what we saw was events  
12 that resulted in an operator not knowing what in-  
13 strumentation in the control room was believable versus  
14 non-believable.

15 And I view that list as simply a minimum  
16 set of information that he can turn to and say, all  
17 right. This list tells me what the state is in the  
18 primary system and the secondary system. It would  
19 tell him obviously that he has a reactor trip.

20 It would indicate to him whether or not  
21 he has a dried out steam generator. It may suggest  
22 to him other actions that he should go ahead and take  
23 before he has to undertake the point of trying to  
24 decipher or regain certain other information in the  
25

1 control room. I think if your objective could be --  
2 if you define the objective, then the different data  
3 set would be required, and I don't disagree with  
4 your point, Dr. Catton, that depending on what you're  
5 trying to do, you may need a larger data set.

6 This is not intended to diagnose the event.  
7 I think it would suggest to him -- go on there and  
8 manually turn on and off speed water system, if for  
9 some reason it hasn't come down because he could tell  
10 that he has lost a steam generator, or it's dried  
11 out.

12 I think that information is there to him.  
13 And I think that's the kinds of actions he can go ahead  
14 and take. He's got a problem in the fact that his  
15 control room has suffered some transient event where  
16 he has lost instrumentation, and now he is confused  
17 as to what is believable versus non-believable.

18 And I think the Crystal River event which  
19 I'm harping on, the action there of the operator was  
20 to leave the engineer safety features actuate and  
21 go about recovering the control room, and then take  
22 actions necessary to bring the plant to a normal safe  
23 shut down.

24 Now, this would be a very useful set of  
25

1 information to suggest to him that perhaps some  
2 control aspect is preventing continued feedwater or  
3 some other transient characteristic is there that he  
4 may go ahead and manually start a pump or secure a  
5 pump. It may work both ways.

6 DR. CATTON: I guess I'm still a little  
7 perplexed about this resistance on the heat balance.  
8 And I see these sort of recommendations being made  
9 today, and what are you going to do in six months?  
10 Are you going to come in with another set of recom-  
11 mendations that will allow one to actually make  
12 the heat balances that are necessary to determine  
13 whether or not you should turn the pumps on or off.  
14 Shouldn't they be done together?

15 MR. NOVAK: Not necessarily. I would  
16 argue this way. I think what we --

17 DR. CATTON: The control rooms are a disaster  
18 now because of the piecemeal modifications. Are  
19 they going to get worse or better if you do this?

20 MR. NOVAK: Well, it depends on the timing.  
21 I think that's the point.

22 DR. CATTON: Well, of course, that's why  
23 I'm bringing it up.

24 MR. NOVAK: Okay. And I think we are feeling  
25

1 that this is a minimum set which would suggest a minimum  
2 implementation time. Now, as you look at long-term  
3 lessons learned and the concept of a safety vector,  
4 I'm sure you'll talk about two orders of magnitude  
5 in terms of data.

6 You may be -- certainly at least one order  
7 of magnitude more data, and this can be done. It will  
8 be done in a more sophisticated manner. What we are  
9 saying here is recognizing the interlacing of control  
10 system information and responses of the control  
11 system, and the information that flows back to the  
12 control room, and that single failures both initiate  
13 transients as well as give you improper data if  
14 nothing -- for choice of a better term -- in the  
15 control room, that leaves the operator with a  
16 difficult situation.

17 One, you've had a transient; and two,  
18 he's not sure exactly what information he can  
19 believe in the control room. This is an attempt  
20 to come to grips with the second half of the problem  
21 as early as we can and give him a set of information  
22 that he says I know I've had a transient. But I  
23 know that that transient and that -- whatever  
24 initiated it cannot have a feedback on the validity  
25 of the parameters that I'm measuring.

1                   Those parameters or whatever they're measuring  
2 I'm going to believe them. I think that's the  
3 approach.

4                   DR. CATTON: I can't disagree with that.  
5 I would just like to see the heat balance up there  
6 as well.

7                   DR. TEDESCO: Now, wait -- I think you're  
8 going to run the heat balance, you need a lot more  
9 than what we're talking about here. The heat balance  
10 involves the whole plant, and if you want to under-  
11 stand everything wrong, you can assume it's the  
12 whole plant.

13                   And you can still do that. You're not  
14 precluded from doing that. But that's not in the  
15 same time scale as this. If you want to know about  
16 your relief valve, your safety valve, the flow rates  
17 through there, or the flow rate might be off to your  
18 secondary; the atmospheric pump valve. A heat balance  
19 is a very involved process.

20                   This is not focused in that direction,  
21 and yet the instrumentation for such a. action is  
22 available.

23                   DR. CATTON: I'm not talking about a heat  
24 balance, I think, that's in that kind of detail. It  
25

1 seems to me if I had a heat balance across the steam in  
2 primary and the fluid in the steam generator, the  
3 primary fluid in the vessel itself, I would know  
4 with very little more information what kind of  
5 incident is occurring.

6 MR. TEDESCO: But you don't want to be  
7 misleading either. If you don't do it right,  
8 this is very misleading on your diagnosis.

9 DR. CATTON: You can do anything though.  
10 You can use those there.

11 I think that may be the point.  
12 In a rather stubborn fashion I'll stop.

13 MR. NOVAK: I think this is a very useful  
14 discussion. I would like to introduce Bruce Wilson  
15 who is a member of the task force and his normal  
16 function in Operating Licensing Branch. He conducts  
17 the examinations of operator licensees.

18 And I think perhaps he has a flavor with  
19 regard to this and what we were trying to accomplish  
20 on the task force.

21 MR. WILSON: Excuse my voice. I'm on  
22 about six different types of pills including a cold  
23 so -- there are instances where a heat balance  
24 will be very beneficial -- I agree with you. But  
25



1 there are a lot of instances, particularly in the  
2 case we're talking about here where it would be  
3 impossible to have a heat balance.

4 I'm thinking specifically -- it's identified  
5 in the report -- of the RANCHO-SECO complete loss of  
6 NNI procedure where the ultimately wind up, and  
7 this is assuming that no instrumentation is ever re-  
8 gained is at a throttle one auxiliary feed pump.  
9 They let one steam generator go dry. They throttle  
10 the other feed pump to allow primary system temperature  
11 to be controlled between 540 and 560 degrees.

12 When it gets to 560, they stop the pump;  
13 let it dry out. When it gets to 540, they fill it  
14 up again. So there is no way that the use of heat  
15 balance could be useful in that point.

16 The only point is that they have to keep in  
17 this mode of core cooling until they can ultimately  
18 get their instrumentation back.

19 DR. CATTON: I think you could find examples  
20 of where every given piece of information up there  
21 is useless.

22 MR. BRUCE: That's true.

23 DR. CATTON: I don't really buy those  
24 arguments.  
25

1 DR. ZUDANS: Until this recommendation,  
2 which parameters were measured with safety gradient?

3 MR. TEDESCO: Before this time?

4 DR. ZUDANS: Yes.

5 MR. TEDESCO: Well, the Lessons Learned  
6 people required that feed water flow be in that  
7 category. There are a couple. Reactor pressure.  
8 Most of the indications are not safety gradients,  
9 but they're on the board. But they're available  
10 on the cabinet.

11 DR. ZUDANS: In other words, while the in-  
12 struments themselves are not taking place, the  
13 sensors in boiling and information cabinets --

14 MR. TEDESCO: Yeah. You see you take off  
15 from your safety gradient to the second system, or  
16 your engineered safety feature -- then you buffer  
17 them and you ultimately are now looking at instru-  
18 mentation of it. Somewhere prior to that isolation  
19 you have capability for a safety gradient --

20 DR. ZUDANS: Try to sensor themselves in  
21 this study without already --

22 MR. TEDESCO: They're already.

23 DR. ZUDANS: That means the information is  
24 sitting someplace in some cabinet that you would have  
25

1 to go and measure --

2 MR. BEARD: One example that might be  
3 -- might illustrate the thing -- your first item  
4 up there -- wide range RCS pressure is the actuating  
5 parameter for the high pressure injection system.  
6 Therefore, at Crystal River, when they had the event  
7 they turned around and plopped open two cabinet doors  
8 and right inside are two wide range pressure meters.

9 I think what the task force is saying is  
10 make sure that very prompt availability and good  
11 instruments for these parameters is available in the  
12 control room.

13 DR. CATTON: Well, what was inside the cabinet  
14 with safety gradients?

15 MR. BEARD: That was safety grade instru-  
16 mentation. That's what turned on the --

17 DR. CATTON: You know there was not a safety  
18 grade on the panel; inside the cabinet was safety grade.

19 DR. ZUDANS: My current reaction seems to  
20 be unthinkable not to have had safety grade instru-  
21 ments all this time. But then again, I guess the  
22 reasoning is that you could have gone back to the  
23 cabinet and stuck the meters or whatever you had to  
24 stick up the terminals.  
25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. FACTEED: That is why the recommendation is here.

DR. ZUDANS: I'm surprised that it took you so much time.

MR. TEDESCO: Now, the next slide is on items on the instrumentation and control. We want to improve the capabilities of the operator to use the incore thermocouples that they do have in the B&W plants; that there be a capability that the operator selected to use incore thermocouple as input to the saturation meter.

And these would be in lieu of the reactor coolant test tube operator. This would give greater indication of this margin of subcooling. The second part being that you should have the capability for better trending or continued display of the incore thermocouple; that this capability should be made available to the operator.

Number eight -- I'm probably raising the question how come -- but it is a requirement to require a safety-grade containment high radiation signal to initiate containment vent and purge isolation. A lot of the plants are operating in a situation where they're required or have to purge

1 periodically. There are instances where, if you have  
2 a small break, you may not reach the isolation signal  
3 corresponding to high containment pressure or safety  
4 test of initiation.

5 So we feel that to provide this capability  
6 with a radiation signal for isolation and to provide  
7 the capability to avoid a release a radioactivity  
8 during this period when you may have a small break.

9 CHAIRMAN ETHERINGTON: Do the thermocouples  
10 indicate on their own power, or is the transmission  
11 through advanced use?

12 MR. BEARD: I think if you have a station  
13 blackout, or something like that -- gross power  
14 failure, thermocouple data may get lost.

15 CHAIRMAN ETHERINGTON: In other words, they  
16 don't read directly?

17 MR. BEARD: No. I think that they give  
18 normally a millibulb output, but you have millibulb  
19 to bulb ridge converters. And those kinds of things  
20 require power.

21 DR. ZUDANS: Bob, I'm not impressed.  
22 Since you do have -- since the operators do have to  
23 decide whether it's undercooling or overcooling on  
24 the break, what is it that you really have to make  
25

1 a quick judgment -- I mean it's obvious that some  
2 actions are different from break from those others?

3 MR. TEDESCO: Now, you probably wouldn't  
4 have secondary guides, complete inventory indications  
5 of safety break -- that's probably what's happening.

6 DR. ZUDANS: From reactor building, it's  
7 similar to a delayed type of response including  
8 the radiation monitor that is much more delayed be-  
9 cause it means you have to go some way.

10 MR. TEDESCO: Well, on your residual  
11 activity, the water is cooling activity --

12 DR. ZUDANS: Well, if a break occurs, where  
13 would the water go? It -- the water, of course, it  
14 might be steam. Something would collect, right?

15 MR. TEDESCO: But you have certain amount  
16 of flashing to do in the airborne, and that would try  
17 to do it. And you're dealing with flashing that gives  
18 you a rather high airborne activity level.

19 DR. ZUDANS: So you would see in drain pool  
20 and also in the atmosphere.

21 MR. TEDESCO: With the radiation detector --

22 MR. EBERSOLE: Bob, it seems to me, and  
23 correct me if I'm wrong, that the bottom line of all  
24 of this is really what we're trying to do is to carry  
25

1 out volume metric control of primary coolant whether  
2 it's produced by imbalance heat input-output or what-  
3 ever; and regardless of the amount of instrumentation,  
4 there will be transients which you call swell which  
5 are going to dump water through the PORV's unless  
6 the system is redesigned.

7 And there is going to be overcooling  
8 transients which will shrink so that the operator  
9 will get very nervous and inadvisedly refill beyond  
10 a level that he should, and then he -- he's also  
11 desparately trying to get the overcooling event fixed,  
12 and when he does, then he's going to immediately over-  
13 fill again.

14 I'm reminded of the popular device we have  
15 on automobile radiators which cope with this thing  
16 because the primary system is not designed to deal  
17 with intrinsically. Regardless of what you have in  
18 instrumentation, you got to have the facilities to do  
19 something with it when you get it done.

20 I haven't seen much that relates to what  
21 you're going to do with what you read.

22 MR. TEDESCO: I hope the next slide may enable  
23 you to get some further insight into what our thinking  
24 has been.  
25

1 MR. RAY: Bob, before you leave the Instru-  
2 mentation and Control, you have a note on the bottom  
3 of the sheet that preceded this referring to INPO.  
4 Would you tell us what that means?

5 MR. TEDESCO: This note over here, sir?

6 MR. RAY: Yes.

7 MR. TEDESCO: Now, the report that INPO  
8 issued in conjunction with NSAC evaluation of the  
9 Crystal River event -- they made some recommendations.  
10 And certain of the recommendations were included in  
11 this type of action -- not the identical one, but  
12 the thrust -- the point that they were making is very  
13 much like this one.

14 MR. RAY: So you have been influenced, then,  
15 by the INPO feed?

16 MR. TEDESCO: I don't know which came first.  
17 I mean obviously --

18 MR. RAY: I don't care.

19 MR. TEDESCO: But we are -- we do recognize  
20 similarity in terms of this. Yes. And we certainly  
21 want to give proper premise to info -- we've all made  
22 a lot of effort to get industry to provide this type  
23 of capability.  
24  
25



1 MR. TEDESCO: You can take this one here. We  
2 take the next category. It deals with design and operational  
3 matters. I hope I can speak to what you're concerned with.

4 Looking at the plan, operating and control func-  
5 tion that could be modified to maintain a pressurized  
6 level on scale and the pressure above the actuation point,  
7 now that's given a situation in the plant that doesn't  
8 assume any failure or from the regular transients that fall  
9 upon the reactor trip.

10 We do maintain pressurized levels and don't have  
11 to -- API actuation. Now, this could be modified in  
12 different ways, including relocating the trip, the level  
13 of the indication on the pressurizer.

14 Now, there's another aspect -- find out where  
15 it is before I get into it. It has to do with the  
16 recommendations made by Consumer's Power Company.

17 Well, okay. As far as -- On that one there,  
18 deals with the consideration that B&W is giving now to  
19 perhaps increase in the -- safety valves at that point in  
20 secondary to allow the secondary higher pressure and  
21 temperature, therefore allowing the primary system to go  
22 up too, and that would tend to reduce or shrink the primary  
23 system, which would be a mitigating type of effect against  
24 shrink down of the pressurized level.

25 And now, that proposal has been talked about

1 in being evaluated, first by B&W and by us.

2 I'm not saying that's the only way to do it,  
3 that's an example of a way, but, perhaps modifying certain  
4 pressurizers in the wider range, indication.

5 The other one would encourage B&W and the owners  
6 of the operating plants to look at sensitivity studies  
7 that would give greater visibility to possible modificatio.  
8 to reduce the response from the steam generators.

9 We feel that, you know, they're the owners  
10 and the operators and they have good insight to what's  
11 happening and we're asking them to perform this evaluation  
12 for us.

13 And then to modify to the extent practicable,  
14 to reduce or eliminate any manual, immediate action for  
15 emergency procedure -- The plant is requiring operators  
16 to do certain things in a very short time scale. We're  
17 asking that the only thing that are really required, that  
18 no modifications have been made to make them automatic,  
19 and to remove that requirement from a short-term response  
20 of the operators.

21  
22 Number 12, should be providing a qualified  
23 instrumentation and control technician on duty on each

24 Right now they are not all required to have  
25 a technician on duty. From the experience that we got

1 Crystal River, had a technician been there, you would have  
2 been able to make the proper diagnosis, in our opinion,  
3 earlier than what had been and probably reduced the amount  
4 of loss of water.

5 The next one, recommending operators training  
6 provided on Crystal River event on each plant, considering  
7 the specific design of a nuclear instrumentation and inte-  
8 grated control system and analysis and procedure, how  
9 each plant is designed, and how each operator is directed  
10 to respond and he should be given this type of training.

11 14, B&W should develop the generic guidelines  
12 where the loss of the instrumentation and the control  
13 system.

14 15, there should be a one-week stimulator  
15 training for the operators as part of the re-qualifications  
16 program.

17 Some of the utilities are doing this right now  
18 as an option, which should be required.

19 16, the Staff in it's evaluation of the reactor  
20 coolant -- restart criteria for small breaks shouldn't  
21 continue continue when accelerated.

22 The Staff should review alternate solutions  
23 to the unreliability aspect of safety system challenges,  
24 the real concerns.  
25

1 This is an example, not to be --

2 MR. ZUDANS: But, before you take that out.

3 I am -- I'd like to have, if you could, explain the 9  
4 little bit more than 10.

5 What can you do and what's not being done right  
6 now under 9. This is no failures, in otherwords, during  
7 normal transient.

8 MR. TEDESCO: Go ahead, Brian.

9 MR. SHERON: On number 9, there was a recent  
10 letter issued out by B&W to their customers which put forth  
11 a number of proposed modifications that should be con-  
12 sidered by their customers to help minimize the shrinkage  
13 during reactor trips to keep the pressurize a little on  
14 scale.

15 The fixes that number 9 refers to are basically  
16 those which can be done, perhaps, in a short term, for  
17 example, using a set of taps on the pressurizer that are  
18 farther apart so that the level will indeed stay on scale.

19 I think that --

20 MR. ZUDANS: That means no physical change,  
21 just a change in indicator or indication?

22 MR. SHERON: Yes, sir, I think what we --

23 As we understand it, now, most of these tran-  
24 sients that have occurred, although the pressurizer level  
25 has gone off scale, all analysis indicate the pressurizer

1 has not drained.

2 This is -- This is one -- This is one possibility.  
3 The other is on the secondary side, the pressure relieves  
4 sub-points. When the plant trips and turbine stop valves  
5 close, the pressure immediately rides up and opens these  
6 release valves until the steam dumps can take over.

7 The temperature and pressure on the secondary  
8 side in turn control the temperature and pressure towards  
9 the primary side drop, so if the secondary side is raised  
10 up slightly, the primary side will be raised up slightly.

11 This in turn will reduce the amount of primary  
12 size shrinkage and hopefully tend to keep the level up in  
13 the pressurizer during initial stages in the transient.

14 These are a couple short-term actions which  
15 9, I guess, is geared to.

16 10 is --

17 MR. ZUDANS: Just on 9.

18 MR. SHERON: Okay.

19 MR. ZUDANS: Wouldn't you have said before,  
20 this point you have discovered, that such set points should  
21 have been already optimized with respect to pressurizer  
22 or the primary coolant system behavior.

23 In otherwords, they think that if they raise  
24 it, it will improve one thing. What will it hurt?  
25

1 MR. SHERON: Well, this is part of the  
2 evaluation that has to be done. One question I can think  
3 of off hand is by raising secondary side pressure at sub-  
4 points, one would have to take another look at actual  
5 circulation, for example, since the -- assuming a loss of  
6 off-side power or a loss of heat in the condensor, so that  
7 one must relieve steam through the exert relief valves, then  
8 they will be -- that the secondary side will be riding  
9 at a higher pressure, which means the primary side would  
10 ultimately come down to a slightly higher pressure than  
11 what's presently predicted.

12 So, this as an example would have to be looked  
13 at.

14 MR. ZUDANS: In otherwords, it's not just a  
15 blinding implementation. There's some study or some  
16 analysis being made?

17 MR. SHERON: Yes, we believe that any change  
18 of this nature would have to be accompanied by some sort  
19 of evaluation.

20 MR. ZUDANS: Okay. Now, on 10?

21 MR. SHERON: On 10, there are -- For example,  
22 sensitivity studies may show that -- But one of the things  
23 considered might be the location of the auxilliary feed  
24 water in a steam generator.  
25

1           The B&W plan of the lower loop -- lower loop  
2 plans, the auxilliary feed water enters into the steam  
3 generator at a relatively high elevation and sprays out  
4 through tubes.

5           This in turn, we feel causes some unquantified  
6 degree of over-cooling of the primary system, perhaps more  
7 than is necessary because you're exposing so much tube area  
8 to a cold secondary side, heat sink.

9           One part of the sensitivity may be to look at  
10 the possibility of adding auxilliary feed water through  
11 the main feed water nozzles and only having to add feed  
12 water at the high elevation through existing auxilliary  
13 nozzles, in the event there's some degradation with regard to  
14 natural circulation.

15           Obviously putting the auxilliary feed water in  
16 high, increases the thermal driving center from the steam  
17 generator. But, it also produces a very -- a potentially  
18 more severe secondary side over-cooling.

19           So, that's one part of the sensitivity. Another  
20 I'm vaguely aware of is the -- looking -- what -- I believe  
21 it's called the virtual mass tank, that might be attached  
22 to a once through type of steam generator which would  
23 provide additional mass, liquid mass to the steam generator  
24 in the event of any sort of feed water degradation.  
25

1 I don't know if the feasibility of such a  
2 system is still, I think, in question, and certainly needs  
3 to be evaluated.

4 MR. ZUDANS: If you added that, it would change  
5 the entire system completely, right?

6 MR. SHERON: Yeah. This is not something you  
7 want to rush into.

8 MR. ZUDANS: I thank you.

9 MR. CATTON: How long has that design in opera-  
10 tion? Could I ask again what the design basis for a  
11 pressurizer is? Somebody designed it, and what was the  
12 basis for that design?

13 Well, then -- Then I guess I don't understand  
14 why they go off scale all the time. Or, was it that the  
15 transients that it was designed to were too limited?

16 MR. TEDESCO: Well, going off scale doesn't mean  
17 it drained. It just hadn't gotten the indication of it.  
18 You've got water in there, and I think from the analysis  
19 of showing it, you don't necessarily drain the pressure.  
20 It's still functional.

21 MR. SHERON: The point -- You know, the pres-  
22 surizer doesn't drain on all transients or, I shouldn't --  
23 It doesn't even go off scale on all transients.

24 The ones we've seen have usually to some extent  
25



1           been, I guess you might say, helped along by some sort of  
2           over-cooling to some degree on the secondary side.

3                   MR. CATTON: Well, that's transient. So, over-  
4           cooling transients were not considered?

5                   MR. EBERSOLE: Doesn't the vendor have a set of  
6           design criteria for the pressurizer volume and the number  
7           of heaters and the amount of spray, et cetera, et cetera,  
8           et cetera, which will meet many transients but not meet  
9           other anticipated transients?

10                   I mean, there's a whole field of probability  
11           in anticipated transients and you're not gonna meet them  
12           all.

13                   MR. CATTON: I'm wondering which one it is they  
14           designed to?

15                   MR. TAYLOR: Jim Taylor from B&W. We certainly  
16           do have a set of design criteria, and one of the things  
17           I think that it's very very important for us to get across  
18           here, to understand today, is to clarify the perception  
19           that some people have when they say, well, why does the  
20           pressurizer level go off-scale all the time.

21                   It does not go off-scale all the time. We have  
22           looked at -- We are in the process of looking at 350 some  
23           reactor trips and we believe that at this time we have  
24           indication of 18 occurrences of off-scale behavior have  
25

1 happened. And it's usually when something has happened  
2 that was outside the design range that caused it to go off-  
3 scale.

4 So, in 90 percent of the time plus, you go through  
5 a reactor trip, and it does not go off scale. And the  
6 original design criteria were based on maintaining it on-  
7 scale for turbine trip, reactor trip type of transients.

8 MR. CATTON: So, that answers my question, then  
9 limiting transient or turbine trip, and reactor trip?

10 MR. TAYLOR: I believe that was the pressurizer  
11 basis.

12 MR. KARRASCH: Yes, the pressurizer basis was  
13 turbine trip and reactor trip and then about 25 percent  
14 margin over and above those transients.

15 MR. TAYLOR: If things like the safety valves  
16 or the atmospheric dump valves blow down a little further  
17 than they're supposed to, then you're gonna get a little  
18 bit more cooling in the primary system, a little more  
19 shrinkage in the primary system.

20 MR. CATTON: So, a 5 percent blowdown?

21 MR. TAYLOR: That was the design basis.

22 MR. CATTON: Reactor trip and turbine trip?

23 MR. TAYLOR: Yes.

24 MR. EBERSOLE: Do you have single track closure  
25

1 of the by-pass valves? The instrumentation of it, is it  
2 a single track instrumentation group that closes that by-  
3 pass and prevents overcooling?

4 MR. TAYLOR: Yes.

5 MR. EBERSOLE: Then the single track failure  
6 will give you overcooling from a locked open by-pass, right?

7 MR. TAYLOR: There are such failures -- Yeah,  
8 yes, sir, that's --

9 MR. TEDESCO: Going back to our number 17, which  
10 was alternative solutions to the PORV question, one of  
11 the licensees or the applicant provided a recommendation  
12 of what they considered to be an alternative solution to  
13 our approach, the NRV question submitted by Consumer  
14 Power Company.

15 And they're looking at -- filed by safety grade,  
16 PORV, and would have reliable safety reg indications of  
17 valve positions. There would be dual safety reg blocked  
18 valves with automatic closures for mal -- upon mal-function  
19 of the PORV.

20 They would complete the test program to dem-  
21 onstrate the valve operability. This is a test program  
22 that has been required as a result of the lesson learned  
23 task force requirement.

24 And then install a safety reg and sometimes  
25

1 install a trip, to tunnel off the feed water and along  
2 with it could be a restudying of the PORV of high pressure  
3 strip to the original value, if we remember that part of the  
4 short-term action from (UNINTELLIGIBLE) would have required  
5 that the PORV (UNINTELLIGIBLE) above the cram point.

6 And, as a result of this, we have seen greater  
7 evidence of a high challenge of the reactor protection  
8 system in the past year and alot of reactor trips.

9 And the concern that we had dealt with the PORV  
10 problem. So, Consumer Power Company felt that with an  
11 approach to upgrade the PORV guide and safety system, would  
12 enable them to then go back to the original test point,  
13 which was originally designed in the test, and we certainly  
14 are looking favorable upon the objection and the recom-  
15 mendation that we do indeed review this proposal for it's  
16 potential (UNINTELLIGIBLE).

17 MR. ZUDANS: Bob, could you explain a little  
18 bit this (UNINTELLIGIBLE) reactor trip in greater detail?

19 MR. TEDESCO: Well, right now we do have a trip,  
20 a turbine trip that is secondary, a requirement we put in  
21 for new owners by the plant.

22 And, because the B&W plant didn't have input  
23 to the reactor protection system, secondary site and  
24 services, we felt that that was one way of improving the  
25

1 response of the plant and reducing the challenges of the  
2 PORV. (UNINTELLIGILBE) -- trip in.

3 All the B&W plants that are operating today have  
4 a (UNINTELLIGIBLE) trip by the secondary.

5 Now, this one here is for a total loss of  
6 feed water.

7 Tom, do you want to say some more about the  
8 reaction by the owners in charge of it?

9 MR. NOVAK: I guess the question is what do we  
10 mean by anticipatory and I think that's what --

11 MR. ZUDANS: No, what you mean by it, I'd just  
12 like to hear the implications of having that thing, what  
13 does it do and what is suppose to prevent and what else  
14 it doesn't do?

15 What's your main reason for --

16 MR. NOVAK: It extends the dry-out time of a  
17 steam generator.

18 You remember the earlier discussion?

19 It's an element -- It's a suggestion that  
20 says I can anticipate that eventually I'm going to have  
21 a reactor trip if the transient continues because other  
22 parameters have been initiated, and the anticipatory trip  
23 then is just, in a sense, an early warning device. But  
24 to trip the reactor now, you're on the way to a transient  
25

1 which would result in reactor trip several seconds later  
2 anyway.

3 MR. ZUDANS: So you reduce the challenges to  
4 the PORV's, that's a positive indication?

5 MR. NOVAK: Well, it's --

6 MR. ZUDANS: Is it possible to have --

7 MR. NOVAK: It's attempt to dampen out the  
8 response in one sense. It dampens out the high response  
9 because by tripping the reactor very early, you preclude a  
10 buildup of energy in the primary system before you get  
11 the reactor tripped.

12 MR. ZUDANS: How do you conclude that you lost  
13 total feedwater, -- total loss of feedwater?

14 MR. NOVAK: Well, again, this is done basically  
15 -- There are some differences, from plant to plant, but  
16 basically, a signal is derived from the pump itself that  
17 says, pump this trip for some reason, you are not -- The  
18 pump is not operating and that initiates the trip.

19 It's not based on zero flow or some parameter  
20 of that nature. Now, that can -- One can look at different  
21 senses, different signals to sense loss of feedwater, that  
22 is one of the things we're looking at.

23 There have been experiences where you have  
24 lost -- you have had a loss of feedwater without the  
25

1 specific signal being initiated.

2 In otherwords, if you close a valve, the pump  
3 is running, you did not initiate a single trip, the reactor  
4 says I've lost feedwater and yet indeed you could have  
5 lost feedwater because the valve closed on the downside,  
6 on the downstream side of the pump.

7 So, I don't know that it's that important. We  
8 think it adds. The experience suggests that most feed-  
9 water transients, loss of feedwater transients are related  
10 to the performance of the pump.

11 The pump tripped off more often than other  
12 things, but that doesn't include all events, so therefore  
13 you must recognize by just going to the pump, you permit  
14 the possibility of other feedwater transients being initiated  
15 for which that specific signal would not cause a reactor  
16 trip.

17 MR. ZUDANS: And in that case you would have a  
18 reactor trip say 3 seconds or so later, anyway?

19 And these three seconds are enough to close or  
20 not to close the PORV's to open it?

21 MR. NOVAK: No, that's not correct either.  
22 In today's operation, you can rely on the high pressure  
23 signal, which is the safety grade signal, the primary  
24 coolant system high pressure signal is set low enough  
25

1 that even for that transient we've just identified, the  
2 pressure response would turnover before you got to the  
3 PORV system, they're set far enough apart.

4 MR. ZUDANS: In that case, what is the point  
5 of this anticipatory trip if the PORV's are set higher  
6 than the ample trip, the reactor will trip anyway?

7 MR. NOVAK: It's an attempt to dampen out, to  
8 reduce the swing of the way the system responds. It's  
9 not safety grade, so -- I can't argue that without it  
10 the plant is unsafe.

11 What I'm saying is that it's an attempt to  
12 add more defense in depth. By going to an anticipatory  
13 trip, you're just going after the problem a little earlier.

14 MR. ZUDANS: Okay, I accept that now.

15 But that raises another question. What are the  
16 hazards associated with this anticipatory trip? Have you  
17 analyzed all the possible hazards?

18 MR. NOVAK: Again, hazards would require a  
19 definition. I would include the fact that it's probably  
20 at least -- would suggest that you might result in -- You  
21 might have some additional reactor trips just because  
22 a sperry signal could be generated. Indeed the pumps did  
23 not trip off, but the signal suggesting that the pumps  
24 tripped off was generated and which caused the reactor  
25



1 trip.

2 So, you may have -- That may be one of the  
3 prices you pay for this kind of a signal. Now, we've  
4 always faced that situation in any kind of a device you  
5 are anticipating, you must assume that it's possible for  
6 it to come on when it shouldn't have.

7 MR. ZUDANS: By asking for this anticipatory  
8 trip, you reduced the swing of the transient which you  
9 predefined as a reason for this anticipatory trip, yet  
10 you may have produced another transient that has a lot  
11 larger swing, like you trip reactor from full power, every-  
12 thing running.

13 MR. NOVAK: No, because that's the same thing,  
14 with or without the pump. If I trip the reactor out,  
15 I may have an overcooling, that's what I'm probably going  
16 to end up with, because I haven't lost feedwater, but I  
17 sense the loss of feedwater.

18 MR. EBERSOLE: Bob, before you go to the next  
19 slide, item 1, those 4 words, I think there can be a world  
20 of confusion buried in those words, -- Safety grade, PORV,  
21 what does it mean? Are they safe in the context of  
22 opening? Are they safe in the context of closing?

23 Do they have qualified external wiring and part  
24 supplies? What does that really mean?  
25

1 MR. TEDESCO: Whenever you (UNINTELLIGIBLE)  
2 a valve, you cannot establish QA practices on the pedigree  
3 of --

4 MR. EBERSOLE: So, it'll get a pedigree?

5 MR. TEDESCO: A pedigree, yes. And the other  
6 part deals with the system to actuate the proposal, be  
7 single failure proof.

8 MR. EBERSOLE: Well, from item 3, I gather that  
9 it is thought to be safe in aspect to opening, that it is  
10 has pedigree aspect to opening, but apparently somebody's  
11 suspicious to whether it will close or not, so they put  
12 a couple redundant valves behind.

13 MR. TEDESCO: You know, you're really gonna go  
14 all the way, but I certainly see 279, and it maybe needs  
15 more than one PORV.

16 MR. EBERSOLE: Yes, right. I mean, obviously  
17 since it's stated in the singular there, it can fail of  
18 itself.

19 MR. TEDESCO: Therefore with dual block valve,  
20 you have single failure protection to insure the isolation,  
21 yes.

22 MR. EBERSOLE: But there may be cases where  
23 you want guaranteed opening. For instance, if you con-  
24 template bleed feed, you've got to open.  
25

1 MR. TEDESCO: No, a single failure that's gonna  
2 prevent this from functioning in the way it's intended.

3 MR. ZUDANS: Just one more question. In your  
4 estimate, going back to the original set point on PORV's  
5 and reactor trip, with the anticipatory reactor trip, do  
6 you think that oral SCRAM numbers will be reduced as they  
7 are -- compared to what they are now?

8 MR. NOVAK: We have someone that has more factual  
9 data than I have and I'll let him speak.

10 MR. QUICK: My name is Don Quick from region 2.  
11 I think there's a section in our report that addresses  
12 that and I think the answer to that question lies in the  
13 trip data that was analyzed pre-TMI.

14 I don't think anything that we're doing here  
15 with this anticipatory loss of feedwater trip is going to  
16 change the frequency of the trip occurrences significantly.

17 MR. ZUDANS: You also -- According to Item  
18 6, you also want to change set points on PORV and the  
19 reactor.

20 MR. QUICK: That's correct, we want to --

21 MR. ZUDANS: That will eliminate, or let's say,  
22 make the trips less frequent. The anticipatory trip will  
23 make them more frequent, the question is what is the balance,  
24 are you going to in average increase the number of trips  
25

1 or reduce, as compared to current -- current setting,  
2 without anticipatory trip?

3 MR. QUICK: I understand your question and my  
4 response is that we do not see the anticipatory total  
5 loss of feed water reactor trip signal which as being one  
6 which is going to generate a significantly higher number  
7 of trips that would not have occurred otherwise.

8 The plant was never designed to ride out a total  
9 loss of feedwater.

10 MR. ZUDANS: Okay, okay.

11 MR. QUICK: It was, however, designed to ride  
12 out load rejections, which is what we're attempting to do  
13 here.

14 MR. ZUDANS: Okay. That means that you will  
15 essentially return to a number of SCRAMS that are somewhat  
16 compatible to what was the (UNINTELLIGIBLE).

17 And that means reduction to what exists now,  
18 is that?

19 MR. QUICK: As we see it today, by atleast a  
20 factor 2, or greater --

21 MR. ZUDANS: That is then the real reason for  
22 this anticipatory trip, as I can see it, a real good reason.

23 Okay, thank you.

24 MR. ETHERINGTON: We are falling very much  
25

1 behind schedule. We haven't had our 10:30 break.

2 Go ahead, please.

3 MR. TEDESCO: I'm through. The last item on  
4 this one here is number 18, that we're recommending that  
5 we finish up our Crystal River (UNINTELLIGIBLE) review and  
6 assess the impact on the B&W plant, they could find these  
7 results.

8 Some general areas for improvement they talk  
9 about was -- I mentioned earlier about the need to  
10 develop some performance criteria on a uniform basis for  
11 all reactors to deal with anticipated transients, are  
12 important based on examples, that we have some indication  
13 of what our safety was, and they deal with the availability  
14 -- They deal with the issue that you should not actually  
15 engineer safety features or transient -- a couple of  
16 examples.

17 And then as far as the tripping of the (UN-  
18 INTELLIGIBLE), I can continue that study, (UNINTELLIGIBLE),  
19 recommended by (UNINTELLIGIBLE).

20 21, about the location of **the water going** into  
21 the steam generator from the aux feed water, -- an evaluation  
22 of whether we're doing the best thing by putting them in  
23 at the top, maybe the bottom's better.

24 22, we have come up with some preliminary findings  
25 that there appears to be a number of LER's due to operator

1 error on the B&W plant that appears to be higher than  
2 others and we're -- We want to look into that a little more.  
3 That's something that we would look at as a Staff.

4 Now, the last line is just a summary of our  
5 task force present situation. Recommendations, we have  
6 22 of them. We believe that the instrumentation of these  
7 recommendations along with what's going on already in the  
8 task force and lesson learned (UNINTELLIGIBLE), to improve  
9 the safety of the plant, our recommendations on the task  
10 force should be included in the reaction plan. We find  
11 to continue plant operations permissible, however we're  
12 expediting task force action regarding their operators  
13 training, (UNINTELLIGIBLE) -- implemented right away,  
14 based upon our Crystal River 3 event evaluation.

15 (UNINTELLIGIBLE) -- at Crystal River that when  
16 they come out and be evaluated and applied where applicable  
17 to all the operating plants, and that we at NRC should  
18 be (UNINTELLIGIBLE) in our review of the Crystal River 3  
19 event, as well as a licensing response and the licensing  
20 response to the NRC letter of March 6 by Crystal River.

21 Now, that summarizes where we are on the task  
22 force. A question earlier came up of what we're gonna  
23 do about section 7, how we go about evaluating it,  
24 (UNINTELLIGIBLE) reduction potential, and I wonder if I  
25

1 could call on Frank (UNINTELLIGIBLE) --

2 MR. ZUDANS: Could I ask another question before  
3 that?

4 Is your item 21 actually a part of item 10?

5 MR. TEDESCO: Yes.

6 FRANK ?: My name is Frank (UNINTELLIGIBLE)  
7 in probablistic analysis --

8 MR. ETHERINGTON: I think we better have that  
9 missing break first. All right, 10-minute break.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

4/1

1 MR. ROWSOME: You would like me to proceed.

2 CHAIRMAN ETHERINGTON: Yes.

3 MR. ROWSOME: My name is Frank Rowsome with the  
4 probabilistic analysis staff. We have been collaborating in  
5 the effort to address the B&W sensitivity issue in several  
6 ways.

7  
8 A member of the probabilistic analysis staff has  
9 been working on the Tedesco task force of Mark Cunningham.  
10 In addition we are now in the concluding phases of a  
11 small scale probabilistic safety analysis effort on the  
12 Crystal River Plant, which has been going on since last  
13 November, and which had among its original goals to be, first  
14 of all, a prototype of the IREP studies of the intergrated  
15 reliability evaluation program studies.

16 And second of all, to address the sensitivity  
17 issue as it was then perceived in the fall of last year.

18 At this point we are expecting to have a pre-  
19 liminary draft of that study at the end of the month.  
20 Joe Murphy is scheduled, I believe, the schedule we saw had  
21 him on about 1:30 or 2 o'clock this afternoon. He will be  
22 around after lunch to give you preliminary indications of  
23 the risk picture emerging from the study of Crystal River.

24 And the third facet of their effort to address this  
25 issue is an effort within PAS itself to evalute the risk



4/2  
1 reduction effectiveness of the 22 recommendations that the  
2 task force has put forth, and ultimately and probably on  
3 a longer time scale, to use the framework of eventury  
4 analysis that is emerging from our study of Crystal River to  
5 identify LIQUENI in these recommendations--places where they  
6 do not get to substantial risk reduction. There are areas  
7 in which the probability of core damage might still be high  
8 after those recommendations are in place will attempt to  
9 identify those with the aide of the eventury and system  
10 reliability framework produced in the study of Crystal River.

11 DR. ZUDANS: I understood that this study did not  
12 include all the environments. Like is not part  
13 of it.

14 MR. ROWSOME: That's correct.

15 DR. ZUDANS: So, that's not an integrated reliability  
16 study.

17 MR. ROWSOME: Yes. Interim, as we've discussed --

18 DR. ZUDANS: Agreed at the other meeting.

19 MR. ROWSOME: -- before. Agreed in the other  
20 meeting. Yes.

21 Joe Murphy's slated to talk to you about it this  
22 afternoon, and so I think unless you have questions dealing  
23 with other than our study of Crystal River, it might make  
24 sense to go on since we're behind schedule already.  
25

4/3

1 MR. NOVAK: Mr. Etherington, oh, are we going  
2 to --

3 CHAIRMAN ETHERINGTON: Well, Joe Murphy was  
4 scheduled for this morning.

5 MR. NOVAK: Okay.

6 I think the thing, then, now is to go -- move  
7 over into the utility area and let the licensees --

8 CHAIRMAN ETHERINGTON: Okay. That's Mr. Taylor  
9 then? From B&W; is that right?

10 MR. TAYLOR: I think Mr. Domeck from Toledo  
11 Edison was interested in speaking next.

12 CHAIRMAN ETHERINGTON: Okay.

13 MR. DOMECK: Mr. Chairman, I'm Chuch Domeck,  
14 Davis-Besse, Unit 1, Nuclear Project Engineer, Toledo  
15 Edison Company. With me today are Terry Murry, Davis-Besse  
16 station superintendent and Fred Miller, plant nuclear  
17 systems engineer.

18 I appreciate the opportunity to meet today with  
19 the subcommittee and hear the discussion by the ACRS Staff  
20 and the NRC staff and to provide our brief comments.

21 As you know, we received copies of the  
22 Reg 0667. Transient response of B&W design reactors on  
23 Thursday, April 3rd. We have reviewed the report and  
24 consider it a commendable effort, especially because of the  
25

1 short time available between March 12th and April 2nd.

2 The report is quite generic, and we believe should  
3 be more plant specific. And several of the major 22  
4 recommendations in Section 222, Davis-Besse already meets  
5 the recommendations in whole or in part.

6 It appears to us that the NRC staff has not yet  
7 reviewed our response to Crystal 3 -- Crystal River 3  
8 incident of March -- I'm sorry, of February 26th. There  
9 are three letters in the docket on there.

10 We find some overlapping of the recommendations  
11 and will obviously require further discussion with the  
12 NRC staff to define a scope for summer conditions.

13 We believe there should be active owner participa-  
14 tion in the preparation of Section 7. Implementation of  
15 Recommendation based upon risk reduction potential.

16 I believe Section 7, draft, will be available  
17 the week of April 14, and a meeting with the B&W owners  
18 scheduled on April 23rd. We believe these items might be  
19 in reverse order.

20 We obviously would like to provide our input on  
21 the implementation schedule. As we indicated to the staff  
22 on April 3rd, with respect to recommendation 3, we are  
23 planning to install a diesel generator driven auxiliary  
24 feedwater pump at Davis-Besse 1. This is consistent with  
25

4/5

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

our July 6, 1979, letter from Mr. Denton's authorization to resume power operation. And it is consistent with staff recommendation 3 dated today.

We agree with the ACRS staff position on re-looking at turbine trip in the anticipatory active trip system. We reference that as recommendation 17e.

We suggest that the owners actively participate in the establishment of plant performance criteria for anticipated transients in the four areas mentioned in the report. We are prepared to work in cooperation with the NRC staff and the support task. The new requirements that are not intermittently significant can -- can detract from protecting the public health and safety and it could be counterproductive to overall safety.

Mr. Chairman, I appreciate this opportunity. And I'm prepared to answer your questions.

DR. ZUDANS: On this -- you said you are going to install diesel generators driven on auxiliary feedwater pump. That's to satisfy the diversity requirement you made reference to in item 3; right?

MR. DOMECK: Yes, sir.

DR. ZUDANS: How quick can it start when you need it? How quickly can it be started?

Or is it -- is it to run continuously, or what?

4/6

1 MR. DOMECK: Fred.

2 MR. MILLER: Well, less than 10 seconds

3 DR. ZUDANS: If the diesel -- if the diesel starts?

4 MR. MILLER: I -- excuse me. What did you -- I  
5 didn't catch that.

6 DR. ZUDANS: I said if the diesel starts.

7 MR. MILLER: Well, we are assuming the reason why  
8 we lost the two other auxiliary feed pumps is because those  
9 diesels didn't start. How many diesels don't start?

10 DR. ZUDANS: I guess I cannot answer that ques-  
11 tion. You know the answer better than I. But that means that  
12 you're putting now in a better perspective. You have already  
13 two diesels that failed to start, and you have a third one.  
14 And they are kind of totally independent systems.

15 MR. MILLER: Totally independent. This will be  
16 a totally independent of their existing auxiliary feedwater  
17 pumps piping into the feed generator.

18 DR. ZUDANS: And if the third one doesn't start,  
19 then you just have a normal feedwater loss transient; right?

20 MR. MILLER: Well, it's not normal when we lose  
21 both main and three auxiliary feed pumps.

22 This is a backup system to the presently totally  
23 safety grade auxiliary feedwater system that we have.

24 DR. ZUDANS: Now, I am just trying to understand.  
25

1 Now, I'm not critical, please, don't misinterpret this.

2 Your other feedwater pumps run on what power now?

3 MR. MILLER: They're turbine driven. That's  
4 why we are going to a diverse drive for the third pump.

5 DR. ZUDANS: Turbine driven. That's for the main  
6 feedwater?

7 MR. MILLER: No, auxiliary feedwater.

8 DR. ZUDANS: Where --

9 MR. MILLER: The main is turbine driven also.

10 DR. ZUDANS: Where did the other two diesels  
11 come in then?

12 MR. MILLER: They are used for providing the AC  
13 power or auxiliary for the auxiliary feed pumps that pre-  
14 sently are available.

15 DR. ZUDANS: For the auxiliaries for the auxiliary  
16 feed pump.

17 MR. MILLER: That's right.

18 DR. ZUDANS: And this additional feedwater pump --  
19 water pump, diesel driven, will have its own auxiliaries --

20 MR. MILLER: Correct.

21 DR. ZUDANS: Okay. Thank you.

22 CHAIRMAN ETHERINGTON: Are there any further  
23 questions?

24 Thank you very much --  
25

/10

1 MR. DOMECK: Thank you.

2 CHAIRMAN ETHERINGTON: -- Mr. Domeck.

3 I understand that some of the utility people  
4 may have a problem with the train schedules this afternoon.  
5 If this is the case we'll be happy to reschedule the items  
6 on the agenda.

7 Does anyone have problems?

8 MR. TERRILL: We have to leave about 4:15. TVA.

9 CHAIRMAN ETHERINGTON: That's -- that's -- the  
10 TVA. The TVA. You're scheduled last, and we'll have  
11 your presentation immediately after lunch then.

12 MR. TERRILL: All right, sir. Thank you.

13 CHAIRMAN ETHERINGTON: The next item on the --  
14 is Mr Taylor planning to make a presentation here?

15 MR. TAYLOR: Yes, sir.

16 Peter Tam admonished me that we didn't really  
17 have to speak, but if we wanted to we could. And if it  
18 only took one minute, why, that would be okay because we  
19 are behind.

20 B&W doesn't have a very lengthy comment to make.  
21 But we did want to say a few words about the report about the  
22 staff's efforts. I just want to make some general comments  
23 about the overall effort that's going on in connection with  
24 the sensitivity issue. Then, we wanted to make some general  
25

1 suggestions, or specifically a general suggestion with regard  
2 to an orderly process for moving forward on the resolution  
3 of the sensitivity issue. And then the third thing was to  
4 make some very brief comments in a few areas about the report  
5 itself.

6 And to just make sure that comments that will  
7 come in a minute or so are misunderstood, I just want to  
8 say at the outset that we are very supportive of all of  
9 the efforts that have gone on in the last 3 or 4 weeks.  
10 We think that the staff's efforts are very commendable. I  
11 think the efforts that went on in that two week -- two-and-a-  
12 half week period are of yeoman style and they turned out  
13 a good report in general.

14 We do have some concerns about it, and I'll talk  
15 about that. And I also want to commend the fellows for  
16 their report. I think they did a very balanced investigation,  
17 and we look forward to getting a copy of it in its final form.

18 I think the most widely learned lesson that the  
19 industry has -- has gotten out of the TMI incident is that  
20 we should pay attention to things that are happening in the  
21 field, and particularly to things that involve actual  
22 operating transients that have some significance.

23 And we believe that these -- by paying close  
24 attention to these events like the Crystal River event and  
25



12 1 like other transients that are of significance, we can learn  
2 lessons, and they can become a springboard for good,  
3 corrective action. And we support this idea of paying closer  
4 attention to the actual transients that are occurring in the  
5 field.

6 Now, the staff, is obviously, on the basis of  
7 the report that has been discussed here this morning by  
8 Bob Tedesco, the staff is obviously paying a lot of attention  
9 to these types of transients, and particularly those of  
10 greater significance.

11 The staff is currently placing a lot of emphasis  
12 on the imbalance between the primary and the secondary  
13 systems in the B&W plants. And this ties into the responsive-  
14 ness issue. Now, as increased attention is paid to this  
15 sensitivity issue, we feel that an orderly way to go about  
16 the process would be in a -- in a simple three-step manner.

17 First of all -- not first of all, but very early  
18 in the process, we feel that it's very important to get  
19 on the table a set of criteria that everybody can agree to  
20 and work for. Then, we know where the target is that we're  
21 shooting at.

22 And the second thing that we need to do is to  
23 use those criteria and -- and the criteria I'm talking  
24 about now are the criteria by which you would define  
25

4/13

1 acceptable sensitivity or acceptable insensitivity; however  
2 you want to define it.

3 But to define the criteria so that we can look  
4 at each of the things that we might be doing in the way of  
5 plant changes in an integrated way and to look at both the  
6 pros and cons of them and look at them in a cenogistic way  
7 and not just individually.

8 And then the second thing after establishing the  
9 criteria would be to go back and look in depth -- or in  
10 sufficient depth at the actual operating experiences so that  
11 you can see how the plants are operating in -- in comparison  
12 to this criteria. And then utilize the results of the  
13 actual plant operating experience review in comparison to  
14 the criteria to decide what kinds of changes are most effective  
15 and which ones will bring about the most -- most significant  
16 improvement in safety and operation.

17 Now, we clearly expect and -- and we see signs  
18 of it already and -- and in many areas we support these  
19 efforts. We fully expect -- we can see that the staff is  
20 developing criteria that, as Bob Tedesco discussed this  
21 morning, that are beyond the existing regulatory criteria.

22 And so the idea for these criteria is that  
23 eventually they are going to led to changes.

24 I think also just on the basis of the pure fact  
25

4/14

1 that the task force did turn out this very significant amount  
2 of work in a short period of time. And as a matter of fact,  
3 Bob mentioned it, this is not going to be the end of the  
4 road for criteria changes or for physical changes.

5 And so we think that it's important as these  
6 criteria are finalized that they contain really two elements.  
7 They contain both the element of what's acceptable or  
8 unacceptable and also since we are talking about events that  
9 are going to happen in the field, that there is going to be  
10 a certain frequency in which the criteria that you would  
11 establish for these moderate frequency transients -- are  
12 going to be exceeded.

13 I think we need to recognize that.

14 We are -- we don't want to give the impression  
15 that the events Crystal River and other significant trans-  
16 ients should not be tended to. They really should. But  
17 there are going to be events like that, and there are going  
18 to be Perry Island tube ruptures, and there are going to  
19 be North Anna events, and there are going to be other  
20 events--Brunswick transient events and so on, B&W plants  
21 are going to have transients. I think as we establish these  
22 criterias say, okay, now, we are going to look forward  
23 to a long-term resolution of the sensitivity issue. We  
24 need to recognize that there are going to be some times when  
25

/15

1 these criteria that we agree upon, or are imposed on us,  
2 are going to be violated.

3 Now, as a result of looking at the experience  
4 of -- in the field, we think that these criteria can be  
5 made more meaningful, and we think that there is sufficient  
6 experience on the table right now, or in back of us right  
7 now to cover a pretty broad spectrum of anticipated transients.

8 We think that in the staff's report in new  
9 Reg. 0667 there's a very significant step forward in  
10 terms of developing the required criteria. And we also  
11 can see that these criteria have some far-reaching implica-  
12 tions. If we talk about -- if we start talking about  
13 changing auxiliary feedwater systems from what they are now  
14 to safety grade systems and other things like that, these  
15 criteria can have some very far-reaching implications. And  
16 we think that we must try, at this point, to make the  
17 criteria complete and to make sure that we are able to  
18 measure success or failure in meeting them.

19 We have not yet review new Reg. 0667 in depth,  
20 but we do believe that it presents a balanced perspective  
21 on the sensitivity issue and on the once-through steam  
22 generator in general. And we believe that this balanced  
23 prespective is very important.

24 We feel it's important to recognize that the  
25

/16

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

B&W NSS's have a good history of thermally efficient -- thermally efficient performance; a good history of load following capability; and a good history of tube integrity. And those are all very important issues.

The OTSG does represent a close coupling between the primary and secondary system. And this is by design. And it is one of the intended advantages of the OTSG. But because of this characteristic it is very important to have properly controlled and available feedwater.

Now, we have made a number of specific recommendations to our utility customers to improve plant performance in light of Crystal River and other transients. And the utilities are currently evaluating these recommendations for plant specific applicability. And as time goes on they will get cranked into the plant in the form of changes as they are appropriate.

Now, one of the other things that we want to make sure is recognized is the fact, and this will come out more in this afternoon's discussion on the part of the plants that are under construction, that there are very significant differences between the plants that are in operation and the plants that are under construction. The plants that are under construction now already have many of the features that Bob Tedesco and the task force addressed to this

4/17

In the form of the older -- the operating plants, many of the customers, all of the customers as a matter of fact, are reviewing the recommendations that we have made. They are reviewing their own assessment of the Crystal River event, and are making changes that will improve the availability and the controllability of the auxiliary feedwater system.

Now, we believe that one of the things that has happened, and we think the ACRS -- that both the subcommittee and the full committee can make a very valuable contribution here. We believe the performance of the B&W NSS has been distorted in many respects. We think there is a general perception on the part of a lot of people that the pressurizer level does go off scale everytime the plant goes through a transient. And that that's -- that's wrong. And in this respect I commend both the task force report and the fellows' comments this morning in presenting this in a very objective and balanced way.

I think the ACRS can make a contribution in this area toward keeping the performance of B&W NSS which has its very significant advantages in proper perspective.

Now, Bob Tedesco made a comment this morning that -- he said, "I hope that industry and -- including B&W and the utilities will take the lead in establishing some

18  
1 criteria."

2 We intend to do this. And you know, if you talk  
3 about the -- the sensitivity issue, it started off quite  
4 a number of months ago with the concern about pressurizer  
5 level going off scale. The pressurizer level has gone off  
6 scale. And in some of those cases where the pressurizer  
7 level has not gone off scale, operator action has kept it  
8 on scale.

9 But we need to establish some criteria that  
10 we can work toward for what is acceptable behavior for  
11 these kinds of events. Is it acceptable, for example, for  
12 the pressurizer to go off scale never, or not at all, or  
13 one second off scale, or ten seconds off scale, or whatever.  
14 Right now we have no clear target to shoot at. And I  
15 think that we mutually need to agree that -- on criteria  
16 that would represent acceptability. Is it acceptable, for  
17 example, for the -- for one steam generator to dry out.  
18 We don't see any particular safety significance to that  
19 at all. But it is their -- is that going to be the target  
20 we shoot at or is it necessary that neither steam generator  
21 ever dry off for certain classes of transients.

22 Well, in reviewing the performance of our plant,  
23 we had -- we would like to take a first cut at identifying  
24 some criteria which we think constitute normal behavior.  
25

19 1 And those criteria fall into six items. And some of them  
2 are very much the same as those that are in the task force's  
3 report.

4 The first one is that the reactor coolant system  
5 pressure remains above high pressure injection automatic  
6 actuation point.

7 The second one is that the reactor coolant system  
8 pressure remains below the set point of the code safety  
9 valves.

10 The third one is that the reactor coolant system  
11 temperature does not decrease at a rate which exceeds the  
12 tech spec limits.

13 The fourth one is that the reactor coolant system --  
14 the reactor coolant itself is contained within the reactor  
15 coolant system and the quench tank.

16 The fifth one is that the indicated pressurizer  
17 level remains on scale.

18 And the sixth one is that the indicated OTSG  
19 level remains on scale.

20 Now, we have, as I mentioned earlier in commenting  
21 on Dr. Catton's -- or Mr. Ebersole's questions about  
22 pressurizer design criteria, we have underway a review of  
23 346 trips on B&W plants. These trips cover the period  
24 all the way from startup. They don't just start at  
25



1 commerical operation, but they cover the period all the  
2 way from startup -- up to very recent times.

3 And our review indicates that in 90 percent of  
4 the cases those -- those criteria that I just mentioned  
5 were met.

6 Now, that -- that's an ongoing review and I -- I  
7 don't want to give you the impression that it's all done; it's  
8 not.

9 But -- and in those cases where performance has  
10 been outside those criteria, in many cases some actions  
11 have already been taken to minimize the possibility that  
12 those criteria would be exceeded again, and in other cases the  
13 activities or actions are being studied that would help to  
14 keep more of the post-trip behavior within those criteria.

15 Now, many of the actions -- yes, Mr. Ebersole?

16 MR. EBERSOLE: Could you comment on the time  
17 frequency of the 10 percent that -- or you -- where you didn't  
18 hold the fixed criteria? Was it once -- once a year, once  
19 every two years? What is it?

20 MR. TAYLOR: Bruce, can you comment on that?

21 You're talking about on a particular plant?

22 MR. EBERSOLE: Well, whatever. You -- you said  
23 in 90 percent of the cases you did this. What is suggested  
24 as a frequency distribution of some sort?  
25

/21

1 MR. TAYLOR: Can you comment on that, Bruce?

2 MR. KARRASCH: Well, a good number of the  
3 abnormal occurrences occurred during the initial startup  
4 of our first plant. The OTSG dryouts, for instance, were  
5 quite prevalent on the OCONEE 1 unit during the initial  
6 year of startup. On the loss of indicated pressurizer  
7 levels have occurred on one or two of the plants during  
8 the early -- during the early years.

9 MR. EBERSOLE: So, that even a second time  
10 distribution --

11 MR. KARRASCH: Right. Right. We haven't  
12 done enough analysis to date to specifically answer your  
13 question. But I think the trend is like I just described.

14 A VOICE: I think he's also referring to your  
15 overall figure, I believe, it was .7 trips per reactor  
16 year.

17 MR. EBERSOLE: Thank you.

18 MR. TAYLOR: Okay.

19 Many of the actions that have -- that have been  
20 taken or are to be taken to try to bring more of the post-  
21 trip behavior into the -- inside these criteria have been  
22 previously described both orally and in writing to the  
23 staff and to the ACRS. Some of them were discussed, and  
24 you'll hear some more about that this afternoon from the  
25

4/22

1 utilities who have plants under construction. Things to  
2 improve the auxiliaries for the main feedwater system, the  
3 offspeed water reliability and so on.

4 And we clearly support these efforts.

5 Now, in the -- the final part of my comments  
6 would deal with some specific items in the report which  
7 we have not reviewed the report in depth. We got it last  
8 Thursday, and we have intentions to review it more in detail,  
9 but generally we believe the report is -- presents a balanced  
10 perspective. We think that there is merit in all of the  
11 recommendations and that they should be given serious  
12 consideration.

13 We believe that the criteria type items need  
14 further development as mentioned earlier. And that they  
15 represent an essential early step in the orderly resolution  
16 of the sensitivity issue. The criteria have got to be  
17 developed now, or we do run the risk of putting in some  
18 piecemeal items which we would later feel were unwise.

19 We support the effort that Frank Rowsome talked  
20 about, which will be described in the final version of  
21 Chapter 7 regarding a risk assessment prioritization of  
22 whatever actions are to be taken, and we, like Toledo-Edison,  
23 believe that both B&W and the utilities can make a meaningful  
24 contribution to this prioritization effort. And we certainly  
25

4/23

1 would hope to be able to get involved in that before the  
2 information is published in final form.

3 And also we support a reliability oriented  
4 upgrading of auxiliary feedwater systems as opposed to just  
5 safety grade type classification upgrade. And we believe  
6 that this is the staff's intent to do this. That -- and we  
7 think that that's the only practical way to do it in view  
8 of the fact that all the auxiliary feedwater systems are  
9 in non-scismic buildings and so on.

10 We believe, also, that emphasis should be  
11 placed on improved main feedwater system performance; again,  
12 along the lines of some of the things that the -- that the  
13 ACRS and the staff have already heard from from the utilities.  
14 And what we are saying really is that we believe that  
15 prevention should be given equal emphasis to mitigation  
16 so that we do not concentrate too much effort -- or concentrate  
17 an excessive amount of attention on the offspeed water system  
18 to the exclusion of the main feedwater system, but rather  
19 try to do things that would make the offspeed water system  
20 itself less important as improving the reliability of the  
21 main feedwater system.

22 So, in summary, then, we would hope that the  
23 ACRS would support the need for the development of a  
24 comprehensive set of criteria to resolve the sensitivity  
25

1 issue. We would hope that they would underscore the  
2 importance of a balanced per -- perception of the behavior  
3 of the B&W NSS. And we also support the position that was  
4 taken by the staff in Mr. Denton's January 22 letter that  
5 Mr. Etherington read at the beginning of the meeting which  
6 says we don't believe that there's any basis at all for  
7 stopping construction on the plants that are under construction  
8 right now.

9 Sorry, Peter, I took more than one minute.

10 CHAIRMAN ETHERINGTON: You -- do you want to  
11 clarify one thing for me. Regarding the level range. The  
12 taps on nearly all of your plants, I think, are made close  
13 to the knuckle on the -- between the hemispherical heads  
14 and the cylindrical parts.

15 MR. TAYLOR: The taps on the -- I guess it's  
16 about half of the units, have a 400 inch range in dimension.

17 CHAIRMAN ETHERINGTON: That's right. Now, you  
18 have that potential range. Do I understand that you don't  
19 have that range on your indicators?

20 MR. TAYLOR: Oh, yes. The -- the --

21 CHAIRMAN ETHERINGTON: Oh, well, then that --

22 MR. TAYLOR: The taps -- the indicators cover  
23 the full range of the taps.

24 CHAIRMAN ETHERINGTON: Okay. That -- that  
25

1 answers it.

2 Well, you might continue. Well, what -- what  
3 about the other plants that don't have this 400 inch range?

4 MR. TAYLOR: Let me describe it to you very  
5 briefly. Several plants have a 400 inch range. The -- all  
6 the 177 fuel assembly B&W plants have the same pressurizer  
7 with the exception of the level indication range. There  
8 are two different ranges. The earlier plants have a 400  
9 inch range. The later plants have a 320 inch range, but the  
10 configuration of the vessel is exactly the same. As you  
11 go to the 205 fuel assembly plants, the taps are on the  
12 hemispheres. So, it covers the -- essentially the full  
13 pressurizer. So, we went through a period in the middle  
14 where we shrunk the visible range; didn't change the con-  
15 figuration, and then enlarged both the volume and the  
16 visible range on the later plants.

17  
18 CHAIRMAN ETHERINGTON: And those were the 320  
19 inch range. The last ranges were equally divided between  
20 the upper and the lower part?

TIME 5/1

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. TAYLOR: I think it is primarily off scale and low.

MR. KARRASCH: Well, when Jim mentioned the number 18 before which is the total we have already found as far as loss of indicated level, he was talking about loss of indicated level low.

CHAIRMAN ETHERINGTON: Yes, I understood that.

MR. KARRASCH: And of those loss of indicated level low over 90% of them have occurred on the plants with the shorter range.

To answer your question, the invisible range over the 320 inch plants is approximately in the middle of the pressurizer vessel.

MR. ETHERINGTON: Is approximately what?

MR. KARRASCH: Approximately in the middle of the pressurizer vessel.

MR. TAYLOR: So when the range was reduced it was taken half from top and half from the bottom.

Thank you.

CHAIRMAN ETHERINGTON: Thank you, Mr. Taylor.

Okay, go right ahead.

MR. ROWSOME: It occurred to me in response to Jim Taylor's mentioning the seismic issue that PAS has prepared a recommendation on seismic qualification.

Our feeling is that one does need a system

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

or a repair of redundant systems that are capable of cooling the core in the event of a seismically induced loss of mainfeedwater.

We think it would be perfectly satisfactory to use feed and bleed under those circumstances but you would probably have to assure that the high pressure safety injection system were qualified to function in that mode.

Some system must be available to address loss of feedwater in the event of a seismic event.

It need not be the auxiliary feedwater system. We will recommend that the utilities be given a choice of qualifying either feed and bleed or emergency feedwater as the success path for that event.

CHAIRMAN ETHERINGTON: It seems my agenda doesn't seem to mean very much, none of the names are the same, the titles of the presentations seems to have changed.

The next one I have here is progress report ANL plant sensitivity program. Does this mean anything to any of the staff?

MR. NOVAK: To a certain degree.

Mr. Etherington, I think we have an opportunity here to pick up some time as well.



3

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

The two next discussions by Walt Jensen which will come first followed by Byron Segull are going to go back and try to update the work that was done back in January on some analysis performed by B&W for the plants under construction and then some independent analysis performed by the staff on the overcooling transients.

Walt, why don't you go on up now and -- what we have tried to do, I would hope, we have tried to clear up some of the differences that appeared in our January 8th presentation of overcooling transient response.

The staff analysis of a 177 fuel plant versus the B&W submittal. At that time it was on the Midland Plant.

So, Walt has some additional work and we just want to get it on the record now to perhaps clear up that point.

MR. JENSEN: Good morning, my name is Walter Jensen and I am from the Analysis Branch of the NRC staff and I would like to show you some recent analysis on a B&W overcooling transient, that we have done using the relap code.

I believe at the last meeting you were shown an analysis that was done using the IRP codes

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

by the Brookhaven National Lab, and the results were a great deal different from the analysis by B&W, and we have gone back and looked at this IRP analysis and we found there are some basic deficiencies in the code itself and it does not calculate natural circulation, it does not have a pump model, it does not allow for seam separation in the primary system and it has a pancaking effect in the steam generator that makes the primary to secondary loop transfers.

Also, the analysis is somewhat different than what was done by B&W that assumed a fairly large number of areas, they assumed that after the reactor trip, the main feedwater failed to throttle back and then the turbine stop valve stayed open and then later on the main feedwater system and the main steam system failed to isolate and the aux feedwater was an additional conservatism seemed to come on almost immediately into the transient.

The results of all these assumptions and the overcooling effect of the steam line break and the valve of the transient.

We have gone back and done the thing again using the relap code and tried to use more realistic assumptions after the reactor and turbine trips.

5

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

We again assumed that the feedwater failed to throttle back on the high level that the secondary systems pressurizes up to the turbine bypass set point to the system, the secondary system isolates on a safety injection signal.

This would be difficult typical of the middle.

This diagram shows the relap model used here. It has most of the detail located in the secondary system.

Where the temperature gradients exist between the subcooled water coming into the steam generator and the steam leaving the steam generator.

The feedwater downcomer is mixed with steam from the shelf region passes up to the steam generator and is exited through the steam system into the turbine.

The reactor coolant pumps are set to trip following a safety injection signal giving a short time delay for the operator to manually trip the pumps.

The steam formed in the limbs are allowed to separate and seek the highest point. This is the top of the candycane using the Wilson bubblerized model. The reactor vessel is modeled with the downcomer, lower plenum, core, upper plenum and upper head region.

DR. CATTON: Do the voids collect in 64?

6

1 MR. JENSEN: The voids would -- they would  
2 first collect in three and then they would be swept  
3 over and collect in 64.

4 That would be the worst place for the voids  
5 to be in terms of natural circulation.

6 DR. CATTON: So, you do not have enough nodes  
7 to let it block the top of the pipe, the top of the  
8 candycane?

9 MR. JENSEN: I have done analyses of this  
10 model that yes if you have a severe enough overcooling  
11 transient similar to the one that was done by Brookhaven,  
12 natural circulation will cease primarily because the  
13 head of natural circulation which is caused by a  
14 lesser density on the riser side, the downcomer side  
15 is blocked by having a collection of steam waters formed  
16 and this hot node on this backside of the candycane.

17 All it does is lose natural circulation  
18 because it has not been verified against test data  
19 and that is something that needs to be done on a model  
20 like this.

21 Then comparing this analysis to that done  
22 by B&W we see that the pressure on the secondary is  
23 very similar.

24 After the turbine trip, the secondary pressure  
25 rises to the tube out of the first back of safety valves

1 and then follows to say that the relief valve setpoint  
2 until the steam generator isolates following a safety  
3 injection signal.

4 The pressure then rises to the second back  
5 of safety valves and then follows that of the first  
6 back and then stays at the pressure of the relief valve.

7 In the relap analysis reaches the safety  
8 injection signal a little bit sooner than the B&W analysis  
9 does that is the reason for the location.

10 The primary system temperature was slightly  
11 less than the relap calculation, about seven degrees,  
12 about again very close, and the primary system pressure  
13 is also very close. The inflexion point in the system  
14 pressure is caused by the draining of the pressurizer  
15 which did completely drain in both the B&W and NRC  
16 analysis for this overfeed transient.

17 This is seen in the pressurizer level versus  
18 time curve.

19 The pressurizer -- well, actually though  
20 the curve does not go to zero as far as the physical  
21 occurrences in the model. The pressurizer is drained  
22 so it drained a little bit quicker than NRC analysis  
23 and the B&W analysis.

24 Then again, we began to refill of course  
25 by the action of the HPI system.

8

1  
2 My conclusions here in both models is that  
3 the pressurizer emptied and no voids were formed in  
4 the primary system.

5 DR. ZUDANS: In your diagram that showed  
6 core average temperature versus time, there is a little  
7 shelf on the draft two analysis and there is none on  
8 relap what is the meaning of that level plateau?

9 MR. JENSEN: I really do not know it might  
10 have been the relap analysis and I just did not stop  
11 to -- this is a hand slide curve for relap and I might  
12 have missed it.

13 DR. ZUDANS: Well, in either case, do you  
14 have any kind of a physical significance to that plateau  
15 then?

16 MR. JENSEN: This transient started with  
17 an undercooling transient. After the turbine tripped,  
18 the pressure went up on the secondary side briefly  
19 and reduced the amount of primary system pressure  
20 and probably raised the temperature, but no, sir I  
21 do not know the reason for that.

22 DR. ZUDANS: If you look in the chart that  
23 shows the pressure, where would that portion of this  
24 transient be, it is about what -- 25 seconds or so?  
25 These are different scales?

MR. JENSEN: We can overlay them.

9

1  
2 DR. ZUDANS: No, you cannot, they are  
3 different scales.

4 MR. JENSEN: I think they are the same scales,  
5 but there is a multiplier on the one scale. How close  
6 we can come. I do not know.

7 DR. ZUDANS: All right, I do not know either.

8 MR. EBERSOLE: In the worst case of the  
9 moderator temperature coefficient, were you always  
10 subcritical?

11 MR. JENSEN: Yes, it was subcritical system  
12 for reactor trips immediately --

13 MR. EBERSOLE: I know, but some of them will  
14 come back if you overcool them even though the rods  
15 are in. Is that generally true that for the worst  
16 overcooling transients, you always stay subcritical  
17 in B&W plants?

18 Do you always stay subcritical for the worst  
19 overcooling transients, including main steam line failures.

20 MR. TAYLOR: Yes.

21 MR. EBERSOLE: Thank you.

22 DR. THEOFANOUS: I wonder, are we supposed  
23 to learn something from the agreement between relap  
24 four and the top.

25 I think you were trying to make a point and

1 you emphasized the agreement between the two calculations?

2 MR. JENSEN: Yes.

3 DR. THEOFANOUS: What is your point, what  
4 does this agreement tell us?

5 MR. JENSEN: My point is the agreement and  
6 that B&W's analytical methods which has not been reviewed,  
7 the trap code which has not been reviewed completely  
8 by the NRC staff appears to be in fair agreement with  
9 the NRC's calculations.

10 DR. THEOFANOUS: Is in good agreement with  
11 relap?

12 MR. JENSEN: And this is opposed to the --  
13 I believe the disagreement and you are saying the last  
14 time between B&W calculations and the IRP code.

15 MR. NOVAK: Go ahead, I think I have a couple  
16 of comments that I think I would add to Dr. Theofanous'  
17 statement --

18 DR. THEOFANOUS: Let me go to the middle  
19 of my point and then maybe come back.

20 It is certainly a question of precision here  
21 you have some calculations before with another and  
22 you said disagreement and it seems to me then after  
23 you saw the disagreement it is very easy to go back  
24 and rationalize because of this and that it would  
25



11  
1 seem to me to be just as easy to rationalize the expect-  
2 tation of not being able to obtain agreement before  
3 you did the calculations.  
4

5 I am a little bit bothered by an approach  
6 that is kind of hit or miss but take any available  
7 core that can do a particular calculation, make a  
8 run if you get agreement, it is fine, if you get  
9 disagreement rationalize disagreement then go pick  
10 up another and you keep doing that until you get  
11 an agreement.

12 It seems to me what would be a little more  
13 orderly would be look at the transient that you want  
14 to calculate and say okay, now, this transient has  
15 no essential features in it and then you look at the  
16 causes that are available and now to lose a verbal  
17 course you find out which are the ones that can  
18 portray those essential features. Then you say,  
19 therefore, the further you get into the exercise  
20 and into the calculation, you say I find through  
21 my review and in my notes, I find that this is  
22 available to do the job, and then you go ahead and  
23 you do your calculations and then if you get disagree-  
24 ments you try to learn something from them and  
25 presumably you arrive to different kinds of

12

1  
2 conclusions than the kind of thing that you are seeing  
3 here.

4 Now, make your comment.

5 MR. NOVAK: I agree with your comment, first  
6 of all.

7 I think what you are suggesting is a logical  
8 orderly way of doing business.

9 What we were trying to do and sometimes you  
10 rush to judgment. The IRT code has been labeled the  
11 transient code and within its range of all applicability  
12 it may be a very good code.

13 I think what we have described today is one  
14 piece of evidence where mis-application can come in.  
15 You decided to use the IRT code and you knew the  
16 transient that you were going to run and you just  
17 went ahead and ran it without recognizing whether or  
18 not the expected performance of the plant would stay  
19 within the range of application of the plant.

20 If you get voids in the hot leg IRT does  
21 not have a model that treats large voids in the system.

22 Now, we used the code because it was more  
23 available than the relap code.

24 It has a shorter running time to study some  
25 sensitivity characteristics of the plant recognizing

6. 23

1 that absolutely the code might have some shortcomings.

2 There may be a risk in even doing that  
3 but we want ahead and tried it anyway.

4 We looked at how important was moderator  
5 temperature, how important was moderator temperature  
6 how important was the sizing of the pressurizer, how  
7 important was HPI actuation, a number of things were  
8 done, but we left a trail of misunderstanding behind  
9 which said the transient that we are analyzing does  
10 not look at all like the transient that was analyzed  
11 by the licensee, two reasons. One, the boundary conditions  
12 or the expected behavior of the plant was substantially  
13 different in our model than what the licensee was taking  
14 credit for as Walt suggested in one of his earlier  
15 slides.

16 So, when you clean up some of that then you  
17 still have a residual that maybe even your model has  
18 some shortcomings which you ought to investigate.

19 Now, one of the shortcomings across the  
20 board is that you have very little verification of  
21 transient codes, they have been traditionally thought  
22 of as rather well-behaved events which really does  
23 not tax the analyst. LOCA is challenged. Who wants  
24 to develop transient codes. You are going to be short  
25 running and handle the whole primary, secondary side,

14

1  
2 you cannot be very sophisticated.

3 So, the IRT program is an attempt to come  
4 up with a workable day-to-day, day in, day out, type  
5 of transient code.

6 Relap, especially I think the model Walt  
7 is talking about is a modified version which we think  
8 is suitable for some limited transient analysis. It  
9 certainly probably is a more expensive tool to use  
10 day in and day out for transient analysis.

11 I don't know his running time, but I would  
12 expect by the basic nature of the code it would stay  
13 on the computer longer.

14 MR. JENSEN: 20 to 1.

15 MR. NOVAK: How much?

16 MR. JENSEN: 20 to 1. Well, when in the  
17 days of inflation we all try to cut back.

18 The problem then was that I viewed that relap  
19 has some degree of credibility, we have studied it  
20 through the standard problem and while you may be  
21 modifying it, there is some degree of relevance to  
22 using relap as a better benchmark.

23 Now, what this says to me is that the  
24 agreement suggests to us at least that the two proposed  
25 by B&W for analyzing transients is not that bad, I

END

15

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

get some confidence out of this agreement. It suggests to me then that the ongoing work that plants under construction still have in terms of some system modifications to reduce sensitivity can be tested with a code like this.

Somebody is going to have to select a setpoint. Somebody is going to have to do a lot of design work in advance of the actual operation of the plant. Therefore, using a code like trap is probably a reasonable tool and the analysis that we have seen today, the comparisons at this stage of the game says to me that there isn't an obvious defect in the analytical technique.

That is not one of the early milestones that I am looking for that we have to get resolutions for before you can even begin to think about some of the system design changes, you have to develop a system transient code.

I do not think that is our first priority. Obviously, it will have to be looked at in more detail but I am willing not to put all of our emphasis at this time hold'ng up any design changes or considerations of design changes based on the thorough review of trap.

DR. THEOFANOUS: Tom, I find you very responsive and that is all well taken. I am just going to tell you from my point of view, I still have

1 remaining, I guess I could call it remaining worry in the  
2 sense that little spot checks like this one might leave  
3 one with, really with a misinterpretation or could even  
4 be misleading in a certain respect.

5 And that is all that these kind of comparisons  
6 tell me that for that particular calculation, he were  
7 able to hear some agreement between four and --

8 I guess we have some still -- One can raise  
9 serious questions here about four. And I think your-  
10 self, in your report, you raise some questions concerning  
11 the application of some of those of those codes for de-  
12 ciding when to trip the reactor pumps, for example.

13 And, in that light, therefore, I think little  
14 spot checks like that, without putting all the additional  
15 , all the additional qualifications, all the  
16 kinds of things that might be relevant and pertinent, to  
17 helping somebody decide what kind of way to give into  
18 this kind of comparison.

19 Then I think it's a little bit of a dangerous  
20 kind of thing to really present. So, I recognize that  
21 that it is better than nothing to have this kind of com-  
22 parison and it is something, you're always gratified to  
23 see the two different codes produce the same results.  
24 because atleast we can say that there are no obvious new  
25

1 medical evidence in there or something like a misfortunate  
2 statement.

3 On the other hand, if there is any different basic  
4 physics that are different in the two codes, and if those  
5 physics are relevant to the phenomena that you are trying  
6 to calculate, and if the code gives you -- provides you  
7 a little bit more flexibility, you have maybe a better

8 of physics, while the other one maybe is not as  
9 sophisticated but maybe by showing agreement you see that  
10 you're really not sensitive to that kind of physics.

11 These are the kinds of lessons that I think that  
12 one would like to learn from this kind of comparisons more.  
13 And, I don't see that. I don't see it coming in many  
14 other quotas, that I think is overdue, has to be done,  
15 because some of those things, people look at these kinds  
16 of comparisons and they draw conclusions as to what to do.

17 Operators, there, for example, that's all they  
18 can get by with. And then there's a possibility that some  
19 of those things may not be exactly right.

20 MR. NOVAK: Okay, I think, and we agree. And  
21 we are trying to make a step. I think the next is in that  
22 direction.

23 When we looked at, basically the B&W design and  
24 system response, it became obvious to us that the transient  
25

1 code, the code that you're going to use, you better under-  
2 stand the steam generator dynamics.

3 And so, we're sort of taking that element out  
4 of -- out of the program that Walter said and we got a  
5 special tech assistant's program set up with Argonne to  
6 sort of say, look at how one should model the steam generator,  
7 the heat transfer characteristics, because that's at the  
8 heart of it.

9 If you don't really believe you can understand  
10 it's response characteristics, then alot of your system  
11 codes are going to be worthless in the long run. Some  
12 day you'll learn the right way to model it.

13 So, we thought the first thing to do was go  
14 after the heart of the problem and examine the characteris-  
15 tics that one has to recognize in terms of a once-through  
16 steam generator design.

17 Look at the modeling that would be required to  
18 say that's an acceptable model for transient response of  
19 a once-through steam generator.

20 If you can get that, then I think the other ele-  
21 ments of the code, transient code, fall into place alot  
22 easier. I think that always the key will be, how good is  
23 your modeling between primary and secondary, especially  
24 in a once-through steam generator.  
25



1 MR. THEOFANOUS: Yeah, I would agree with that.  
2 That's fine and a good start in the right direction. I  
3 wouldn't go as far as to say that the other steps in the  
4 primary system are trivial, especially if you deal with  
5 base separations and -- and things like that.

6 MR. NOVAK: If you let them happen. But we  
7 don't -- That's the problem. Transients in my mind should  
8 be well-behaved events.

9 MR. THEOFANOUS: So you're gonna keep them  
10 in single phase then, is that it?

11 MR. NOVAK: Well, ideally I'd like to. I mean,  
12 that's a problem. Most anticipated transients do not result  
13 in significant voiding in the primary cooling system.

14 MR. THEOFANOUS: Right, some will.

15 MR. NOVAK: That's right.

16 MR. THEOFANOUS: I think they fall within the  
17 same kind of ballpark.

18 MR. EBERSOLE: Will you through the second slide  
19 up there please, I just want to ask a question about the  
20 reality of your sequence of events there.

21 That's the best estimate, overcooling analysis  
22 which is far less overcooling than the first sheet you had.  
23 There you go.

24 At 1600 PSI in the primary system, HPCI's  
25

1 initiated -- That's automatic, isn't it?

2 MR. JENSEN: Yes.

3 MR. EBERSOLE: RC coolant -- Oh, I'm sorry,  
4 TREPS operator -- By the way, this is at about 150 seconds,  
5 about 3 minutes, right, if I look at your curve on primary  
6 coolant pressure versus time.

7 MR. JENSEN: Yes, it was about 150 seconds.

8 MR. EBERSOLE: 150 seconds? And then, Item C,  
9 steam generators are isolated also at 1600 PSIG. Well,  
10 isn't it true that at that time that various horrible things  
11 that have taken place, like the steam generators are now  
12 full of water and the steam lines are also full and you're  
13 going to be isolating in the face of solid water flow and  
14 I hear from Belefont that maybe the steam pipes will fall  
15 down for that case, and so there's alot of unreality about  
16 the mechanical evolution.

17 MR. JENSEN: That might be, but you are absolutely  
18 correct and the steam generators were full of water, in  
19 this analysis of about 100 seconds.

20 MR. EBERSOLE: So, really, what kept you from  
21 having an overcooling transient was the thesis that you  
22 were gonna close up and isolate and hold pressure, which  
23 you really probably couldn't do in the real case.

24 MR. JENSEN: Because of system failure of the  
25

1 solid water?

2 MR. EBERSOLE: Right, you would have been in a  
3 secondary system LOCA because of blown-out pipes and I very  
4 much doubt that the main steam isolation valves were ever  
5 hope to close under that hydraulic load.

6 Is that right?

7 MR. JENSEN: I wouldn't doubt you. I -- This is --

8 MR. EBERSOLE: So, this is a very artificial  
9 way to study a response characteristic. Maybe it's good  
10 enough, but it doesn't have a very solid mechanical base.

11 MR. JENSEN: Well, this is primarily to compare  
12 the two analysis and Dr. --

13 MR. EBERSOLE: I mean, it's an exercise.

14 MR. JENSEN: Well, maybe it is, but it's a first  
15 step and this is kind of a progress report, this is what  
16 we've done so far and we do mean to do a lot more analysis  
17 and would like to verify these codes by comparison to --

18 MR. EBERSOLE: You verify the code, but you're  
19 sure a long way from reality.

20 MR. NOVAK: We agree, yes. I think the point  
21 is that the best estimate -- We're not trying to model or  
22 predict the true behavior of an overcooling transient.

23 What we're trying to study is the primary system  
24 response to some -- some assumed secondary forcing function.  
25

1 MR. EBERSOLE: That's right. Okay, that's fine.  
2 You could have said that without trying to put a configuration  
3 here of -- people might think works, but it doesn't.

4 MR. CATTON: I would comment. There have been  
5 several papers that have appeared in the literature, one  
6 that I remember in particular, nuclear engineering and  
7 design, on transient steam generator modeling.

8 And, also, they have comparisons with data. It's  
9 my feeling that comparing one code to another really doesn't  
10 mean as much and I'm wondering why aren't you digging out  
11 this data and comparing the codes with the data?

12 MR. JENSEN: Well, I would like to do that, but  
13 I just chose to compare the codes first and this is all  
14 I've had time to do in the last month.

15 MR. ZUDANS: Are any of the power plants adequately  
16 instrumented that you could collect data from?

17 MR. NOVAK: Well, have have started -- This effort,  
18 speaking generically across all white water reactors, in  
19 the BWR's, I think we've made more inroads. There were a  
20 specific set of tests run at Peach Bottom, which I think  
21 showed some of the shortcomings of some of the transient  
22 response tools and showed where there was a better tool to  
23 be used in terms of analysis.

24 The problem is that in order to test the code,  
25

1 you've got to push the plant. I mean, -- Well, okay.

2 MR. ZUDANS: You have had all kinds of feed water  
3 related transients in power plants.

4 The question is, is any one of these power plants --  
5 Has any one of these power plants been instrumented adequate-  
6 ly for you to define the boundary conditions and do the  
7 analysis?

8 MR. NOVAK: Let me just -- I'm gonna ask Mr.  
9 Sheron. One of the things -- There's been alot of tran-  
10 sients and there's been certain descriptions then provided  
11 which said this was the response characteristic of that  
12 plant.

13 I'm thinking of the review work that you did  
14 with regard to Darling Hunters concerned, on the response  
15 of the plant.

16 Is it -- I guess my question is, you really ---  
17 You don't have all the information you desire, but I think  
18 it's fair to say that if you could have all of the transient  
19 characteristics explained to you, there are certain things  
20 that happened that you can't put a time on, when did a  
21 valve open or close, when did a pump start.

22 And, in order to go back and reanalyze, you have  
23 to make assumptions with regards to some of those charac-  
24 teristics, perhaps.  
25

1 MR. ZUDANS: Well, that's the question. The  
2 question is, what is it more for the future, let's say,  
3 consider the future. What would be more cost-effective,  
4 to proceed in developing computer codes or in fact going  
5 and installing instrumentation that will adequately describe  
6 boundary conditions and sitting back and waiting for a  
7 natural experiment?

8 MR. NOVAK: Well, I think we're gonna go both  
9 directions.

10 Actually, we intend to require certain startup  
11 tests, I think wherein we will get information on transient  
12 characteristics.

13 I think we will also consider to develop analyti-  
14 cal techniques to the system responses.

15 MR. ZUDANS: That's right. And then you test  
16 your codes against such experiences and they don't have  
17 to be tragic.

18 MR. NOVAK: No, I didn't mean to be tragic.

19 MR. ZUDANS: You used the word.

20 MR. NOVAK: I recall, sometimes, for example,  
21 several years ago there was an attempt to try to gain  
22 credit for the mixing that goes on within an open line of  
23 (UNINTELLIGIBLE) -- pressurized water reactor.

24 And, it was very difficult to force the plant to  
25

1 a set of conditions wherein one could measure a non-uniform  
2 exist water temperature distribution because the plant  
3 mixed the water very well and you would have to continue  
4 to or perhaps generate a very non-typical power distribution.

5 In otherwords, you had to force the system in  
6 order to measure differences. And, I think perhaps there's  
7 some of that even in transient responses.

8 But there is information that can be gained and  
9 I think the staff is going after it.

10 MR. CATTON: Won't you have to specify somehow  
11 so that proper measurements are made? I think now there's  
12 always something missing whenever you get a package of  
13 transient data.

14 Won't somebody have to sit down and decide, hey,  
15 we need all of these measurements and in the future all  
16 plants would give them to us?

17 MR. NOVAK: That's a good point, yes.

18 MR. EBERSOLE: Again, will you throw that second  
19 slide up, only this time for another purpose.

20 You have identified a sequence of events there.  
21 Is that a legitimate sequence with which we should deal  
22 realistically, except you have to eliminate the last line  
23 and say steam generators cannot be isolated.

24 MR. JENSEN: Well, -- For the Midland plant, and  
25

1 there may be some differences between other B&W  
2 plants.

3 MR. EBERSOLE: Yes, but if you change the last  
4 line, which is realistic, and say steam generators cannot  
5 be isolated, is that then an accident sequence that we  
6 have to deal with?

7 MR. JENSEN: This assumes a single carrier in a  
8 control system that allows the feed water to continue flowing.

9 MR. EBERSOLE: Your answer's yes? Right?

10 MR. JENSEN: As far as I know.

11 MR. EBERSOLE: Have we done that?

12 That's the worst overcooling transient? I think  
13 in this case you do go super-critical again, do you know,  
14 B&W?

15 This is a depressurized secondary side with full  
16 feed water flow.

17 MR. NOVAK: The question, I think, -- While they're  
18 thinking, are you assuming all the rods go in, or do we -

19 MR. EBERSOLE: Oh yeah, sure.

20 MR. NOVAK: We're not going to stick out a worse  
21 rod?

22 MR. EBERSOLE: No, no, no, all except the clas-  
23 sical 1 out of 100 or whatever.

24 MR. NOVAK: That classical 1 though, can be worth  
25



1 very, you know, it's worth several, depending on which one  
2 you pick.

3 MR. EBERSOLE: No, I mean, that looks like a  
4 single instrumentation failure, and I think -- Let's see,  
5 right now --

6 I think that's a legitimate transient that we  
7 have to deal with, but I don't know that we do.

8 MR. MATHIS: Well, isn't there a time frame there  
9 Jesse, when you might go critical again?

10 MR. EBERSOLE: No, it's temperature depended.  
11 It depends on temperature, and the characteristics of the  
12 cores.

13 MR. TEDESCO: But you also transients in  
14 exhibit 2 -- That's right.

15 MR. EBERSOLE: Well, anyway. I think this borders,  
16 if not, it may be the worst overcooling transient, a de-  
17 pressurized secondary with full feed water flow.

18 MR. TEDESCO: Your maximum heat --

19 MR. EBERSOLE: Right. And for this case, I  
20 guess, do we know the consequences.

21 MR. JENSEN: It depressurizes because it fails  
22 to isolate?

23 MR. EBERSOLE: Yes. You have knocked out the  
24 isolation capability because you have filled the system  
25

1 solid.

2 MR. JENSEN: Well, that would certainly have a  
3 different course in this analysis also.

4 MR. EBERSOLE: Because now you lose the pressure  
5 which is your pad that keeps the temperature up.

6 MR. JENSEN: And there'd be a greater, more  
7 severe overcooling transient and it might even require  
8 bubbles.

9 MR. EBERSOLE: Oh, far worse overcooling transient,  
10 right.

11 MR. TEDESCO: I think the other question is the  
12 effect of trip in the pump. If you kept the pumps running,  
13 you might be worse.

14 MR. EBERSOLE: Oh, if you failed to trip the main  
15 filling pump, it would be much worse.

16 MR. TEDESCO: You would really get an overcooling  
17 event.

18 MR. EBERSOLE: So, I guess you then get back to  
19 which transient should you analyze, this artificial one or  
20 the one more near reality.

21 MR. JENSEN: Maybe we would want to be sure that  
22 the steam generator could isolate it.

23 MR. EBERSOLE: Well, why don't you then change  
24 the last sentence to say that steam generators are not  
25

1 isolated and then analyze that one.

2 MR. CATTON: Jesse, does that mean there are some  
3 overcooling events where you want to trip the --

4 MR. EBERSOLE: Right.

5 MR. CATTON: Then, of course, there's a class --

6 MR. EBERSOLE: This is the one we've been looking  
7 for.

8 MR. CATTON: So not only do you have to determine  
9 whether it's overcooling or whatever, you have to determine  
10 the range.

11 MR. EBERSOLE: It's the MPB&W boilers with a full  
12 flow of main feed water on a depressurized secondary.  
13 That's I think the worst.

14 Isn't that correct?

15 MR. TAYLOR: Mr. Ebersole, on the -- The plants  
16 would normally isolate feed water upon the signal from the  
17 depressurized steam generator.

18 MR. EBERSOLE: Yes, I know. That's an instrumen-  
19 tation function. It's not normally even given a safety  
20 level categorization.

21 MR. TAYLOR: Yes, yes, yes.

22 Yes, it is.

23 MR. EBERSOLE: Is it now?

24 MR. TAYLOR: Yes.  
25

1 MR. EBERSOLE: There's been an improvement then  
2 since I last saw it. Okay. You tell me then the steam --  
3 You have safety grade cut off of main feed water.

4 MR. TAYLOR: And on low pressure.

5 MR. EBERSOLE: On low pressure, depending on pump  
6 trip and valve closure?

7 MR. TAYLOR: Valve closure.

8 MR. EBERSOLE: Valve closure?

9 Have the valves -- Have they been tested under  
10 these depressurization flow rates at the differentials they  
11 will actually see?

12 MR. TAYLOR: The steam isolation valves?

13 MR. EBERSOLE: Feed water.

14 MR. TAYLOR: Feed water isolation valves.

15 MR. EBERSOLE: Remember now, you've got abnormally  
16 high differential now and extremely high flow rates.

17 MR. TAYLOR: I don't know whether they have been  
18 tested, I really can't answer that question.

19 MR. EBERSOLE: I think it would be worth putting  
20 it in the minutes for you to find out, I think.

21 Anyway, it's the quality level of the cut-off  
22 function.

23 MR. TAYLOR: I'd like to ask -- Pardon me, I'd  
24 like to ask if you could, just to clarify your precise

1 concern about what Mr. Jensen is saying up here.

2 MR. EBERSOLE: Oh, I was -- I said that this  
3 is not a realistic sequence in that by the time he gets  
4 to 1600 pounds, which is about 150 minutes -- seconds, I'm  
5 sorry, three minutes, nearly.

6 He would have filled the steam generators and  
7 the steam pipes and he will be in solid water up to the  
8 by-pass valves and the turbine, main turbine stop valves  
9 and he will probably have knocked off the header.

10 MR. TAYLOR: If the instrumentation doesn't work?

11 MR. EBERSOLE: Well, that was his whole hypothesis,  
12 that right there in item 1 feed water fails to throttle  
13 on high level.

14 That was his hypothesis that I'm working on. He's  
15 got full feed water flow.

16 MR. TAYLOR: This is a hypothetical event.

17 MR. EBERSOLE: Well, it is.

18 Well, let's get back to the reality of it. Is  
19 this, and I ask the Staff again, a realistic event?  
20

21 MR. TAYLOR: I think that one thing that needs  
22 to be brought out here is the fact that the feed water  
23 failing to throttle on high level is a controlled function,  
24 number one, and that failure we can accept.

25 MR. EBERSOLE: Well, he's telling me it's a

1 safety function.

2 MR. TAYLOR: No, that's the feed water control  
3 system up there in number one.

4 Down in 3-C, I think that we could safely assume  
5 that that steam generator, the feed valve would in fact  
6 isolate before the steam generator was full.

7 MR. EBERSOLE: Is that so? Is there that much --

8 MR. TAYLOR: That system actuates at about 600  
9 pounds. For the full steam generator water, there's no  
10 way you're gonna have 600 pounds in the steam lines.

11 MR. EBERSOLE: Isn't the steam system filling  
12 up hydraulically with the main --

13 Oh, well one of the saving graces here, these  
14 are turbine driven feed water pumps.

15 MR. TAYLOR: Yeah.

16 MR. EBERSOLE: So there's an automatic cut-off  
17 of sorts?

18 Anyway, I just get back to the realism or lack  
19 of it of this sequence here and whether we have to deal  
20 with the case when steam generators are not isolated  
21 because they can't isolate them.

22 I think I'll just leave it that way.

23 I realize you have to have a safety grade cut-  
24 off because of the question of main steam line failure  
25

1 versus containment pressure.

2 I think you do this by a promination of pump  
3 trips and valve closures.

4 However, I think of those, one of them, which is  
5 the valve closure, is not tested against the differentials  
6 which you see under the circumstance.

7  
8 MR. MILLER: Fred Miller, Cleo Edison. We've  
9 had ours closed with 600 pounds of steam generator pressure  
10 and no problems, so we don't have any concern whatsoever  
11 about --

12 MR. EBERSOLE: You've never experienced the flows  
13 I'm talking about here?

14 MR. MILLER: What?

15 MR. EBERSOLE: You've never experienced the water  
16 flows?

17 MR. MILLER: There was full flow on the main  
18 feed pumps trying to keep up with the load in the steam  
19 generator and it drew the pressure down to 600 pounds and  
20 the main feed water isolated on both steam generators  
21 successfully.

22 MR. EBERSOLE: Well, you know, these are pipe  
23 break cases where you get predigious flows, compared with  
24 he normal flow.  
25

1 MR. MILLER: The pressure had decreased rapidly  
2 on the steam generator and we were isolating at a feed pump  
3 for trying to maintain level in the steam generators, so  
4 they were putting out everything they could, regardless of  
5 what they pressure -- The pressure had decreased below 600  
6 pounds at the time they were closing.

7 MR. EBERSOLE: I see. Thank you.

8 MR. NOVAK: Well, I think we saved a few minutes  
9 in one of those brief presentations again by the Staff.

10 MR. JENSEN: Well, if I could -- give me one more  
11 minute, I have a turbine trip analysis I would like to show  
12 you.

13 And, this one depressurizes to 1950 PSI, and  
14 the pressurizer does not empty but goes down to about 10  
15 feed and then we got to fill again by the action of the  
16 charging system.

17 MR. ETHERINGTON: Mr. Jensen, I think we might  
18 break for lunch for one hour.  
19  
20  
21  
22  
23  
24  
25



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CHAIRMAN ETHERINGTON: The meeting will now recon-  
vene. First we'll hear from the TVA representative.

MR. TERRILL: Good afternoon. My name is Dennis  
Terrill and I'm the Belafonte Nuclear Plant Licensing Project  
Engineer for TVA's office of power, located in Chattanooga.  
I plan to briefly outline the program at TVA as instituted for  
the resolution of the sensitivity concerns and -- to the  
secondary system for the Belafonte Nuclear Plant.

Accompanying me today are Doug Wilson, principal  
nuclear engineer and Lee Hack, nuclear engineer from our  
Division of Engineering Design Construction, located in  
Knoxville. The three of us will answer any questions that  
you might have regarding the status of the construction of  
Belafonte and TVA's evaluation of the sensitivity concern.

TVA's December 3rd response to Mr. Denton's  
October 25th letter included commitments to perform studies  
and evaluations and implement any changes proven to be  
appropriate. TVA program can be summarized as follows:

An area of analysis, we've recently received from  
B&W a complete analysis and a detailed review has been  
initiated inside TVA. This review will assure that the  
analysis is represented above Belafonte and is consistent  
with the past analyses performed. If the TVA reviews any  
major discrepancies in the analysis, the NRC and B&W will be  
notified and the problem will be resolved. We expect to

1 finish our review and submit the completed analysis around  
2 mid-1980.

3 In the area of plant design, Belafonte is one of  
4 the newer 205 assembly type plant and we've already incorpor-  
5 ated several modifications designed specifically to provide  
6 improved system performance and reliability over the older  
7 operating B&W plants. Also, as a result of the normal TVA  
8 design activities, several modifications to the 205 design  
9 have already been initiated before Mr. Denton's letter. I'm  
10 not going to repeat those here for the sake of brevity.

11 TVA has also undertaken extensive programs at B&W  
12 to study the feasibility and benefits of instituting additional  
13 modifications to further reduce the consequences of sensiti-  
14 vity and the frequency of challenges to safer systems. We  
15 are presently considering 16 different proposed modifications  
16 at this time. However, TVA's evaluation under these proposed  
17 modifications is not significant, sufficiently advanced to  
18 justify listing the hardware changes or operating procedures.

19 However, I believe Al Hosler in his presentation  
20 will probably touch a little bit more directly on the areas  
21 of work being performed by the owner's group.

22 TVA is going to determine desirability for each  
23 of these changes by performing evaluations in the following  
24 areas; the potential for the proposed modifications adversely  
25 affect the safety -- of the plant and response to

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

postulated events other than over-cooling -- or else they are going to do computer analysis to determine the degree of effectiveness and dampening the response to the primary system to initiating events, look at studies and analytical efforts already underway by B&W. We are also going to look at operating plant experience and the reliability of the proposed modifications.

TVA's evaluation on these proposed modifications are expected to be completed around early 1981 and we're working with B&W right now to try to expedite that schedule.

The following related actions will also be taken by TVA in resolving these concerns and the first one is we're following the NRC's IREP study by our nuclear reliability and availability group. TVA's nuclear safety review staff is independently reviewing the concern and our program for its resolution and evaluation. TVA is also performing a review of the reactor trip at Crystal River 3 and related work done by B&W and NRC for -- at Belafonte. This review is expected to be completed by the mid-1980 timeframe.

All findings and recommendations which result from all of these studies will be examined for the potential-- adopted not only at Belafonte, but all of our nuclear plants.

In summary, as I said, it is still TVA's position that construction of all forces of the Belafonte Nuclear Plant should proceed, design, fabrication and construction at

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Belafonte has advanced to the stage we're halting construction. we're not providing any foreseen advantage --

Potential modifications presently under study by TVA would not require significant changes in equipment or hardware and will not be made more difficult by continued construction. TVA believes that any hurried implementation of potential modifications would not be in the best interest of the overall safe operation at Belafonte and that each modification must be thoroughly examined for fear that new and as yet undefined safety questions are created.

Any questions?

CHAIRMAN ETHERINGTON: Any questions? Thank you very much.

Do the WMP and Midland people have any transportation problems?

MR. MOSLER: -- we can do it now or later. It doesn't matter.

CHAIRMAN ETHERINGTON: I'm sorry, I couldn't hear.

MR. MOSLER: We have no problems. We can do it now or later.

CHAIRMAN ETHERINGTON: We'll stay with the schedule then and we'll have it later.

The next item on the agenda I think is Mr. Siegel. Is that right?

MR. SIEGEL: That's correct.

CHAIRMAN ETHERINGTON: ANL Plant Sensitivity Program.

MR. SIEGEL: Good afternoon. Can everybody hear me? My name is Byron Siegel. I'm with the Reactor Systems Branch and I'm going to discuss this afternoon, a program that we recently initiated, a sensitivity program on the once-through steam generator.

Basically, based on what happened at TMI and as a result of Mr. Denton's request on the 5054F, the utilities have come up with some proposals for decreasing the sensitivity of the coupling between the primary and secondary side.

What we are going to try to do in this sensitivity study is in part evaluate or assess the adequacy of the utilities' recommendations and see whether or not they adequately do desensitize the coupling between the primary and secondary side. Obviously the criteria has not yet been established as to what will be acceptable and what will not be. However, based on the results of these studies, we'll have a better handle or understanding of exactly how the systems will respond and what we -- and relate this to what we decide as acceptable or not acceptable.

This is a long-range program. It's going to cover a year or a year and a half. The objectives are shown on this first view graph. The first thing that is going to be done is that the steam generator will be modeled and the purpose of this is to make sure that all the parameters

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

necessary, all the parameters necessary to do a parametric study are included in the modeling that will be done by Oregon.

The second objective is to determine the sensitivity of the cooling dynamics to protovations in the secondary system. The third is to determine the effects of the proposed applicant's modifications on reducing sensitivity of the coupling of the primary to the secondary system, and the fourth one is to determine effects of the unique utilization of the secondary side of the Midland Plant has on the sensitivity of the coupling of the primary to secondary systems.

I should mention that this program was originally started before the transient response program that Mr. Tedesco reported on earlier was initiated and we decided on this program, it was based primarily on the responses of the applicants to the 5054F request. It probably now, I would guess, would cover not only the plants that are under construction, but the sensitivity study would probably relate back to operating reactors. This is one of the reasons why the Midland Plant is included.

We're actually going to pick the Midland Plant as the base plant and do primary and secondary coupling effects and by using the Midland Plant, then we can -- because of the unique nature of the Midland Plant, will then be able to use the same steam generator modeling to evaluate the coupling

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

between the -- the process between the Midland Plant and the process steam that they are going to provide to Dow Chemical.

DR. THEOFANOUS: Excuse me, a question.

MR. SIEGEL: Yes?

DR. THEOFANOUS: Do you mean steam generator modeling, that means developing a model from scratch basically?

MR. SIEGEL: No, I don't think they are going to develop a model from scratch. They will probably start with the models that, for instance Walt Jensen has developed and then probably elaborate on that or make it -- adapt it so that it meets the requirements of this program.

DR. THEOFANOUS: Those studies will be done primarily with just one steam generator model and no other coupling to other --

MR. SIEGEL: No, the next slide sort of gets into that or the next two slides. I can discuss it now or you can wait a few minutes and I'll get into that.

MR. EBERSOLE: May I ask a question? When you said the word perturbations, would a perturbation be identified as the one that I just saw awhile ago, reactor trips, turbine trips, feedwater fails to puddle on high level?

MR. SIEGEL: These are primarily related to overcooling transients -- Yes, right, we are talking about primarily perturbations overcooling events, yes.

MR. EBERSOLE: Would that be then an admissible

1 thing called pertervation?

2 MR. SIEGEL: Turbine trip and --

3 MR. EBERSOLE: Reactor trip, turbine trip, feedwater  
4 fails to puddle on high level.

5 MR. SIEGEL: That isn't really -- The pertervations  
6 I was talking about are basically initiating events.

7 MR. EBERSOLE: Well, this is an initiating event.  
8 It initiates --

9 MR. SIEGEL: No, I'm talking about, for instance,  
10 Chapter 15 events over failure of a feedwater control valve  
11 or failure of a steam generator.

12 MR. EBERSOLE: Relatively, a much higher probability  
13 then, is that what you're saying?

14 MR. NOVAK: I would expect so. I interpret  
15 pertervation to be --

16 MR. EBERSOLE: A minor pertervation.

17 MR. NOVAK: Well, starting that way, you are going  
18 to build an understanding of the steam, of your understanding  
19 of the steam generator and its response characteristics.  
20 You would first decide on what you think a good engineering  
21 definition is of a modeling and then move on and say, now I'm  
22 going to test the model and I would assume that your judgement  
23 as to the adequacy of your modeling would be easier to decide  
24 as to whether or not you got a good model based on small  
25 pertervations and then progressing to the more significant



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

perturbations, which then might be what we call our classical initiating events. I look at this to be a development of a description of the steam generators from which eventually you would have the confidence to say, if indeed these transients are to be tolerated or expected, then the response characteristics of the plant can be described with this model and that's the way I would envision us moving.

I don't you can take a large step -- perturbation and convince yourself that the modeling you've developed at that -- I would expect that the more severe challenges in terms of perturbations are the large changes. So there would be an orderly progression to the more severe initiating trendings.

MR. EBERSOLE: Well Tom, can't you impose at least some perturbations deliberately on the real plant?

MR. NOVAK: Oh, okay, yes. Well, let's continue. I think what you are saying is -- I think you're ahead --

MR. SIEGEL: I think we're using basically the -- we are going to do a parametric study, but basically we're starting with the transients that result in overcooling events -- The events that we're essentially going to look at, the transients, these are in Chapter 15, these are the ones that result in overcooling events; decrease in feedwater temperature and this would result from a bypass of feedwater heaters, increase in feedwater flow which would be the result

1 of a feedwater control valve malfunction, increase steam flow  
 2 which could result from a steam pressure regulator failure,  
 3 inadvertent opening of a safety relief valve or safety valve,  
 4 steam generator safety valve and inadvertent operation of the  
 5 feedwater system. These would all result in overcooling  
 6 transients.

7 Some of the modifications proposed in response  
 8 5054F letter by the applicants were run back of -- feedwater,  
 9 run back of the main feedwater -- and reactor trip and  
 10 limiting steamed up capacity following integrating coal system  
 11 failure. Not all the applicants are proposing all these  
 12 fixes. It varies from applicant to applicant.

13 DR. ZUDANS: Could I -- Before you go any further.

14 MR. SIEGEL: Yes.

15 DR. ZUDANS: I don't need that slide.

16 MR. SIEGEL: Okay.

17 DR. ZUDANS: In the beginning you started out by  
 18 saying that you established some criteria, how to deal with  
 19 the sensitivity.

20 MR. SIEGEL: No, I didn't. I said that that will  
 21 come out of the --

22 DR. ZUDANS: -- of the study?

23 MR. SIEGEL: Of the study, yes.

24 DR. ZUDANS: In other words, the study looking at  
 25 certain inputs and outputs, you will determine what is

important and that's about the --

MR. SIEGEL: No, I didn't mean that we were or whoever is performing the study is going to set up the criteria. I think the criteria will come out of what Mr. Tedesco presented this morning, the task force.

DR. ZUDANS: Okay. Thank you.

MR. NOVAK: Let me go back to your question because I thought you were suggesting that one of the best tests of your modeling would be to impose a certain type transient on a plant and check the response and then see how well you've been able to predict that performance.

MR. EBERSOLE: Yes, as long as it wasn't damaging or dangerous -- developing mathematical model or certainly if you develop one, you'll -- you can validate it by imposing such realistic trends.

MR. SIEGEL: Yes, well, one of the things that might be done is some of the transients that have been experienced on startup on B&W plants, those might be used to determine the accuracy of the modeling, compare the modeling with the actual transient.

At task 1 there is going to be a parametric study of the effectness of the proposed modifications on the transients that were identified in the previous slide, all the overcooling transients and we're going to include the effects of location of -- feedwater injection into the steam

1 generator. I should mention that a lot, quite a few of the  
2 items that were identified with regard to sensitivity studies  
3 and parametric studies that Mr. Tedesco presented this  
4 morning, probably are covered by this study, but I think this  
5 is by no means close ended. I'm sure that it is probably  
6 going to be modified based on the recommendations that come  
7 out of that study and probably expanded to include everything  
8 that's in there, either in this program or in other programs.

9 The main feedwater, offs feedwater runback flow  
10 rates will be examined. Time of initiation of runback and  
11 also the effect of steam generator water level, what effect  
12 that would have on the transient.

13 Now, what we are going to use is a code that  
14 provides an energy balance, a code, to perform these studies  
15 and they are just going to model the secondary side first.  
16 Once they understand what is happening on the secondary side,  
17 they'll couple in the primary side and get feedback effects  
18 with the energy balance.

19 DR. THEOFANOUS: What do you mean an energy  
20 balance? -- balance is enough to do all this?

21 MR. SIEGEL: Yes, just to determine sensitivity.  
22 Later on they are going to use relap force for a confirmatory  
23 code and include hydrodynamic effects.

24 DR. THEOFANOUS: How are you going to keep track of  
25 levels and vapor -- or is that not important to know?

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. SIEGEL: Initially, they are going to just model the secondary side and just put an input on the primary side as to -- at least that's my understanding.

DR. THEOFANOUS: Oh, excuse me, now I understand. You are going to model the secondary side.

MR. SIEGEL: Yes.

DR. THEOFANOUS: And what you talk about the energy balance is only as far as what goes in and what goes out --

MR. SIEGEL: Right, yes.

DR. THEOFANOUS: But you are going to make a model on the secondary --

MR. SIEGEL: On the secondary side, yes.

DR. THEOFANOUS: Okay, I misunderstood.

MR. SIEGEL: Okay. They will later on couple the primary side to get feedback effects and then we're going to confirm or use a relap 4 to do -- to get confirmatory results.

DR. THEOFANOUS: Who is going to do this work?

MR. SIEGEL: Do you want to know the person or --

DR. THEOFANOUS: The people in the company or --

MR. SIEGEL: The principal investigator is Paul Abramson from Oregon National Lab and he has a person that is working under him, Mike Kennedy who came from CE. The two of them are the principal investigators and I think there is going to be two or three other people that they will probably utilize.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

The second task is related specifically to the Midland Plant and the coupling between the -- the unique features of the Midland Plant. It will determine the change in sensitivity of the primary. The secondary coupling will be assessed for the following features unique to Midland: The intertie between the secondary side and the Dow Chemical Plant through the -- air heat exchange there and the inner side of the steam lines between units 1 and 2.

The effects of overcooling transients resulting from both active failures and operator errors associated with both these features are going to be assessed.

As far as schedule, the next overhead shows the schedule. Completion for task 1, except for the primary and secondary feedbacks will be by August of 1980 and the completion of task 2 will be by July of 1981.

Anybody have any questions?

DR. CATTON: Will any part of this study include a comparison of external data?

MR. SIEGEL: I suspect that what you're talking about is, yes, using for instance some of the B&W's startup tests, some of the transients they have had and compare them with, for example. compare them with, model them with this model and see what the results are up there.

DR. CATTON: I was actually referring more to some of the great deal of data that exists in the literature

1 on transient steam generator performance.

2 MR. SIEGEL: Right now we haven't discussed that.  
3 I think the program will probably be expanded, like I said  
4 before, we haven't really discussed that particular aspect as  
5 to whether or not. Right now it is not included, no.

6 DR. CATTON: It seems to me that before you do a  
7 whole series of computer studies, that you ought to make sure  
8 your model is correct using terminal data. I'm surprised that  
9 you have rotated the usual process, invert it.

10 DR. ZUDANS: I'm wondering, although you finished  
11 that discussion long ago, how can you determine sensitivity  
12 without coupling from primary, without feedback into primary?

13 MR. SIEGEL: Well because all the changes that are  
14 being proposed are primarily on the secondary side of the  
15 steam generator.

16 DR. ZUDANS: That means you have to maintain some-  
17 thing in the primary --

18 MR. SIEGEL: In the primary side, yes.

19 DR. ZUDANS: That may effect your sensitivity,  
20 make it unstable or otherwise.

21 MR. SIEGEL: Well, that's what is going to be done  
22 initially. There will be a feedback of the primary side  
23 feedback, primary feedback -- the primary will be included  
24 later in the program to get the feedback --

25 DR. ZUDANS: In other words, you want to do the

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

bulk of the analysis with the cheaper -- tools and then just make --

MR. SIEGEL: Right, to see what the effects are.

DR. ZUDANS: I see.

MR. ISRAIL: Can I break in? I would suspect you will have a simple hoop for the primary side and a measure -- will be the beta cooling that you get out of the steam generator.

DR. ZUDANS: You see, this one side alone can not be sensitive if the other one is infinitely strong.

MR. ISRAIL: But the perturbations, the forcing functions, perturbations coming on the secondary side, the dynamics of the main feedwater system, how quickly it delivers or doesn't deliver water, the dynamics of the pressure control system on the steam generator, the dynamics of the auxiliary feedwater system, these are the systems that essentially the applicants are going to look at, in terms of possibly modifying their dynamics to tune the deliver of feedwater and tune the secondary side of the steam generator to minimize the loss of functions --

DR. ZUDANS: In other words --

MR. ISRAIL: -- you recall the whole purpose of the 5054F letter was -- two kinds of couplings between the primary and secondary --

DR. ZUDANS: But you're eliminating that.



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. ISRAIL: Pardon?

DR. ZUDANS: You are eliminating that in the --

MR. ISRAIL: No, we're not eliminating it, but we're seeing what perturbations on the secondary side do on the primary side. The primary side will just be a simple loop in this initial phase of the study.

DR. ZUDANS: I understood the primary side would only be accounted for by heat balance, right? -- that primary side will supply whatever the secondary side wants. It's infinitely faster response.

MR. ISRAIL: You will have a decaying heat source. You'll have a heat source in that little loop that goes around. It will be feeding back into the secondary. It has to be, but there won't be the elaborate description of the primary side in terms of natural circulation or what have you because the situations we want to be looking at are situations that would preclude getting a significant offset on the primary side.

DR. THEOFANOUS: When is the work starting? Has it started already?

MR. SIEGEL: Actually, the contract was just signed and it is supposed to start this week.

DR. THEOFANOUS: I guess I have a question -- of what Dr. Catton was driving at before. Is somebody going to provide guidance, maybe either from you or from them, as to

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

what are the kinds of things that one needs to compile and how well? You see, the goals seem to be a little bit elusive there. You see, how can this guy -- but you know, people think the compiling time is for a long time now and obviously, some things can not be done as well as you want them to be. Now you are trying to do something better. I guess what is missing is a little bit more focused effort in what is really it that you want to do and really what are the parameters of the -- and how well you are expecting them to be done and also how you are going to tell they are done sufficiently well.

MR. NOVAK: And how much time do you have to do this.

DR. THEOFANOUS: And the time that we have there because if you give me -- you see, the time scale I'm seeing there is very ambitious from the point of view of what I'm saying. On the other hand, -- weigh that against, you say I have one year, I will do the best I can, but if at the end of that one year or year and a half, if you can't make a statement as to how much of the credence or gravity or how much you are going to get out of what you've done, if you don't know that, I think what you've done is probably a lot of it wasted. I will say that probably your efforts should be more focused, maybe do one point or two points, but do them well instead of covering very large ground and find

1 ourselves at the -- left with some results that we don't know  
2 exactly how to use. Do you see what I am saying? There may  
3 be some guidance from that point of view from the start. It  
4 might be helpful, even some guidance from the utilities and  
5 the vendors and maybe some discussion, so that what appears  
6 to be a very ambitious plan timewise, with the help of many  
7 people it can become quite realistic.

8 MR. NOVAK: I agree with you. I think what we're  
9 trying to do is certainly -- this task is not intended to  
10 develop a transient model. You can't do that. In other  
11 words, that's too an ambitious a task and people will  
12 criticize us for going back and reinventing the modeling  
13 necessary to do transient analysis.

14 The truth of the matter is that it takes a year for  
15 a man to learn how to use relap and even that's -- there is  
16 a criticism that's brought back, well, why go and teach new  
17 people how to use relap, why not just go ahead and run these  
18 calculations of people who know the relap program. These  
19 systems are very difficult to use. You have to be careful  
20 and it's easy to make mistakes, if you don't understand all of  
21 the facets of the code.

22 The approach that we sort of laid out for ourselves  
23 and I'm agreed, I'm encouraged by the discussion, was an  
24 attempt to pull out what we thought was a critical character-  
25 istic of the B&W design and that's the heat transfer fluid

1 flow characteristic on the secondary side. We looked and we  
 2 saw the availability of some, what I consider to be well-  
 3 qualified heat transfer people and we said, can we get them  
 4 to look at this problem as more or less a limited system  
 5 dynamics where we could provide certain forcing functions in  
 6 terms of primary and see how the secondary side responds to  
 7 it in both ways.

8 Then when you think you've -- based on the literature  
 9 that you've gotten, a reasonable engineering approximation to  
 10 the steam generator, then fold that understanding into a  
 11 system code and then go ahead and evaluate some of these  
 12 proposed changes.

13 That's the way I viewed the program. Now, after we  
 14 get into this program and I'm sure it's going to take a  
 15 different turn, but initially we had a certain window of time.  
 16 I don't realistically, if you want to evaluate some of these  
 17 proposed changes that -- on the construction, at most you  
 18 have probably two years at most to do the work and to say  
 19 that's the solution. In the way we were looking at it, we  
 20 would want to have an independent tool available to assess  
 21 this. Obviously, the licensee is going to go to the nuclear  
 22 steam supplier and they are going to do their own. But the  
 23 ability of us to assess the validity of that analysis is  
 24 going to be something like we're doing now. We're looking  
 25 for some independent check to say, yes you would be doing --

1 do indeed understand the secondary characteristics and no,  
2 we think that there are some aspects that may have been over-  
3 looked.

4 DR. THEOFANOUS: Yes, that's fine. I agree with  
5 what you say, Tom. I think it's a good reference and all  
6 that. I think that just one little note there. Because you  
7 are cutting out a part of the system and you are looking at  
8 it in greater detail, implicitly you are assuming the  
9 additional burden for having to do a good job. You are  
10 naturally describing physically and physically in realistic  
11 terms that is going to -- what I am saying is, you might do  
12 yourself a favor from the beginning and also the people that  
13 are going to be working over there. If you try to give some  
14 guidance, because from our understanding, these people --  
15 give some guidance as to what are the kinds of things a man  
16 should be looking for, so the thing becomes focused better,  
17 instead of just try to describe any drop and bubble -- that  
18 is the thrust of my point.

19 DR. ZUDANS: Does this program involve the -- new  
20 computer code?

21 MR. NOVAK: No.

22 CHAIRMAN ETHERINGTON: Will you continue, please,  
23 Dr. Siegel?  
24  
25

CHAIRMAN ETHERINGTON: Dr. Murphy next then?

A VOICE: Yes, Dr. Murphy has a presentation.

DR. MURPHY: Can everybody hear me?

Basically, gentlemen, what I would like to give you is a brief description of where we stand in the study of Crystal River, which we are now doing.

The -- I spoke to the subcommittee in January, I believe, and went into the programmatic aspects in some detail. I'll try to keep that short now.

Basically, we're as a pilot study for the IREP Program. We're doing a study of Crystal River at the present time.

The nature of the program was to initially do a survey of background data, LER's, various failure rates that have been observed. Go from there to the development of eventuries and faultries, qualify action in sequences from the eventuries, to perform sensitivity analyses, obtain quantitative results. The results are now scheduled in draft form at least by the first of May.

Following that we will do whatever additional detailed analyses are necessary based on the results of -- that are being obtained.

I should say at the start, I think, that there are two areas which are not in the study at the present time that are being considered for detailed analyses. One is the

8/2

1 detailed analysis of the ICS and NNI to look for faults  
2 similar to that that occurred at Crystal River. And the  
3 second is the over-cooling transients, which are not in the  
4 program in any great depth at the moment. There was an  
5 initial survery where -- which led us to believe that there  
6 are other more dominant ways of getting the core melt than  
7 over-cooling transients. And we are still investigating the  
8 possibility of doing more work in this area.

9  
10 The status of the program is that a preliminary  
11 analyses have been done and these are now under review. We've  
12 had considerable discussions with Florida Power Corporation  
13 and B&W. And they have provided us updated information, which  
14 while the information has been very good and it's very helpful  
15 to us in doing a good job, it has required us to modify several  
16 of our system models. And this is the reason we're behind  
17 the schedule that I had identified the last time I talked to  
18 you.

19 These modifications are underway and they are not  
20 yet completed. We do not have quantitative results at this  
21 time. However, based on the information we believe we can  
22 reach some qualitative judgments as to the significance of  
23 various actions and sequences, and I'll discuss those with  
24 you now.

25 We're finding system interactions are particularly

8/3

1 significant. The -- in particular, where I have labeled  
2 here auxiliary cooling by which I mean two full-cycle  
3 cooling water systems at the Crystal River Plant, which  
4 combines to make up what I normally think of as a component  
5 cooling water system. DC power and then the obvious AC  
6 power interaction between various systems.

7  
8 From what's been done todate it appears that the  
9 likelihood of core damage in high release categories --  
10 release categories as defined by WASH 1400. May well exceed  
11 those predicted in WASH 1400. However, I caution that since  
12 we are using different analytical methods and improvements  
13 since those that have been used in '72 when the safety study  
14 started. And we are using updated data where it's available.  
15 It's difficult to compare the results of one study with the  
16 other. They're in the same units but they're obtained using  
17 different methodology. And to some extent just comparing  
18 the numbers. You're comparing apples and oranges.

19 As a final point, we do have insights regarding  
20 significant accident sequences which I'll follow with.

21 First, I'd like to show you one other thing which  
22 I believe I showed the last time, but I think we have  
23 improved on the slide somewhat. Inside -- Systems Inter-  
24 actions. This is a rather busy view graph. However, it has  
25 the system functions--ECCS, reactor building experience,



8/4

1 and reactor building cooling systems, low pressure, high  
2 pressure ECCS, and emergency feedwater system.

3 I am attempting to show here the inter-relationship  
4 between these closed-cycle cooling water systems--the  
5 K-heat closed-cycle cooling water system, A and B; and  
6 the Nuclear Services closed-cycle cooling water system.

7 These three systems serve all the various aspects  
8 of the plant. They in turn depend on electric power. In  
9 blue I've shown the AC dependencies of A and B. But in  
10 addition there's a DC power dependence, which is shown at  
11 the -- the faultry at the bottom of the page. Faultry  
12 may be too elegant of a word for what this is. It's a  
13 more logic description.

14 In addition to that we have the obvious things  
15 that are labeled in the box down at the bottom that you may  
16 not be able to see. Common valve coupling, location coupling,  
17 the coupling between humans, the coupling of the initiating  
18 event, the various effects of allowable tech specs outage  
19 times on systems; particularly as it effects the inter-  
20 relationship between systems; and other things such as the  
21 air-conditioning, instrument air, lubrication, et cetera.

22 We find that this kind of a diagram has been  
23 very helpful to us. It displays graphically quite well  
24 the interaction of these cooling water systems and the effect  
25

8/5

1 that they have on the various aspects of the plant.

2 I should identify on the system that is drawn, it  
3 shows a dependency on the cooling water systems and the  
4 Nuclear Services closed-cycle cooling water system on the  
5 curvatures of the pump of the emergency feedwater system,  
6 which in turn has an AC dependency. That dependency is  
7 being corrected and in the modeling we have done on this  
8 plant, we do not -- we have assumed that that dependency  
9 no longer exists.

10 The dependency is also being corrected in terms  
11 of the cooling requirements -- cooling water requirements  
12 for the electrical-driven pump in the auxiliary feedwater  
13 system. And again, that dependency is not in our analysis.

14 The --

15 CHAIRMAN ETHERINGTON: You didn't eliminate the  
16 DC dependency; did you?

17 DR. MURPHY: No.

18 In fact, I'll get to that in a moment.

19 In terms of our preliminary insights of various  
20 accident sequences, I apologize that this is handwritten.  
21 It literally was done last night and this morning. And  
22 I didn't have time to get it typed.

23 I put the thing up to eliminate the alphabet  
24 soup which I have on the left, which means something to those  
25

8/6

1 of us who have been working on the study, and probably means  
2 nothing to anybody else.

3 The sequences appeared to have significance either  
4 from a core damage potential or from a high risk potential.  
5 And by high risk potential it means that I believe that  
6 these sequences would fall in release categories 1, 2 or 3  
7 as defined in the reactor safety study.

8 In other words, these are major releases of the  
9 bulk of the inventory efficient products to the atmosphere  
10 given a core melt accident.

11 The first one involves an accident where you lose  
12 the main feedwater system. But had accident coupling.  
13 Followed by loss of the emergency feedwater system and loss  
14 of the high pressure injection system.

15 You have processed coupling between the emergency  
16 feedwater system and HPI. As I said, the AC dependency is  
17 being corrected. And you do have an AC dependency obviously  
18 with the electric driven-pump.

19 The cooling water system is now being corrected  
20 and that shouldn't appear there once those corrections are  
21 in.

22 It appears that that will have medium -- medium  
23 importance from a risk standpoint but a high importance from  
24 a core damage standpoint.  
25

8/7

1           The second sequence has been identified as the --  
2 appears to be the dominant contributor to risk from what  
3 we have done today. This involves the loss of the grid;  
4 loss the AC power offsite, which in turn causes you to lose  
5 the main feedwater system.

6           But then follows it the -- following that you  
7 lose the emergency feedwater system, the high pressure injection  
8 system. So, you have no way of cooling the core. And finally  
9 the containment heat removal systems.

10           There is a process dependency here of AC/DC and  
11 cooling water on these systems. As I show, this is a dominant  
12 risk contributor and also a significant contributor to core  
13 melting.

14           I'll come back to this slide but let me throw  
15 this one up. It explains that last sequence and perhaps  
16 why it's as significant as it is. I think I can get all this  
17 on here.

18           The significance of this thing is that by the  
19 loss of the grid, I've lost my main feedwater system. If  
20 I track down through the system, I can find the battery B  
21 in the DC systems controls the steam emission valve for  
22 the turbine pump. It also controls the start of diesel  
23 B. So, if I lose battery B, I'm going to lose AC power B  
24 as well as my emergency feedwater pump.  
25

8/8

1 Then, if I follow with loss of diesel A, I'm  
2 into this action sequence. In effect, if I have either the  
3 two blue failures identified down here or the three green  
4 failures, the loss of the two diesels, and the loss of the  
5 turbine-driven pump, I'll succeed in getting the accident  
6 sequence that I've just described as being dominant.

7 Obviously, there are other failures that can get  
8 you to the same trap. But these are the upsets that appear  
9 to be the most significant in terms of the quantification  
10 of them all.

11 Going back to the other sequences that we found  
12 of importance, we have a similar sequence with the loss of  
13 grid which causes the loss of main feedwater. The loss of  
14 the emergency feedwater and the loss of HPI, but this time  
15 with the containment heat removal function still available.  
16

17 It is obvious that we will be higher in prob-  
18 ability than the last one, so it will be a higher contributor  
19 to core damage. But because you're containing heat removal,  
20 the equipment is still available, it shifts you into a lower  
21 release category. You will still melt the core, but you'll  
22 melt the core probably more through the melt through of the  
23 base mat rather than an over-pressure failure of the contain-  
24 ment building.

25 Going down we have a sequence that has several

1 but they're coupled with -- by system dependencies. Loss of  
2 grid, again, loss of the main feedwater as the result of it.  
3 Then, the emergency feedwater system is assumed to work, but  
4 to have a delayed start. A delayed start such that you lift  
5 the PORV, and that the PORV fails to reclose..

6 Then we assume that the operator fails to close  
7 the block valve, so he has a LOCA. And then the containment  
8 reactor building cooling and the reactor building spray  
9 fail, and the emergency core cooling system fails in the  
10 injection mode.

11 Again, there is a great deal of AC and DC  
12 couplings in these various systems where I have the arrows  
13 drawn.

14 We find this to be of medium significance from  
15 a risk standpoint. Low significance from a core damage  
16 standpoint.

17 The next sequence we have a loss of main feed-  
18 water with offsite power available. It's similar to the  
19 others in that, again, you have a delayed start on the  
20 emergency feedwater, the PORV opens and fails to close,  
21 the block valve fails to close -- fails to be closed by  
22 the operator, and you lose your emergency core cooling  
23 system in the recirculation mode.  
24

25 Again, this one is of low significance from a

8/10

1 risk standpoint and appears to be of medium significance  
2 from a core damage standpoint.

3 I might add in here, I know there are some B&W  
4 plants that are now operating with the block valves closed.  
5 The -- in that situation you shift this to the safety valves  
6 which would pop instead of the PORV's. And you would lose  
7 the probability element that's associated with closing  
8 the block valves since they're not there on the safetys.  
9 And these things would probably go up somewhat in -- in  
10 terms of significance. The low may well change to a medium  
11 and the medium may well change to a high in such a situation  
12 if you were operating with the block valve closed.

13 The sequences that are transient and not involving  
14 the loss of the main feedwater with an independent loss of  
15 the main feedwater system; followed again by loss of the  
16 emergency feedwater and loss of HPI where again you have AC  
17 and DC coupling, which is low -- appears to be of low  
18 significance from a risk standpoint, but at a medium signifi-  
19 cance from a core damage standpoint.

20 And finally the last sequence of the small LOCA  
21 list of four inches coupled with failure of the emergency  
22 core cooling system and the recircuit load, this is our  
23 more dominant LOCA that we have analyzed to date. But it  
24 still has low significance from a risk standpoint; low  
25

8/11

1 significance from a core damage standpoint in that it  
2 attracts the other analyses that we have done in the  
3 probabilistic analysis staff since WASH-1400 and, of course,  
4 in WASH-1400 itself.

5 MR. EBERSOLE: May I ask a question about the  
6 last one?

7 DR. MURPHY: Yes.

8 MR. EBERSOLE: There's sort of a subset of those  
9 in which the small LOCA is in fact an instrument line failure  
10 which loses a part of the mitigating functions, and at the  
11 same time is a small LOCA. Isn't that a somewhat more complex  
12 problem --

13 DR. MURPHY: Yes, it is.

14 MR. EBERSOLE: -- to deal with?

15 And yet isn't it more likely than most others?

16 You know, these are very small lines, like  
17 about one inch.

18 DR. MURPHY: It's of significance in that it  
19 puts you, I think, more on a transient tree than on the  
20 LOCA tree. The break is such that I wouldn't call it a  
21 LOCA in the true sense of the word, and you have to shift  
22 to a -- into a high pressure injection mode?

23 MR. EBERSOLE: Well, it's a small LOCA, very  
24 small LOCA, but it can not only lose some of the mitigating  
25



8/12

1 functions, it can compound the problems by introducing new  
2 signals which are invalid.

3 DR. MURPHY: That's true. That's a very valid  
4 point.

5 Are there any questions on these sequences?

6 Just to give you an idea of the types of  
7 information we have received from B&W and Florida Power  
8 Corp., which have effected our analyses; the effect that  
9 I'm talking about here is more effect in the terms of the  
10 time required to do the analyses and the amount of rework  
11 that was necessary rather than the effect on the results.  
12 But it's been -- information on various LPI pump character-  
13 istics, plant data regarding diesel generators, testing,  
14 and maintenance, and use of Units 1 and 2 as an AC backup  
15 source; details on the DC power system interaction.

16 Until we had received this data, for instance,  
17 we had not identified the DC significance of the steam  
18 emission valve.

19 The updated procedures and procedure inter-  
20 pretation so we can better assess how the operator reacted  
21 when given transients. And finally some analyses that B&W  
22 had done regarding the system performance following the loss  
23 of all feedwater -- offspeed.  
24

25 Our program plan for the continuation of IREP is

8/13

1 to continue to develop a standardized procedural guides for  
2 the studies in terms of how to do the eventury and faultry  
3 analyses, common-cause failure analysis, quantification,  
4 human error modeling, and obviously the format for the report.

5 And I'll show you in a -- in a second, we hope to  
6 have about 6 teams working in parallel analyzing 6 plants  
7 at a time. Our goal is to make sure that all 6 teams are doing  
8 things basically the same way, to the same degree of depth,  
9 quantifying using the same data, the same analytical techni-  
10 ques and then when they come out that their reports look  
11 basically in the same format so we can easily understand them  
12 all.

13 The -- we will be starting shortly studies  
14 on Indian Point Zion, OCONEE, Calvert, West Browns Ferry,  
15 and Dresden 2 and 3. They will be done in parallel by a  
16 combination of people from research, from NRR and from our  
17 contractors.

18 The -- following the 6-plant study, we intend to  
19 reevaluate who should continue to be IREP, or actually,  
20 this will be done during the 6-plant study. Whether in  
21 the long term as we look at all operating plants whether  
22 it should be done by NRC and contractors as we're doing  
23 the first 6, whether the owners should do it, or whether it  
24 should be an amalgam of both of us. And again, based on  
25

14  
1 the information that we learned during the first 6, we will  
2 undoubtedly will have to revise their standard procedures  
3 so we can get those on to better insure that we are doing  
4 a good job.

5 I think the main improvements we are -- identified  
6 from our Crystal River-3 experience, from the study that  
7 we are now doing, is that we need to reorganize the way we're  
8 looking for common-cause failure procedures. We need to do  
9 thorough system dependency analyses very early in the game.

10 I think a good way to start that is drawing the  
11 type of figure that -- that I identified earlier that shows  
12 the dependencies with closed-cycle cooling water systems  
13 and the AC systems. And obviously that diagram could get  
14 much more detailed. And -- but there is no way that you  
15 can put it on one figure without using up all available  
16 space in the viewgraph.

17 We hope to do a thorough search for susceptibility  
18 of core damage from single point failures. We want to make  
19 sure that the analyses will find a single point failure such  
20 as the TMI or the Rancho Seco area transient to identify  
21 things like the Brownsberry fire vulnerability.

22 As an important point we hope to deemphasize the  
23 quantitative risk assessment. By that I don't mean that  
24 we're not going to do quantitative risk assessment, but the  
25

8/15

1 importance is not the numbers that come out at the end,  
2 but rather the system dependencies that we find. The  
3 single point vulnerability is the common cause failures  
4 that we identify in doing this analysis, or it's going to  
5 be more important than the specific numbers that we generate.

6 The numbers will be used in qualitative sense  
7 to obtain qualitative information. But the nature of the  
8 analysis, as I said, is there are going to be large un-  
9 certainties on them. So, we want to deemphasize -- deemphasis  
10 on the numbers that are calculated, but rather look for  
11 the engineering insights that come from those analyses.

12 Finally, one thing that would be exceedingly  
13 helpful in doing the analysis is to have the licensee  
14 engineers on the IREP team from day one, rather than have  
15 us do an analysis and then as the time progresses have  
16 detailed talks with the -- the vendor and the owner of the  
17 plant and realize that we have to redo several of the  
18 analyses because the plant performed somewhat differently  
19 than the way we thought it did.

20 Well, that completes the presentation. Are there  
21 any questions?

22 DR. ZUDANS: I am very happy with what you said.  
23 Now, it clarifies the quantitative risk assessment that was  
24 mentioned in the morning. And I think this is the way to go.  
25

8/16

1 Thank you very much.

2 MR. EBERSOLE: Let me ask a question. This sounds  
3 like a -- an excellent long -- long-range -- or immediate  
4 range program. But one -- one of the things that came out  
5 rather sharply as a result of the CR-3 accident was the  
6 stark realization that we've got too many instruments on  
7 a single-channel failure. And we have inadequate instruments  
8 after that occurs. And isn't there something that we should  
9 do promptly so that wouldn't persist?

10 DR. MURPHY: Yes, I think so.

11 MR. EBERSOLE: Are we doing that?

12 DR. MURPHY: My own personal view of what's going  
13 to happen as we get onto this, is that we're going to do  
14 sort of a matrix analysis as we go.

15 The program I just explored, if you will, is a --  
16 I'm trying to think of how to express this easily. As a  
17 series where we're going from plant to plant and going down  
18 the plant we're looking at various accident sequences which  
19 we believe are dominated. And we go down this way.

20 As we find dominant accident sequences we are  
21 going to have to go in and look at the plants vertically  
22 and look at one accident sequence through all plants. When  
23 we find something of significance we are not going to be able  
24 to wait two or three years to find out if they -- if that's  
25

8/17

1 significant somewhere else.

2 MR. EBERSOLE: Yes, and aren't you going to have  
3 to fire off to one side and action -- before you get done  
4 with all this? When -- as you find it. Not waiting until  
5 you finish.

6 A VOICE: They already did.

7 MR. EBERSOLE: And isn't that really one of  
8 the -- one of the Crystal River experiences, we have got  
9 too much instrumentation on one channel and not enough on  
10 recovery channels.

11 Isn't that -- isn't what's indicated there a  
12 prompt fix on that matter?

13 DR. MURPHY: I think so.

14 MR. EBERSOLE: What is the staff view on it?

15 MR. ISRAEL: Could you please rephrase the question?

16 MR. EBERSOLE: Yes.

17  
18 The NNI instrumentation failure, Crystal River,  
19 and the earlier one at Rancho Seco showed dramatically that  
20 we have too much dependency on single channel supplies or  
21 critical instrumentation which we've always regarded in the  
22 past in a rather casual manner; don't we need to promptly  
23 upgrade the instrumentation system to remove that single-  
24 channel dependency?

25 MR. ISRAEL: Obviously, the answer is "yes." And

8/18

1 with respect to the single house supplied instrumentation,  
2 the -- Bulletin that went out after the OCONEE incident, or  
3 was it after the Rancho Seco incident which occurred  
4 several years ago, but last November with OCONEE where  
5 they did lose the, I forget whether it was the NNI-Y or X,  
6 where they took out 80 or 90 percent of the instrumentation;  
7 a bulletin did go out. And all the licensees had about  
8 90 days to respond to the bulletin. And in fact,  
9 Crystal River-3 occurred just about the time the 90 days  
10 had elapsed.

11 I guess there has to be more forthright action  
12 that comes to the obvious defects in the systems.

13 MR. RAY: Have you done any work yet in the area  
14 of human error modeling?

15 DR. MURPHY: On Crystal River we're relying  
16 basically on the types of human error modeling that was  
17 done in WASH-1400. We have a fairly extensive program in  
18 the probabilistic analysis staff on improving our under-  
19 standing of human errors. I understand that Dr. Swane's  
20 Human Error Handbook will be out shortly.

21 In another month or two, Frank?

22 MR. ROWSOME: Something like that. I don't have  
23 the precise date. We have it in draft now.

24 DR. MURPHY: I'm the wrong person to go into a  
25

8719  
1 detailed description of where we stand on our work in human  
2 error modeling. There's considerable effort.

3 DR. ZUDANS: I guess you have plenty of errors  
4 without humans getting involved.

5 MR. MATHIS: One question. Back on your view-  
6 graph on interactions, you show all the activities of the  
7 cooling systems relating to the electric power source. Do  
8 you have a similar kind of interaction with regard to water  
9 availability -- water source? Is there more than one; and  
10 if so, what are they, and this kind of --

11 DR. MURPHY: We have a --

12 MR. MATHIS: Providing water for various cooling  
13 systems. And do you have more than source of water, or is  
14 that single? I --

15 DR. MURPHY: Okay. I understand what you're  
16 asking me.

17 We have not drawn such a figure. Basically,  
18 your water sources are your -- storage tank and your hot  
19 well, and the refueling water storage tank for these various  
20 systems.

21 And again, you can do -- this is what I meant,  
22 you take this type of figure and if you expand on this and  
23 for want of a better way, I'll describe it by overlays at  
24 this time. You can add on, for instance, lubrication systems.  
25



8/20

1 You can add on your water sources. For instance, in the --  
2 in the Crystal River incident in -- in March, they had  
3 problems with the K-heat cooling water system, Pump A,  
4 where they lost a coupling because of lubrication problems.  
5 The same lubrication problems existed in Pump B, but they  
6 didn't cause failure in Pump B, but there was a potential  
7 interaction between those two systems.

8 And if you look at what happens if you take out  
9 everything that's -- that depends on these two, you have  
10 a significant amount of equipment that can be affected.

11 MR. EBERSOLE: I think Mr. Ray is asking some-  
12 thing that I'm -- I would also like to ask. What I didn't  
13 see up there, you mentioned closed-cooling water systems  
14 of all sorts. Nearly all those systems you show up there  
15 have a certain dependency on the ordinary old service water  
16 system that comes from the river and dumps over board.

17 DR. MURPHY: That's correct.

18 MR. EBERSOLE: On open -- open cycle systems  
19 it's not -- it's not there.

20 DR. MURPHY: No. Again, you have to extend  
21 this thing back. Obviously each one of these things has  
22 a source. And in these cases they depend on a salt-water  
23 system which circulates through the thing. And this  
24 is what I meant, you can extend this kind of drawing. It's  
25

8/21

1 not amenable to viewgraph presentation, but it's -- this  
2 type of an illustration of dependencies in graphical form  
3 I think is very powerful.

4 MR. EBERSOLE: As a matter of fact, I think  
5 you can say the root systems -- the service water systems  
6 draws the water from the ocean, or the river, or whatever.

7 DR. MURPHY: Yes. You eventually have to get  
8 back to your old --

9 DR. ZUDANS: But -- look at pieces. You know.

10 DR. MURPHY: Yeah.

11 DR. ZUDANS: You don't have to look at the whole  
12 thing to identify what's wrong with it.

13 DR. MURPHY: Right.

14 In the analyses we have done, we have taken  
15 these systems back to their -- their ultimate source.  
16 Again, you just can't squeeze more out of that viewgraph  
17 and have it intelligible. It may not be intelligible now  
18 as a matter of fact.

19 CHAIRMAN ETHERINGTON: Any more questions?

20 Yes, sir.

21 MR. TAYLOR: Mr. Etherington, may I make a  
22 comment about IREP on B&W's behalf?

23 CHAIRMAN ETHERINGTON: Yes, please do.

24 MR. TAYLOR: First of all, we support the effort  
25

1 in general. And we had hoped that we could be involved, as  
2 Mr. Murphy indicated at the tailend of his presentation  
3 from the beginning on the Crystal River study, that was not  
4 possible; not because we weren't willing but because of the  
5 way the program was being handled. And I think the way  
6 it's going to go the next time probably this will be possible,  
7 and we support that effort.

8 We support that involvement.

9 I think the thing that is important to us, and  
10 I would hope that the ACRS would also feel it was important,  
11 is that we can learn some lessons. It's very popular to try  
12 to learn lessons from everything we do. And one of the  
13 lessons that we learned from the WASH-1400 study is that  
14 we should turn out a scrutable report with documentation  
15 suitable for peer review. And we certainly want to do that  
16 because otherwise we in B&W are a little bit afraid that the  
17 first number, even though Mr. Murphy and Mr. Rowsome are  
18 dedicated to deemphasizing the quantitative results, the  
19 first number that hits the television station is going to  
20 say, you know, something very, very low probability, and  
21 we think that really there ought to be some extremely  
22 careful and extremely cautious action with regard to these  
23 results even to the point where we say maybe there ought  
24 not to be any results released until the six parallel studies  
25

8/23  
1 are done, and we have learned a little bit more than just  
2 this one shot deal.

3 So, one, we support the effort, and we think  
4 it has a lot of merit, and we think it's the right way to  
5 go, but we're very concerned about the absolute values when --  
6 when they first get released. And we think that it ought to  
7 be a scrutable report with sufficient documentation to have  
8 good peer review.

9 CHAIRMAN ETHERINGTON: Would you like to add a  
10 comment on that, Mr. Murphy?

11 DR. MURPHY: Well, basically, I agree with  
12 Mr. Taylor. I -- I also agree that scrutability is important.  
13 I worked on WASH-1400. I've got enough lumps on inscrutability  
14 without getting any more. The -- I also agree that I think  
15 if we have to start over again from the beginning we would  
16 have pushed harder for B&W involvement than -- had a much  
17 more of an early team relationship. We've learned lessons  
18 in the amount of rework we're doing now really stemming from  
19 the lack of communication earlier.

20  
21 But I agree that -- with him in that area. I  
22 think we have a problem with the proper identification of  
23 error bounds, and again that's part of the scrutability  
24 question. This I think will do something to allay the concerns  
25 on quantitative numbers. But I also share the concerns of

8/24

1 people who take the quantitative numbers and run with them  
2 without understanding what they are.

3 And as I said, then, the presentation is -- it is  
4 difficult to compare the numbers of one study with a second  
5 study when the methodology used differs. The -- in particular  
6 in IREP we hope that very soon after the first six plants  
7 we will reanalyze Surrey and Peach Bottom so that we will  
8 have more of a base if we have to get into comparison, that  
9 we will have more of a base to compare it to than we do now.

10 CHAIRMAN ETHERINGTON: Thank you.

11 MR. TAYLOR: I have one other comment briefly too,  
12 Mr. Etherington, in response to Mr. Ebersole's comment.  
13 I think we certainly would want to apply from the results  
14 of these studies the information as quickly as we can,  
15 but not too quickly. Because as we have looked more at the  
16 Crystal River event, it is now clear that there was much  
17 more instrumentation that could have been available to the  
18 operator than really was; without any changes, perhaps with  
19 different switch selections and so on. But I think we -- we  
20 want to -- as a principal, I don't think it would be right  
21 to say as soon as we learn something we are going to do some-  
22 thing about it. That may be appropriate in some cases,  
23 but not in others.

24 CHAIRMAN ETHERINGTON: The next item is the report  
25

8/25

1 on the Crystal River accident or event.

2 Who is handling that?

3 A VOICE: I think that was the study that  
4 Mr. Tedesco presented this morning.

5 I think you --

6 CHAIRMAN ETHERINGTON: Oh, I thought -- then I  
7 misunderstood the --

8 A VOICE: No, actually -- I think you have  
9 an old schedule. I may be wrong.

10 CHAIRMAN ETHERINGTON: Yeah, I thought we were  
11 going to have -- I thought it was a recap of the day's events.  
12 It must not be in --

13 A VOICE: No.

14 CHAIRMAN ETHERINGTON: Well, I am reading the  
15 wrong schedule if -- okay. No wonder I was confused.

16 Let's see. Then we have -- we have the WPPSS  
17 and the consumer power presentations.  
18  
19  
20  
21  
22  
23  
24  
25

9/1

1

2

3

4

5

6

7

MR. HOSLER: My name is Alan Hosler, I'm a licensing engineer for the Washington Public Power Supply System. As told by -- emphasized by Mr. Tam that we were only to talk about new things since the last meeting, that all the previous handouts and what not would be circulated so, I'll only talk about update.

8

9

10

11

I don't want you to get concerned that this looks just like what I did last time. What I've done on these new graphs, I used the same set as before and I just added where we stand on status. That was the request on the part of the committee.

12

13

14

I won't talk anything about what the changes are, I think you've heard them. But if there are any questions please ask and probably before I leave that fuel graph.

15

16

17

18

19

20

In terms of qualification of the PORV, the Supply System will be participating in the EPRI program. We have also requested that B&W consider other valve types for the PORV and B&W has provided EPRI with performance and acceptance criteria for single and two-phase flow to the PORV.

21

22

23

24

We also recommended providing one E control on powered PORV, the status on that is the design changes are underway, wiring diagrams and control diagrams are being revised and we haven't encountered any major problems.

25

The third suggestion was to provide a one E pour

2  
1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

of isolation block valve for valves actuated on low reactical and system pressure.

We are investigating the source of the actuation signal. We are awaiting B&W's recommendation on the number and types of valves of -- which is the same item that I mention in number one.

Right now it appears to us that two valves would probably be required. That's two block valves.

The second set of recommended considerations for one and four were to improve the secondary system reliability. This involves some work by B&W and some by AE United Engineers.

One recommendation was to increase the make up capacity to the condenser during runback at the turbine generator trip. That study has been completed and the Supply System has accepted the AE's recommendation for a valve size increase to increase flow to the hot well from 15 to 4500 GPM. That increased the time from the low hot well trip from 4 to 11 minutes.

The second item under this category was the prevention of ferriodeicia and providing steam dump capacity in excess of 25 percent. The analyses for that has been completed and the engineering of the inner lock is underway.

The schedule -- I'll only talk about these schedules once and then you can just read them off your copy.



3

1

2

3

4

5

The schedule for the preliminary engineering is to be completed 5/15 of this year, begin procurement September of this year and have the change complete in September of next year.

6

7

8

9

The third item was to improve the control response of ICS following sensor failure. And the first step of that we're working on right now to define the BEPDR phase criteria and I've indicated the schedule there.

10

11

12

The third category in our response to the show cause letter was changes to improve the response of the NSSS. We had actually four in this category.

13

14

The first was to provide rapid main feed water flow reduction power in the trip. I've indicated the schedule there.

15

16

17

The second was to add a one E loss of all feed water trip. The preliminary of the BOP pressure is underway. I've indicated the schedule.

18

19

The third item was to add main feed water overflow protection. That preliminary design of that is underway.

20

21

The fourth item was to provide auxiliary feed water overflow protection and rate control. I've indicated the schedule there.

22

23

24

25

I realized this morning in looking over my view graphs I made a mistake. I should have deleted my item five because I've incorporated it into item four. They are now

4

1

2

one item. If you look back at the old view graphs you will find them listed as two.

3

4

5

6

7

MR. EBERSOLE: Pardon me. Does that rate control mean now that you're actually going to control the flow rate of off street water rather than just have pull off or pull on?

8

9

10

11

12

MR. HOSLER: Correct.

MR. EBERSOLE: So that will approximate the normal operational mode of the boiler won't it? Which is really not with a sensible level of any kind but rather with a boiler --

13

14

15

MR. HOSLER: There would be some level and then you would control the level -- you will taper off as you approach your set point rather than run full flow and then shut it off right there.

16

17

18

MR. EBERSOLE: Will that -- will that really sort of provide you with a more nearly -- with a mode a control similar to that which exists full power.

19

20

Do I gather that you are spraying the feed water with vertical flow?

21

22

23

24

25

MR. HOSLER: No, well it's not spray in these particular design in the 205 but you are correct, it is variable flow and will start at full flow and as you approach the set point the flow will then be tapered off so that you don't overshoot.

5

1

2

MR. EBERSOLE: Well, then it -- it's quite similar then to the main feed water full control except that it's shut on heat remover rays.

3

MR. HOSLER: Yeah, right.

4

MR. EBERSOLE: It's not a bang, bang type control.

5

MR. HOSLER: Yes, sir, that's what it is right now.

6

MR. EBERSOLE: Okay.

7

8

MR. HOSLER: The fourth category for consideration with changes to improve the capability and medigate transients. First, was to provide one E low level cutoff and heaters. We have drafted United Engineers to start procurement of safety grade breakers for those heaters. Heater cutoffs will be by the ECI system. For all heaters the one E added on one E heaters. The preliminary engineering for the ECI is underway.

9

10

11

12

13

14

15

16

The second item was to improve auxiliary feed water control following aspects acuation. That has been incorporated now in one and four.

17

18

19

20

21

22

23

Number three, strip the reactor coolant pump on low reactor coolant system pressure, avoid detection. All I can say on that it's a difficult one and evaluation of what might be used as a trip parameter is underway by B&W. That's work bonded by the owners group as most of this is.

24

And the fourth one is to go back and look at our

25

6

1

2

3

feed only good generator logic and decide what change is made -- may be made.

4

5

6

The first item there is to come up with the criteria for that system and then evaluate the system that we have against any new criteria.

7

8

9

MR. EBERSOLE: Under item D1, how many heater groups do you have? You're depending on diversity in case you burn some out. You will retain some of the others, right?

10

11

12

MR. HOSLER: That's right. We have -- in those heaters that we define as needing to be one E in order to repressurize it will be redone in that.

13

14

15

MR. HOSLER: In our response we had a separate listing of additional studies that we thought should be done which may result in changes or may not.

16

17

18

19

One was a secondary system reliability study. That will be a very big study. All I can say on that right now is that we're finalizing the identification of transients in the secondary system. That's being done by both B&W and United.

20

21

22

23

24

25

Control air supply system. That study is underway. We have identified some valves with failure due to loss of air could cause transients and there are several fixes to that. One can possibly change their fail position or provide accumulators or possibly do both.

7  
1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Minimum final feedwater response study. We have looked at that once. We're going back to look at it again to make sure that our assumptions there are still right. That one may end up with no required changes.

Auxiliary feedwater turbine reliability. That study is underway. We are looking at the steam routing to determine if there are places where water could become trapped. We are also looking at operating data for the particular governors that we have purchased.

The fifth one is the NNI and ICS reliability study, power supply reliability. That will be a big effort. I'd have to say that right now it's just getting started and of course, as a result of Crystal River 3 we have new things to look at in addition to what came up from PMI and bulletin 79-27.

The last item I have listed is the heater drain pump reliability study. And that study is underway. We have some preliminary recommendations from RAE in terms of continued cold water injections from that pump to help any concern for MPSH available.

Our submittal on December 3rd included these items. It stated that it could characterize these items as being changes to ISE systems. Some values and we're not talking about heat exchanges, big pumps and things like that and we've reached a conclusion at that time that

8

1

2

construction should be allowed to be continued.

3

4

5

6

As a result of the work that we have done to date, we don't reach any other conclusion and of course, that conclusion was also reached by Mr. Denton in his memo to the Commission as of the 22nd.

7

Are there any questions?

8

9

10

11

CHAIRMAN ETHERINGTON: It looks to me as though on your dates here as though if the decision had been made to place a temporary hold on installation it wouldn't really have affected you very much. Is that right?

12

13

14

15

16

17

MR. HOSLER: No, that is not correct. It was a little on -- it's -- probably wasn't that certain as to what type of a halt you were thinking about but certainly in the spectrum of things it could have been a complete halt on everything and that would not have mattered as to what the changes were if the CP was just taken away that's -- would cost us about a million dollars a day.

18

19

CHAIRMAN ETHERINGTON: Would you elaborate a little, I don't quite --

20

21

22

MR. HOSLER: Well, the halt on construction as it was given to us was that. A halt on construction of the plant period.

23

24

25

CHAIRMAN ETHERINGTON: Oh, on the plant, not --

MR. HOSLER: Yes.

CHAIRMAN ETHERINGTON: -- just on installation of

9

1

2

of these items which were disadhered.

3

4

5

6

7

MR. HOSLER: No, but as I say, what the halt meant could have been a spectrum of things from halting on particular things like installation of the major component or total halt in the plant or don't pull any cable or something like that.

8

9

10

However, we took it to be in the most conservative way in stay and we let's say came up with our scheme of how to attack the thing on the assumption that it would be a complete halt. We took it that serious.

11

12

13

14

15

MR. EBERSOLE: One little minor question. You got into a number of engineering details here. Could you comment on what you consider to be the reliability or quality level of the main feedwater cutoff on high level in your -- it's done by -- you have turbine driven pumps I believe.

16

17

18

MR. HOSLER: That's correct.

MR. EBERSOLE: And you do -- you do pump trip and valve closure?

19

20

MR. HOSLER: On high level in the steam generator?

MR. EBERSOLE: Yes.

21

22

MR. HOSLER: No, that was -- that is an item up here that I've listed for study.

23

24

25

MR. EBERSOLE: Say again.

MR. HOSLER: That is an item up here that I have listed. These items here were things that we are studying

10  
1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

now. They are not things that were in the plant let's say before we --

MR. EBERSOLE: Oh, you're studying that now?

MR. HOSLER: Yeah, they're not something that we had before we got the show cause letter.

MR. EBERSOLE: All right.

Thank you.

CHAIRMAN ETHERINGTON: Any further questions?

Thank you, Mr. Hosler.

MR. SALERNO: Good afternoon. My name is Mike Salerno of Consumers Power Company.

Like Mr. Hosler I was told that what the ACRS was interested in was new development since the last time we talked to you which was in January and that's basically what my presentation will be.

I'd like to go over a quick history of how this issue has impacted Consumers Power Company and then get you up to date on some recent information that we have submitted just recently and go -- finish with basically Consumers Power's philosophy on this issue as of right now.

We received as the other two utilities the request on October 25th, the 5054F for information concerning possible construction stoppage and we replied to that on December 4th.

Our reply included three major categories. First



11

1  
2 of all, the status of construction of the Midland unit which  
3 we gave in detail. Some over cooling transient accident  
4 analyses which were incomplete at that time which we have  
5 subsequently made complete in a recent submittal. Some  
6 committed changes -- some design changes that we have and  
7 they fell into three categories.

8 State of the art improvements that we have that  
9 we feel are above that of the operating plants at this time.  
10 Some committed changes we have already made both in light  
11 of over cooling and before over cooling became the issue  
12 that it is. And some areas that we are conducting further  
13 studies that we feel impacts the over cooling issue.

14 We presented the details of these type of changes  
15 we have under consideration and committed to to the ACRS  
16 on January 8th and I will now go through that again in light  
17 of the instructions I've received.

18 January 22nd, of course, Mr. Denton's letter came  
19 out basically in support of continued construction. Of  
20 course, we endorsed that. Since then, March 14th, we  
21 received a supplemental information request from the NRC  
22 which was basically 27 questions they asked.

23 Primarily based on our submittal of December most  
24 of them were keyed to our Appendix F which were basically  
25 the design modifications we have committed to, the state of  
the art changes we already had and the design studies we had

12

1

2

ongoing.

3

4

5

6

7

We responded to these questions within the last week. Upon reviewing these questions, the one thing that we did ascertain is by and large we felt the questions were not pertinent to the 5054F issue of construction stoppage but they were pertinent to the issue of over cooling and we responded along those lines.

8

9

10

11

12

13

14

The supplemental information response went in on April 3rd and this is the extent of the response to 27 questions. Along with that we provided some information to supplement what we had already told you about the changes that were ongoing and I'd like to just run down a few of these additional information that is found in this submittal.

15

16

17

18

19

20

21

We gave additional details on the areas that we're going to look at under NNI and ICS review. That was -- before that was a little bit general in nature. We commented on some changes that other organizations, other utilities said they were looking at as far as their plants and tried to draw a line of why we thought either they were applicable or not applicable to the Midland unit.

22

23

24

25

We specified some design criteria of the AFW level control system which we'll implement on Midland. We gave some design details of the AFW piping modifications we're conducting both in the suction side and the discharge side.

13

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

We gave some details of the pressurized level indication system on Midland and specifically the expansion we're doing from 324 hundred inches.

We also provided some additional information on some instrumentation concerns such as incore thermal couples pesat tesat meters and automatic reactor coolant pump trip, et cetera.

Along with this submittal of April 3rd we modified our original submittal of December and this is the modification that went in on April 3rd of this year.

Basically this modification included complete modification of Appendices A and B which was the over cooling analysis that was previously submitted and as I said before, somewhat incomplete.

This revision provided a new analysis -- an analysis that hadn't been provided before but pressure -- pressure regulator malfunction, various analyses of small steam line break, a half .5 square foot break, various sensitivity studies to them, additional sensitivity studies to the main feedwater overfeed case which were not included in the previous submittal and also provide an additional main -- large main steam line break analysis taking credit for the Midland safety grade AFW level control system which hadn't been taking credit for in the initial submittal.

So this new information has just come to the staff

14

1  
2 as of April 3rd, Thursday of last week.

3 Finally, to summarize the present CPCO position is  
4 on over cooling and sensitivity. We feel right now that the  
5 staff has been supplied sufficient information to make a  
6 decision with regard to construction stoppage.

7 The additional studies we did as far as revising  
8 this response and supplying the response to the 27 questions  
9 has not changed our opinion of that. Our design changes  
10 and studies that we have identified are compatible with  
11 our present construction schedule and we feel we can  
12 accommodate them within that.

13 Although we don't feel that the sensitivity issue  
14 is closed, we feel that it should be pursued during the  
15 normal licensing process and we would encourage the staff  
16 to put that back in the licensing process and get on with  
17 the licensing review of Midland and tie your over cooling  
18 events into that.

19 That's our position. I'll entertain any questions  
20 you might have.

21 Thank you.

22 CHAIRMAN ETHERINGTON: Would you remind us briefly  
23 the status of construction of your plant at the moment.

24 MR. SALERNO: Somewhere around the area of 60  
25 percent.

CHAIRMAN ETHERINGTON: Are all major components

15

1

2

pretty much installed?

3

4

5

6

MR. SALERNO: What you're looking at basically the finish of 60 percent is in the area of small pipe, cable, instrumentation and those type of things. Large pipe and major components are essentially 100 percent.

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CHAIRMAN ETHERINGTON: Any questions?

Thank you very much.

From being behind schedule, we're way ahead of schedule now.

The remaining item is the Executive Session which will not be recorded. I think we have to decide what we want -- what we recommend for presentation to the committee on --