



UNITED STATES
NUCLEAR REGULATORY COMMISSION

In the matter of:

BRIEFING ON SELECTIVE ABSORPTION
PROCESS AS A ALTERNATIVE IN
DEALING WITH KRYPTON IN TMI-2
CONTAINMENT

Place: Bethesda, Maryland

Date: April 25, 1980

Pages: 1 - 58

INTERNATIONAL VERBATIM REPORTERS, INC.
499 SOUTH CAPITOL STREET, S. W. SUITE 107
WASHINGTON, D. C. 20002
202 484-3330

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

-----X
 In the Matter of: :
 BRIEFING ON SELECTIVE ABSORPTION :
 PROCESS AS A ALTERNATIVE IN :
 DEALING WITH KRYPTON IN TMI-2 :
 CONTAINMENT :
 -----X

Room 550
 East-West Towers
 4350 East-West Highway
 Bethesda, Maryland
 Friday, April 25, 1980

The Commission met pursuant to notice, for
 presentation of the above-entitled matter at 3:17 p.m.,
 John F. Ahearne, Chairman of the Commission presiding.

BEFORE:

VICTOR GILINSKY, Commissioner
 PETER A. BRADFORD, Commissioner

NRC 4/25/80

3:17 p.m.

Tape 1

P R O C E E D I N G S

1 CHAIRMAN AHEARNE: I guess we don't go through the
2 Sunshine Act voting to --

3 SPEAKER: We are not required to vote.

4 CHAIRMAN AHEARNE: We are not a meeting yet. We may
5 or may not become a formal meeting at some later time.

6 I, and I guess the, the track is that it --
7
8 Congressman Ertel first alerted me to this issue, Mr. Gilinsky
9 also -- and that I guess related to, to both of their initi-
10 ative and interest, we are now at the stage where we do have
11 with the courtesy of Dr. Cunningham, who has made arrangements
12 for us to hear from a group of individuals from Oak Ridge and
13 DOE about the question of whether there is a more rapid and
14 better and faster way of working on the krypton in TMI.

15 Vic, did you want to --

16 COMMISSIONER GILINSKY: I just wanted to say that
17 it was much at Mr. Ertel's initiative that the second look
18 was taken. And I accompanied him down there and -- but it
19 was, I want to underline the, really his initiative.

20 CHAIRMAN AHEARNE: Who is the lead --

21 SPEAKER: I, I am, I'm the lead as far as Oak
22 Ridge.

23 CHAIRMAN AHEARNE: Okay. Why don't you go and
24 introduce --

25 SPEAKER: But Herb Feinroth is representing Dr.

1 Cunningham.

2 CHAIRMAN AHEARNE: Okay, then Herb, why don't you
3 start out and introduce the people and --

4 MR. FEINROTH: I'll just repeat what Dr. Cunningham
5 told Dr. -- Mr. -- this morning. That was that he wanted to
6 make sure that every opportunity or every, the full resources
7 of the Oak Ridge National Laboratory were made available to
8 answer that.

9 Earl's questions or any questions you have with
10 regard to the, the system that you're considering as an
11 alternative -- and so he just wanted to make sure that you
12 know that the resources are fully available.

13 And with that, I wanted to introduce Stan Ahrends,
14 who was the Department of Energy representative at Oak Ridge,
15 who will introduce --

16 MR. AHREND: I'm Stan Ahrends, from Oak Ridge, the
17 Department of Energy. And I was at the meeting with Congress-
18 man Ertel and Mr. Gilinsky last Saturday. With me today is
19 Don Trauger, on the right, who is head of the nuclear work at
20 the Oak Ridge National Laboratory; and this selective absorp-
21 tion process is, is under his management.

22 Bob Brooksbanks, over to my left, is here from Oak
23 Ridge National Laboratory. He's a member of the clinical
24 technology division, and some of you here might know he's
25 been very active up at Three Mile Island, has been handling

1 the Oak Ridge support to Three Mile Island on a chemical
2 engineering and the environmental aspects of the incident up
3 there and is also a member of the technical advisory group.

4 He will be making the initial part of the presenta-
5 tion this afternoon, which just as a couple of vuegraphs
6 represents the Oak Ridge position on what to do as far as the
7 decontamination of the, the reactor building --

8 COMMISSIONER GILINSKY: Stan, I wonder if I could
9 just add another word to, to what I said, just to make a
10 little clearer what the motivation for coming down to see you
11 was. I had had someone take a look at the various options
12 that were displayed in our environmental report.

13 Gerry Pollack, from Michigan State -- and he thought
14 this one, of the four, was, was the most interesting one,
15 leaving aside how long the, it would take to, to actually
16 implement.

17 The Congressman got, as you know, interested in
18 this and got to talking. And he started to wonder whether,
19 if one imposed lesser requirements on the system, whether in
20 fact the job could be accomplished sooner; in other words, if
21 one were shooting for a, for a simpler system than has come
22 out of conversation.

23 And that was basically the approach we took in
24 coming out and talking with you and Bob and others if one did
25 not expect quite as total a cleanup or relaxed various

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

constraints in terms of the standards imposed on the system,
what could the time be driven down to, reasonably?

And anyway, that's, that's all the background for --

MR. AHREND: I think that's good background
and to directly respond to those questions and the questions
that were left with us last Saturday, have Bob Merryman, from
Oak Ridge Union Carbide -- he is head of the technical divi-
sion there, and he originates part of the work with the
selective absorption process years ago and is now manager of
it again.

He will be making the main presentation, which will
be responding to those issues which were left last Saturday,
a one-week study; and so he will answer that in detail.

CHAIRMAN AHEARNE: Very good.

And at some point I had, I've asked Bertie Snyder,
who is head of our TMI-2 cleanup to come -- and Harold Denton,
who is the head of NRR -- and they might have some questions.

CHAIRMAN AHEARNE: So -- Bob, would you start
talking?

MR. BROOKSBANK: Okay.

(Pause.)

Well, on the bottom there. The switch in the front,
the front and the bottom.

(Pause.)

There you are.

1 At the onset, gentlemen, let me say that I'm going
2 to keep extremely brief. It only consists of two vuegraphs
3 plus coversheet. But the conclusion that I'm going to draw is
4 that the recommendation from Oak Ridge will be the Benning
5 option is the best option.

6 And before I do that, I must tell you where I'm
7 coming from and why these statements are being made.

8 Herb, may I have that first --

9 Let me point out that early on in the accident the,
10 the reactor itself was changed from that of being a power-
11 producing machine to a greater chemical processing plant.
12 And I wanted to applaud you at this point. And the, the unit
13 operations involved in doing the cleanup on that kind of
14 material is considerably different from what the commercial
15 sector is used to seeing.

16 Over the past 30 years we became involved rather
17 early, but over the past 30 years we have been handling unit
18 operations of this nature, as you know, in many things and --
19 so that we were called upon early on to assist in Three Mile
20 Island. Now I am not trying to dwell on these points, but I
21 will read them for you to show what, where we're coming from
22 with regards to involvement.

23 As Harold Denton knows, we did provide emergency
24 on-site assistance to the contaminated air and water effluent
25 control. We provided consultant conservation to the Kemeny

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Commission. And all of those things which relate to the discharge and the health and welfare, protecting the health and welfare of the general public.

We also kept very detailed records and a lot of books on everything that happened, and that's a matter of record. And we also provided involvement reports in chronology form to the Presidential Commission.

Now, there are many other areas that the Laboratory provided assistance to the Kemeny Commission, such as instrument diagnostics; but I'll not go into that.

We have provided Three Mile Island with the analytical chemistry service where unique capabilities are mandated. We have provided assistance to the TMI Technical Advisory Group, this group; your information is composed of Ben Russhe, Mark Guise, the former director of, of Savannah River Laboratory, Dick Wallace, and myself.

We've provided continuous assistance in the area of high-level water-flow sheet development and verification. Let me point out this point: that we're still very actively involved in this, and over the past two months we have spent upward of \$150,000 to assist Three Mile Island in coming up with the characteristics of that flow sheet, in response to NRC's demands we're trying to find out what's going to happen.

We do provide trouble-shooting service in the event

1 that places like Epicore 2 get in trouble; if the decontamina-
2 tion factor decreases, we do assist them in certain operations.

3 We have been providing input to a recently formed
4 committee that I understand within NRC an understanding
5 that situation at Three Mile Island.

6 In addition to that, we've done a little work with
7 Senator Hart in providing new information and input as a
8 result of being turned down by the Kemeny Commission.

9 Next slide.

10 COMMISSIONER GILINSKY: Bob, before you go from
11 there, how do you tie this to our, the, sort of the question
12 before us?

13 SPEAKER: Well, I think what he's pointing out is,
14 we've had a lot of background, but he's very familiar with
15 what went on in the reactor and -- very current and, and --
16 what is that?

17 MR. BROOKSBANK: Now, this won't take but a minute,
18 but based on our experience, based on our review of the
19 existing documents and the various discussions which, with
20 those people who we consider to be experts in the field of
21 dose assessment and, fully understanding the different
22 alternatives, technical alternatives, that are available for
23 krypton removal, at this time we feel that the best approach
24 to the krypton process would be to prolong, control, venting
25 of the containment atmosphere to the environment.

1 We'd also suggest that, as this learning is
 2 accomplished, that trained independent groups -- and I think
 3 this is going on at the present time -- actually measured
 4 that background, off the island, and continued safety at the
 5 TMI site. Entry into the containment is necessary for
 6 equipment maintenance and radiation survey.

7 CHAIRMAN AHEARNE: Could I ask you a couple of
 8 questions on that?

9 MR. BROOKSBANK: Yes, sir.

10 CHAIRMAN AHEARNE: When you say the experts in the
 11 field of doses, that's meant to give me some sense of --

12 MR. BROOKSBANK: Yes, sir, Commissioner. When it
 13 comes to people with my background, I have two things to go
 14 by: one are the MPCs and the regulations that you provide,
 15 as a limit. I'd also have to refer to the very specialized
 16 field. I have to refer to experts for that information, just
 17 back up.

18 CHAIRMAN AHEARNE: Well, but are you saying that --
 19 is your, are your set of conclusions here that they stay
 20 within the MPCs, or are --

21 MR. BROOKSBANK: Sir, I am not willing to address
 22 the subject of dose assessment. What I have done is to defer
 23 this question to John Auxier; he's the division director of
 24 our safety and -- physics -- and, and has worked on the dose
 25 assessment business for Three Mile Island to get his, his

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

opinion.

I can't address that question.

CHAIRMAN AHEARNE: No, no.

Say again who that was: John --

MR. BROOKSBANK: Auxier, A-u-x-i-e-r.

CHAIRMAN AHEARNE: And he is --

MR. BROOKSBANK: He's the division director of the Oak Ridge National Laboratory Safety and Applied Health Physics Division.

CHAIRMAN AHEARNE: Okay.

Now, when you say a "prolonged" control venting, then what is the -- by the word "prolonged," what did you have in mind?

MR. BROOKSBANK: Over a period of time, based on the same background that you're giving in your environmental assessment.

CHAIRMAN AHEARNE: But for example, in the environmental assessment we have proposed two alternatives, one which was a short and the other which was a long. And do I conclude by your first that you're saying --

MR. BROOKSBANK: I don't make, I don't make the distinction, sir. I just say that in the event that you're going to build the system and take the time to build a safely designed qualified system to do this, it's going to take longer than the venting that's been proposed, regardless of

1 the --

2 CHAIRMAN AHEARNE: Okay. Now, on the point number 2,
3 you say venting should be accomplished without increase of the
4 natural background.

5 I'm sorry I, I, I'm having difficulty with it. But
6 I could see you're saying one of two things. Either you could
7 say that when you vent, the amount vented should be so low
8 that you couldn't detect an increase over the natural back-
9 ground; or two, that you should vent only when you have seen
10 that there is no major fluctuation in the natural background.

11 Or maybe there's a third interpretation.

12 MR. BROOKSBANK: I didn't, I didn't make that dis-
13 tinction. That recommendation was made by our folks working
14 in, in, for NRC at the Laboratory. And that merely means
15 that those individuals who have been trained by DOE or NRC,
16 who's ever training them; I'm not sure -- do not detect any,
17 any background.

18 But those instruments are being given to check.

19 COMMISSIONER GILINSKY: Bob, could I ask you:

20 Without necessarily disagreeing with your conclu-
21 sions here, we're talking about a project which was originally
22 started to deal with precisely the kind of situation we're
23 talking about, or pretty close.

24 MR. BROOKSBANK: Yes.

25 COMMISSIONER GILINSKY: Are you saying that that

1 didn't make any sense?

2 MR. BROOKSBANK: Oh, no.

3 (Pause.)

4 COMMISSIONER GILINSKY: Then how do you connect up
5 the two? Did --

6 MR. BROOKSBANK: My presentation with what Bob is
7 saying about --

8 COMMISSIONER GILINSKY: Well, I wasn't addressing
9 myself specifically to precise details of, of, of what we
10 would have to do to employ the technique now. But what I'm
11 asking you, are you saying that it really doesn't -- given
12 these certain amounts of krypton, it doesn't make any sense
13 to have developed techniques to deal with them?

14 MR. BROOKSBANK: Oh, no. No, sir.

15 COMMISSIONER GILINSKY: Or is it just the time
16 element in, in employing --

17 MR. BROOKSBANK: I think the time element, Com-
18 missioner, is the thing that concerns me. There's a need to
19 develop better krypton absorption capabilities for the
20 reprocessing sector. And that's how Dr. Merryman's worked
21 that --

22 COMMISSIONER GILINSKY: But not truly after acci-
23 dents?

24 SPEAKER: Oh; oh, yes.

25 DR. MERRYMAN: It was looked at. If I might make a

1 comment: it was looked at early on. But for our situation,
2 where the fuel would be in equilibrium -- value when the
3 inventory of the radio -- would be certainly greater than ever
4 it, than the levels ever achieved in the TMI-2 core.

5 And in addition, the time that has elapsed since the
6 TMI-2 incident has allowed a lot of the -- well, allowed the
7 xenons, for example, that were present, substantially decay.

8 And I think that certainly in the early days when
9 we consider a mobile unit for dealing with reactor postaccident
10 cleanup situations, the ground rules were fully equilibrated
11 core full inventories and total releases, and fairly quick
12 response time sorts of things, so that the --

13 COMMISSIONER GILINSKY: And you expect to deal with
14 a variety of isotopes --

15 DR. MERRYMAN: Well, we have looked at the original
16 work that we did many years ago, sculpting calculations and
17 studies, and conceptual-type studies and designs were based
18 on a response to the incidental event. A few days where the
19 xenons were contributors.

20 CHAIRMAN AHEARNE: You said the first week is --

21 DR. MERRYMAN: Yes, that's right. That's correct.

22 CHAIRMAN AHEARNE: Yes.

23 DR. MERRYMAN: And it's far different than the
24 situation that exists at this point in time in PMI-2, because
25 of the lowburn-up and then the elapsed time.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. BROOKSBANK: That's, that's all I have. Thank you.

CHAIRMAN AHEARNE: Thank you.

(Pause.)

DR. MERRYMAN: I have several vuegraphs that I'd like to show that respond to the request that Congressman Ertel made of Mr. D -- and Commissioner Gilinsky.

CHAIRMAN AHEARNE: Ah. Could I take a moment pause?

(Laughter.)

This is a vote to hold on less than one week's notice.

DR. MERRYMAN: All right.

CHAIRMAN AHEARNE: We are, it is now a formal Commission, you see, because we are now at a quorum of the Commission.

COMMISSIONER GILINSKY: Certainly, in terms of weight.

CHAIRMAN AHEARNE: Go ahead.

DR. MERRYMAN: To give you just a little background, we had, have been involved in this program for a number of years, particularly in a variety of applications, most recently just as indicated here, we've been looking at the fuel reprocessing applications.

We had looked at others up, early on.

During the considerations of cleanup activities

1 associated with TMI-2, we did have a revival of interest in
2 the possibility of using this particular technology first of
3 all for, in a generic sense, not necessarily in the TMI-2
4 cleanup, but then most recently as a part of the TMI-2 cleanup
5 itself.

6
7 But we've had some discussions with various people,
8 wondering about the possibilities of that and have provided
9 the Department of Energy in January of this year with an
10 estimate they requested of the time and cost to put together a
11 mobile processing unit for the Three Mile Island Two cleanup.

12 So after considering that in the light of other
13 information, a visit was made from the Congressman and by
14 Commissioner Gilinsky, as you're all well aware, to Oak Ridge
15 last Saturday to have some discussions with us and also to
16 see the test unit, the power-plant unit that has been in
17 operation recently.

18 As a result of that visit, the Congressman asked
19 first that we make some scoping calculations of decontamination
20 factors, processing times, and so forth -- with, system-sized
21 at our pilot plant level, which is 15 standard cubic feet per
22 minute. At also at 10 times that, which was recommended as a
23 very safe extrapolation.

24 That is, he was interested in indicating the range
25 of reductions and times and so forth that fall within those
26 criteria.

1 The Congressman also asked that we make some ball-
2 park estimates of the schedules, the cost, the problems, and
3 so forth, the interfaces -- associated with those two cases:
4 one, using a 15 scf system, perhaps even our test unit itself
5 or portions of it; and secondly, the 150 scf --

6 But we, we told him that we thought even a rough
7 look off the top of our head sort of thing would require a
8 couple of weeks.

9 He was interested in an answer today, and so what we
10 agreed to do and tried to do this week, what we've concentrated
11 on this week we've shown in this vuegraph here.

12 We have, first of all, made the calculations that
13 he indicated, showing various tradeoffs and options and so
14 forth. And one, decontamination factors, flow rates, process-
15 ing time, and so forth.

16 We have made an initial evaluation of the applica-
17 bility of our pilot plant equipment for incorporation into
18 some system for TMI-2. And we have identified primary issues,
19 problems, and so forth in implementing the system, our new
20 system.

21 (Pause.)

22 The first point that was raised was the issue of
23 tradeoffs among DFs and the processing time and so forth.
24 That's illustrated here, where the containment vessel activity
25 is plotted versus the processing times of any kind of a

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

process. And the parameter here is flow rate. Again, the 15 is the pilot plant. We've been concentrated in the 15 to 150 scf --

(Pause.)

I think one conclusion we've drawn from, from this chart just as a matter of, just as a judgment matter, was that --

CHAIRMAN AHEARNE: Now, on -- in this operation, for example, you've got -- if you're using the 15 one, at the end of the lower righthand side, what is that? 175?

DR. MERRYMAN: Yes, 175 days --

CHAIRMAN AHEARNE: Days --

DR. MERRYMAN: -- there would still be over 10 percent, 15 percent, or something like that.

CHAIRMAN AHEARNE: Okay, now. This is on the -- is this a pass to the atmosphere? Or recycling back to the containment?

DR. MERRYMAN: Well, as I, as I can show on this next vuegraph, it's for all practical purposes either one.

This vuegraph shows the same information in a little different way. Here I plotted reactor volumes process versus the containment vessel decontamination factor.

Here the parameter is for some of the lines, is the process decontamination factor. If it's a recycle from containment through the process back to the containment.

1 And as you can see, for significant process decon-
2 tamination factors, a hundred or greater, that's substantially
3 the same relationship that exists with an infinitely efficient
4 process. Power was just pumping it right out of the vessel
5 and into the atmosphere, so this upper line is the, is also
6 applicable to a once-through case, even with no decontamina-
7 tion. This is the depletion line for krypton in the contain-
8 ment vessel as a function of reactor volumes processed, for
9 example, on a bleed-and-feed type of operation.

10 CHAIRMAN AHEARNE: Can I see the previous chart?

11 DR. MERRYMAN: Certainly.

12 CHAIRMAN AHEARNE: Well, just as a, as a working
13 number, what, what level of activity do you have to, does it
14 have it to get down to, to get down to MPC?

15 (Pause.)

16 Bernie, do you know?

17 MR. SNYDER: Yes, we're just figuring -- we were
18 just looking at this. The MPC is 1 times 10^{-5} for workers.
19 I believe that's correct.

20 CHAIRMAN AHEARNE: Well, but this --

21 MR. SNYDER: And it figures out to 99 --

22 CHAIRMAN AHEARNE: Well, wait. We're talking 10 to
23 the --

24 MR. SNYDER: I think it works out about a thousand,
25 hook it up.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. SNYDER: Yeah, it's a thousand days with a 15 cfm system.

DR. MERRYMAN: Another way -- yes, for the 15 it's my understanding that on this chart it's somewhere close to 10^5 . It's something like 8 times 10^{12} on other decontamination.

MR. SNYDER: Yes. Right. But to put it in perspective, it works out to be 1,065 days from --

CHAIRMAN AHEARNE: Okay. So if you run the hundred days, the 15 cubic foot, you are -- is this, it starts at the roughly 57, 50, 60,000?

DR. MERRYMAN: Yes, sir.

CHAIRMAN AHEARNE: Okay.

So you're down to what? Around 20,000 at the end of a hundred days?

DR. MERRYMAN: Something like that.

MR. SNYDER: We calculated it as just a straightforward exponential case.

We calculated it at 15 cfm. In 64 days you can reduce the concentration about 50 percent, as far as the full time, now.

CHAIRMAN AHEARNE: Yes. Yes. No, I -- yes. This is run time.

Yes.

(Pause.)

Okay. Thank you.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Well, at some point will it be possible to get copies of these.

DR. MERRYMAN: Yes, I think we've got a couple of copies --

(Pause.)

This is a summary of 15, 50, and 150 standard cubic feet per minute and the weeks of processing time required to achieve the indicated removals. And again, this is a summary of what I, what we said earlier.

And I think a point that I'm going to make later, when I talk about the pilot plants: one point is that in our judgment 15 is too low a flow rate to really be -- you've got to have the desire to kind of, kind of impact.

That's a judgment that's based on looking at numbers such as what I've illustrated on these three vuegraphs.

CHAIRMAN AHEARNE: Although actually, I guess that the judgment on whether or not that's an appropriate thing would really won't be ours to --

DR. MERRYMAN: Certainly, I'm, I guess I have to apologize --

CHAIRMAN AHEARNE: No, no, that's okay, Doc -- no.

DR. MERRYMAN: -- if I cross-number a little bit.

CHAIRMAN AHEARNE: Yes. No, I, I just felt obligated to make that point.

DR. MERRYMAN: Both the Commissioner Gilinsky and

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47
48
49
50
51
52
53
54
55
56
57
58
59
60
61
62
63
64
65
66
67
68
69
70
71
72
73
74
75
76
77
78
79
80
81
82
83
84
85
86
87
88
89
90
91
92
93
94
95
96
97
98
99
100
101
102
103
104
105
106
107
108
109
110
111
112
113
114
115
116
117
118
119
120
121
122
123
124
125
126
127
128
129
130
131
132
133
134
135
136
137
138
139
140
141
142
143
144
145
146
147
148
149
150
151
152
153
154
155
156
157
158
159
160
161
162
163
164
165
166
167
168
169
170
171
172
173
174
175
176
177
178
179
180
181
182
183
184
185
186
187
188
189
190
191
192
193
194
195
196
197
198
199
200
201
202
203
204
205
206
207
208
209
210
211
212
213
214
215
216
217
218
219
220
221
222
223
224
225
226
227
228
229
230
231
232
233
234
235
236
237
238
239
240
241
242
243
244
245
246
247
248
249
250
251
252
253
254
255
256
257
258
259
260
261
262
263
264
265
266
267
268
269
270
271
272
273
274
275
276
277
278
279
280
281
282
283
284
285
286
287
288
289
290
291
292
293
294
295
296
297
298
299
300
301
302
303
304
305
306
307
308
309
310
311
312
313
314
315
316
317
318
319
320
321
322
323
324
325
326
327
328
329
330
331
332
333
334
335
336
337
338
339
340
341
342
343
344
345
346
347
348
349
350
351
352
353
354
355
356
357
358
359
360
361
362
363
364
365
366
367
368
369
370
371
372
373
374
375
376
377
378
379
380
381
382
383
384
385
386
387
388
389
390
391
392
393
394
395
396
397
398
399
400
401
402
403
404
405
406
407
408
409
410
411
412
413
414
415
416
417
418
419
420
421
422
423
424
425
426
427
428
429
430
431
432
433
434
435
436
437
438
439
440
441
442
443
444
445
446
447
448
449
450
451
452
453
454
455
456
457
458
459
460
461
462
463
464
465
466
467
468
469
470
471
472
473
474
475
476
477
478
479
480
481
482
483
484
485
486
487
488
489
490
491
492
493
494
495
496
497
498
499
500
501
502
503
504
505
506
507
508
509
510
511
512
513
514
515
516
517
518
519
520
521
522
523
524
525
526
527
528
529
530
531
532
533
534
535
536
537
538
539
540
541
542
543
544
545
546
547
548
549
550
551
552
553
554
555
556
557
558
559
560
561
562
563
564
565
566
567
568
569
570
571
572
573
574
575
576
577
578
579
580
581
582
583
584
585
586
587
588
589
590
591
592
593
594
595
596
597
598
599
600
601
602
603
604
605
606
607
608
609
610
611
612
613
614
615
616
617
618
619
620
621
622
623
624
625
626
627
628
629
630
631
632
633
634
635
636
637
638
639
640
641
642
643
644
645
646
647
648
649
650
651
652
653
654
655
656
657
658
659
660
661
662
663
664
665
666
667
668
669
670
671
672
673
674
675
676
677
678
679
680
681
682
683
684
685
686
687
688
689
690
691
692
693
694
695
696
697
698
699
700
701
702
703
704
705
706
707
708
709
710
711
712
713
714
715
716
717
718
719
720
721
722
723
724
725
726
727
728
729
730
731
732
733
734
735
736
737
738
739
740
741
742
743
744
745
746
747
748
749
750
751
752
753
754
755
756
757
758
759
760
761
762
763
764
765
766
767
768
769
770
771
772
773
774
775
776
777
778
779
780
781
782
783
784
785
786
787
788
789
790
791
792
793
794
795
796
797
798
799
800
801
802
803
804
805
806
807
808
809
810
811
812
813
814
815
816
817
818
819
820
821
822
823
824
825
826
827
828
829
830
831
832
833
834
835
836
837
838
839
840
841
842
843
844
845
846
847
848
849
850
851
852
853
854
855
856
857
858
859
860
861
862
863
864
865
866
867
868
869
870
871
872
873
874
875
876
877
878
879
880
881
882
883
884
885
886
887
888
889
890
891
892
893
894
895
896
897
898
899
900
901
902
903
904
905
906
907
908
909
910
911
912
913
914
915
916
917
918
919
920
921
922
923
924
925
926
927
928
929
930
931
932
933
934
935
936
937
938
939
940
941
942
943
944
945
946
947
948
949
950
951
952
953
954
955
956
957
958
959
960
961
962
963
964
965
966
967
968
969
970
971
972
973
974
975
976
977
978
979
980
981
982
983
984
985
986
987
988
989
990
991
992
993
994
995
996
997
998
999
1000

Congressman Ertel were very gracious; and Saturday, listening to us recommend the vent case, on more than one occasion. And so I think that's a matter of record. But perhaps a later vuegraph might really be a little more persuasive about the appropriateness of the size of the thing.

Okay. We, we feel like then we have, we view the possible combinations that may be of interest; and so the next thing that we, that we did was attempt to start answering questions of, about project approach and content and scope and feasibility and problems and that sort of thing.

And to do that we, we did look at basic system requirements. Now previously, as I've mentioned earlier, we had looked at a mobile unit at the request of DOE. And that unit was 275 scfm unit. It was fully mobile. We looked at an option where it was to be licensable and another option where it might not be.

The request that was made Saturday was to essentially take another look to see if there are innovative approaches to less than the full complete job, maybe not fully mobile. Well, that's the sort of thing we tried to start addressing this week; and this is a very crude schematic of the selective absorption process.

The spark, the most, in its spartan configuration that we envision as being appropriate for this particular application.

CHAIRMAN AHEARNE: Well, are you going to comment on some of the features of it, or --

DR. MERRYMAN: Yes, sir. I am. Probably more than you, more than you want to hear.

(Laughter.)

This is essentially the same vuegraph on here; I've tried to divide that into its major subsystems: the feed preparation subsystem, krypton separation subsystem, product treatment subsystem, product storage subsystem, solvent treatment subsystem, vent gas treatment subsystem, and gas maintenance subsystem.

Now, what I'd like to do next is go through each of these and list some of the issues and some of the major hardware items and so forth, again recognizing that this is just a cross-cut after about a week of looking at it again; and I will point out a couple of places where this differs from the system we looked at earlier --

The feed preparation subsystem is the first one in that group. This is where the gas enters from the reactor building. The primary function is to filter, drive, and press through the meter in the feed gas. Major equipment items are banks of heater filters, reversing heat exchangers for taking the bulk of the water out, gas compressor, gas cooler, and its associated refrigeration system, molecular sieve beds, for appropriate finishing of the drying the bar

1 storage things which I'll mention in a second. The process
2 of the operator requirements are to then provide cool gas at
3 approximately minus-30 degrees F. and 150 pounds, which is
4 part of the conditioning under which the krypton is absorbed
5 in the unit.

6 One consideration that entered our thinking is that
7 because of the possibility of treating it under perhaps other
8 radionucleides we think the design consideration would be the
9 collection and the containment of all the water that is
10 removed; and that's the few hundred gallons that's going to
11 be taken from this gas stream.

12 The molecular sieves also might be contaminated,
13 might become contaminated during its operation; and that is
14 the, that particular hardware design might also require that
15 kind of consideration.

16 CHAIRMAN AHEARNE: Given the amount of water we have
17 there already and all of the resins and everything we're
18 collecting, and yet there's no --

19 (Pause.)

20 DR. MERRYMAN: Certainly, a water tank is not a,
21 not a formidable, particularly formidable task. But again,
22 if you don't think of --

23 CHAIRMAN AHEARNE: Sure. No. Right.

24 DR. MERRYMAN: -- you need it, why, you'd shut down
25 the --

1 The heart of the process is a krypton separation
2 column, where the krypton is removed from the gas concentrated.

3 There the, our tentative thinking is that an appro-
4 priate design criteria would include a, a target decontamina-
5 tion factor for that column of 10^2 and a concentration factor
6 on the order of couple times 10^4 , at least I mentioned before.

7 CHAIRMAN AHEARNE: What are the factors for your
8 pilot project?

9 DR. MERRYMAN: We've achieved, in the pilot plant
10 we've achieved another factor of 10 on the decontamination
11 factor. The concentration factor there is about as good as
12 we've seen routinely. There is a margin; only we didn't
13 execute our level of decontamination.

14 CHAIRMAN AHEARNE: Why -- well, what makes this end
15 up only a factor of a hundred in this crude spartan system?
16 Why do you lose the factor of 10?

17 DR. MERRYMAN: Well --

18 CHAIRMAN AHEARNE: Those are the conservative
19 estimates.

20 DR. MERRYMAN: The conservative estimate. And it's
21 also one of the charts that I showed earlier indicated that
22 if it's a recycle situation, the significance between 10^2 and
23 infinite decontamination factor is varied insignificantly.

24 So it's almost a nonissue once you get about 10^2
for the recycle.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

CHAIRMAN AHEARNE: Yes.

DR. MERRYMAN: The next subsystem that I'd like to answer is the vent gas treatment subsystem. This subsystem occurs between the krypton separation problem and either the vent or, or the reactor if the recycle is, is employed.

Here, particularly in the case of recycle, the primary consideration is removal of small amounts of -- vapor, refrigerant 12, difluoro-di-chloro, which might be recycled. So one difference between this, this particular design we've been looking at this week and the one we looked at earlier in the year is that we have a more elaborate system than the earlier one.

This one is more the straightforward approach, and you just put it in a condenser to achieve a bulk of the removal with this associated refrigeration system. And then we're supplementing that with molecular sieve beds to remove remaining traces, and the operating design point is to get that to, a part per million or less.

(Pause.)

The solvent treatment system, the function there is a straightforward, is just to pump up the solvent, cool it, meter it, and purify it prior to returning it to the absorber column. The solvent loop is a closed loop. Here this particular design that we're looking at now is very simple, in that the purification unit is simply the molecular sieve bed.

1 We don't anticipate the long enough run times or
2 substantial enough burdens of other contaminants or to really
3 get much beyond that for that particular case. Other versions
4 have fairly, can have very elaborate systems --

5 Again, though, one consideration is disposing of
6 those sieves. There's a possibility of some accumulation --

7 (Pause.)

8 Getting now into what I think is one of the more
9 uncertain areas of this whole business, look at what happens
10 with the krypton as it comes off of the hollow. Again, the
11 concentration factor is on the order of 2 times 10^4 . So
12 krypton, for example, might be increased from one part per
13 million to 2 percent in the stream going off --

14 The remaining material in that stream is primarily
15 xenon and carbon dioxide. One issue is that if it's a once-
16 through application, and if the link-up gas into the reactor
17 is air, atmospheric air, then there will be a fair amount of
18 carbon dioxide that will continue to be introduced into the
19 system. It should be dealt with.

20 Here an approach was assumed that would basically
21 concentrate the krypton further, with one step of cold
22 trapping preceded by some molecular sieve trapping to remove
23 the refrigerant-12 vapors. That is very important from the
24 technical standpoint, because of uncertainties associated
25 with the radiolytic decomposition of R_{12} if it's contained in

1 storage cylinders for long periods of time. The uncertainty
2 stems from the unknown, unstudied, perhaps corrosion implica-
3 tions: chlorine and steel.

4 So that's, that's the reason for the incorporation
5 of a molecular sieve trap to remove those vapors. A little
6 background to that chart: this is a rough understanding of
7 what the present inventories might be in that contaminant in
8 terms of cubic feet of total krypton.

9 CHAIRMAN AHEARNE: If you eliminated that cold trap,
10 would that assist in any way in the system? Put aside for a
11 minute -- let us assume for a moment that there is no problems
12 with radiolytic decomposition and corrosion. And you see, you
13 don't need that.

14 DR. MERRYMAN: The molecular sieves would -- pro-
15 vided you take care of the refrigerant vapor -- the cold trap
16 sort of provided to remove most of this. The implication in
17 removing most of the xenon and carbon dioxide is to reduce
18 the storage containers that might --

19 (Pause.)

20 It's an uncertainty. As I can point out later, the
21 criteria for storage of the krypton 85 is one of the main
22 uncertainties in my judgment, because as I've illustrated
23 here, it penetrates back into the design of the system itself.
24 So it's not just a question of do I order one cylinder or 10
25 cylinders or a hundred cylinders? It's associated with do we

1 need this kind of trap or some other kind of trap? But there
2 will be an obvious simplification when you have one less item
3 to, to fool with. But that's not a particularly decisive one.

4 I think a couple of points that this makes, first of
5 all, if the system is once-through, then there is an argument
6 for either using something like nitrogen just make a -- to
7 avoid the CO₂ introduction. Or perhaps if areas require to,
8 equipment taking out CO₂ prior to putting it in to the
9 reactor.

10 This also is an argument for the continuous recycl-
11 ing case, I suspect.

12 CHAIRMAN AHEARNE: I guess if you get enough refill
13 of the project, Jim, then at some later stage you'd have to
14 recycle through the -- in order to get the atmosphere of --
15 atmosphere.

16 DR. MERRYMAN: I'm sorry; I didn't hear.

17 CHAIRMAN AHEARNE: If you use nitrogen as a makeup,
18 are talking about makeup into the containment?

19 DR. MERRYMAN: That's one possibility that --

20 CHAIRMAN AHEARNE: Yes, but then you, then you,
21 you've traded one problem of entry to another problem of
22 entry.

23 MR. FEINROTH: Again, you don't have as much
24 storage to worry about in the design of the system as long as
25 you can perhaps design a simpler substorage system.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

Later on, you just will take some nitrogen with air so you'd have the oxygen.

CHAIRMAN AHEARNE: Yes.

MR. FEINROTH: That's the only way you could.

(Pause.)

DR. MERRYMAN: Again, this is just a --

(Pause.)

The product storage, the class area there, really unknown in my judgment. I would assume it would be something like metal containment or the shielding and improving for rather long-term protection in the storage.

If those are pressurized cylinders, which is what has been looked at for the most part over the years, then compression would be required and, of course, the appropriate cylinders and storage gas and what not.

The gas makeup we talked about previously, and so I won't dwell on it. This is the issue --

It might be nitrogen, in which case you would have to do something lighter. Or it might be the absorber recycle.

CHAIRMAN AHEARNE: Wait!

(Brief discussion.)

(Laughter.)

(Pause.)

DR. MERRYMAN: This last vuegraph in terms of a statement of just what this process might look like is just

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

really it's not a very specific one. It just says that once a design is selected, obviously you have to --

SPEAKER: The power is out.

DR. MERRYMAN: -- the various utilities.

Okay. With that background, then, we did take a, a look at the second question that was asked last week; namely, just how applicable might the pilot plant itself be for this particular task?

One of the first things we did was to look at the subsystems and hardware items that I have shown you in the previous charts, and then --

CHAIRMAN AHEARNE: Let me back off one step:

One suggestion had been: could you just pick up your pilot plant and move it up -- and install it?

MR. PENNINGTON: That's what this is going to look at.

CHAIRMAN AHEARNE: Well, but --

DR. MERRYMAN: This vuegraph --

CHAIRMAN AHEARNE: -- this would be the availability of the whole pilot plant, is my question.

MR. PENNINGTON: When he says portions of the pilot plant would be needed in the application at TMI, what would be missing if they did that, is what this is. What would be missing in TMI --

DR. MERRYMAN: You mean, what wouldn't be needed?

MR. PENNINGTON: No. What else would be needed --

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DR. MERRYMAN: Let me try to explain what this, what this is.

MR. PENNINGTON: Okay, I'm missing some too.

DR. MERRYMAN: This is what would be required, in our judgment, for this spartan system of TMI-2. This is what we don't have, no; and the X is what we do have in our pilot plant.

CHAIRMAN AHEARNE: In other words, if you cannibalized your power plant.

DR. MERRYMAN: If you cannibalized your power plant, all you would get is -- and you would get that for the 15 SCFM case.

CHAIRMAN AHEARNE: Yes.

DR. MERRYMAN: As was indicated with an X, here.

CHAIRMAN AHEARNE: I'm sorry, Bob. I really missed something. Let us suppose that you weren't putting in a spartan system. If you had, if you hooked up your pilot plant, you need these additional items -- they're not in your pilot plant.

DR. MERRYMAN: These things do not exist. The pilot plant is an experimental --

CHAIRMAN AHEARNE: All right, that was --

DR. MERRYMAN: It only has approximately half of the --

CHAIRMAN AHEARNE: I see. Okay. Fine. That's

1 what I was going to say.

2 DR. MERRYMAN: And I might point out also that in
3 terms of the larger system, larger than 15, the only thing
4 that we have is, that would be applicable that you could
5 cannibalize, so to speak, would be some of the instrumentation.
6 Admittedly, some of that is --

7 CHAIRMAN AHEARNE: Now I have to start reading the
8 chart, because I was more interested --

9 DR. MERRYMAN: For the most part. That means that
10 once we get it dry, we don't need to have a lot of those
11 drying systems, for example, so we don't have the reversing
12 heat exchangers. We don't heat filters. We have no require-
13 ment for that. We don't need the elaborate feed preparation
14 subsystems. We don't have any vent gas treatment, since we
15 just recycle back in.

16 The solvent treatment that we have is complete in
17 terms of its major components. On the other hand, the product
18 treatment, product storage is that we don't have anything of
19 that capability; nor do we have anything that speaks to
20 maintaining the makeup into the reactors.

21 (Pause.)

22 Okay. And so, I guess the concerns, then, we ended
23 up with about relocation of the pilot plant to TMI-2 and
24 incorporation of the test unit as part of the krypton removal
25 system there are summarized here.

End T-1

Tape 2:

1 First, as we said a moment ago, only half of the
2 things that you would need for the TMI-2 application are even
3 available in our pilot plant. Some of what is available,
4 particularly the refrigeration systems are old, some of them
5 go back to the first pilot plant which -- I assume the --
6 probably started up in 1968 --

7 CHAIRMAN AHEARNE: But the fact that they're, that
8 they're old is that being you have concern about the continu-
9 ing working, or --

10 DR. MERRYMAN: Yes, absolutely. I would, if I had
11 to pinpoint the, the availability problem with our particular
12 hardware, that would be the --

13 CHAIRMAN AHEARNE: Are you saying that when you run
14 your pilot plant, you have problems with it, or --

15 DR. MERRYMAN: We have -- in the past, that's been
16 a frequent -- if I had the list of things that we've had the
17 most frequent trouble with, that was far and away the main
18 item.

19 That is important in the experimental environment,
20 I would definitely, I'd recommend the old units that we have
21 for any kind of -- what kind of -- when you run your pilot
22 plant, do you -- for what period of time do you run it con-
23 tinuously?

24 We, for the most part, start it up or run it for
25 the most part five days a week. The start-ups and shut-downs

1 for each weekend.

2 CHAIRMAN AHEARNE: Twenty-four hours a day, 25 days.

3 DR. MERRYMAN: Yes, 24 hours a day.

4 CHAIRMAN AHEARNE: Okay.

5 Now, on typical weeks then, what is the percentage
6 of the time that's up?

7 DR. MERRYMAN: I can't answer that.

8 CHAIRMAN AHEARNE: Just, just rough.

9 DR. MERRYMAN: Large, large availability.

10 CHAIRMAN AHEARNE: Well, then, the refrigeration
11 system is getting old, if you're taking it down that much.

12 DR. MERRYMAN: If they're lifted out and moved and
13 all that.

14 There's a weak spot that we, when we tried to just
15 say --

16 CHAIRMAN AHEARNE: Yes. Yes.

17 DR. MERRYMAN: Yet a lot of this comes down to just
18 engineering judgment.

19 CHAIRMAN AHEARNE: Sure. Sure.

20 DR. MERRYMAN: And we looked at it and took our best
21 shot at it, why, that's sort of how that should happen.

22 CHAIRMAN AHEARNE: Now, the third bullet means --

23 DR. MERRYMAN: The third bullet says that other
24 items that might be available, such as the column itself, at
25 least as to the extent that we know --

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHAIRMAN AHEARNE: I see. Yes.

DR. MERRYMAN: -- what the critical path is, don't appear to be the pacing item.

CHAIRMAN AHEARNE: Right. So you could get --

DR. MERRYMAN: So we don't, we don't see any schedule advantage.

CHAIRMAN AHEARNE: Yes.

DR. MERRYMAN: From some of the initial vuegraphs I've showed, we've, again our judgment 15⁵ rate is lower than what we would argue or consider to be a practical minimum. We think maybe 50 would be about as low as we would consider as a minimum.

And certainly, I don't think that anyone could assert cost statements.

(Brief discussion.)

DR. MERRYMAN: And the system is not designed for relocation. I might elaborate on that. There are a number of sample parts and thermocouple wells and things like that.

CHAIRMAN AHEARNE: That is a question I had. I, I, in reading through your, your proposal, it was clear that you had at some stage in mind building a system that could go from place to place.

DR. MERRYMAN: Yes.

CHAIRMAN AHEARNE: I wasn't sure to what extent in putting your pilot plant together you would use that philosophy.

1 DR. MERRYMAN: To no extent. To no extent.

2 (Pause.)

3 Well, our bottom line conversion, then, is that we
4 have, we just don't see that the pilot plant itself is useful
5 in this particular situation.

6 CHAIRMAN AHEARNE: What, I just don't read that
7 fast.

8 Oh, that's the same -- okay.

9 DR. MERRYMAN: Yes. Yes. I'm sorry.

10 CHAIRMAN AHEARNE: I thought you had put on a new
11 slide.

12 (Brief discussion.)

13 DR. MERRYMAN: Well, so then we began to look at,
14 okay, propped with them, I guess if we back up, we began to
15 look at the third question that was raised: what are some of
16 the issues, concerns, and so forth, associated with, with
17 doing a new system or perhaps a new one that, of a larger
18 size, or maybe even for 15 cubic foot per minute size; and so
19 these are some of the issues that we've been able to turn up
20 just in thinking about it for the last few days.

21 I might say that in, in my judgment these types of
22 issues require resolution or some kind of guidance or at
23 least some kind of roadmapping through them before any
24 credible or responsible estimate can be provided on cost and
25 schedule for a situation such as this.

1 First and foremost is the criteria for the krypton 85
2 storage. I don't know pressure constraints, the curie con-
3 straints, the -- basic design assumptions are, are not
4 available, as far as I'm aware.

5 The second -- it's a very important point -- concerns
6 the basic objectives and criteria which govern the project
7 scope, schedule, and so forth --

8 SPEAKER: Is Section 8 of the ASME Code adequate?
9 Or does it have to --

10 What is the target DF for the containment building?
11 Is it the 8 times 10^4 ? Or what? What are the regulatory
12 requirements? Does this have to be all of the hardware cate-
13 gories and so forth?

14 Just the kinds of things that, that are important
15 in projecting a credible real-world type of, type of schedule.
16 Almost equally important are assumptions and so forth regard-
17 ing responsibilities for the tech spec and for the design,
18 for the approval cycle procurement, instruction, and operation
19 and the interfaces of known potential participants involved:
20 DOE, NRC, architect engineers, the utilities, and so forth.

21 Procurement is always of considerable concern
22 because it tends to be the thing that you don't have under
23 your entire control.

24 Now, what this is, is a very cursory thing based
25 on just a few days' evaluation, a very cursory look at what

1 our current experience is, through our regular procurement
2 actions. And buying some of the hardware that is included in
3 the major equipment items.

4 CHAIRMAN AHEARNE: Yes. So that's -- let's take the
5 heater filters. You have 10 to 12 months.

6 DR. MERRYMAN: That is our current experience, and
7 combine them for normal --

8 CHAIRMAN AHEARNE: But how much of that is the
9 contractual process?

10 DR. MERRYMAN: There's, there are several weeks of
11 that. I can't say precisely, but --

12 CHAIRMAN AHEARNE: Would you give me a rough esti-
13 mate on these off-the-shelf items that you'd be getting?

14 Are they especially constructed?

15 DR. MERRYMAN: No, these are commercially traded
16 heater filters perhaps -- I don't know to what extent, you
17 know, that there are shades of differences. But generally,
18 they're commercially produced items. We use them, several
19 varieties of them in our operations.

20 CHAIRMAN AHEARNE: So in theory you could get them
21 a couple of weeks.

22 DR. MERRYMAN: I think in practice that was achieved
23 down in Three Mile Island, in --

24 CHAIRMAN AHEARNE: Now, that then also holds true
25 for any of these long-lead hardware items. Is it that a lot

1 of it is contractual?

2 DR. MERRYMAN: The point, I think, that I was --
3 the only point that I was trying to make is that, okay --

4 CHAIRMAN AHEARNE: These are problems that have to
5 be looked at, yes.

6 DR. MERRYMAN: You begin to get an idea of where
7 you need to start working and being --

8 CHAIRMAN AHEARNE: Right.

9 DR. MERRYMAN: Certainly, the heater filter thing
10 would be one that you would want to get out and work, because
11 its maximum pressure would be another one.

12 Well, let me finish this one quickly. I understand
13 that there may be some uncertainty as to the exact composi-
14 tion of the reactor building atmosphere. And to the extent
15 that there might be sleepers in there, why, that would be well
16 to know that.

17 We're also building issues. In the short time
18 available, why, there is no way for me to really address that.

19 But -- so the final, I guess the final report that
20 I have is that what we, what we then did was, was try to
21 think next about the approach that might be taken to go about
22 providing the spartan system on a type of project schedule,
23 project approach that was not, not necessarily orthodox but a,
24 the elements of a crash program.

25 I have not had time, our organization has not had

1 time to flesh this out and say, "This means that the theoreti-
2 cal minimum is next to once."

3 But were we to make that kind of an estimate, it
4 would involve these kinds of assumptions. First, the first
5 thing we would recommend would be to go out and find what is
6 available, borrow the standard items and their availability,
7 and actually wait on phrasing the design flow rate until we
8 canvas the availability of hardware and seeing just what the
9 availability is.

10 And then, on that basis, choose between something
11 like 50 and 150 --

12 So the first thing would be to just go out and try
13 to see what some of the procurement problems would be. The
14 second thing would be -- and perhaps, let me mention, in this
15 first phase some options might be placed to keep items avail-
16 able.

17 Then the second phase would be to actually compare
18 the checklist and then select the design flow rate and initi-
19 ate design and form the procurement --

20 The second thought is that it would be appropriate,
21 it would be necessary under a crash program to negotiate all
22 procurements and contract, rather than to go through the
23 process. Go out with money in hand --

24 And then the minimum, and I think there are, there
25 are a lot of the time uncertainty is related to the applicable

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

codes and standards. But certainly I think the minimum that any company like ours would, would recommend is, is one that we feel comfortable with for a, the safety of our own systems and people; and that is, of the accepted industrial standards for housing these materials. In other words, coded pressure vessels as appropriate, not necessarily nuclear stamp; but certainly, we wouldn't compromise below, anything below accepted industrial standards --

Now, the big uncertainty there again is this krypton storage, which I, I'm sure you have a far better feel than I do about what might be required there with codes and so forth.

We, the thought to avoid is the idealistic, perhaps, comment about no regulatory process delays. But the point is that in a, for a crash program to be successful, determined and consensus effort would have to be continually applied in that direction.

And then, as I've indicated earlier, some simplifications do result from forsaking the idea of making the system mobile and perhaps applicable to other situations. So I guess, in conclusion, the information we reviewed Saturday for Dr. Gilinsky and Congressman Ertel, which we had previously provided to the Department of Energy, is that for the mobile unit, complete mobile unit, 275 SCFM capacity -- these are the kinds of cost and schedule estimates that we came up with earlier this year -- or a unit that is not completely mobile

1 and of a capacity and range of a hundred CFM, plus or minus 50,
2 we don't have an answer yet on what that might be.

3 But the minimum time here for the crash program, not
4 licensable but we estimated this.

5 CHAIRMAN AHEARNE: Yes. Now, in that, let's take
6 the 1 1/2 to 2 years, what does that assume in your crash program?
7 Does that still assume a significant portion of, let's say, 8
8 to 10 months?

9 DR. MERRYMAN: No, it's a negotiated procurements;
10 the scheduled reductions -- and I don't -- I'm not at all
11 claiming that there might be it. But the scheduled reductions
12 to the extent that they would occur would result from the
13 smaller unit -- and I don't think that's a first-order type
14 of -- would come from a reduced complexity. We don't have
15 the same type of vent gas treatment system, but some items
16 would be, would be left out.

17 It would not be a completely mobile unit. And in
18 addition, rather than just negotiating the procurements there
19 might be some opportunities which --

20 CHAIRMAN AHEARNE: Yes. Yes.

21 DR. MERRYMAN: It's hypothetical, now, to trade
22 money for time or something -- but this is as far as we were
23 able to.

24 CHAIRMAN AHEARNE: How long do you think it -- and
25 I don't know which is the right person to ask -- now long do

1 you think it would take to do that estimate? For the non-
2 mobile hundred plus-or-minus 50 crash program.

3 MR. FEINROTH: Nonlicensable?

4 CHAIRMAN AHEARNE: Nonlicensable.

5 MR. FEINROTH: What does that mean?

6 CHAIRMAN AHEARNE: Well, it's your turn.

7 (Laughter.)

8 CHAIRMAN AHEARNE: He defined the set of parameters
9 and then he made an estimate on them.

10 DR. MERRYMAN: To do an estimate comparable to the
11 one we did earlier this year would, even on a rough cut basis,
12 would take at least a couple of weeks --

13 COMMISSIONER GILINSKY: Let's see: I thought you
14 did the other one on two days, or something like that.

15 DR. MERRYMAN: We, we -- in reviewing the, the
16 record of that, of that time -- we did it a, took a little
17 bit longer than that. We made a lot of the design drawings
18 and that sort of thing. The basic design assumptions and the
19 proper days, and then the cost estimators took a little time.

20 COMMISSIONER GILINSKY: Could I ask about those
21 costs? I notice in our report it says four to ten million
22 dollars, and it says "Staff estimate." I assume that means
23 NRC Staff. I just wondered how your 10 or 15 got translated
24 into our four to ten.

25 Do you have any idea how that, how that went?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DR. MERRYMAN: Well, one issue in the time thing is that we understand that there have been some regulatory guides for reactor clean-up gas-driven systems that have come out recently or something. And I'm certainly not familiar with them, but I'll look at them before I --

CHAIRMAN AHEARNE: Well, fine. Let's see if I can break it into pieces.

I recognize it's a very rough rule of thumb type numbers. The actual designing of the, of this mobile system is to -- nonmobile, rather -- to the point where you would be all that you could forgive to go out and negotiate the equipment.

Is that a period of weeks? months? days? what?

DR. MERRYMAN: Oh, okay. We, it's a period of a few months. I think the, the first days of the project -- again, I'm speaking to a great extent on the basis of the projects that we estimated earlier. But the first phase, the tradeoffs and options and the finding out what is available and so forth, would take a few months.

And I believe that's the same response we were provided last week in terms of making up the list.

CHAIRMAN AHEARNE: I mean, so, so that's one piece.

Now, once you've decided the things that you did and recognize that some of it can be going on on a sequential basis, what is the rough range of time you think that it takes

1 to buy all of that? or collect everything?

2 Again, are you talking days? weeks? months?

3 DR. MERRYMAN: Well, it'd be months. But I, to me
4 that is the biggest uncertainty, and I'm not prepared to say
5 what that might be, because of the uncertainty about the
6 assumptions that we would base that estimate on.

7 CHAIRMAN AHEARNE: Okay, now -- and again, recognize
8 that some of this can be done sequentially and some can be
9 done effectively.

10 What do you think is -- you've got all the equipment
11 on the site, based upon your experience of putting this stuff
12 together or working with it.

13 How long does it take to actually get it up and
14 running?

15 DR. MERRYMAN: Well, I think the, the assumption
16 that you provided about the sequential nature of all of this,
17 the parallelism that exists is a very crucial one here, because
18 we would envision that in any project like this one would do
19 a, take a modular approach and get subsystems assembled and
20 tested and so forth just as rapidly as they could be.

21 And from the time when the last piece of hardware
22 was available to weld up the remaining piping and activate
23 the system and so forth, I think in a real all-hands type of
24 effort would -- one might be able to do that in three to four
25 months' time. Under idealized conditions related to who does

1 the welding and all of that --

2 COMMISSIONER GILINSKY: What assumptions are you
3 making about who's going to be doing all this? When you, when
4 you give us these numbers.

5 DR. MERRYMAN: Okay. Let me speak to that. The
6 concern I have in really providing a concrete estimate is that
7 our experience base is all I have to go on.

8 CHAIRMAN AHEARNE: Sure. Now I recognize that.

9 DR. MERRYMAN: And that is for a situation where we
10 have enormous shock capabilities and DOE shops there, and we
11 got all kinds of qualified welders and all of that. And I
12 have no idea, you know, I'm not saying that the situation
13 might be better or worse if I were down out in the field
14 someplace. I'm just ignorant of what those conditions are.
15 I don't, I don't know whether one --

16 CHAIRMAN AHEARNE: In other words, your estimates
17 are based upon your, your own --

18 DR. MERRYMAN: My estimates are based upon my own
19 experience base, and I, I do have concerns about the extrap-
20 lation in the situations that I don't know anything about.

21 I, I think they're, they're useful perhaps in pro-
22 viding one point on the curve. But I don't know whether to
23 scale up or scale down or, or, or what.

24 But I think that's an honest opinion of what, what
25 it might be, given the circumstances that prevail in our --

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

COMMISSIONER GILINSKY: You see any technical problems in the, in the, in the physical scale?

DR. MERRYMAN: In science and engineering and uncertainties and -- no, I think the technology's, is well established and has been demonstrated fairly vigorously.

COMMISSIONER GILINSKY: For this factor of 10 that you --

DR. MERRYMAN: Oh, yes. I, I have, I would have no reservations about that, a factor of 10.

(Pause.)

CHAIRMAN AHEARNE: And you've had previous chance to question him. Do you have any --

(Laughter.)

Did you have any questions come to mind?

COMMISSIONER BRADFORD: You used one phrase that struck me. You talked about sleepers in the containment. What do you have in mind?

DR. MERRYMAN: Well, again, I was just trying to indicate what one of my uncertainties -- I don't know what's in there.

COMMISSIONER BRADFORD: I understand, but it, it isn't a concept I've run across before. What, what led you to think that there might be anything in there that we should know about?

DR. MERRYMAN: Nothing particularly led me to.

1 It's just that if there is something in there, I would like to
2 know what it is. And I think Bob --

3 MR. BROOKSBANK: May I address that?

4 DR. MERRYMAN: There's a better person --

5 MR. BROOKSBANK: In the, in looking at this system
6 for this time removal, there are other isotopes which may
7 appear. We have not had the benefit of looking at all of the
8 the analyses which have been generated on the containment
9 atmosphere.

10 Now, let me tell you about a sleeper in, in the
11 water treatment system.

12 In the high-level water treatment systems, once you
13 get rid of the seasoning, the thing that becomes predominant
14 is mainly the antimony 125. That's a sleeper that needs to
15 be handled in that process.

16 On the plugged surfaces that we have removed from
17 Three Mile Island, we are finding on one plug, the lower plug,
18 the teluriums -- what's going to happen to these?

19 The teluriums probably became airborne during the
20 accident. They probably may not come off again. We know
21 that there's an abundance of iodine 29, probably --

22 COMMISSIONER BRADFORD: Would it locate -- where
23 will it locate in this system? He doesn't underline. That,
24 that's a sleeper.

25 (Pause.)

1 So I asked the question just because what was behind
2 it was a concern as to whether any of these secrets ought also
3 to be concerned, as concerned in, in the case of the vending
4 options. Have you got anything that we didn't over there?

5 MR. BROOKSBANK: I am going to Three Mile Island
6 tomorrow for a review on the, the high-level water potions.
7 And at that time I will be picking up the data, relative to
8 all of the gas samples that have been taken that they'll let
9 me have.

10 But I, we have not -- Oak Ridge has not --

11 CHAIRMAN AHEARNE: There's no doubt they'll let you
12 have it, is there?

13 MR. BROOKSBANK: They will let me have it. I'm a
14 member of the Technical Advisory Group. Yes, they will let
15 me have it.

16 COMMISSIONER GILINSKY: I -- oh, I'm sorry. I, I,
17 I just wondered whether there was anybody here from NRC who
18 could speak to the storage question. Perhaps Harold could.
19 And the other point is the worker exposures. That could be
20 reasonably expected. Operation of the system. The, there's
21 an estimate in the environmental report. And we raised this
22 earlier, and I wondered whether any NRC people, who I think
23 came up with those numbers. Or were those your numbers?

24 DR. MERRYMAN: No, they were the NRC numbers, as
25 far as I know. And I have no basis to challenge --

1 COMMISSIONER GILINSKY: I'd be curious to know what
2 lies behind them.

3 MR. VOLLMER: Well, that means the occupational
4 exposure for the selected deserve --

5 How do we review classification systems? System --
6 the estimates of the amount of time that the workers would
7 have to get involved in the process for maintenance and things
8 of that nature and for surveillance and stored item, once that
9 was accomplished.

10 And they are estimates accordingly. Actually, the
11 two electrical absorption systems would not come out and be a
12 size and occupational exposure --

13 For example, the --

14 These estimates are simply made by people who are
15 familiar with the lab concepts --

16 Such operations can be accomplished with minimization
17 of operator exposure. That's exactly the thing.

18 CHAIRMAN AHEARNE: Harold, do you have anything?

19 MR. DENTON: Well, I want to congratulate Bob on an
20 excellent presentation on one week's preparation at that --

21 He's really pulled together a lot of real useful
22 information.

23 I guess I can only add that, based on personal
24 experience, that even a crash program, it's quite obvious,
25 takes so much longer to really implement it and we guess,

1 based on the best expert knowledge we can get.

2 CHAIRMAN AHEARNE: Do you have any questions you
3 want to ask?

4 MR. DENTON: No.

5 CHAIRMAN AHEARNE: Bernie?

6 MR. SNYDER: No, no questions.

7 CHAIRMAN AHEARNE: Herb?

8 MR. FEINROTH: Well, before I left Rudy Cunningham
9 this afternoon, I asked him how he felt or how his department
10 would respond to the question of a, a position today, having
11 hopefully done his work, as compared to earlier February,
12 when we sent a letter to Mr. Dircks.

13 And I guess after reviewing this whole thing with
14 Oak Ridge, our position, our feeling is pretty much the same
15 as it was in that February 5th letter.

16 COMMISSIONER GILINSKY: I wonder whether there is
17 anyone who knows if, something about the storage issue.

18 CHAIRMAN AHEARNE: The storage issue in --

19 COMMISSIONER GILINSKY: What would we do with the
20 krypton? And what sort of standards would apply? And what,
21 have we given any thought to the question

22 MR. VOLLMER: Actually, the assumptions we made
23 were that we would put them in pressed gas bottles. We would
24 have to dilute it, but you would have a shielding, particularly
25 the cooling problem was too concentrated in a number of

1 pressed gas bottles. And perhaps use some sort of method to
2 seal off the, the valving of that, and then monitor it, store
3 it and monitor it.

4 I think we did not look at any fancy or extraordinary
5 measures to store the gas. They may be required; we just
6 didn't look at it.

7 CHAIRMAN AHEARNE: Did you essentially end up
8 assuming that it would be stored on site?

9 MR. VOLLMER: We did assume that it was stored on
10 site; we didn't feel that the shipment off site without a
11 great deal of additional study was something that we cared to
12 enter into.

13 MR. DIRCKS: I'd like to comment on that. Since
14 taking over from Dick, I've had some conversations with our
15 waste management.

16 I don't think there's anyone here from waste manage-
17 ment, but --

18 CHAIRMAN AHEARNE: Well, yes, there is in -- well,
19 one of us had. He's looking around.

20 Bill?

21 (Laughter.)

22 COMMISSIONER GILINSKY: He's transcended that.

23 MR. DIRCKS: Well, if I may, just to reflect on the
24 conversation I've had with Bob Browning on this subject as to
25 the feasibility of, of -- or the acceptability of storage in

1 the waste facility of gas of this nature.

2 And the, the preliminary thinking is, at least, is
3 that it will take a lot of study and review before anyone
4 could be willing to suggest putting it into one of the avail-
5 able restorage facilities.

6 They don't know, they do accept -- I understand
7 they accept extremely low-level gas -- but nothing like this
8 is --

9 COMMISSIONER GILINSKY: Have we found out this
10 issue over the past few months in any serious way, the storage
11 issue?

12 MR. DIRCKS: The storage issue? Well --

13 Where are you going to store it? The problem is
14 that the South Carolina people will not take materials that
15 will -- take Three Mile Island material, period.

16 But secondly, you're dealing with the Governor of
17 Nevada. And he -- I think it would have to be a matter of
18 negotiating with the governor out there. I think that's why
19 Dave was talking about leaving around the site.

20 COMMISSIONER GILINSKY: I guess what troubles me a
21 little bit here -- I'm going to preface by saying that I
22 don't know what the right way is to handle the krypton and
23 I'm not -- it's not clear to me that this is or isn't the
24 right way to do it.

25 But -- but we've been saying that, you know, if

1 only there were a way that would allow us to get the krypton
2 out in some reasonable period of time, money is no object.
3 Various others have said that when we want to employ that,
4 that method. Now we seem to be saying that even if there
5 were a way to do this, God, what would we do with it?

6 Now, if that was the case --

7 MR. DIRCKS: That's part of the problem as far as
8 myself; it's really true.

9 COMMISSIONER GILINSKY: Yes, but if that were the --
10 I mean, that sort of makes all these options kind of just so
11 much crank turning.

12 MR. VOLLMER: But, Vic, I think that was me. It's
13 quite clear to everyone that --

14 I myself raised the problem of --

15 COMMISSIONER GILINSKY: Well, I know you did. No,
16 you did. I, I -- that's fair enough. I remember your doing
17 that. But that didn't seem to me to be the, the predominant
18 sentiment at the time.

19 Do you remember it differently?

20 CHAIRMAN AHEARNE: Somewhat, but --

21 (Pause.)

22 SPEAKER: That isn't the major reason why we were
23 staffing --

24 CHAIRMAN AHEARNE: The point that had been made
25 that Bill had pointed out, that we have a lot of difficulties

1 finding any place to put any waste. But that there did not
2 seem to be any large problem with storing on the site. That
3 had been the point that had been made at the -- but that was
4 not a strong negative factor against going to the cryogenic
5 or to the sector absorption. That's as I, as I remembered it.

6 MR. DENTON: I think the main factor was time. If
7 we could have found a way to get to the bottom in a very short
8 period of time, it doesn't have to say that things are for a
9 year. We would really have it soon if we could get unlimited
10 access to the containment.

11 CHAIRMAN AHEARNE: Because you always could do
12 something else. Yes.

13 MR. DENTON: You could get it out of the containment
14 in a short period of time, we'd have a little bit of time to
15 think about long-term storage or where to release it.

16 CHAIRMAN AHEARNE: That's more what I --

17 (Pause.)

18 I notice that Congressman Ertel has come. I don't
19 know whether he'd like to make some comments. We had men-
20 tioned at the beginning that a lot of this effort was, was
21 due to your initiative at getting the look and perhaps --

22 CONGRESSMAN ERTEL: I really haven't any comment.
23 I was just, I reflected somewhat on the meeting that we had
24 this morning. And I don't know if you had the same presenta-
25 tion that we had or not.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

CHAIRMAN AHEARNE: Well, let me ask two other people.

COMMISSIONER GILINSKY: I think it --

CHAIRMAN AHEARNE: Oh, I was told --

COMMISSIONER GILINSKY: -- is pretty much the same presentation, a little shorter.

(Laughter.)

CONGRESSMAN ERTEL: I gave these few points that are different, but --

Because I thought some of the things we heard this morning were somewhat, were not realistic. And I don't know if you've asked the same questions or not in relation to those projections as time.

COMMISSIONER GILINSKY: I think a lot of the questions, at least on the time, did get asked -- or the crucial questions. And I think the answer is essentially the same, in terms of what it would take if you had the equipment.

CONGRESSMAN ERTEL: Because, you know, so many of time frames were drawn out because of unrealistic, I think, delays. And, you know, we've gone through many of these --

Like, for instance, I was reflecting on the vue-graph that Mr. Merryman brought -- about, if we were to take the existing system at Oak Ridge and move it up -- well, maybe that doesn't work particularly. However, when I look down that chart, he shows the things that weren't there.

Well, true; they aren't there.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

But the things that are there which could be adopted, say you find the 15 gallon per minute -- there are only two things that had to be added that weren't there, except the containment, the ultimate problem we're going to have anyway, the containment of krypton gas as concentrated. We'll have that, regardless.

So that's common to most anything. So I just think that was not somewhat misleading on that vuegraph.

Also the vuegraph that eight to ten months' procurement for a --

CHAIRMAN AHEARNE: No, we, we covered that.

CONGRESSMAN ERTEL: Did you now? Unrealistic --

COMMISSIONER GILINSKY: Yes. No, I think John was asking a lot of your questions --

CONGRESSMAN ERTEL: Good, I'm glad somebody is.

COMMISSIONER GILINSKY: Without, without prompting.

CONGRESSMAN ERTEL: Without any progress in there.

SPEAKER: Well, I'm glad to hear that.

DR. MERRYMAN: Well, again, not to debate the point particularly; but I think before you even know where to concentrate your efforts, you need to have some awareness of what the circumstances are on a normal basis; it's just a useful place to start, and I think that is all I claimed it to be, really.

CONGRESSMAN ERTEL: Thank you.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

CHAIRMAN AHEARNE: Well, I wondered whether you had, if you had any more --

CONGRESSMAN ERTEL: No. I'd be glad to listen to what you had to say, and I appreciate being, I appreciate your having this meeting to look into the system.

CHAIRMAN AHEARNE: As we said in the beginning and a lot of this relook is -- I pointed out that there were some things we hadn't really looked at.

And I thank you guys very much, and you did -- I was, put a lot of work in very quickly. I certainly do know a lot more about this than I did a week ago, probably a lot more I still have to understand. But thank you very much.

And that is the meeting.

(Thereupon, at 4:40 p.m., the meeting was adjourned.)