

ORIGINAL

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

2090

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

----- x
 :
 In the Matter of: :
 :
 SACRAMENTO MUNICIPAL UTILITY DISTRICT : Docket No.
 :
 (RANCHO SECO) : 50-312
 :
 ----- x

Conference Room W-1140
United States Federal Building
2800 Cottage Way
Sacramento, California

Wednesday, May 7, 1980

The above-entitled matter came on for hearing,
pursuant to recess, at 9:00 a.m.

BEFORE:

ELIZABETH S. BOWERS, CHAIRMAN
DR. RICHARD F. COLE, MEMBER
MR. FREDERICK J. SHON, MEMBER

APPEARANCES:

On Behalf of the NRC Staff:

STEPHEN LEWIS, ESQ.
RICHARD BLACK, ESQ.
Office of Executive Legal Director
Washington, D.C. 20555

On Behalf of SMUD:

THOMAS A. BAXTER, ESQ.
MS. NANCY KNOWLES, ESQ.
Shaw, Piutman, Potts and Trowbridge
1800 M Street, N.W.
Washington, D.C.

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

APPEARANCES, Continued:

On Behalf of the State of California:

CHRISTOPHER ELLISON, ESQ.
 California Energy Commission
 Office of General Counsel
 1111 Howe Avenue
 Sacramento, California 95825

LAWRENCE LANPHER, ESQ.
 Hill, Christopher and Phillips, P.C.
 1900 M Street, N.W.
 Washington, D.C.



INDEX

<u>WITNESS</u>	<u>DIRECT</u>	<u>CROSS</u>	<u>REDIRECT</u>	<u>RECROSS</u>	<u>BOARD DIRECT</u>	<u>BOARD CROSS</u>
Ronald J. Rodriguez	---	2995	---	---	---	---

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

<u>EXHIBIT</u>	<u>DESCRIPTION</u>	<u>IDEN</u>	<u>REC'D</u>	<u>WITHDRAWN</u>
CEC-34	Diagram	3004		3005
CEC-35	SMUD Administrative Procedures	3082	3106	
CEC-36	Deposition of Dennis E. Tipton plus attachments.	3107	3107	
CEC-37	Deposition of Daniel E. Comstock and attachments	3107	3107	
CEC-38	Deposition of Wayne S. Morrisawa and attachments	3108	3103	
CEC-39	NRC Investigation Report	3124		
CEC-40	Abnormal Occurrence Report	3140		
	AFTERNOON SESSION	3068		

2902

P R O C E E D I N G S

(9:00 A.M.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

300 7TH STREET, S.W. REPORTING BUILDING, WASHINGTON, D. C. 20024 (202) 554-2395



CHAIRMAN BOWERS: We have a preliminary matter.

Yesterday morning, while the public address system person was setting up his equipment, we had a discussion about where we might possibly hold the next segment of the hearing, the June segment, and I described the difficulty in finding space, because neither Federal or state space is available, and the people that handle this for us have checked a number of motels and could not find anything available.

Mr. Baxter informed us that there is an available room at the District Headquarters that is available that we can use. And so, off the record we went around the room and got the response of the other parties, and so, we would like to do it now on the record. There is no problem, is there, Mr. Baxter? Nothing changed overnight as far as the availability of the room?

MR. BAXTER: No, that is right. The room would be available during the week we discussed.

CHAIRMAN BOWERS: Mr. Ellison, yesterday, when we got your response, it was not on the record.

MR. ELLISON: We have no objection to meeting in the SMUD hearing room.

CHAIRMAN BOWERS: And the staff?

MR. LEWIS: We have no objection, if that is the

1 only suitable space available.

2 CHAIRMAN BOWERS: As far as we know, because there
3 was a heavy search made.

4 MR. BAXTER: At some point, Mrs. Bowers, before we
5 recess this month, if it becomes apparent that we are going
6 to have a June session, I would suggest that you or the entire
7 panel visit the facility and let us know how you would like
8 the arrangements made. Some of the tables are permanent, but
9 we can add other tables for the Reporter and things of that
10 nature. It would be helpful to know a little bit ahead of
11 time.

12 CHAIRMAN BOWERS: We will plan to do that, but
13 tomorrow morning I will call my office and inform the person
14 responsible for space that he can now quit worrying about it,
15 that we will go ahead, if it is necessary.

16 Mr. Parker, our Reporter, tells us that the outfit
17 reproducing yesterday's transcript had problems because of
18 the weight of the paper. Their automatic machinery was not
19 quite geared to it, and they are adjusting to that problem,
20 and so the transcript will be here this morning, but a little
21 bit late.

22 Now, yesterday before we adjourned Mr. Rodriguez
23 was telling us about Figure 7-9, and we were reading the
24 second paragraph on Page 7-6 of CEC's Exhibit 33, and when
25 we first started out on this line of inquiry, I thought I



2901

100 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 was very clear in understanding what the criticism was, and
2 then when there were explanations and further discussions, in
3 my mind it got a little bit confused. I thought the problem
4 was that these little gadgets that you took ahold of and
5 turned were pointed on each end, and that that was the
6 criticism. That is not it.

7 Of course, it shows an arrow on them.

8 At any rate, can we go back to that?

9 MR. BAXTER: Mrs. Bowers, if I may, I have just two
10 brief preliminary matters before we start. I would like to
11 first observe the anniversary of the Commission order that is
12 under review in this proceeding, which is today.

13 (General laughter.)

14 MR. BAXTER: Secondly, I would like to introduce,
15 sitting to my right, Ms. Nancy Knowles, who is a legal
16 assistant with my firm and will be assisting me at counsel
17 table in Mr. Diaz' absence over the next two days.

18 CHAIRMAN BOWERS: Fine.

19 Mr. Ellison?

20 MR. ELLISON: Mrs. Bowers, I had concluded my
21 questioning on that problem, but if you have any questions
22 about it or would like to return to it --

23 CHAIRMAN BOWERS: What I did not understand, and I
24 did discuss this with Mr. Shon off the record, this business
25 when you turn the knob or the thing, something about you

1 can't go wrong. You are turning the other numbers. I do
2 not understand that.

3 MR. ELLISON: Mrs. Bowers, if I may, I can briefly
4 summarize what I understand to be the problem here, and if
5 Mr. Rodriguez or anybody has a disagreement with that
6 understanding, they can express it.

7 MR. BAXTER: Why don't we allow the witness to
8 attempt to explain how the knob works? That may have more
9 evidentiary weight in answer to Mrs. Bowers' question.

10 MR. SHON: Is it not true that the gadget is simply
11 a large version of the usual type of TV channel selector in
12 its design? The television channel selector knob usually
13 looks like and works like this, does it not?

14 THE WITNESS: That is correct.

15 CHAIRMAN BOWERS: So the backing behind this knob
16 does turn?

17 MR. SHON: Exactly.

18 THE WITNESS: That is correct.

19 CHAIRMAN BOWERS: Oh, okay.

20 Whereupon,

21 RONALD J. RODRIGUEZ,
22 the witness on the stand at the time of recess, having been
23 previously sworn, resumed the stand, was examined, and
24 testified further as follows:

25 CONTINUED CROSS EXAMINATION



1 BY MR. ELLISON:

2 Q Mr. Rodriguez, do you have CEC 33, the EPRI
3 report?

4 A Yes, I do.

5 Q Moving on, I would like you to refer to Page 7-8,
6 and also to Figure 7-15, which appears on Page 7-9.

7 A Pardon me?

8 Q And also Figure 7-16, which appears at Page 7-9.
9 In the second full paragraph under clarity of control
10 operation on Page 7-8, the author of this EPRI study states
11 that Figure 7-16 shows the use of indicator lights and
12 switch lights on the safeguards panel. There is no differen-
13 tiation in appearance between those simple indicators and the
14 indicators that can be depressed for switching purposes.

15 This problem is pointed out in Section 13, which
16 deals with coding techniques. To add to the confusion, some
17 switch lights are pressed once when the switching takes
18 place. Others require the operator to hold the switch
19 for several seconds before the system responds. Again, the
20 panel does not alert the operator to this special requirement.

21 It goes on to describe some of the problems operators
22 may have with that.

23 Referring to Figure 7-16, do these type of --

24 A Excuse me. I am finishing reading that paragraph
25 so I can handle that.

1 Q Fine.

2 While Mr. Rodriguez is reviewing the document, I
3 would like just for the record to identify the person
4 sitting to my right. It is Mr. Dale Bridenbaugh, who will be
5 a witness in this proceeding.

6 CHAIRMAN BOWERS: One other preliminary matter. We
7 received this morning copies of the staff index to the
8 transcript, and I understand all parties have received
9 copies of this. We want to thank Mr. Black. It looks like
10 an excellent job, and will be a very helpful tool.

11 MR. ELLISON: We would also like to thank Mr.
12 Black particularly for furnishing that index.

13 CHAIRMAN BOWERS: We hope you will continue.

14 (General laughter.)

15 MR. BLACK: I would like to say, though, that
16 even though I have been doing this, I have paraphrased and
17 taken great liberties at times to paraphrase what witnesses'
18 statements are, so this should be used only to get a
19 transcript page number to go back and find out exactly what
20 the witness did say, but as we all know, we have been having
21 problems with the transcripts, and so the paraphrasing of the
22 witnesses was done -- it was done with quite a great deal
23 of liberty, so really, just go back and go to the initial
24 source rather than refer to the index.

25 CHAIRMAN BOWERS: You mean, the entire thing is



1 self-serving statements?

2 (General laughter.)

3 MR. BLACK: Yes, maybe.

4 BY MR. ELLISON: (Resuming)

5 Q Have you had a chance to finish reading the
6 paragraph?

7 A Yes, I have.

8 Q Referring to Figure 7-16, do you recognize the
9 switches and indicators as being either from the Rancho
10 Seco control room or substantially the same as those in the
11 Rancho Seco control room?

12 A The labeling of the actual pushbutton switches
13 with regard to auto, manual, open, closed, is essentially the
14 same as Rancho Seco. I cannot read the label between the
15 switches, and therefore I cannot say for sure that those are
16 from Rancho Seco.

17 Q Would the Rancho Seco control room switches such
18 as these have labels between the switches, like these
19 appear to?

20 A The label indicating the switch's function is
21 located between the two separate switches.

22 Q Is it true for Rancho Seco that some of these
23 indicators are simply indicators and some of them are
24 switches?

25 A They are all switches.

1 Q Is it true for Rancho Seco that some of these
2 switches also serve as indicators?

3 A That is true.

4 Q Is it true for Rancho Seco that some of the
5 switches actuate immediately upon being pressed and some of
6 them need to be pressed for a period of time?

7 A They all actuate immediately upon being pressed.
8 Some of these switches operate valves which are modulating
9 valves. Some of the switches operate valves which are open
10 and shut valves.

11 Q In the case of the modulating valves, would I --
12 Could you describe how the operator depresses the switch
13 to modulate the valve?

14 A He pushes it with his finger.

15 Q In order to -- Is there any correlation between
16 the amount of time that the operator is in contact with the
17 switch and the position of the valve?

18 A Yes, there is.

19 Q Would it be true that the longer he presses the
20 switch, the longer the change in the position of the valve
21 or the greater the change?

22 A For modulating valves, that is true.

23 Q Are the modulating valve switches labeled in such
24 a way that they are clearly distinguished from those
25 switches that are simply pressed in order to open and close

1 a valve?

2 A Yes, they are.

3 Q Could you describe that labeling?

4 A Small letter "m" on the switch.

5 Q Where would that appear? Could you refer to 7-16
and describe where that would appear?

7 A It would appear on either the open or closed
8 lamp.

9 Q On either but not both?

10 A That is true, on either but not both.

11 Q Is there a uniform pattern to where the "m" is
12 placed, or is it random?

13 A The letter "m" is normally placed on the upper
14 lens of the two lower switches. I cannot say for certain
15 that we do not have one or more that may have the "m" on
16 the lower lens, but it is normally on the upper lens.

17 Q And the upper lens could be either the open or the
18 closed lens?

19 A That is correct.

20 Q Could you describe some of the more significant
21 modulating valves that are actuated in this way?

22 A The high pressure injection valves are, when
23 under operator control, are modulating valves.

24 Q Are any of the feedwater or auxiliary feedwater
25 valves modulated in this way?

1 A The safety features initiated, auxiliary
2 feedwater bypass valves when in the manual mode are modulating
3 valves.

4 (Pause.)

5 Q Mr. Rodriguez, Mr. Lanpher is going to distribute
6 a diagram of the Rancho Seco control room that we can refer
7 to in order to --

8 MR. SHON: Mr. Ellison, before we leave this
9 particular point, these modulating valves and the arrange-
10 ment that is here -- criticized in this report, I would
11 like to ask Mr. Rodriguez a question. I notice that the
12 paragraph in the report also implies that in some cases
13 perhaps in the case of modulating valves the operator has to
14 make an adjustment on the back board and then run around to
15 the front console to see what he has done. Is this true?

16 You notice it says the operator presses the switch
17 light and then runs around to tend to matters on the primary
18 control panel. Is he in the position of having to be in two
19 places at once this way?

20 THE WITNESS: I read that, and running through my
21 mind to try to determine the specific type of evolution --
22 in the case when he for whatever reason might be manually
23 controlling auxiliary feedwater at the 24-inch level on the
24 start-up range, the once-through steam generator, that start-
25 up range indication is not on the back panel. In modulating



1 the valves -- This was, of course, prior to our having
2 feedwater flow indication. If he was the only operator in
3 the control room by himself, after adjusting the valve, he
4 would have to come back around and look at the start-up
5 level to see where it was going.

6 MR. SHON: Thank you. That is all. Please
7 proceed.

8 BY MR. ELLISON: (Resuming)

9 Q Just to follow up on the last comment, Mr.
10 Rodriguez, you implied the situation is now different
11 because of the installation of the feedwater flow
12 indication. Is it your opinion that the operator would now
13 not run around to that panel to examine the feedwater level
14 but would simply modulate the valve and examine feedwater
15 flow?

16 A No, that is not my opinion. He would still come
17 back and look at the level. Again, I preface this answer
18 by saying, if he was the only person in the control room.
19 Since that time we have had a requirement that there be two
20 people in the control room continuously, and typically when
21 the kind of situation occurs wherein you are required to
22 use auxiliary feedwater, there is at least one other person
23 in the control room.

24 Q So would it be your opinion that it would be more
25 typical to have one operator at the back panel modulating

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 the valve while the other is examining the feedwater level?

2 A That is correct.

3 Q And they would be in communication?

4 A That is true.

5 Q If that were taking place, would that -- and
6 assuming there were the minimum number of operators allowed
7 in the control room, would that allow any operations to be
8 taking place at the same time?

9 A Yes, it sure would.

10 Q What kinds of operations are you contemplating?

11 A It would allow also controls -- well, I think we
12 need to set up the kind of scenario that got you into this
13 position. Normally he would not have to use auxiliary
14 feedwater flow control valves. Normally the steam generator
15 level would be controlled from the normal Bailey controls.

16 If he had lost those valves, then he would have
17 to proceed back to the back panel to modulate the auxiliary
18 feedwater valves.

19 Q Okay.

20 A He would also while being at that panel be available
21 for any other valving that the operator at the console may
22 want done.

23 Q The other operations you are envisioning would be,
24 one operator would be doing two things simultaneously. Is
25 that correct? That is what you are contemplating?



1 A I have no operators that can do things simul-
2 taneously. They each take a separate action. He can
3 control auxiliary feedwater valves. He can go over and
4 modulate, for example, if it was required, high pressure
5 injection valves. He could come back and change the
6 position on the auxiliary feedwater valves. He is not going
7 to operate the two valves simultaneously.

8 MR. ELLISON: We would like the diagram we have
9 just passed out identified as CEC 34.

10 (The document referred to was
11 marked for identification as
12 CEC Exhibit Number 34.)

13 MR. ELLISON: For the record, this diagram was
14 distributed in the operator depositions, and was attached
15 as an exhibit, and will also appear when the depositions
16 are identified.

17 The numbers that are handwritten on the diagram were
18 added by the California Energy Commission.

19 MR. BAXTER: I would simply like to inquire
20 whether we are going to use any of the parts of the
21 exhibit that are outside of the immediate console area.
22 My copy is virtually illegible. I would ask whether it
23 would be possible to get a better reproduction if the
24 Energy Commission has it.

25 MR. ELLISON: Yes, it would be. One of the

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-3345

1 problems we have had is, this copy has gone under several
2 evolutions. This is a copy prepared by the reporting
3 service for inclusion in the depositions, which was made
4 from a copy of something that we got in the discovery
5 process. If it would be more convenient that Page 4-5 of
6 CEC 33, I think there also appears a clearer diagram without
7 the numbers of the Rancho Seco control room.

8 I think for the purposes of this examination it
9 would be clearer to use the copy at Page 4-5 of CEC 33.

10 CHAIRMAN BOWERS: Well, Mr. Ellison, does that
11 mean you are not going to use CEC 34 at all?

12 MR. SHON: Do you need the numbers to make your
13 point in some fashion?

14 MR. ELLISON: If they were legible, it would be
15 convenient, but we simply can do it by reference to the
16 position. That was simply a way of identifying positions
17 in the control room.

18 CHAIRMAN BOWERS: My thought is that maybe 34
19 should be withdrawn, because once a document like this
20 gets into the file, then people are unhappy about not being
21 able to read it, not realizing that we actually were
22 substituting something else.

23 MR. ELLISON: Fine. We will withdraw CEC 34.

24 (The document referred to,
25 previously marked for

1 identification as CEC Exhibit
2 Number 34, was withdrawn.)

3 MR. ELLISON: Mrs. Bowers, perhaps the best
4 procedure for us would be to refer to this page of CEC
5 33. We will have this Xeroxed and distributed later as
6 CEC 34.

7 CHAIRMAN BOWERS: Figure 4-5 on Page 4-5?
8 Is that correct?

9 MR. ELLISON: That is correct.

10 BY MR. ELLISON: (Resuming)

11 Q Mr. Rodriguez, if I recall correctly, you
12 identified one of the valves associated with the high
13 pressure injection system, and the valves we have been
14 discussing associated with the auxiliary feedwater system
15 as being modulated valves actuated by the type of switches
16 we are discussing.

17 First of all, could you refer to Figure 4-5
18 and describe where the switch for those two valves would
19 appear?

20 A On Figure 4-5, it would be on the panel identified
21 as safety.

22 Q And the level indication that you are referring to
23 for the auxiliary feedwater system would be where?

24 A On the panel labeled reactor.

25 Q What indication would the operators be relying upon



1 to determine the proper flow from the high pressure
2 injection system when they are operating the modulated valve?

3 A The panel labeled safety.

4 Q So the panel -- Would I be correct in assuming
5 that the panel labeled safety has both the switch and the
6 level or flow indication in this case?

7 A That is correct, for high pressure injection flow.

8 Q So with respect to this system, a single operator
9 at that panel could modulate the valve while simultaneously
10 examining the flow rate to the system?

11 A That is correct.

12 Q Could you identify where the -- On CEC 4-5,
13 where the new auxiliary feedwater flow indicator is
14 indicated?

15 A I do not know what CEC 4-5 is.

16 Q I am sorry. Figure 4-5.

17 A Would you ask your question again, please?

18 Q Certainly. Could you indicate with reference to
19 Figure 4-5 where the auxiliary feedwater flow indication
20 that was recently installed is?

21 A They are located on the panel labeled primary.

22 Q Are you aware of any other modulated or non-
23 modulated valves that have switches such as we are
24 discussing here that are located in such a way that the
25 operator actuating the switch cannot read the relevant

1 indication of a flow or level or whatever we are discussing.

2 A The way you couched that term, I guess I disagree
3 with your supposition. He can read flow when he is modulat-
4 ing auxiliary feedwater valves. He can read that flow on
5 the primary panel.

6 Q I understand that. You did, as I recall, refer
7 to the situation where two operators would be required or
8 one operator would be required to go from the back panel to
9 the front panel in order to examine feedwater level when
10 operating the modulated AFW valves. My question is, are
11 you aware of other separation that switches from flow or
12 level indication of that sort in the Rancho Seco control
13 room?

14 A When I answered that question, I was answering in
15 reference to the statement that the author of this
16 document made. At that time, feedwater flow for auxiliary
17 feedwater was not available to the operator from the area
18 in which he operated switches. Now that is available. He
19 can determine that he is feeding a steam generator without
20 coming back to the panel labeled reactor, and looking at the
21 steam generator level.

22 Q I also recall that you testified, however, that it
23 would be typical for the operator to return from the console
24 to examine feedwater level even after the installation of
25 the feedwater flow. Is that correct?

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 554-2345



300 7TH STREET, S.M. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A That is correct.

Q Okay. Are you aware of other separations of switches and relevant indication of that sort in the Rancho Seco control room?

(Pause.)

A With regard to the safety features panel, I cannot think of another situation right now.

Q Can you think of another situation with respect to any other panel?

A Not right now, I can't, no.

end p1,2,3
Bob
foll.



Flws jl
P-4
Em-1

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 554-2345

1 Q Referring again to figure 4-5, could you point
2 out where the operator would change the position of the
3 power operated block valve, as well as the power operated
4 relief valve?

5 A He would change the position of the electromatic
6 operated relief valve from the panel labelled "coolant."
7 He can change the position of the block valve from the panel
8 labelled "coolant."

9 Q Are the position indicators for those valves in the
10 same place?

11 A The position indicator for the block valve is in
12 that place. The position indicator for the EMOV itself has
13 not yet been installed.

14 Q Where would the operator go to examine an indica-
15 tion of the temperature in the EMOV vent line, or the
16 pressure and temperature in the pressure relief tank?

17 A The pressure indication for the pressurizer relief
18 tank is available on the panel labelled "primary." The
19 temperature indication from the telltale, from the EMOV is
20 available off of the panel labelled "computer."

21 There is no temperature indication for the
22 temperature within the pressurizer relief tank.

23 Q How would the rupture of the pressurizer relief
24 tank rupture disc be indicated to the operators?

25 A Prior to the rupture disc rupturing, the operator

bfm2
1 would have received a high pressure alarm on the pressurizer
2 relief tank. He would probably also have received a high
3 level alarm on the pressurizer relief tank.

4 When the rupture disc ruptures, that high pressure
5 alarm would clear and indicate that it is cleared. Simulta-
6 neously, the pressurizer relief tank pressure instrument
7 would show a rapid drop in pressure.

8 This should be accompanied shortly thereafter with
9 an indication of increasing frequency of dumping from the
10 reactor coolant system from the reactor containment building.

11 Q Did you mean to say from the reactor containment
12 building or to the reactor containment building?

13 A From. As the water collects and condenses in the
14 sump in the building, it will fill the reactor containment
15 building drain accumulator tank more rapidly.

16 That tank indicates when its level reaches 100
17 gallons. It alarms.

18 Q It would go from the containment building to
19 where?

20 A To that drain accumulator tank located in the
21 auxiliary building.

22 Q Located where?

23 A In the auxiliary building.

24 Q Could you describe where the indications that you
25 just mentioned are located with reference to figure 4-5?

bfm3

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 558-2345

1 A I could mention a lot of them. The pressurizer
2 relief tank high pressure alarm is located on the panel
3 labelled "primary." The pressurizer relief tank pressure
4 indication is on the panel labelled "primary."

5 The pressurizer level indication is on the panel
6 labelled "primary." The annunciator for the pressurizer
7 relief tank high or low level is located on the panel
8 labelled "primary."

9 Q You mentioned that the operator would, among
10 other ways, become aware of the rupture of the pressurizer
11 relief tank disc by the clearing of the high pressure
12 indication for that tank.

13 When that high pressure -- first of all, the
14 high pressure indication is an annunciator, is that right?

15 A There is a high pressure alarm that annunciates,
16 yes.

17 Q The alarm is both a sound as well as a visual?

18 A It is a flashing light and a bell.

19 Q Okay. The operator would acknowledge that by
20 doing what?

21 A Pushing the acknowledge button.

22 Q Would that clear the alarm?

23 A No, that would change the alarm from flashing to
24 solid white.

25 Q When the alarm clears, what happens?

bfm4

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

- 1 A It would reflash and ring a bell.
- 2 Q The operator would again acknowledge it?
- 3 A Yes.
- 4 Q How would the operators determine the proper high
5 pressure injection flow rate?
- 6 (Pause.)
- 7 A He would determine the high pressure flow rate
8 by monitoring the indication of the high pressure flow
9 monitors -- flow instruments.
- 10 Q Which are located where?
- 11 A On the panel labelled "safety."
- 12 Q That indication would tell the operator what the
13 actual flow rate is, is that correct?
- 14 A That is correct.
- 15 Q How would the operator determine whether that
16 was the proper flow rate for a given situation?
- 17 A Could you give me the situation?
- 18 Q Does the way that the operator determines the
19 proper flow rate determine the situation that he is in?
- 20 A No.
- 21 Q In that case, without reference to a particular
22 situation, can you tell me how he would determine what the
23 proper flow rate is?
- 24 A By monitoring the high pressure injection flow
25 instrumentation.

1 Q My question is not how he determines what the actual
2 rate is, but how he knows that that actual rate is the proper
3 rate?

4 A The only specific rate that is given to the operator
5 is that condition in which he finds himself in a subcooled
6 condition of less than 50 degrees.

7 He is directed then to operate high pressure
8 injection on maximum flow not to exceed 500 gallons per
9 minute per pump. He can determine that by looking at his
10 high pressure injection flow instrumentation, and balancing
11 those flows so that two pumps operating, they do not exceed
12 1000 gallons per minute, or with one pump operating it does
13 not exceed 500 gallons per minute.

14 Q Is the reason for that procedure, to prevent pump
15 run-out?

16 A The reason for that procedure is to ensure that
17 you can maintain 50 degrees subcooling and not overload
18 the electric drive on the pump.

19 Q Is overloading the electric drive on the pump
20 related to pump run-out?

21 A The limiting condition for the run-out of the high
22 pressure injection pumps at Rancho Seco is the overload on
23 the electric drive.

24 Q Okay. Perhaps I am a little confused. Overloading
25 the electric drive of the high pressure injection pump would

bfm5

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 554-2345



bfm6

1 occur in a situation at the opposite end of the spectrum, if
2 you follow me, from running out the pump where --

3 A There are generally two conditions that will limit
4 the pump in its capacity to pump water.

5 One is maintaining the net positive suction head,
6 and the other is not overloading whatever drives the pump,
7 which either of those two conditions you arrive at first
8 limits the pump and is normally defined as the pump run-out
9 limit.

10 In our particular case, the 500 gallons per minute
11 outlet from the pump will overload the electric drive,
12 even though it still has sufficient net positive suction
13 head to prevent flashing in the impellers of the pump.

14 (Pause.)

15 Q Mr. Rodriguez, could you refer to page 8-2 of CEC-
16 33, also at page 8-5, figures 8-9 and on the opposite page,
17 page 8-6 -- pardon me.

18 Yes, on the opposite page 8-6, figure 8-10.

19 (Pause.)

20 Does figure 8-9 depict either the Rancho Seco
21 control room or one substantially the same as the Rancho
22 Seco control room?

23 A Yes, it does.

24 Q Is that also true for figure 8-10?

25 A No, it is not.

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 554-2345



1 Q Do you have an instrumentation or switch such as
2 depicted in figure 8-10 in the Rancho Seco control room?

3 (Pause.)

4 A I cannot picture that type of switch in my mind.
5 The reason I say that is not Rancho Seco, is the label next
6 to it says "feed-pump 1-C." We don't have a feed-pump
7 called 1-C.

8 Q At page 8-2, the author of this document describes
9 generally the problem of accidental actuation in switches and
10 controls from inadvertent contact. Figure 8-9 shows a picture
11 of an operator sitting on a, or leaning on a console,
12 demonstrating how that inadvertent contact might arise.

13 A I think what that picture is depicting is the
14 fact that the switches are mounted flush with the control
15 console. Even though he is sitting on them, he has not
16 actuated them.

17 The author's comment is it is inadvertent actuation,
18 but the small switches are not going to be actuated by
19 somebody sitting on them. They have to be pushed with a
20 small object, your finger.

21 Q Mr. Rodriguez, I would appreciate it if you would
22 allow me to complete my question before you answer.

23 A I am sorry, I thought you had.

24 Q No, I had not. In the course of your answer, you
25 can describe the situation that you are discussing, but I

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 554-2345

bfm6

1 would appreciate it if you would allow me to complete the
2 question.

3 My question is, is it possible, through the type
4 of inadvertent contact that is depicted here or any other
5 time, that controls or switches in the Rancho Seco control
6 room could be accidentally actuated?

7 A It is possible that they could be accidentally
8 actuated.

9 Q Has that occurred?

10 (Pause.)

11 A I cannot recall right now it ever being reported
12 to me that we accidentally actuated a switch.

13 Q If that situation were to occur, do you expect it
14 would be reported to you?

15 A Depending on the severity of the outcome of that
16 accidental switch, I think it would depend on whether or not
17 it was reported.

18 Q Could you refer to page 11-1 and figures 11-1
19 through 11-5.

20 (Pause.)

21 Does Rancho Seco have a chart recorder such as is
22 described on page 11-1 and figures 11-1 through 11-5?

23 A Figure 11-1 looks like a type of recorder that we
24 have.

25 Q Can you tell whether it is the Rancho Seco chart

bfm7

100 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2343



1 recorder?

2 A No, I cannot. Figure 11-2, I cannot tell if that
3 is a type of recorder we have or not.

4 Q Could figure 11-3 and 11-4 be from Rancho Seco?

5 A Yes, they could be.

6 Q Could figure 11-5?

7 A Yes, it could be.

8 Q Do you know if the limits for the parameters of
9 the Rancho Seco chart recorder had been handwritten, as is
10 described in the first paragraph under readability of chart
11 recorders on page 11-1?

12 A I cannot, as I said earlier on figure 11-2, I
13 cannot identify that as a recorder for Rancho Seco. One
14 picture is just too vague.

15 Q Without relying on the picture, can you recall
16 whether those parameters and those limited conditions are
17 hand written on the Rancho Seco chart recorder?

18 A No, I can't recall that.

19 Q Do you know whether it is necessary to -- for
20 operators to use the recorder with the front door open?

21 A No, I do not recall it as necessary that the front
22 door be open. The operators have opened the door to facili-
23 tate reading the numbers on the chart recorders.

24 I think they were there at the time the study took
25 place. We have changed out some of those recorders in this

bfm8

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2395



1 last outage. I don't know if those were the ones in place
2 when this report was made or not.

3 Q With respect to figures 11-3 and 11-4, you testi-
4 fied a moment ago that these could be from Rancho Seco.
5 Isn't it true that because the printed out numbers on this
6 paper are superimposed, they are very difficult to read?

7 A The reason they are difficult to read is that
8 they are superimposed, yes.

9 Q Are you aware of instances in which operators at
10 Rancho Seco have been -- have had difficulty or been unable
11 to read a given parameter off the chart recorder because of
12 this kind of superimposition?

13 A Yes, there have been instances where a particular
14 point could not be determined primarily because a number of
15 those points monitoring similar parameters are all in the
16 same normal range.

17 If they fall out of that normal range, then they
18 are picked up quite easily. While they are in that normal
19 range, the superimposition of the points does obscure or
20 may obscure any particular monitored parameter.

21 Q Are you aware of where instances of operators at
22 Rancho Seco who have been interested in a particular parameter
23 had waited for the recorder to cycle around again to print
24 that parameter in order to read it?

25 A Yes, I am.

bgn tP-5

bfml0

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 Q Is that common?

2 A For particular recorders, yes.

3 Q With respect to figure 11-5, this figure is
4 captioned "decal, identifying 42 parameters assigned to
5 a recorder which was designed for 24 points." Is it true at
6 Rancho Seco that the recorder, or any other recorders, that
7 they have had more parameters assigned to them than they
8 were designed for?

9 A Yes, that is correct.

10 Q In that circumstance, if an operator were interested
11 in a particular parameter, is it not possible that one
12 number of a chart recorder would depict at different times
13 different parameters?

14 A That is correct. That is possible.

15 (Pause.)

16 Q Okay. Referring to the bottom of page 11-1 and
17 continuing on the top of page 11-4, the author of this
18 document states: "As one actual case history will reveal,
19 poorly human engineered chart recorders can be quite costly
20 to the utility.

21 "One such chart recorder was designed to accept
22 24 points. In the interest of economy, 42 points (figure
23 11-5) were incorporated to this chart recorder with six
24 spare channels. The identification window in the upper
25 right corner of the recorder provides numbers from 1-24.

1 "Therefore, when this display window reads '5,'
2 the operator must somehow determine whether the pointer is
3 reading parameter 5 or 29. Because so many numerical point
4 printouts are crowded onto the chart paper, it is extremely
5 difficult to sort out the individual numbers.

6 "One one occasion, an annunciator alarm window
7 announced the following problem: PRIM SYS MISC TEMP HI
8 TJR-04.

9 "The suffix to this message referred the operator
10 to the chart recorder with 42 points. The operator had to
11 wait about four minutes for the relevant reading -- before
12 the relevant reading appeared and a high pressure injection
13 pump which might have been saved, was destroyed."

14 First of all, was this situation -- did this
15 situation occur at Rancho Seco?

16 A Yes, it did.

17 Q Has there been a change in the chart recorder that
18 led to the situation after that accident?

19 A One of the recorders that we changed recently, I
20 believe, was this particular one.

21 Q Is it now the case with that recorder that all of
22 the parameters have individual and different numbers on them?

23 A I cannot answer that specifically. I might add,
24 though, that again the author inusing the word "might" is
25 conjecturing. That particular pump destroyed itself because

bEm11

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 554-2345

bfml2 1 of a lack of supply water to it.

2 It was not the bearings that went on it, which is
3 what this was monitoring. It was actually overheating of
4 the impellers. They destroyed themselves within the pump
5 casing.

6 Q When was this incident?

7 A It seems to me it was in 1974 or 1975. One of
8 those. It was early on, either shortly before we received
9 our license to load fuel and take the plan up, or shortly
10 after we received the license.

11 Q What was the cause of the lack of suction for the
12 pump?

13 A I do not remember the exact details of it. It
14 came about after some testing in which the pump was started
15 while the test for the safety features panel was under way.

16 Commensurate with the test, the valve from the
17 borated storage water tank was shut. It may have affected
18 the make-up tank. As a result of that, the water was
19 applied to the pump for some three or four minutes.

20 Q So that would be -- the valve -- that was a human
21 error, essentially. The valve was shut?

22 A As I said, I do not remember the exact details.

23 I remember the pump was started inadvertently and the suction
24 valve was not opened.

25 Q You mentioned the chart recorder was one of the

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345



1 ones that had been changed recently.

2 A I said I think it is. I am not positive.

3 Q If it had been changed recently, by recently do you
4 mean the most recent fueling outage?

5 A That is correct.

6 Q Could you refer to page 15-2? At the very bottom
7 of that page under Plant C, I would like to read that -- I
8 will read it to you.

9 That paragraph says: "This control room included
10 a phone page system. The usual telephone and a hands off
11 telephone speaker arrangement. These operators also
12 remarked that the page system was unreliable. In high noise
13 areas, some complained they got cross-talk and low volume
14 problems on phone lines.

15 "The operator had to yell to be understood on the
16 hands off phone system. This plant had the largest number of
17 auxiliary operators under the control room operator supervi-
18 sion.

19 "Therefore, the communication needs were greater
20 than at other plants. Normally there were two operators in
21 the control room, even though one operator is required by
22 tech specs.

23 "When two men are in the control room, one goes
24 out into the plant when communications with outside personnel
25 breakdown. However, when only one man is in the control room,

bfml3

100 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 554-2345



1 this action is no longer available and the lone operator
2 feels especially vulnerable.

3 "The operators suggested a better distribution of
4 phones in the plant. More important, they felt the need
5 for a combined audio-visual system with which by dialing a
6 special code on an emergency call basis, both a visual
7 alert and a coded horn message would be transmitted throughout
8 the plant's high noise areas."

9 There has been a change in the tech specs at
10 Rancho Seco that requires two operators in the control room,
11 is that correct?

12 A That is not correct.

13 Q How many operators are required under the tech
14 specs?

15 A There are required to be three licensed operators
16 at the plant, and one licensed operator in the control room
17 at all times.

18 I might amplify that there are also required to be
19 two additional operators not licensed at the plant at all
20 times, except if one becomes ill; we have four hours to
21 replace him.

22 Q A typical shift at Rancho Seco would have three
23 licensed operators. Is that correct?

24 A That is correct.

25 Q How many auxiliary operators?

bfml4

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345



bfml5

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 A One.

2 Q How many power plant operators?

3 A Two.

4 Q With respect to the two paragraphs I just read,
5 do you believe this is an accurate description of the
6 communication from the control room that is presently
7 existing at Rancho Seco?

8 A No, I do not.

9 Q Could you explain what you feel is inaccurate
10 about the description?

11 A We have conducted a couple of surveys in the last
12 few months in the high noise areas. During this recent
13 outage, we did put visual indications in the high noise
14 areas, flashing lights for alarms.

15 We also put in -- we have also gone through and
16 readjusted amplifiers so that more volume will come out of
17 those.

18 At the end of 1979, we also scrapped the original
19 telephone system which was in place at the time this survey
20 was conducted, and replaced that with a much more modern
21 system that provided a much higher level of reliability,
22 and eliminated cross talk, and allows a higher level of
23 volume in a phone circuit when you have more than one --
24 more than two lines hooked into it.

25 Q Referring to the last part of the two paragraphs

bfml6

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 559-2345

1 that I read, on page 15-3, the operator's suggestion of a
2 combined audio-visual system which by dialing a special code
3 on an emergency call basis, both a visual alert and a coded
4 horn message would be transmitted throughout the plant's high
5 noise areas. Has that been put in place at Rancho Seco?

6 A No, it has not.

7 Q Do you know whether SMUD has done any full studies
8 or investigations of the cost or feasibility of putting in
9 such a system?

10 A As I said earlier, we have recently installed a
11 visual alert system in the high noise areas. We have also
12 gone through and readjusted, we have done that a number of
13 times to the speakers so that they can be heard more clearly.

14 We have not investigated the cost of a system
15 providing a coded horn message.

16 Q Would you refer to page 15-4 and figure 15-3?
17 Figure 15-3 appears on page 15-6. The second full paragraph
18 of 15-4 states that another problem is that: "The operator
19 must have access to the control board while communicating
20 with others, e.g., during maintenance activities (figures 15-3
21 and 15-4).

22 "The distribution of phone and the length of phone
23 cords proved a problem in some plants. For example, at one
24 plant, an operator pointed out the lack of a paging phone
25 on the radiation monitoring panel and the service water panel.

bfml7

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 "Both of these panels are far removed from the
2 primary control board area and the operator's desk phones."
3 Is that a description of Rancho Seco?

4 A That is correct. There is a phone -- with regard
5 to the radiation control panel there is a phone adjacent to,
6 I think, the water control panel he is talking about.

7 Q Could you refer to figure 4-5 and describe where
8 the phone that you just referred to would be located and
9 where the radiation monitoring panel is?

10 I'm sorry, that's page 4-5.

11 A There is a phone on the panel labelled "Cooling
12 Water."

13 Q Are there other phones that would serve the same
14 purpose?

15 A Yes, there are.

16 Q Where are they located?

17 A They are located on the desk.

18 Q Am I correct that the radiation monitoring panel
19 referred to is on the far right of this diagram and is
20 labelled "Radiation Monitoring"?

21 A That is correct.

22 Q Where would the service water panel be?

23 A I believe what he is talking about here is the
24 panel labelled "Cooling Water."

25 Q So, with respect to the service water panel, you

bfml8

1 would not agree that that panel is far removed from the --
2 from the telephone. Is that correct?

3 A I think. Maybe you ought to read it back. I
4 thought I said maybe we had a phone on that panel.

5 Q You did. That is what I am saying. You would
6 disagree with the statement that -- with respect to the
7 service water panel, that it is far removed from the tele-
8 phone system?

9 A Yes.

10 Q Okay. But you would agree that it is far removed
11 from the primary control board?

12 A No, I would not agree that it is far removed.

13 Q Is it the word "far" that causes you to disagree?

14 A Yes.

15 MR. BAXTER: Did you say it was ten feet?

16 THE WITNESS: I said it was approximately ten
17 feet.

18 BY MR. ELLISON: (Resuming)

19 Q With respect to the telephones and referring
20 to figure 15-3 -- first of all, figure 15-3 is the Rancho
21 Seco control room, is that correct?

22 A What page is that figure on?

23 Q 15-6.

24 Q Yes. That is the Rancho Seco control room.

25 Q Figure 15-3 shows a photograph of an operator on

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 558-2395



bfml9

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 554-2345

1 the telephone with an extension cord of a few feet, standing
2 at the primary console. Is it an accurate portrayal of the
3 Rancho Seco control with respect to the length of the
4 extension cords and the telephone cords?

5 A Yes, that phone has the extension cord as shown
6 in that picture, if that is what you are asking.

7 Q Are the extension cord -- is the extension cord of
8 the telephone located at the desk sufficient to allow the
9 operator to reach everything on the front panel?

10 A When you say "the front panel" would you look at
11 figure 4-5 and tell me which one you are talking about?

12 Q Certainly. I am referring to the panel that is
13 comprised of four panels labelled "computer, coolant,
14 reactor, and secondary."

15 A It is a sufficient length for him to reach all of
16 those panels.

17 Q Is the extension cord long enough for him to reach
18 the back panels labelled "secondary, primary, safety, and
19 auxiliary"?

20 A No, it is not.

21 Q Is the extension cord on the telephone, which you
22 identified as the cooling water panel, long enough to allow
23 an operator to reach the auxiliary, safety, primary, and
24 secondary panels?

25 A Some of those. It is not long enough for him to

fm20

1 reach all of them.

2 Q Which ones could he reach and which ones could he
3 not reach?

4 A I think he can reach around as far as the panel
5 labelled "Safety."

e
tP-5
jl flws

100 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 554-2345

- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25



100 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 559-2345

1 Q If I recall correctly, yesterday, Mr. Rodriguez,
2 you testified that you believed SMUD had been provided with
3 a copy of the EPRI study that is summarized in CEC 33. Do
4 you know whether SMUD did any formal analysis in response to
5 this study?

6 A No, I do not know of any formal response or
7 analysis.

8 Q Do you know if anyone was assigned as a prescribed
9 task within the SMUD operation to review this document or
10 the study in general?

11 A No, I do not know that.

12 Q Do you know of any -- Strike that.

13 (Pause.)

14 Mr. Rodriguez, is it common for alarms to be
15 sounding in the Rancho Seco control room?

16 A When the unit is operating, it is not unusual for
17 an alarm to sound a few times each shift. When a unit is
18 shut down, it is quite common for a number of alarms to be
19 sounding in the control room.

20 Q Is it common when the unit is running for there
21 to be annunciator alarms lit that have been previously
22 acknowledged so they are not sounding but the annunciator
23 light would be lit?

24 A It is not unusual.

25 Q It is my understanding that in an event like the

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 559-2345

1 Three Mile Island accident at Rancho Seco, that indication
2 of hot leg temperature and also indication of pressur-
3 izer level would be off scale. Is that correct?

4 A At what point in the Three Mile Island scenario
5 are you talking about? Because I guess I disagree that
6 Rancho Seco is going to have an accident like Three Mile
7 Island had fundamentally.

8 Q Assuming that you had the same -- Let me back up
9 for a minute. If Rancho Seco had experienced the same
10 equipment malfunctions and the same operator errors as
11 occurred at Three Mile Island on that same day, except for
12 the difference in containment isolation, would it not have
13 experienced substantially the same accident?

14 A Yes, I think it probably would have.

15 Q And during the course of that accident -- At some
16 point during the course of that accident, would it not be
17 true that the hot leg temperature indication as well as
18 the pressurizer level indication at Rancho Seco would have
19 read off scale?

20 A If the accident proceeded for the same length of
21 time without taking proper action to mitigate it, the T-hot
22 indication would read off scale. The in-core thermo-
23 couples, however, would read considerably higher than the
24 T-hot leg, 1500 degrees, approximately.

25 Q Would the pressurizer level indication read off

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20079 (202) 554-2395

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

scale?

A If sufficient voids were developed within the primary coolant system, yes, it would.

Q I have not had an opportunity to review yesterday's transcript, but I recall you described certain changes -- I believe you described certain changes in both T-hot indication as well as pressurizer level indication. Is that correct?

A I described changes with regard to the installation of additional meters. That is correct.

Q Both indications?

A For both pressurizer level T-hot and T-cold.

Q Has the scale been expanded with respect to the T-hot indication?

A No, it has not.

Q Has the scale been expanded with respect to pressurizer level indication?

A No, it has not.

Q Are you aware of other indications in the Rancho Seco control room that would have read off scale during the accident that we have been discussing?

A The reactor building particulate and gaseous monitors would have read off scale. I believe our area monitors which go to 10^7 mr per hour -- 10^4 , they would have read off scale.



1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHAIRMAN BOWERS: Mr. Ellison, there is no good time to interrupt for midmorning break. Is this a convenient time for you?

MR. ELLISON: Yes, ma'am.

CHAIRMAN BOWERS: Fine.

(Whereupon, a brief recess was taken.)

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 554-2345

Suzy foll



300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2395

1 CHAIRMAN BOWERS: Mr. Ellison, do you want to
2 proceed?

3 BY MR. ELLISON (Resuming):

4 Q As I recall, Mr. Rodriguez, you had just testified
5 to certain additional indications of t-hot and pressurizer
6 level that would have read off scale in a Three Mile Island
7 type accident. Have those indications been changed since
8 Three Mile Island?

9 A No, they have not.

10 Q You also mentioned in a previous answer that -- I
11 believe you said the incore thermocouples have a wider range
12 than t-hot indication. Is that correct?

13 A That's correct.

14 Q What is the range of t-hot and what is the range
15 of incore thermocouples?

16 A The range of t-hot is 520 degrees f to 620 degrees
17 f. The range of the incore thermocouples is from approxi-
18 mately 50 degrees f to 2000 degrees f.

19 Q I believe you testified a moment ago that the upper
20 range of the incore thermocouples was about 1500 degrees.
21 Are you changing that now? Have you had subsequent informa-
22 tion that it's 2000?

23 A I evidently subtracted wrong. It says 1500 degrees
24 above t-hot, and instead it's 1380 degrees above t-hot.

25 Q Am I correct that the incore thermocouple would be

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20029 (202) 554-2345

1 read off the computer?

2 A Yes, you are correct.

3 Q Can they be read elsewhere in the control room?

4 A Not in the control room, no.

5 Q The computer is not a safety system, is that correct?

6 A That is correct, it is not a safety system.

7 Q Am I correct that Rancho Seco has, on more than one

8 occasion in the past, operated without the computer main

9 available?

10 A We have operated with some functions of the computer

11 not available, and early in the startup there were some

12 occasions when it was down completely. I don't recall,

13 though, that those were after we loaded fuel. I think most

14 of those occurred when we were going through our initial

15 testing.

16 Q Did any of the functions that were unavailable on

17 the computer involve the reading of the incore thermocouples?

18 A I don't recall.

19 Q In an accident like the Three Mile Island accident,

20 could the Rancho Seco computer printer cope with the flow of

21 information that would be generated by that type of incident?

22 A Yes, it could.

23 Q So in that type of accident there would be no time

24 lag between the time an operator called for information on

25 the printer and the time it was printed?



300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 A There could be a time lag, yes.

2 Q How great a time lag?

3 A I don't recall. With reference to my question on
4 the printer, and that's what I was asking, the printer is
5 faster than the computer. That's why the printer would not
6 cause a time lag. The computer might in assembling the infor-
7 mation and getting it to the printer.

8 Q Could the computer printer system as a whole cope
9 with the kind of information flow that would be generated
10 by a Three Mile Island type accident?

11 A It can cope with it. There would probably be some
12 time lag. How much that time lag is I just don't remember
13 the numbers. We changed out those printers last year and
14 significantly improved the capability of getting the informa-
15 tion out. It was improved to the point where instead of the
16 printers being the limiting factors they were at Three Mile
17 Island, it was the computer being the limiting factor.

18 Q Can you recall whether the time lag that might
19 result from the computer would be -- I'm not asking for an
20 exact recollection, but can you recall whether it would be on
21 the order of a few seconds as opposed to minutes?

22 A I can't honestly answer. I just don't recall.

23 Q Assuming for a moment a loss of power to indication
24 in the control room, like what occurred in the light bulb
25 incident or Crystal River, is it true that various control room

1 indications would fail in a variety of ways -- either fail
2 high, fail low, fail mid-scale?

3 A If you lost -- and I use as an example x power
4 in the non-nuclear instrumentation, those meters powered from
5 x power would fail mid-scale.

6 Q All of them?

7 A Yes. Well, I can't say all of them. All the Bailey
8 type meters that are powered from the NNI would. There are
9 other meters in the control room that are not powered from
10 NNI.

11 Q Would they be affected by the power failure?

12 A No, they would not.

13 Q Would the same situation hold true if you lost y
14 power?

15 A Yes, there are other meters that receive power
16 from the y power supply and they would fail mid-scale.

17 Q During the light bulb incident, isn't it true that
18 instrumentation in the control room did fail in a variety of
19 ways, mid-scale, fail low, failed high?

20 A That's true.

21 Q Is your previous answer that they would now fail
22 mid-scale based upon changes in the Rancho Seco control room
23 made subsequent to the light bulb incident?

24 A My previous answer addressed the meter movement
25 itself. If the meter movement is from x or y power and you

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2395



1 lose that power, the meter will fail in mid-scale. If the
2 meter movement is a y powered and you lose x power that is
3 powering, say, a temperature indication, and loss of x power
4 that temperature transmitter makes it fail high scale, then
5 the meter will indicate high scale even though it still has
6 power from the y power supply.

7 And the same situation if the loss of power causes
8 the actual transmitter to fail low.

9 Q So then, it would be true that in a loss of --
10 there are potential loss of power situations that would cause
11 indication in the Rancho Seco control room to fail in a non-
12 uniform way.

13 A Some of the indication.

14 Q Is it common for x powered meters to indicate
15 signals from y powered transmitters?

16 A We have a number of meters that do that, yes.

17 Q Is it typical for gauges in the Rancho Seco control
18 room to have indication other than value of a level or
19 whatever, but also of the normal operating range?

20 A No, it is not typical.

21 Q Have there been any changes to the computer, aside
22 from the change in the printer that you described, since
23 Three Mile Island?

24 A Yes, there have been.

25 Q Would you briefly describe them?

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 A We have changed the computer program for the nuclear
2 calculations scheme to incorporate the characteristics of our
3 Cycle 4 core. We have added particular parameters to the
4 computer on a group function that will allow the operator to
5 call up a group of critical parameters and have a computer give
6 them to him automatically at one-minute intervals in the
7 event of a loss of NNIX or NNIY power.

8 We have modified the nuclear core calculation program
9 to shift that to a parameter monitoring program upon a reactor
10 trip to provide a longer history of various plant parameters
11 which would be used in an analysis to determine the cause
12 and, of course, the response to whatever the trip situation
13 was.

14 There have been others but I can't think of what
15 they are right now.

16 In this line of questioning, the computer that I've
17 been referring to is the computer associated with a console
18 in the control room. We also have a second computer that
19 we're bringing up to provide backup to that one.

20 Q Where will that computer be located?

21 A It is located in the same area where the current
22 computer is; however, its control console will be out in
23 the control room on the operator's desk.

24 Q On the desk, is that correct?

25 A Yes. It's a visual display.

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345



1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q And will it display essentially the type of information as the computer you've been discussing?

A Yes, sir.

Q Will that computer be a safety system?

A You have to define for me what you mean when you say safety system, because a safety system to me is a system that is providing core cooling to the core, and the computer has no cooling functions. If that's what you're asking It is not a process control computer; it is a monitoring computer.

Q My question is whether or not it will be permissible for Rancho Seco to operate without either or both of the computers when the second one is installed.

A There are no conditions of our license which require that the computer be operable.

Q Mr. Rodriguez, I'd like to turn to your testimony with respect to the training of licensed operators. And my first question is in response to your statement at page 4 of your testimony on line 10 that between the years 1968 and 1970 you were responsible for establishing initial phases of the Rancho Seco operating training program and the selection and hiring of plant operating personnel.

Can you briefly describe how the Rancho Seco licensed operator training program was developed, and in particular, what models or other experience was called upon in developing that program?

1 A I didn't really have a model to go by because SMUD
2 was in somewhat of a unique position from the standpoint that
3 it had been a hydroelectric facility with no thermal units,
4 and therefore, the staffing and the training program had to
5 account for the fact that there was no cadre of operating
6 experience to draw upon within the company. Which meant that
7 everyone had to be hired from outside the company.

8 From that aspect, the training program had to
9 acknowledge that people from various backgrounds were going
10 to be coming together to operate Rancho Seco.

11 I'm not going to be able to do this briefly. It's
12 going to take a while.

13 Q Take as much time as you need.

14 A The initial part of the program involved hiring,
15 for my function at that time, hiring shift supervisory person-
16 nel who had operating experience in commercial nuclear reactors
17 or large production reactors. Bringing those individuals
18 together in a non-nuclear situation to spend some time, if
19 you will, to learn to communicate so that acronyms, references
20 to cooling water systems and things like that could be ironed
21 out. As an example, a main circulating water system to one
22 individual meant what you cooled the condenser with. To
23 another one it was a spray pond and to a third one it's what
24 you cool a reactor with, and those kind of problems had to be
25 ironed out. So we spent a considerable amount of time just

1 apostling it just to get everyone talking the same way.

2 Then from there, I took them to a nuclear plant
3 for a three-month training session, as I described in
4 Appendix I of this testimony, wherein they were around an
5 operating unit while it was operating and also around it while
6 it shut down. For the same purpose, again, to learn how to
7 talk to each other so we were talking about the same kind of
8 thing and go through a short familiarization course.

9 Q Mr. Rodriguez, if you don't mind, I'd like to
10 interrupt you just for a second, and perhaps as you continue
11 with your narrative, to take the liberty just to clarify
12 parts of your answer rather than coming back. Were you just
13 referring to the Indian Point training experience that's
14 described in Appendix I to your testimony?

15 A That's correct.

16 Q Please go on.

17 A The Indian Point training experience took us to
18 May and I ended that responsibility in February of 1970.

19 Q Were you responsible for the development of the
20 training program itself?

21 A Not in the detail. I was responsible for the
22 basic concept of how we do it. I established, for example,
23 the contract with Sacramento State College to conduct the
24 academic training. As part of the contract with the Babcock
25 and Wilcox Company, the six-week reactor fundamentals or
reactor technology course had already been established.



300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 I did establish with Babcock and Wilcox the 10-week simulator
2 training course and reviewed with them the content of that and
3 what we wanted to have in that course, but they actually put
4 the program together.

5 Q Does that complete your answer?

6 A Well, I didn't directly contract with an onsite
7 program; my relief, if you will, the Assistant Superintendent
8 for Nuclear Operations under me, did and that was, as I recall,
9 a 40 -- I guess I have to go back to my testimony, excuse me,
10 for how many hours that was.

11 What I was referring to and I don't see it in here
12 was a 40-hour review course that another contractor, General
13 Physics Corporation, conducted for us shortly prior to our
14 licensing examination.

15 The Appendix IE program -- excuse me, the Appendix
16 IF program was generated by our onsite licensing instructor
17 who was a member of the Nuclear Operations Department, and
18 the details of that he prepared.

19 Q Had the individual that you just mentioned, the
20 onsite licensing instructor, been an instructor of licensed
21 nuclear power plant operators prior to his assuming that
22 role in SMUD?

23 A Prior to assuming that role at SMUD he had been a
24 licensed shift supervisor in an operating nuclear plant, and
25 then came to SMUD as a shift supervisor candidate and had gone

1 through the training up to that point.

2 Q Is Appendix IB the Sacramento State program that
3 you described?

4 A Yes, it is.

5 Q You mentioned that you obtained outside training
6 assistance from B&W and Sacramento State and also from
7 General Physics. Were there any other outside contractors
8 who assisted in the training of the original Rancho Seco
9 licensed operating crew?

10 A Yes. We had a a course from the Westinghouse
11 Corporation.

12 Q Is that described in your testimony?

13 A No, it's not. The reason I didn't really describe
14 it in there was it really dealt with the turbine and the
15 generator as opposed to the licensing training for operating
16 the nuclear steam supply system.

17 Q Your testimony beginning at page 7 and including
18 referencing Appendix I and Appendix II, describes three
19 different kinds of training as I read it. Appendix I being
20 training of the original crew; Appendix II being the training
21 of crews after Rancho Seco began operating; and the third
22 category being the requalification program. Is the Appendix I
23 training generally what's referred to as the cold license
24 program?

25 A That's correct.

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q And the Appendix II would be the hot license program.

A That's correct.

Q Would it be common for an operator to go through both the cold license program and the hot license program, or would it be more common for them to go through one or the other but not both?

A It would be more common for them to go through one or the other and not both at the same facility.

Q Are you aware of any operators at Rancho Seco that have undergone at Rancho Seco both the hot license and the cold license training program?

JL fols.



300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 A I believe there were a couple of operators that
2 participated in part of the cold license training and then
3 went on and completed the entire hot license training before
4 they were licensed.

5 Q How many operators are there employed at Rancho
6 Seco at the present time?

7 A Are you talking about licensed operators or --

8 Q That's correct.

9 A -- operators? Licensed operators.

10 Q I am sorry. Licensed operators.

11 A There are 24 licensed personnel. I think approxi-
12 mately eight of those are senior license personnel who are
13 part of management and supervision and do not normally
14 stand watches, and while I am thinking of it, I said yester-
15 day I had no change to my testimony, and I think in my
16 testimony I referred to 22 licenses, and we did receive
17 -- we did successfully license two additional people in
18 April.

19 MR. BAXTER: Excuse me. To clarify and correct
20 the testimony, would that be a correction to your testimony
21 at the top of Page 22?

22 THE WITNESS: Yes, the four licensed operators,
23 the number "four" should be changed to "six."

24 BY MR. ELLISON: (Resuming)

25 Q Were the two additional successful license

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 candidates people who would ordinarily stand shifts, or
2 are they management?

3 A They would stand shifts.

4 Q So that would bring the number of operators
5 standing shifts to 16. Is that correct?

6 A Yes. And as I sit here and think, we also
7 successfully licensed a contractor instructor as a senior
8 license, and he doesn't stand any shifts. He is just
9 doing teaching.

10 Q He would be someone who would be instructing
11 operators? Is that correct?

12 A He is instructing, yes.

13 Q Was this individual previously licensed at another
14 facility?

15 A No, I don't think so. I think he -- he came --
16 his experience, his operating experience, for the most
17 part, I think, was in the Navy nuclear program.

18 Q And is this someone who has recently been hired
19 to train the Rancho Seco operators. Is that correct?

20 A No, this individual has been training Rancho
21 Seco operators for over a year.

22 Q With respect to the 16 operators who regularly
23 stand shifts, can you describe approximately how many of
24 them went through the cold license program and how many
25 went through the hot license program?

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 556-2395

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(Pause.)

A Of the initial six shift supervisors who went through the entire cold licensing training program starting back with the initial trip to a fossil unit and then Indian Point. There are two shift supervisors on the staff. A third shift supervisor is now the operations supervisor, so he does not stand.

Of the -- there -- Of the operators who came to work while the cold licensing program was under way essentially participated in it after the fossil unit experience and the Indian Point 1 experience. There are three. All of them are now shift supervisors.

And -- no, there are -- Well, there are three that are shift supervisors. There is one that is the outage coordinator, who was a shift supervisor, and the training supervisor. Those latter two, though, are part of that eight management.

I guess, to sum it up, two that went through the entire cold licensing program, three that attended essentially the major portion of it, the V&W technology training, the simulator training, the on-site review courses, and the start-up testing phase.

Q And the remaining eleven went through the hot license program. Is that correct?

A I think that's right. I may have not recalled

308 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 exactly the timing when some of those people came to work,
2 but I think that is essentially it.

3 Q On Page 20 of your testimony, Mr. Rodriguez,
4 beginning on Line 17, you describe how both the plant
5 superintendent and yourself have been active in industrial
6 organizations dealing with plant activities and facilities
7 across the country, and how that has increased your know-
8 ledge and experience in improvements in plant management
9 with other units.

10 Are you generally familiar with the training
11 programs for licensed operators at the nuclear facilities?

12 A Well, I know generally that they all have
13 training programs. I am not generally familiar with the
14 specifics of the individual training programs.

15 Q In developing the Rancho Seco training program,
16 is it your understanding that it was based in large part
17 upon the training programs under way at other utilities
18 operating nuclear power plants?

19 A In a large part, as I recall, our training program
20 for the B&W NSS was breaking some new ground. As I recall,
21 the technology course, I think, had been given one time to
22 one of the Oconee unit staffs prior to us. The simulator
23 course, as I recall, we were the first to go through that
24 course. The academic training program was set up
25 essentially based on my knowledge from experience I had on

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 538-2345

1 the type of academic training that a licensed operator
2 needs to prepare himself to better understand some of
3 the engineering aspects of how a reactor works, and the
4 on-site training program was developed by the training
5 individual who had had an experience at another utility and
6 brought that experience with him, and I don't mean to say
7 that he did it all by himself. He was responsible for
8 putting it together, but certainly there was quite a bit of
9 consultation with other members of the staff, because we
10 had brought people from many different power stations, and
11 the best of their information is what went into this training
12 program.

13 We did not extensively examine training programs
14 for units other than those units that were participating in
15 the B&W training program.

16 Q I have two questions with respect to your past
17 answer. First, you are referring in that answer to
18 the cold license training program. Is that correct?

19 A That's correct.

20 Q Second, you mentioned a trainer with experience
21 at another facility. Was that experience as a trainer or
22 as an operator?

23 A He had been a shift supervisor. I don't remember
24 whether or not he had had actual classroom training
25 experience there. I think he had, but I can't say for sure.

1 I just don't know.

2 Q With respect to the hot license program, is it
3 your opinion that that program is substantially different
4 than those of other utilities operating nuclear power
5 plants?

6 A The hot license program was essentially generated
7 in house with review and approval by the Nuclear Regulatory
8 Commission. What it followed was some of the underlying
9 general requirements in the intensive R50 series, and
10 fundamentally the types of information that we had used
11 in the cold licensing program.

12 I -- I don't recall our taking somebody else's
13 program and putting our letterhead on it and saying, that
14 is what we are going to do. We pretty much generated
15 that based on what we felt was a satisfactory program.

16 Q Did you consider the programs of other utilities
17 in developing your own program?

18 A As I said, I don't recall getting other utility
19 programs and analyzing them and determining what portions
20 of those we would use. What I recall pretty much is that
21 we developed this based on our cold licensing training
22 program, and what training we had received during that
23 period of time.

24 Q Did you have any outside consultant help in
25 developing that hot license program?

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345



300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 A I don't remember. I don't remember.

2 Q Subsequent to your development of the hot
3 license program, have you had occasion to compare it to the
4 programs of other utilities operating nuclear power plants?

5 A I have not personally done that. I believe our
6 training supervisor and the plant superintendent have.

7 Q Do you know how they compare?

8 A No, I do not.

9 Q With respect to the cold license training
10 program.-- Let me refer to the appendices at the back of
11 your testimony, beginning with Page 1-1, where you describe
12 the Indian Point training. At Page 1-1, you state in the
13 second paragraph, "During this training period, the
14 Indian Point unit was shut down for refueling." A little
15 earlier this morning I think you said that it was opera-
16 tional during part of that time and shut down during part
17 of that time. Is the latter correct?

18 A When we first arrived at Indian Point, the unit
19 was operating, and it operated for three, four weeks,
20 something like that, and then shut down for refueling, and
21 just prior to our completing that cycle, it returned to
22 power and went through the zero power physics test, and it
23 was escalating in power when we left.

24 Q You state that Indian Point is a Babcock and
25 Wilcox designed reactor. Do you know whether it has

1 a once-through steam generator?

2 A It did not have a once-through steam generator.
3 Right now I am not sure they have any steam generators.

4 (General laughter.)

5 Q Turning to Page 1-2, where you describe the
6 Sacramento State course, you give a total of 520 hours of
7 instruction. Recognizing that that includes apparently
8 eight hours of examination, do the remaining hours describe
9 the number of hours that the student would actually be in
10 lecture, or does it include self-study time?

11 A As I recall, that course ran eight hours a day,
12 five days a week in the classroom, and that those hours
13 reflect that portion, the classroom, not any outside study
14 by the student.

15 Q The course was how many weeks long? Do you
16 remember?

17 A Unless I am dividing incorrectly, it was 13
18 weeks long.

19 Q Was each operator candidate required to attend all
20 eight hours that are described here?

21 A Each licensing candidate was not required to
22 attend all of the hours.

23 I can clarify that. For example, there were
24 some of those areas that I did not attend, and I just took
25 the final examination, and that same thing applied to other

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345



300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345



1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

licensing candidates who had had college degrees, plant superintendent, the engineering supervisor. Those individuals who did not have that normal academic training were required to attend those lectures, unless, of course, they were ill or had the day off to do something.

Q All of the candidates taking this course took a final examination? Is that correct?

A I don't recall. I think so. I don't remember specifically.

Q And was it necessary for a candidate to pass the final examination in order to continue on in the program?

A No, we didn't establish a cutoff passing mark. where if the individual did not receive that mark we would take him out of the program.

Q Referring to Page 1-3, Appendix 1.C describes the pressurized water reactor technology course at the B&W facility in Lynchburg, Virginia.

A I guess I should have read over this a little more closely. Here is another change. That was not an eight-week program. That was a six-week program. We were gone eight weeks, but we took a break every couple of weeks.

Q This is a different program at a different time than the ten-week simulator course described in Appendix 1-D?

A That's correct.

1 Q And the ten weeks is correct for Appendix 1-D?

2 A Yes, it is.

3 Q Do you know whether the 240-hour figure which is
4 given in Appendix 1-C is correct? That is at the bottom
5 of the introductory paragraph.

6 A Yes, that is correct. It was a five-day week,
7 eight-hour a day course.

8 (Pause.)

9 Q Would it be fair to say that the instruction was
10 fairly evenly apportioned between the topics that are
11 described here, or were there any that were given special
12 emphasis?

13 A Are you on Appendix 1-B?

14 Q I-C.

15 A I-C?

16 (Pause.)

17 A No, I couldn't characterize that equal hours
18 were spent on each topic, because some of the topics
19 are much more complex than others.

20 Q Could you identify the topics that you think were
21 given particularly strong emphasis?

22 A All the topics had strong emphasis. My question
23 related to the complexity. I guess I would say, for
24 example, integrated control system has a lot of features
25 to it, and in going through each of those features and

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 how they function would take a considerably longer period
2 of time than, for example, describing how a fuel
3 assembly is put together. But they are both important to
4 the operator that he understands each of those topics.

5 Q I gathered from your last answer that the course
6 consisted of a description of each system, how it operates,
7 and that sort of thing. Is that a fair description?

8 A No, it is not. It only really dealt with those
9 systems that were part of the nuclear steam supply
10 system. It did not deal with the systems that were outside
11 that nuclear island.

12 Q No, my questions is, with respect to the systems
13 that you identify here that you did cover, is it fair to
14 say that the instruction was generally -- generally involved
15 a description of the system and how it operates normally?

16 A You had both the functional description of the
17 system as well as a fairly detailed description, and by that
18 I would give as an example how the differential pressure
19 detector, for example, worked. Other than just saying that
20 the pressurizer level has three channels in it, you would
21 also go into a pretty detailed physical description of the
22 differential pressure cells, and it would also dwell upon
23 the limits for operating those systems.

24 Q Was there an exam given at the conclusion of this
25 course?

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 554-2345

1 A There were exams given periodically through the
2 course covering accumulation of some of the topics. I --
3 would have to go back and look at records again to determine
4 whether there was any -- and I don't think the record would
5 show me whether there was a final exam that included
6 everything. There was an exam at the end of the course, but
7 I don't know whether it included a summary of all 22 of
8 those topics.

9 Q Was it necessary for a candidate to pass this
10 exam in order to continue in the program?

11 A No, it was not.

12 Q With respect to Appendix 1-D, at the top of the
13 page you describe a breakdown of the 392-hour simulator
14 training program. Then the third item is study and
15 counseling. Could you identify what you mean by study and
16 counseling?

17 (Pause.)

18 A This course consisted of periods of time actually
19 in the simulator operating and periods of time in the
20 lecture program. Typically, not every week, but typically
21 the day was broken up with four hours in the simulator
22 and four hours out in the classroom area.

23 We did not have lectures all the time during that
24 four hours outside the classroom. There were periods of
25 time when the individual had some time to do studying. When

1 he was having a particular problem with something in the
2 simulator or understanding some portion of it, the
3 instructor could spend that time trying to pump him up on
4 a one-on-one basis.

5 That is the studying and counseling.

6 Q With respect to the normal operations that are
7 described in the next section, Appendix 1-D, would it be
8 typical to take each normal operation essentially from
9 beginning to end in real time through the simulator?

10 A During the initial phase of the course, when the
11 candidate was becoming first familiar with it, yes, it
12 would be typical to do it in real time. One area that
13 I can recall that we never really did in real time was the
14 actual heat-up of the plant, since you were only in the
15 simulator about four hours, and typically it takes 24 to 30
16 hours to heat up.

17 As the course progressed, in order to show and give
18 more practice, the time sequence could be speeded up, not
19 speeded up so much, but the simulator initialized in an
20 operating configuration so that whatever particular evolution
21 you want to practice on could be conducted.

22

23

24

25

390 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

end SB2
Bob follows



1 Q This would be part of the 126 hours of control
2 room operation. Is that right?

3 A Yes, that is right.

4 Q And can you -- At the bottom of this page, you
5 describe in addition to the normal operation experience
6 which you describe as a wide spectrum of failures. Can you
7 estimate how much of the 126 hours was spent on normal
8 operation versus abnormal operation?

9 A I would estimate that 70 to 80 percent of the
10 time period that was spent -- and I am talking about the
11 four hour time periods -- that were spent at the control
12 room had during those four hour time periods abnormal
13 conditions with which we had to cope.

14 Q Can you estimate the amount of time, however, that
15 was spent on abnormal operations versus normal operations?

16 A That is what I just thought I did. It is kind of
17 hard to do, because you do not walk in and have everything
18 falling apart without first having it run normally, if
19 you understand what I mean. For example, you might be in
20 there running along at 100 percent power, and he tells you
21 -- the instructor tells you to change power to 80 percent
22 or change power to 50 percent, so you start manipulating
23 to bring the unit come down, you watch it come down, and
24 then, bang, you lose a feed pump, but part of that time was
25 normal operation in setting you up to get your mind off on

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2395

1 something else when he dropped the feed pump on you, and
2 that is why I couched my answer. In 70 to 80 percent of
3 those periods of time that we were in there for four hours,
4 I would estimate dealt with some malfunctions during that
5 four-hour period, but I cannot give you a time for, you
6 know, how many hours we spent out of that actually
7 controlling the casualty and how many hours we spent waiting
8 for it to happen.

9 Q Okay. With respect to the 110 malfunctions you
10 described, you are referring to 110 single failures rather
11 than 110 accident sequences. Is that correct?

12 A What I am referring to is that approximately 110
13 malfunctions are individual malfunctions that were given
14 by the instructor. Now, those malfunctions may come in
15 groups of two or three or more in a particular scenario
16 to test an operator's ability to respond to them, and by
17 giving these different malfunctions, we pushed the unit
18 into an accident scenario.

19 Q Do I understand from your last answer that some
20 of the malfunctions involved multiple failures?

21 A Yes, that is true. No, no, no, that is not true.
22 The malfunctions that I am talking about are individual
23 malfunctions, failure of PORV to open, for example. Then you
24 do not let the block valve go shut. Those are two separate
25 malfunctions that are in the same scenario that the operator

1 is trying to cope with.

2 Q But operators were given experience with
3 scenarios involving more than one malfunction?

4 A Yes.

5 Q Was there an exam given at the end of the simulator
6 course?

7 A That was nine years ago.

8 Q I am sorry.

9 A I haven't thought about it recently, but I
10 thought --

11 Q I just noticed at the conclusion of Appendix
12 I.D it stated there was an exam, so I am going to withdraw
13 the question and just ask you if having refreshed your
14 memory by reading that -- it is at Page 1-5 -- if you can
15 recall the passing of this exam was mandatory for the
16 completion of the program.

17 A The purpose of the exam was to evaluate the
18 simulator as a training tool. That exam was administered
19 by the then Atomic Energy Commission. There were
20 evaluations written on each of the candidates and how they
21 did and what if any weak areas they had. There was no one
22 determined at the end of that course to be unsatisfactory
23 as an operator.

24 Q Did all the candidates take that exam?

25 A All the candidates in the group that I was with

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2395

1 which was the first of -- the first group of about 12 or
2 15 did, and I guess I really do not remember -- I do not
3 remember what the second group did, whether or not AEC
4 came down and examined them or not.

5 Q Can you recall whether during the -- if simulator
6 instruction operators were asked to simulate the feed
7 and bleed mode of cooling?

8 A The feed and bleed mode of what?

9 Q Cooling.

10 A No, I do not recall that.

11 Q Just to clarify your response, you do not
12 remember?

13 A I do not recall that any operators were required
14 to cool the core by feed and bleed mode.

15 Q Were operators asked to simulate the experience
16 of cooling the core by natural circulation by voiding in
17 the primary system?

18 (Pause.)

19 A I do not recall that particular scenario being
20 one of the accident scenarios.

21 Q Did operators simulate reflex boiling?

22 A No, I do not recall that being simulated.

23 I am referring now to this simulator course nine years ago,
24 not what we have been doing recently.

25 Q I understand that. Can you recall to summarize



300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 the cold license program how much time was spent actually
2 on the simulator? And in asking this question, I recognize
3 that you stated control room operation of 126 hours in
4 Appendix I.D. Is that the total amount of time spent on the
5 simulator doing the cold license program?

6 The reason why I ask the question is that I also
7 recognize that on Page 1-12 you describe the simulator
8 refresher course.

9 A To answer your question, that 126 hours is what we
10 had had documented in the letter that we sent in 1974.
11 I sure do not recall any more how many hours specifically,
12 and what was the source of that number.

13 We completed that simulator training course, the
14 first group, in November or something like that of 1971,
15 and the second group went back in 1972 and we did not go
16 up for our license until 1974, and prior to going up for
17 that license, we went back for a simulator refresher course
18 and spent some more hours.

19 Q Can you recall how many hours you spent on the
20 refresher course?

21 A No, I cannot. I cannot recall whether it is a
22 one-week course or a three-week course. I think it was a
23 one-week course, but I do not recall.

24 Q The low estimate would be one week. Is that fair
25 to say?

1 A That is right. That would have been the minimum
2 time, five days.

3 Q And all that time was on the simulator?

4 A No, typically in the simulator course you spend
5 four hours in the simulator and four hours outside
6 recovering.

7 Q So the low end estimate would be that you spent
8 20 yours on the simulator in the refresher course?

9 A That is right. The other four hours you spend
10 outside essentially getting lectures on some aspect of
11 operating.

12 Q Is it your opinion that the simulator training
13 is among the more effective means of training licensed
14 operators?

15 A Yes, it certainly is.

16 Q Would you say that it is the best?

17 A I think in my description of both the cold license
18 program and the hot license program, it should be pretty
19 clear that the training program has different aspects to it,
20 and you cannot pull out any one aspect and say that that is
21 the best. On an individual preference, one individual may
22 enjoy being in the simulator and feel that he gets more
23 out of that than another individual from an overall program
24 standpoint, though I think the simulator training is an
25 essential part of that program.

1 Q Okay. Referring to Appendix -- Referring back
2 to your testimony, when you describe the cold license --
3 pardon me, the hot license training program, that discussion
4 begins at Page 7 and continues for several pages thereafter.
5 Am I correct in my understanding that the hot license
6 training program involves 60 hours on the simulator?

7 A Yes, it is a three-week program.

8 Q Mr. Rodriguez, if you can, I would like briefly to
9 refer back to Appendix I.D, Page 1-4 and also to Page 14 of
10 your testimony, beginning on Line 4.

11 In Appendix I.F you describe the 110 malfunctions
12 that were presented to the operators in your cold license
13 program. However, at Page 14, Line 4, you say the
14 simulator has the capability of introducing over 60
15 individual casualties in the various reactor plant systems.

16 To me, there is an apparent discrepancy between
17 the number of malfunctions the simulator is capable of
18 presenting, 110 or 60.

19 Could you explain that?

20 A Let me give you an example. Assuming you are
21 running at 100 percent power and the instructor fails the
22 A main feed pump on you. And you go ahead and restart it
23 and get it back on line and he fails the A main feed
24 pump again. You have had two malfunctions.

25 Q So the 110 malfunctions referenced in Appendix

1 I.D are not necessarily different malfunctions?

2 A That is right.

3 Q The wide spectrum of failures you are referring to
4 would essentially be the menu of 60 failures discussed on
5 Page 14?

6 A Yes, that is correct. The 60 referred to the
7 spectrum that you can receive. The 110 refers to the
8 factual number.

9 Q Would it be fair for me to assume that the hot
10 license training program -- simulator program covered
11 basically the same operations as the cold license program
12 described in Appendix I.D?

13 A Basically it does. There are certain aspects of
14 it that are not the same, of course, as the cold license,
15 one of those being the lengthy simulator training, but the
16 hot license candidate has the advantage of actually
17 operating at the facility, whereas the cold license
18 candidates do not.

19 CHAIRMAN BOWERS: Mr. Ellison, I assume again
20 there is no good place to stop you, but it is 12:00, and we
21 would like to take the one hour for lunch.

22 MR. ELLISON: That is fine.

23 (Whereupon, at 12:00 p.m., the hearing was
24 recessed, to reconvene at 1:00 p.m. of the same day.)

25

AFTERNOON SESSIONtP-3
bfml

(1:00p.m.)

1
2
3 CHAIRMAN BOWERS: We would like to begin. Are you
4 ready, Mr. Ellison?

5 MR. ELLISON: Yes, Ma'am.

6 Whereupon,

7 RONALD G. RODRIGUEZ

8 the witness on the stand at the time of recess, having
9 been previously duly sworn resumed the stand, was examined
10 and testified further as follows:

CROSS EXAMINATION (RESUMED)

11
12 BY MR. ELLISON:

13 Q Mr. Rodriguez, in describing the development of
14 the hot license training program, you mentioned some of
15 the people within SMUD that were involved in developing
16 that program.

17 Were there any outside consultants involved that
18 you know of?

19 A I cannot say with assurance. I just do not
20 remember.

21 Q Are the people responsible for the development
22 and implementation of the training program -- do they work
23 for you and in your division?

24 A At the time that the hot license training program
25 was developed, we were organized wherein I was acting both

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 554-2345



bfm2

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 as the manager of the department and the plant superinten-
2 dant; an assistant superintendant for operations, and
3 a training coordinator. -- the assistant superintendant
4 reported to me and the training coordinator reported to
5 him. Those two individuals did the detail work on generating
6 the hot license training program. At this time, since we
7 are reorganized now, there is a plant superintendant who
8 reports to me.

9 He has essentially the training supervisor that
10 reports to him.

11 Q Referring to page 9 of your testimony where you
12 describe the simulated training that is part of the hot
13 license program, would I be correct in stating that the
14 simulator training would follow the same four hours on the
15 simulator and four hour lecture pattern you described
16 earlier?

17 A That is correct.

18 Q At the bottom of the page at line 22, you
19 describe the third week of simulator training.

20 A Excuse me, where are you?

21 Q Page 9 line 22.

22 A Okay.

23 Q Where you state: "The third week continues with
24 power operations in both the manual and automatic control
25 modes, and additional malfunctions for which the operator

bfm3

1 must take mitigating actions, are introduced.'

2 Does that mean in the previous two weeks there
3 were no malfunctions presented that required operator action?

4 A I think in line 18, I say in the second week the
5 course is expanded to plant operations with malfunctions.

6 Q My question, though, is whether the operations in
7 the second week include malfunctions for which the operator
8 must take mitigating actions?

9 A Yes, they do include malfunctions for which the
10 operator must take mitigating actions.

11 Q Could you explain what you meant when you said
12 that those types of malfunctions were introduced in the
13 third week?

14 MR. BAXTER: The testimony says "additional." It
15 does not say that they were introduced.

16 THE WITNESS: Malfunctions are conducted in both
17 of those latter two weeks of the three week program. Maybe
18 I just took liberties with wording. I did not mean to
19 indicate that the third week was the only week in which
20 malfunctions were presented to the candidate.

21 BY MR. ELLISON: (Resuming)

22 Q To clarify the record, I am referring to malfunc-
23 tions -- I am distinguishing between malfunctions that the
24 plant would automatically respond to and malfunctions that
25 require operator response. Would I be correct --

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345



bfm4

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 A Well, I -- it is, I guess --

2 Q Let me correct my question.

3 A Yes.

4 Q Would I be correct in reading your testimony to
5 say that in the second week, the operator is introduced to
6 malfunctions that the plant would automatically respond to.
7 Then, in the third week he begins to see malfunctions that
8 he must respond to?

9 A No, you would not be.

10 Q Okay. Could you -- is there any distinction --
11 is there any differentiation in the training program between
12 those two types of malfunctions?

13 A I cannot think of any determined attempt to make
14 a differentiation between the two. There are some malfunc-
15 tions that are introduced.

16 For example, a rod drop which the integrated control
17 system will automatically run back the plant. The operator's
18 essential action is to verify that the automatic system is
19 operating properly.

20 There are other malfunctions that, for example,
21 loss of feedwater which again, the reactor protective system
22 will automatically trip the plant for, but the operator
23 takes some action as well in verifying that there are other
24 automatic functions that will occur.

25 Those malfunctions are introduced or are given to

1 the operator in either the first week or the second week.
2 Compounding the malfunctions is more appropriately done in
3 the third week when the operator has had a little more time
4 at practicing handling various malfunctions.

5 So, in the third week you are more likely to have
6 more multiple malfunction scenarios than you are in the
7 second week.

8 Q So, operators would be receiving or simulating mal-
9 functions in all three weeks of the simulator training. Is
10 that correct?

11 A Not normally. Normally, the first week is pretty
12 much devoted to normal start-ups and shutdowns and making
13 power changes. That is not to say that at the end of the
14 first week a particular instructor would not begin to give
15 some malfunctions.

16 Normally, the first week deals with normal
17 functions.

18 Q Would it be fair of me to say that in the first
19 week, one receives essentially normal operations. The
20 second week, you begin to see malfunctions of increasing
21 complexity through the third week?

22 A That is reasonably correct, yes.

23 Q Has the hot license program been substantially
24 changed since it was first conceived?

25 A The only significant change that I can recall right

1 now that we have made to it is the introduction course of
2 the Three Mile Island scenario and the Lessons Learned from
3 that.

4 Q That would be a change in subject matter more than
5 format. Is that correct?

6 A That is correct.

7 Q With respect to the in-plant phase of this hot
8 license program, it is my understanding that until recently,
9 candidates were instructed by SMUD personnel. Is that
10 correct?

11 A The last group of operators that we put through
12 training starting a year ago this February were trained by --
13 almost entirely by a contractor instructor. The licensing
14 training that we conducted over three or four years ago
15 was conducted some by contractor and some by our own
16 instructor, as best I recall.

17 Q Is the contractor involved here General Physics
18 Corporation?

19 A Yes.

20 MR. BAXTER: Can I ask some clarification,
21 counsel? We are on page 8, what is described on line 16,
22 the second part of the training program, the in-plant phase.
23 Is that what the last questions referred to?

24 MR. ELLISON: That is correct. I am assuming that
25 that is the same as the in-plant phases which are given as

bfm6

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 554-2345

bfm7

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 Part 2 of Appendix II, page 2-1.

2 THE WITNESS: I might clarify that somewhat. When
3 they go into -- when I talk about the instruction. The
4 individuals are put on shift and we have a single instructor,
5 if you will, who then rotates around the shift so that he
6 spends time with each candidate, but he does not spend the
7 full eight hours every day with each candidate because there
8 is only one of him.

9 In this particular case, there were three others.
10 The candidate is going through systems and learning about
11 them by reading and asking questions of the other operators.
12 Those operators are asking him questions, in turn, to check
13 out how much he knows.

14 The instructor that is monitoring that then
15 evaluates the individual's progress and determines whether
16 he needs to spend more time or not.

17 So, he is still doing -- he is still conducting
18 the major portion of the training program but he is not one-
19 on-one with the licensing candidate on an eight hour day
20 basis as he is when they are in the classroom.

21 A lot of their interface comes from the operating
22 crew that they are assigned to. The shift supervisor, the
23 control room operator, the senior control room operator
24 are all spending time teaching the candidates various
25 aspects of operation.

bfm8

1 Q Is SMUD contemplating any revisions to the hot
2 license training program?

3 A Yes, we are.

4 Q Could you describe them?

5 A Fundamentally, the revisions involve longer
6 experience before a senior control room candidate is
7 eligible to take that license.

8 It also involves more details in the area of heat
9 transfer and fluid flow, adequate core cooling, mitigating
10 circumstances, these are requirements that have recently been
11 defined by the Nuclear Regulatory Commission and published
12 to all nuclear power operating licensees.

13 Q So, is the motivation for the changes the require-
14 ments of the Nuclear Regulatory Commission? Is that correct?

15 A That is substantially the details of what, for
16 example, the fluid system thermodynamics additional
17 instruction should have, and the adequate core cooling should
18 have -- where it is coming from.

19 We have in the current course thermodynamics and
20 fluid flow. We have instruction now on adequate core
21 cooling and small break LOCAs.

22 What needs to be defined is specifically what is
23 the Commission interpreting their words to mean, because
24 we have things now that we can say -- what we have not had
25 up to this point was the longer experience requirements for

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20029 (202) 554-2395



bfm9

1 a senior control room operator.

2 Q With respect to the requalification program,
3 which is described in your testimony, who is responsible for
4 the development of that program?

5 A The initial development was carried out by
6 essentially the same individuals that developed the hot
7 licensing program.

8 Q Do you know if there are any outside contractors
9 or consultants in the development of the requalification
10 program?

11 A Again, I do not recall.

12 Q On page 11 of your testimony, line 11, you describe
13 an average of 60 hours of lectures that are scheduled as part
14 of the requalification program.

15 My first question is: are those 60 different hours
16 of lectures, or do those include repetition of the same
17 lecture more than one time?

18 A What those are, those are 60 hours approximately
19 of material that is presented a number of different times
20 during the two year cycle.

21 Q If an operator had attended one presentation of
22 a given piece of material during the two year cycle, would
23 he be expected to attend the repetition of it?

24 A Only in the case -- I will give you a hypothetical
25 case because it has happened -- wherein a lecture may have

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345



bfml0

1 given -- scheduled for a particular crew early in the
2 cycle. Then, that lecture may have been rescheduled --
3 may have been scheduled later in the cycle for the same
4 crew.

5 Then he would come in and take it a second time.

6 Q So, is it true then that it would not be correct
7 to infer from your statement in line 11, that an individual
8 operator would receive 60 hours of lecture training during
9 the two year period?

10 A I am not sure what you asked me.

11 Q Let me resume the question and see if I can
12 clarify it. You stated in your testimony that there is
13 60 hours of lecture training offered, but you just testified
14 that that includes some repetition; that operators were
15 not necessarily being required to attend the repetitive
16 presentation of --

17 A I think what I said --

18 Q Mr. Rodriguez --

19 A You're telling me I said something that I don't
20 think I said.

21 Q Let me repeat the question.

22 A That's not what I said.

23 Q Let me repeat my question, then you can correct
24 me if I am wrong. My question is simply this: Is it
25 reasonable to expect that an operator will attend all 60

306 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20029 (202) 559-2395



bfml1

1 hours of the lectures that you have presented during the
2 two years?

3 A It is reasonable to expect that, yes.

4 Q That includes -- those 60 hours include repeated
5 presentations of the same material. Is that correct?

6 MR. BAXTER: Object. Asked and answered.

7 MR. ELLISON: The only reason I repeat the question
8 is that Mr. Rodriguez has stated that I misunderstood his
9 answer.

10 CHAIRMAN BOWERS: The objection is overruled. We
11 would like to have the witness answer.

12 THE WITNESS: There are approximately 60 hours of
13 lectures covering different subjects in the requalification
14 program that are scheduled on a two year cycle.

15 The specific lectures are given more than one
16 time.

17 DR. COLE: Excuse me, I am not sure I understand
18 that now. Mr. Rodriguez, of the 60 lectures, how many of
19 them are different, approximately?

20 THE WITNESS: Let me answer that question in a
21 little different way. Maybe it will kind of tie up the
22 problem.

23 We have five crews attached to Rancho Seco. Nor-
24 mally, four of them are on a rotating schedule in order to
25 cover the 24 hour a day, seven day a week session.

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-3145



bfml2

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 This would be in order to provide the training to those
2 individuals who have to have a particular lecture more than
3 one time, because you cannot have everybody there at the
4 same time.

5 There are 60 hours of lecture materials scheduled.
6 Those 60 hours are repeated a number of times during the
7 cycle in order to catch everybody on the rotating shifts.

8 DR. COLE: So, it is 60 separate one hour lectures?

9 THE WITNESS: It might be 240.

10 DR. COLE: Sixty different hours of instruction
11 on different material.

12 THE WITNESS: That is correct.

13 DR. COLE: Fine.

14 THE WITNESS: Sixty hours of lecture material
15 repeated a number of times.

16 DR. COLE: I understand. Thank you.

17 MR. SHON: And everybody gets all 60 hours,
18 essentially?

19 THE WITNESS: Essentially. Let me correct that.
20 Not everyone is required to attend all those lectures, but
21 those lectures are available to everyone.

22 BY MR. ELLISON: (Resuming)

23 Q Who is not required to attend all those lectures?

24 A Our requalification program stipulates that if an
25 individual achieves a score of 80 percent or more on the
examination, he is not required to attend the lectures.

bfml3

1

He is not required to attend the lectures

2

covering those areas within the examination in which he

end t P-8

3

achieved that score.

t P-9 flws

4

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22



23

24

25

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 (Pause.)

2 Q These lectures are offered on a monthly basis.
3 Is that correct?

4 A No, that is not correct.

5 Q How many lectures would typically an operator have
6 available to him in a given month?

7 A In one month he may have 12 hours of lectures
8 available to him. In another month, zero.

9 Q Is the requalification training focused upon the
10 shift that is not part of the four-shift rotation that
11 would be operating a facility?

12 A What we have focused on in the recent past year
13 or two years has been on that shift. That is on what we
14 call the swing shift, and on the swing shift they come in
15 for their training early.

16 Q Okay. Is the swing shift the shift that is not
17 part of the four shifts that are operating the facility, or
18 is that the shift that operates the facility during a
19 given time of the day?

20 A The swing shift is the shift that operates the
21 facility from 1600 to 2400.

22 Q So they would come in early and receive the
23 lecture. Is that correct?

24 A Typically they are brought in Wednesday, Thursday,
25 and Friday, early.

1 Q Mr. Rodriguez, Mr. Lanpher is going to provide
2 both you and the parties and the board with a document
3 entitled SMUD administrative procedure AP 25, licensed
4 NRC operator retraining.

5 I would like this document identified as CEC 35.

6 (The document referred to was
7 marked for identification as
8 CEC Exhibit Number 35.)

9 MR. BAXTER: Should it not be 34? Or do we --
10 Is that number withdrawn from the public domain?

11 MR. ELLISON: We have retired that number. No,
12 34 is -- as I mentioned, we are going to get a better copy
13 of the page from CEC 33.

14 MR. BAXTER: What is in 33?

15 BY MR. ELLISON: (Resuming)

16 Q Do you recognize this document?

17 A Yes, I do.

18 Q Is this the current procedure for requalification
19 training at Rancho Seco?

20 A I note that the latest revision on this is
21 Revision 4, and I am not sure if there is not a Revision
22 5 or a Revision 6.

23 Q You stated you don't know if there is a subsequent
24 revision. Is that --

25 A I cannot recall if we have had another one since

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 then.

2 Q Subject to check, will you accept this as the --

3 A Yes.

4 Q -- governing procedures for the requalification
5 program?

6 A moment ago you described the exception to the
7 requirement that operators attend the lectures. I would
8 like you to refer to what is the fifth page in my copy, the
9 page numbered AP-25-5, under the section .6.1.1. and .2. It
10 describes written examinations, and describes exceptions to
11 the requirements that operators take examinations.

12 I would like you to read that and tell me if you
13 believe that is the correct statement of the requirement for
14 taking requalification examinations.

15 (Pause.)

16 A I finished reading that. Did you have a question?

17 Q My question is, is this a correct statement of
18 the requirements for who must take requalification
19 examinations and who need not?

20 A Yes, it is.

21 Q At the bottom of Paragraph .6.1.1, it states,
22 "It is not required that the individual preparing or
23 reviewing the examination up to a maximum of three also take
24 the examination."

25 Would it be typical that an operator or a group of

396 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 operators would prepare and review the examination?

2 A No, it is not typical.

3 Q Who would prepare and review the examination?

4 A The training supervisor would prepare the
5 examination. The plant superintendent would review it.

6 Q Can you recall any instances in which a member of
7 an operating crew was excused from the examination
8 requirement pursuant to this provision here?

9 A No, I do not recall any instance where a member of
10 an operating crew was excused from the written examination
11 requirement.

12 Q Are you familiar with the test scores of the
13 operators at Rancho Seco on the requalification exams?

14 A Well, at the end of each requalification exam
15 I send a report on what the individual scores were, and
16 the average scores, I do not recall what they are.

17 Q Would it be unusual for an operator to score above
18 80 percent on all sections of the examination?

19 A No.

20 Q Would it be typical?

21 A It would be typical for some and not typical for
22 others.

23 Q Taking the operating crews as a whole, is it your
24 recollection that more of them than not -- more of them
25 score higher than 80 percent than do not?

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20079 (202) 554-2345

1 A I do not recall. I guess the best I can recall
2 is that the shift supervisors who are taking these exams
3 and have a lot more experience typically score higher than
4 the new control room operators.

5 Q You stated that you submit, I believe, the average
6 score among other things to the NRC.

7 A If I stated that, I guess I was wrong.

8 Q I might have misinterpreted what you said.

9 MR. BAXTER: I believe he stated he received the
10 average score.

11 THE WITNESS: Yes, I receive a report on what
12 the average score is on each individual, and then the
13 average score for the group that took that particular exam.

14 BY MR. ELLISON: (Resuming)

15 Q Can you recall what the average score for the
16 group taking the last exam was?

17 A No.

18 Q Can you recall what a typical average score would
19 be, if you can pardon that expression?

20 A I can just guess. I do not recall the exact
21 number.

22 Q Do you recall any average scores above 80?

23 MR. BAXTER: I object at this point. The witness
24 has said he cannot recall. If he cannot recall, he cannot
25 recall. How can he recall whether they are above or

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2343

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

below 80?

THE WITNESS: I cannot recall. As I said right at the outset, when I get that report, I get it, but I do not recall specifically what the grades were.

CHAIRMAN BOWERS: Are you leaving this, Mr. Ellison, for another matter?

MR. ELLISON: Yes.

(Pause.)

CHAIRMAN BOWERS: So the record will be complete, Mr. Baxter, your suggestion was sustained.

(General laughter.)

MR. LEWIS: Look at that smile.

(General laughter.)

MR. ELLISON: Mrs. Bowers, at this point we would move the admission of CEC 35 into evidence.

MR. BAXTER: I would like to request a deferral of the ruling until the witness is able to verify that this is the latest edition of the procedure, and that there have not been further revisions to it.

CHAIRMAN BOWERS: Mr. Ellison?

MR. ELLISON: That is fine.

MR. LEWIS: I have no objection. I think it should be deferred until then.

MR. ELLISON: We would only request that if there are further revisions, that they be provided.



1 CHAIRMAN BOWERS: The board concurs.

2 This document does not have any kind of a date
3 any place.

4 MR. BAXTER: It is taken out of a large manual,
5 Mrs. Bowers. It is kept up to date on a routine basis as
6 supplements are added.

7 THE WITNESS: I might add, Mrs. Bowers, that if it
8 had an April date on it, I cannot say it was for sure the
9 latest, because we have been revising them so quickly in
10 the last few months.

11 (Pause.)

12 BY MR. ELLISON: (Resuming)

13 Q With respect to Pages 11 and 12 of your testimony,
14 where you describe the general subjects included in the
15 lecture series, would I be correct in my understanding that
16 each -- that within any given two-year, 60-hour presentation,
17 that you would cover all of these topics?

18 (Pause.)

19 A I think that is a correct statement.

20 Q Does this list include all of the major topics that
21 are included in the lecture series?

22 A I cannot think of any major area that -- you
23 know --- that would not be found under one of the 13 listed
24 here.

25 Q You mentioned that there had been a number of

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345



300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 revisions to the requalification program.

2 A Excuse me. I did not mean to imply by that
3 comment that they were necessarily to the requalification
4 program. We have been changing a number of procedures
5 recently, all kinds of different procedures, and my comment
6 was that if this had an April date on it, we have been
7 changing so many here in the last few months that I could
8 not be sure if it was the latest or not.

9 Q Okay. Do you know whether there have been any
10 major changes to the requalification program since it was
11 originally developed?

12 A I thought I answered that earlier. I said
13 earlier that the only significant one I can think of was
14 that relating to including the Three Mile Island
15 information in it.

16 Q I apologize. I did ask that question earlier. I
17 thought I asked that with reference to the hot license
18 program.

19 Turning to Page 12 of your testimony, on the bottom,
20 Line 20, you describe the on the job training and the manipu-
21 lations that an operator would be required to experience.
22 At Line 20 you say, "These manipulations may include," and
23 then you list eight different manipulations. Is it
24 customary for the manipulations to include all of the things
25 here?

306 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 A No, it is not customary for any particular
2 individual to have accomplished all of these.

3 Q Could you describe what would be the typical
4 manipulations that a single operator would experience?

5 A Well, typically, I think most single operators
6 would experience -- Let me preface that with the last part
7 of my testimony, which I believe -- I thought I did; maybe
8 I didn't. I thought I made some comment that these
9 requirements can be met at the simulator as well as at
10 Rancho Seco, on the last -- about Line 21, Page 14:
11 "Credit is given at the simulator for the purpose of
12 meeting the minimum training requirement."

13 My answer will be in that context, either at Rancho
14 Seco or at the simulator. Number One is typical of all
15 operators. Number Two as well. Number Three. Number Four
16 is not. Number Five is typical. Number Six is typical.
17 Number Seven is not typical from the standpoint of the
18 operator -- all operators physically moving fuel. It is
19 typical from the standpoint of all operators either physically
20 moving fuel or being in the control room at the time the
21 core configuration is being changed.

22 Number Eight is not necessarily typical for all
23 operators.

24 MR. BAXTER: Excuse me, Mr. Ellison.

25 Mr. Rodriguez, you said Number Three without any

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345



1 follow-up. Did you mean to state it is typical or it is
2 not?

3 THE WITNESS: Generally that is typical, but it is
4 primarily conducted in the simulator.

5 BY MR. ELLISON: (Resuming)

6 Q When these manipulations are conducted at Rancho
7 Seco, does the operator actually conduct this operation at
8 the facility or does he walk through it, so to speak?

9 A Those operations that are conducted at the
10 facility are actually conducted.

11 Q Referring to Page 15 of your testimony where you
12 describe the special training provided subsequent to Three
13 Mile Island, does SMUD intend to continue this kind of
14 training as a separate matter from the requalification
15 program?

16 A Could you be more specific on what kind of training
17 you mean when you say "this?" What kind of training?

18 Q Certainly. Recognizing that you are incorporating
19 some of the subject matter from the Three Mile Island
20 accident in your requalification program, my question is,
21 do you intend to extend the format of your requalification
22 program, or have you already, to make this kind of training
23 permanent that is described here? Or was this simply a
24 one-time training exercise?

25 MR. BAXTER: I still do not understand the question.

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 554-2345

1 The testimony describes some group discussions conducted
2 during specific periods of time and other things that are
3 apparently one-time training sessions given immediately
4 following the accident, and they go on for several pages,
5 so I really don't understand what we are talking about in
6 terms of, has this been incorporated into an expanded
7 format for the overall program?

8 BY MR. ELLISON: (Resuming)

9 Q Let me rephrase the question.

10 For example, the simulator training that was
11 given post Three Mile Island, you describe the amount of
12 simulator training given in the requalification program.
13 Obviously last year there was more training given because
14 of the special Three Mile Island training. Will that
15 continue or will you this year and in subsequent years have
16 the same amount of simulator training that was described
17 in the requalification program?

18 A Are you speaking specifically to the simulator
19 training in your question?

20 Q That is correct.

21 A The additional training that was given last year
22 was one additional day on the simulator for the purpose
23 of watching the simulation of the Three Mile Island
24 accident without any operator action.

25 Then that was followed up by allowing the

3000

1 operators to take action which essentially stopped the
2 transient before it got anywhere.

3 We will be sending operators annually to a one-week
4 simulator course as we have in the past. That simulator
5 course will include accident scenarios similar to or
6 identical to Three Mile Island. It will not necessarily
7 include that the operator sit there and just watch it
8 without taking any action to indicate it.

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

nd p9
oll.

55

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25



300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 Q The following questions are going to be with
2 respect to the capabilities of the simulator itself.
3 First of all, I'm not sure I can make this question clear so
4 if you have trouble understanding me, ask me to repeat it.

5 I can envision two different kinds of simulators.
6 And my question, of course, would be which kind is the B&W
7 simulator. The first kind would be a physical model of a
8 nuclear power plant in which the computer would be programmed
9 with the actual physics equations of the characteristics
10 of the coolant, nuclear reaction core and all the other para-
11 meters that are involved in predicting the behavior of a
12 power plant.

13 The second kind would be a mechanical logic model,
14 if you will, where the computer would not be programmed with
15 the physics equations of the reaction of the core, et cetera,
16 but instead would be programmed with set responses to a given
17 number of types of control manipulations and that sort. Can
18 you understand the distinction I'm making?

19 A I think so.

20 Q Which kind is the B&W simulator?

21 A The former.

22 Q So would it be your estimation that any control
23 manipulation that's available at Rancho Seco and at the
24 simulator, and assuming we have the same controls, that the
25 simulator could respond to any combination of manipulations

1 of the controls?

2 A I couldn't say that any, that it could simulate any,
3 response that the actual plant could have. I couldn't say
4 that because I don't know.

5 Q Do you know whether B&W determined any limitations
6 of their simulator upon trying to run the Three Mile Island
7 accident right after the accident?

8 A It's my understanding that they had to make revisions
9 to those calculations that dealt with I think natural circula-
10 tion response. But I'm not sure of that but it seems to me
11 that I heard they had to spend some time with their programs
12 to get the simulator to respond in a natural circulation mode
13 equivalent to what the data showed it would do.

14 Q You mentioned earlier that your operators had
15 pointed out that the auxiliary feedwater controls on the
16 simulator are not located in the same position that they
17 are located at Rancho Seco. Is that correct?

18 A It's correct that the auxiliary feedwater controls
19 on the simulator are not located in the same position as they
20 are at Rancho Seco. Those are the -- what I'm referring to is
21 the integrated control system, Bailey valves.

22 Q What other differences are you aware of in the
23 location of controls or indication between Rancho Seco and
24 the simulator?

25 A We have at Rancho Seco some systems that are

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345



300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2395

1 differently designed in the kind of balance of plant and
2 the boron addition system that are different from the simu-
3 lator, and therefore, our arrangements -- there are switches
4 that we have that they don't have in the simulator, and there
5 are some switches which they have located on their H1-RC
6 panel that we don't have.

7 What I'm thinking of primarily is in our system to
8 add boron to the coolant system we take concentrated boric
9 acid, demineralized water and mix it together and add it in.
10 In the B&W simulator, the design incorporates the capability
11 of going to a tank that has essentially the same concentra-
12 tion as the reactor coolant system in drawing water direct.
13 The switch layout is different from what we have.

14 They have a different arrangement for what they
15 call a fog system which is a feed-only good generator, as
16 compared to our steam line brake failure logic system and
17 the switches are in different locations. Their switches are
18 on the H1-RI panel and our switches are on the H1-SS panel.
19 Those are a couple of examples.

20 Q Does the B&W simulator assume the same performance
21 of systems not designed by B&W as would occur at Rancho Seco?
22 And in particular, you mentioned the steam line brake detec-
23 tion system, for example, where the switches are located.
24 Would the simulator assume the response of that system as it
25 would be at Rancho Seco?

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 A The steam line brake failure logic at Rancho Seco
2 functions at 435 pounds gauge. The simulator fog system I
3 think functions at 600 pounds gauge. Likewise, I think the
4 fog system in the simulator also isolates the auxiliary
5 feedwater, and our steam line brake failure logic does not
6 isolate the auxiliary feedwater.

7 Q The steam line brake detection and isolation system,
8 if you will, played a role in the Crystal River event, isn't
9 that true?

10 A Yes, it did.

11 Q So if one wished to simulate Crystal River with
12 a B&W simulator, could one do it?

13 A Yes, you could.

14 Q And would the steam line brake play the same role
15 in the simulation as it would in the actual event?

16 A For Crystal River, I believe it would, yes.

17 Q Would it for a similar accident at Rancho Seco?

18 A Not to the extent that it would isolate the auxiliary
19 feedwater system at Rancho Seco.

20 Q Does the B&W simulator display the same performance
21 of the non-nuclear instrumentation system as would appear at
22 Rancho Seco?

23 A With regard to that instrumentation's response to
24 the parametric variables within the NSS, yes, it does.

25 Q Are there any important differences that you're aware

1 of between the simulation of the NNI performance at B&W and
2 the actual operation of that system at Rancho Seco?

3 A Well, there's one very significant difference in
4 the fact that the -- I believe in simulator the responses,
5 the parameter responses, are all calculated and then fed out
6 to the meters in the control room, as opposed to having a
7 separate non-nuclear instrumentation system actually having
8 signals transmitted to it, amplifying, massaging those and
9 then driving meter movements.

10 Q What's the basis for the simulator's calculation
11 of the information that's fed to the indication which you
12 just described?

13 A I don't know, I'd only be presuming since I'm not
14 a computer programmer and really had nothing to do with the
15 generation of the computer program for that simulator.

16 Q Does the B&W simulator display the same performance
17 of the auxiliary feedwater system as would occur at Rancho
18 Seco?

19 A I think the auxiliary feedwater system from the
20 simulator does not have the -- I don't think because I only
21 spend a week a year there and I just don't remember. But I
22 don't think that it has the emergency feedwater -- the auxil-
23 iary feedwater safety features actuated bypass valves that
24 Rancho Seco has.

25 Q Does it have one motor drive and one dual drive?

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345



300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 A I think in the simulation it's -- I don't think
2 it's a dual drive.

3 DR. COLE: I didn't hear your answer.

4 THE WITNESS: I don't think it's a dual drive.

5 BY MR. ELLISON (Resuming):

6 Q Are they two, one steam and one motor, or two
7 motor drives?

8 A It would be two motors. I just don't remember.

9 Q Do you know whether the simulator can accurately
10 represent the performance of Rancho Seco's condensate
11 polisher system?

12 A With regard to feedwater flow through the polisher
13 and bypassing the polisher or malfunctions that would cause
14 you to lose flow because of a polishing malfunction, yes,
15 it can. Of course, it's all in the computer so you don't
16 have the systems that you utilize in regenerating polishers
17 and moving one polisher and putting another polisher in
18 service.

19 Q I'm going to ask you a few questions about various
20 types of phenomena or events that could occur at Rancho Seco
21 and ask you if the simulator could accurately represent them.
22 The first one would be two phase flow in the primary system.

23 A The simulator will demonstrate to the operator the
24 phenomena of two phase flow, and it's my understanding that
25 the demonstration at the simulator corresponds with what

100 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 occurred at Three Mile Island. We've never had two phase
2 flow at Rancho Seco so I can't really say whether or not it
3 accurately demonstrates what happens at Rancho Seco. It does
4 accurately demonstrate what happened at Three Mile Island.

5 Q Do you know whether it can simulate any other void
6 fraction, if you will, than that which occurred at Three Mile
7 Island?

8 A Well, it can simulate a range of void fractions.
9 Not just the one specific fraction, but it's a range of
10 fractions depending on how long the degraded conditions are
11 allowed to persist.

12 Q Is that the same range as what was experienced at
13 TMI or would it be a range of zero to 100 percent, or some
14 other possibility?

15 A Well, zero to 100 percent would cover what happened
16 at Three Mile Island I think.

17 Q Yes, but it would be a --

18 A Pardon me?

19 Q It would also cover ranges that were not experienced
20 at Three Mile Island. Unless I'm mistaken. I don't think
21 they reached the values of zero or 100.

22 A It started out with zero.

23 Q Okay.

24 A I think. Typically, that's how.

25 (General laughter.)

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 Q My question is do you know whether the simulator
2 can represent any desired void fraction?

3 A To the best of my knowledge, it can.

4 Q Can it simulate feed and bleed?

5 A Yes, it can.

6 Q Can you simulate non-condensable gases in the
7 primary system?

8 A The reason I'm hesitating is when we went back for
9 that training last May and June, at that time it was the
10 full scenario of what happened at Three Mile Island and it
11 showed the core melting and that. So I assume that somewhere
12 in the calculation it generated gases. The subsequent
13 training, of course, for those particular instances, is the
14 operator is an operator taking action and you never get to
15 that point of having gas. If you let it persist, let the
16 degrading condition persist, it will give the operator the
17 same indications that occurred at Three Mile Island; namely,
18 that he cannot get natural circulation in operation because
19 of gas binding.

20 Q Do you know whether the simulator could, if the
21 operator made the right mistake, if you will, display to
22 him the introduction of non-condensable gases into the
23 system and the inability to condense the voids that would
24 result?

25 A It will demonstrate to the operator the loss of

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 natural circulation as steam voids begin to occur. If that
2 is allowed to persist, it will demonstrate to the operator
3 increasing temperatures in the hot leg, resist the temperature
4 detectors, to the point where they peg high. And it will
5 demonstrate incore thermocouple temperatures increasing as
6 the core goes into a degraded condition. That's what it
7 will demonstrate.

8 Q Is that all it will demonstrate?

9 A No, it will demonstrate a loss of feedwater pumps
10 and it will demonstrate some 16 other items.

11 Q My earlier question was whether it would demonstrate,
12 well let me back up and ask the preliminary question. Will
13 it demonstrate the ability to, if you repressurize, condense
14 the steam voids you were referring to?

15 A Yes, it will.

16 Q Okay. Then my earlier question was, will it demon-
17 strate in the presence of non-condensable gases, the inability
18 to condense those gases under similar operator action?

19 A Yes. Just thinking back to that scenario, it did
20 demonstrate that you couldn't get natural circulation
21 going again after you'd waited too long, so I'm sure that
22 was the underlying phenomenon, why you couldn't get it
23 started because you had non-condensable gases accumulating
24 in the tops of j legs.

25 The problem I'm having with your question is that

1 typically in operating that, we don't let it go that far so
2 I can't recall, you know, seeing -- just standing there not
3 doing anything other than that one instance a year ago where
4 we sat there to watch what happened at Three Mile Island.

5 Q Do you know whether the simulator was specifically
6 programmed with a Three Mile Island sequence in order to just
7 display the accident prior to your retraining?

8 A No. It's my understanding that the reprogramming
9 that was done involved changing the calculations in the
10 program to account for the natural circulation phenomena
11 and the creation of steam voids or gas voids and its effect
12 on natural circulation. And then after that program was
13 completed, the simulator was run through the Three Mile
14 Island scenario to see if those calculations which were in
15 the computer would provide the data output from the simulator
16 that accurately reflected what the data was from Three Mile
17 Island. It was not a case where they wrote a little program
18 and said, this is what we want out of it. It was more one of
19 changing the calculations to account for those phenomena that
20 evidently hadn't been accounted for earlier.

21 Q Could you simulate the light bulb incident at the
22 B&W simulator?

23 A I don't think so because the B&W simulator, as I
24 said earlier, uses the computer to feed the meters, they're
25 essentially the non-nuclear instrumentation, and they do not

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345



300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 have a separate set of non-nuclear instrumentation, power
2 supplies, cabinets and relays that really would be needed
3 to reflect that loss of power.

4 Q Do you know whether the simulator can simulate any
5 size break in the primary system?

6 A I know the simulator can simulate various size
7 breaks. Whether those are distinct sizes, as opposed to
8 like a rheostat that they could change the voltage and make
9 it any size, I don't know. There is a spectrum of breaks,
10 though, that it can simulate. I do know that.

11 Q You're familiar with the rationale for the reactor
12 coolant pump? Is that correct?

13 A Yes.

14 Q Can the simulator display for the operators the
15 consequences of failing to trip the pumps in a timely fashion?

16 A Yes, it can.

17 Q And would it be able to simulate the phase separa-
18 tion that would be involved?

19 A Yes. I think all the calculations that went into
20 setting it up for the Three Mile Island type scenario incor-
21 porates that problem of two phase flow separation.

22

23

24

25

S-4 fols

100 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-7345

1 Q Do you know whether any of the operators at Rancho
2 Seco have been presented with that at the B&W simulator since
3 the problem was identified?

4 A Yes. All of the Rancho Seco operators who have gone
5 to the simulator since that problem was identified have been
6 confronted with automatic initiation of high pressure injec-
7 tion and watched that they took the action to trip out the
8 reactor coolant pumps.

9 Q Do you know whether any of them have been shown
10 at the simulator the consequences of failing to trip the pumps
11 and with the phase separation problem that we described?

12 MR. BAXTER: Excuse me, counsel, I don't think
13 the testimony in the record supports the fact that there is
14 phase separation from failure to trip the pumps alone.
15 I think it's from subsequent loss of the pumps in a certain
16 size break.

17 MR. ELLISON: That's correct.

18 BY MR. ELLISON (Resuming):

19 Q With that understanding, can you answer my question?

20 A If you'll repeat it.

21 Q Sure. Do you know whether any of the operators at
22 Rancho Seco have been shown at the B&W simulator the conse-
23 quences of failing to trip the pumps with a subsequent trip,
24 and particularly the phase separation that would be involved?

25 A I do know that in the simulator course, a portion of

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2145

1 that program which is carried out in the classroom reviews
2 the basic underlying principles on why that action is taken;
3 goes over the spectrum of break sizes that are involved in
4 causing two phase flow and phase separation if you secure
5 the reactor coolant pumps.

6 Excuse me, if you do not secure the reactor coolant
7 pumps and then they trip subsequent to that.

8 Q And you're referring to the lecture part of the
9 simulator course, is that correct?

10 A Yes. I am.

11 Q My question really addressed the actual simulator
12 part of the course. Do you know whether they have actually
13 seen the phase separation in the simulator part of the
14 course?

15 A I think I could almost state unequivocally that
16 they have not because the purpose is to train them on how
17 to avoid that, not train them how to have it occur.

18 Q Do you know whether the B&W simulator has been
19 programmed to incorporate all of the failure modes and effects
20 of the ICS that were identified in the FMEA?

21 A No, I do not, one way or the other.

22 Q Do you know whether the simulator has been modified
23 to incorporate the changes particularly in the control room
24 at Rancho Seco since Three Mile Island?

25 A No, I don't know if it's been modified to incorporate

1 all the changes we've made since Three Mile Island.

2 Q I'd like to refer to the portion of your testimony
3 on training unlicensed operators that begins on page 36.

4 MR. ELLISON: Mrs. Bowers, inasmuch as I'm moving
5 onto a new topic, this might be a good time to take a break
6 if that's what you're considering.

7 CHAIRMAN BOWERS: Fine.

8 (A short recess was taken.)

9 CHAIRMAN BOWERS: On the record.

10 MR. BAXTER: We have verified that the document
11 that's been marked and offered as CEC-35 is the most recent
12 version and we have no objection to its admission.

13 MR. LEWIS: No objection.

14 CHAIRMAN BOWERS: The CEC Exhibit No. 35 is
15 admitted into evidence.

16 (The document referred to was
17 admitted into evidence.)

18 MR. ELLISON: Mrs. Bowers, at this time we would
19 also like to identify the operator depositions. The first
20 one would be the deposition of Dennis E. Tipton which we would
21 like identified as CEC Exhibit 36. And we would move the
22 admission of that entire document, together with the correc-
23 tions made by Mr. Tipton and the exhibits to that testimony,
24 of which there are three.

25 MR. BAXTER: No objection.



1 MR. LEWIS: No objection.

2 CHAIRMAN BOWERS: CEC Exhibit No. 36 is admitted
3 into evidence. The document you described with the attach-
4 ments.

5 (The document referred to was
6 marked for identification as
7 CEC Exhibit No. 36 and received
8 in evidence.)

9 MR. ELLISON: As CEC Exhibit 37 we would like
10 identified the deposition of Daniel E. Comstock, together
11 with Mr. Comstock's corrections and exhibits of which I
12 believe there is only one. That's correct, one. And we
13 would move the admission of CEC Exhibit 37.

14 MR. BAXTER: No objection.

15 MR. LEWIS: No objection.

16 CHAIRMAN BOWERS: CEC Exhibit No. 37 as described
17 by Mr. Ellison is admitted into evidence.

18 (The document referred to was
19 marked for identification as
20 CEC Exhibit No. 37 and received
21 in evidence.)

22 MR. ELLISON: And lastly, for CEC Exhibit 38 we
23 would like identified the deposition of Wayne S. Morisawa,
24 together with Mr. Morisawa's corrections and the exhibits,
25 of which there are three. And I would move its admission.

390 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345



1 MR. BAXTER: No objection.

2 MR. LEWIS: No objection.

3 CHAIRMAN BOWERS: CEC Exhibit No. 38 as described
4 by Mr. Ellison is admitted into evidence.

5 (The document referred to was
6 marked as CEC Exhibit No. 38
7 for identification and received
8 in evidence.)

9 BY MR. ELLISON (Resuming):

10 Q Mr. Rodriguez, earlier you identified a number of
11 auxiliary operators and power plant helpers. I neglected
12 to ask you regarding the number of equipment attendants. Do
13 you know that number?

14 MR. BAXTER: Is that on a given shift?

15 MR. ELLISON: No, this is the total number at the
16 facility employed at SMUD.

17 THE WITNESS: Earlier, I think my answers were
18 addressed to numbers of personnel on an individual shift.
19 I said two power plant operators, one auxiliary operator.
20 There are two equipment attendants on each shift.

21 BY MR. ELLISON (Resuming):

22 Q When you referred in your testimony to the training
23 of unlicensed operators, are you referring to all three
24 categories of auxiliary operators, power plant helpers and
25 equipment attendants, or a smaller group?

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345



300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 A The auxiliary operators, equipment attendants and
2 power plant helpers classifications are normally held by
3 unlicensed personnel.

4 Q And these are the people that you're referring to
5 when you say unlicensed operators?

6 A That's correct.

7 Q Could you describe the functions of auxiliary
8 operators?

9 A The auxiliary operator's primary function deals with
10 operation of the miscellaneous rad way system and the reactor
11 coolant rad way system. That's where he spends most of his
12 time. He also does routine walkarounds to observe operation
13 of other equipment in the, what is referred to as a minus
14 20-foot level auxiliary building, and he will also do some
15 switching in the 4160 volt and 480 volt switch gear rooms.

16 Q What are the duties and responsibilities of a
17 power plant helper?

18 A Power plant helper is the initial learning level.
19 They are normally assigned with an equipment attendant. In
20 one case, the power plant helper assigned to the equipment
21 attendant who monitors the water systems functions as an
22 assistant to him in the regeneration polishing demineralizers
23 and operation of the service water system.

24 In another case, a power plant helper assigned to
25 the equipment attendant who is responsible for the outside

1 systems -- the turbine system, the boiler, the main circu-
2 lating water system as examples -- will function as an assis-
3 tant for that equipment attendant, and assist him in making
4 his rounds and carrying out his duties.

5 Q And what are the duties and responsibilities of
6 an equipment attendant?

7 A One equipment attendant is assigned the responsi-
8 bilities of water processing; that's polishing demineralizers
9 and their regeneration, regeneration of demineralized water,
10 makeup system and control of the service water chemical
11 addition system, and processing of water prior to discharge
12 from the retention basins.

13 The other equipment attendant normally is assigned
14 the responsibilities for running equipment in the turbine
15 building, the boiler feed pumps; monitoring temperatures
16 and pressures on the main turbine generator system itself;
17 operate the auxiliary boiler. He'll do some switching in
18 the 4160 volt switch gear room when called upon to do that.

19 Q Do unlicensed operators have among their responsi-
20 bilities maintenance and operation of safety systems?

21 A The maintenance functions are carried out by the
22 maintenance organization which is separate from the operating
23 organization -- mechanical, electrical and instrument control
24 maintenance. As part of their normal responsibilities they
25 will not operate safety systems routinely. What they will do

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 554-2345



300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 is in conducting valve lineups they will operate some valves
2 that are associated with a safety system, the manual valves.

3 Q In a transient situation, is it true that unlicensed
4 operators could conceivably be called upon to reposition
5 valves outside the control room that are necessary to the
6 response to that transient situation?

7 A It is conceivable that they could be called upon
8 to reposition valves outside the control room.

9 Q What are the principal valves that they might be
10 called upon to reposition?

11 A They could be called upon in the event of a multiple
12 failure scenario to operate the integrated control system
13 auxiliary feedwater valves, the Bailey valves. They might
14 also be called upon to change the valve lineup. An auxiliary
15 operator might be called upon to change the valve lineup for
16 the makeup pump so as to line it up to an emergency bus in
17 the event that the bus which it was normally lined up to
18 failed. Those are some typical examples.

19 Q The Bailey valves that you referred to are outside
20 the control room, is that right?

21 A Yes, they are.

22 Q Where are they located?

23 A One is located -- they're both located outside
24 the auxiliary building and the containment building. They're
25 in the corridor between the containment building and the

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 554-2345

1 spent fuel building. One is located approximately 20 feet
2 north of the spent fuel building and 30 feet west of the
3 steam generator, a main steam line penetration to the con-
4 tainment building. And the other one is located approximately
5 midway and about four feet off from the secondary steam
6 relief gallery on the east side of the spent fuel building.

7 Q Referring to page 38 of your testimony, the para-
8 graph beginning at line 1 and continuing to line 8, you men-
9 tioned the repositioning of auxiliary feedwater valves. Are
10 these the same valves?

11 A Two of those four valves that are addressed in
12 there are specifically the ones I referred to. The other two
13 are the safety features actuated bypass valves that are in
14 the same general location.

15 Q And there are transients for which an unlicensed
16 operator would operate the other two valves. Is that correct?

17 A Transients can be hypothesized with a series of
18 failures that might require an unlicensed operator to operate
19 one of these valves. The likelihood of it is extremely remote.
20 Actually, in excess of what the design of the plant called
21 for.

22 Q In the circumstance where you had a loss of offsite
23 power and a failure of one diesel generator to start, is it
24 true that it would be necessary to reposition valves in order
25 to ensure the operation of the high pressure injection system?

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 A No, it is not true. You would not have to reposi-
2 tion valves to ensure the operation of the high pressure
3 injection system in the scenario where you have loss of
4 offsite power and a failure of one diesel generator.

5 Q There are three HPI pumps, is that correct?

6 A There are three pumps that essentially are identical;
7 two of which are normally referred to as a high pressure
8 injection pump A and the high pressure injection pump B. The
9 third pump is a makeup pump; it is an identical pump to the
10 other two. Yes.

11 Q And of the three pumps, one of them is connected
12 to one diesel generator, one to the other, and one of them
13 can be connected to either. Is that correct?

14 A That is correct.

15 Q How is the swing pump disconnected from one deisel
16 generator and connected to the other?

17 A To change the power supply from one pump to the
18 other, or from one bus to the other for the makeup pump,
19 it's necessary first of all to go down to the 4A bus and
20 rack out the breaker that's normally used as supply power to
21 the makeup pump, and then go to the 4B bus and rack the
22 breaker in so that you transfer power to that bus; and then
23 go down to the minus 20-foot level and throw a disconnect
24 that is used to separate the cabling to maintain cable
25 separation to get power to that pump.

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 554-2345



1 Q And who would be performing this operation?

2 A If it's something that needs to be done quickly,
3 the operator or the shift supervisor would probably direct
4 the equipment attendant to change the breaker positions and
5 the auxiliary operator who is normally down in the area where
6 this disconnect is to throw that.

7 Q There would be no valve repositioning associated
8 with this operation? Is that correct?

9 A To line up that makeup pump with the B bus, there
10 is also valving that needs to be done to valve in the nuclear
11 service cooling water system that's associated with that same
12 side and valve out the nuclear service cooling water system
13 associated with the A side.

14 Q Would this also be done by unlicensed operators?

15 A If it was directed to be done, it would be an
16 unlicensed operator who would do that.

17 We addressed two separate problems here. The first
18 one -- at least I want to make sure that was the one my
19 answer was addressed to. The first problem was whether or
20 not you had to do any valve manipulation to ensure high
21 pressure injection on a loss of offsite power and a loss of
22 diesel, and my answer to that is no. And the second set of
23 questions really dealt with changing the makeup pump and had
24 nothing to do, at least my answer had nothing to do, with
25 what your first question was about.

100 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 554-2345

1 Q If the makeup pump were connected to the diesel
2 that failed to start, would you have to perform the second
3 operation that you described?

4 A No, we would not.

5 Q Is that because you would simply go forward without
6 using the makeup pump?

7 A You would have the B high pressure injection pump
8 supplying high pressure injection.

9 Q And would that be the typical -- if there is --
10 strike that. Is that how you would expect the facility to
11 be operated in that circumstance?

12 A I would expect that the shift supervisor, as he
13 went through his scenario and he got things settled down,
14 eventually would obtain the use of that makeup pump as the
15 backup pump in the event that something happened to the
16 running B pump.

17 Q Does SMUD have a formal training program for training
18 unlicensed operators?

19 A We have a program for training unlicensed operators.
20 The degree of formality of that program is not to the same
21 extent that it is on the licensed operators.

22 Q What training would an unlicensed operator go
23 through before assuming his responsibilities?

24 A Well, the auxiliary operator, before assuming the
25 responsibilities as an auxiliary operator, would typically

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-7345

1 have had training in emergency plan, first aid, security,
2 a three to four-week classroom session on systems training,
3 and he probably wouldn't become an auxiliary operator for
4 some two years or so after he came to the site. He would
5 have participated in many of the lectures that are given to
6 the licensed operating people as a member of that crew.

7 The same thing holds true for the equipment atten-
8 dant except that the equipment attendant must achieve his
9 position as equipment attendant within six months to a year
10 of hiring on at Rancho Seco.

11 The power plant helper assumes the learning responsi-
12 bility or the training responsibility as a new employee
13 immediately. The training that he does get prior to being
14 assigned to the crew covers health physics, emergency plan,
15 and security. Typically then, he's assigned to the crew for
16 on the job training, and some time after he has been on that
17 crew he is then pulled off and put in a three to four-week
18 classroom systems training and then reassigned to the crew.

19 Q Would it be fair to say that generally speaking,
20 unlicensed operators are trained on the job?

21 A Yes, generally the majority of the training is
22 on the job training by performing the function along with a
23 previously trained individual and the shift supervisor or the
24 senior control room operator periodically examining his
25 performance and showing him how to carry out his functions.

Flws Sp.

P-10

bfml

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 Q Would it be permitted for an unlicensed operator
2 to train another unlicensed operator?

3 A Yes.

4 Q Is there a formal testing program for unlicensed
5 operators?

6 A Currently there is a set -- we use a set of power
7 station manuals that the unlicensed operators, the new
8 unlicensed operators go through and complete. They will
9 complete sessions on the general familiarization
10 manuals with the plant, and sessions on how they operate.
11 They take oral and written quizzes at various times during
12 this training program.

13 We have also instituted coming out of this
14 shut-down another formal system by system check off
15 program wherein the unlicensed operator will learn about a
16 system and will study it and then come to a licensed
17 operator for oral exam and signature check-off that his
18 level of knowledge is satisfactory.

19 Q With respect to the check-off program, would it
20 be required that an unlicensed operator be checked-off on
21 every important system before assuming responsibilities
22 for those systems?

23 A No. As I said, that formal check-off program is
24 one that we have just recently instituted. Those individuals
25 that are currently standing the watches as auxiliary opera-

bfm2

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 tors, equipment attendants will have to proceed through
2 those check-offs and have a record that they have been
3 examined to verify their level of knowledge.

4 (Pause.)

5 Q Would it be possible for an unlicensed operator
6 then to be asked by a licensed operator to perform an
7 operation that he had not been given instruction on and not
8 yet performed himself?

9 A Yes. That might be possible.

10 (Pause.)

11 If I might, I would like to, I guess, add to that
12 comment just for the sake of clarity, even a fully
13 qualified shift supervisor who has been licensed for years
14 may come up against an operation that he has not performed
15 before.

16 I don't think it is unusual to call on somebody
17 to ask him what he has not done in a complex set of systems.

18 Q Is it true that there has been a high turnover of
19 unlicensed operators at Rancho Seco in the last 18 months?

20 MR. BAXTER: I object to the question on the
21 grounds of irrelevancy. The issues before the board here
22 on unlicensed operators is whether they have been adequately
23 trained to respond to feedwater transients.

24 I fail to see what turnover rate among those
25 personnel have to do with training.

bfm3

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHAIRMAN BOWERS: Mr. Ellison?

MR. ELLISON: Mrs. Bowers, Mr. Rodriguez has testified that unlicensed operators are trained on the job and essentially they gain more experience when they remain on the job in operation of the facility.

In examining the questions, as Mr. Baxter has pointed out, we are here to examine. I think it is quite relevant to determine whether based on that answer, of Mr. Rodriguez, whether the operators presently at the facility have been there for a long time or whether there is a high turnover.

CHAIRMAN BOWERS: Does the staff have a position on this?

MR. LEWIS: I think it has some relevance.
(Board conferring.)

CHAIRMAN BOWERS: We think it has a relevance. You are describing experience and training. It would certainly be good to know the length of service of personnel in these roles.

We would like to have an answer to the question.

THE WITNESS: Would you repeat the question, please?

BY MR. ELLISON: (Resuming)

Q Has there been a high turnover of unlicensed operators in the last 18 months?



bfm4

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 A In the 12 months prior to October of 1979, there
2 was a relatively high turnover in the operator classification
3 of power plant helper and by high turnover, I mean some-
4 where in the area of a dozen or ten individuals that left
5 our employ during that period.

6 We made some adjustments based on some of the
7 interviews and reasons for that. They were primarily economic
8 in nature and promotional opportunities.

9 In the last six months we have had two people
10 leave.

11 Q Were there any other reasons given aside from the
12 economic and promotional ones that you described?

13 MR. BAXTER: Again, I object, Mrs. Bowers. If
14 we are going to talk about the length of time which unlicen-
15 sed operators are employed in the plant, that may relate to
16 experience and training and that is one thing.

17 Reasons for leaving the plant, I suggest, is
18 irrelevant to the question of their training and experience.
19 I object on that ground.

20 CHAIRMAN BOWERS: Mr. Ellison?

21 MR. ELLISON: Mrs. Bowers, among the questions we
22 are examining is the training of these operators, the
23 management competence.

24 I think that reasons which might go to that would
25 be dissatisfaction with the operation with the facility, et

bfm5

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 554-2345

1 cetera.

2 I think it is relevant for us to inquire in that
3 direction.

4 CHARIMAN BOWERS: Mr. Lewis?

5 MR. LEWIS: I think with that explanation of what
6 CEC is looking for, I would have no objection.

7 (Board conferring.)

8 CHAIRMAN BOWERS: We think the objection should
9 be overruled and that the witness should answer the question.
10 One thing that crosses my mind on a personal basis is I
11 don't know how many people tell the truth when they are
12 leaving a job.

13 MR. ELLISON: Well, the board can certainly
14 weigh that, the evidence, as it sees fit. Would you like
15 me to repeat the question?

16 THE WITNESS: Yes.

17 BY MR. ELLISON: (Resuming)

18 Q Aside from the reasons you described, promotional
19 opportunities and economic related reasons, are you aware
20 of other reasons given by the operators for leaving?

21 A Shift work -- dissatisfied with shift work,
22 dissatisfaction with the security concept based on the fact
23 that an employee is a security threat to operating the plant
24 satisfactorily, dissatisfaction with the quantity of
25 inspection in overlooking an individual's shoulder, dissatis-

bfm6
1 faction because another individual -- a particular individual
2 had quit -- he felt he was more qualified than the one who
3 was promoted.

4 Generally, those are the reasons. I cannot recall
5 anyone quitting and saying, boy, he sure would like to stay;
6 they all had their reasons for wanting to leave.

7 Q With respect to the shift work, could you elaborate
8 on what the nature of the dissatisfaction was?

9 A Have you ever worked a rotating shift?

10 Q Yes, I have.

11 A Essentially, then, that -- the problem is that
12 their routine is broken up. They are working days for a
13 week, then they go off for a couple of days, then they come
14 back and they are working swings.

15 Then they go off for a couple more days then they
16 are working the mid-shift. That interferes, particularly
17 for the married individual who may have some children -- it
18 just kind of interferes with his home-life.

19 As I said, most of these individuals that have left
20 were in the power plant help area, some equipment attendants,
21 but they are all individuals that have not been with the
22 power station for a long time.

23 No matter how much you try to explain to an indi-
24 vidual what shift work is all about and that it is a real
25 change of life-style from the way most of us live, a lot of

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345



bfm7

1 them don't believe it until they get into it.

2 After they are into it for four or six or eight
3 months, they just decide that that is not for them.

4 Q Licensed operators also work on the same shift
5 pattern. Isn't that true?

6 A That is true.

7 Q You also mentioned that one of the expressed
8 reasons for leaving was dissatisfaction with the amount of
9 oversight of unlicensed operator work. Could you elaborate
10 on that?

11 (Pause.)

12 A The individual operators, for the most part, do
13 not see or do not experience the checking by quality assu-
14 rance, or mechanical electrical inspectors, or the regulatory
15 inspectors.

16 There is an awful lot of discussion about how
17 much of that goes on. In most avenues of endeavor, looking
18 over your shoulder, if you will, is much less and there
19 are some individuals that cannot adjust to that concept.

20 That is essentially what I am talking about.

21 Q So, they felt there was too much oversight
22 rather than too little?

23 A Not all of them, but I am saying that those
24 comments are made when an individual leaves.

25 Q Were there any that express dissatisfaction in the

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 554-2345



fm8

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 sense that there was too little oversight in their work?

2 A I do not know.

3 Q What is the total number of unlicensed personnel
4 that serve shifts that are employed by SMUD?

5 A I cannot give you the exact figure.

6 Q Could you give me an approximate --

7 A Approximately 30 to 35.

8 (Pause.)

9 Q Mr. Rodriguez, Mr. Lanpher is going to provide you
10 as well as everyone else with a document that is -- it has
11 a cover letter from the U. S. Nuclear Regulatory Commission.
12 It has a stamped date on it of August 1, 1979. It is a
13 letter addressed to John Mattimoe and SMUD, generally, from
14 J. L. Crews, Chief of Reactor Operations in the nuclear
15 support branch.

16 Then attached to it -- there are various attach-
17 ments to it numbering -- the subject of this is an NRC
18 investigation at Rancho Seco, that was conducted between
19 June 19 and July 6 of 1979.

20 I would like this document identified as CEC-39.

21 (The document referred to
22 was marked CEC Exhibit No.
23 39 for identification.)

24 BY MR. ELLISON: (Resuming)

25 Q Are you familiar with this investigation?

fm9

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 A Yes, I am.

2 Q This investigation was initiated upon an anonymous
3 phone call to the NRC from someone purporting to be a SMUD
4 employee. Is that correct?

5 A That is what the NRC said, yes.

6 Q Do you recall what the -- generally, what the
7 allegations of that anonymous telephone call were?

8 A No, I would have to read back through this
9 inspection to see what they were.

10 Q Okay. Could you refer to page 3 of the attached
11 details of the investigation section?

12 (Pause.)

13 The first allegation listed down there?

14 A Is, "the turnover of nonlicensed station operators
15 and other personnel is excessive and training of new people
16 is minimum.

17 Two trainees dropped out of a training and licen-
18 see class. We should find out why."

19 Q Are you aware of complaints by SMUD personnel
20 that the training of new personnel for the unlicensed
21 operator positions is minimal?

22 A Yes, I am.

23 Q Apart from this particular allegation?

24 A No, this particular allegation was the major
25 reference I was referring to when I said, "Yes, I was aware

bfml0

1 of it."

2 Q Do you know of any others -- incidents where people
3 have complained that about the same minimal training?

4 A Yes, I do. I think that has to be in a proper
5 context, though. I could complain about training myself
6 if there is something particular I want to be trained on.

7 Q Does that complete your answer?

8 A Yes.

9 Q Referring to the next page, page 4, at the bottom
10 of the third paragraph appears the statement: "Licensee
11 representatives state that they were developing a more
12 formalized training program for unlicensed operators which
13 would be implemented in 1980."

14 Is that the program you described earlier with the
15 check-off system?

16 A Yes. At the time that this response was made,
17 we had -- we were actively recruiting for two additional
18 instructors for the primary purpose of being able to expand
19 the very formalized licensing training program to include
20 a more formal training program for non-licensed operators
21 and maintenance personnel.

22 Q So, am I correct in believing that the new
23 program has been implemented?

24 A We are implementing it.

25 Q Under the new program, will it still be true that

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345



fml1

1 unlicensed operators will be trained by fellow unlicensed
2 operators, or will there be someone who will be hired
3 specifically to train them?

4 A For the most part, their training will be by other
5 unlicensed operators. The instructors will perform some
6 formal classroom training as they have in the past on systems.

7 The shift supervisors and senior control room
8 operators will be carrying out the detailed check-off audit
9 of the individual's knowledge.

10 Q Will it still be true under the new program that
11 training will be essentially on the job type training?

12 A Yes, that is true.

end tP-11

tP-11
flws

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20074 (202) 554-2345



23
24
25

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 554-2345

1 Q Referring to Part B of Page 4, there appear three
2 additional allegations. I would like you to focus on the
3 first one, which states, "There is a lack of communication
4 and general disregard concerning AO's and below as to
5 plant status and the specific ongoing evolutions that affect
6 their work areas. One auxiliary operator was sent to a
7 high radiation area to reposition valves. He found that
8 they had already been repositioned, probably in March or
9 April of 1979, with no prior knowledge of the situation."

10 With respect to the communication and concern for
11 keeping auxiliary operators informed of plant status and
12 evolutions that affect their work areas, the NRC letter
13 finds on the next page, Page 5, a statement, "Licensee
14 management personnel stated that the individual has the
15 responsibility for keeping himself or herself informed of
16 plant activities."

17 Will that still be true under the new formalized
18 training program?

19 A Yes.

20 Q Do you know whether it is true that an auxiliary
21 operator was in fact sent to a high radiation area to
22 reposition the valves and found they had already been
23 repositioned as described on Page 4?

24 MR. BAXTER: I object to that question as well. I
25 fail to see the relationship at all to the training of

100 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2395

1 unlicensed operators and their ability to assist this
2 facility in responding safely to a feedwater transient.
3 The Board also has the authority to limit cross examination
4 based on the materiality of the questions being asked, I
5 would point out, even if it finds there is some marginal
6 relevance.

7 MR. ELLISON: Mrs. Bowers, I believe this is not
8 only relevant to training of unlicensed operators, but
9 certainly to the competency of SMUD management, which is
10 an issue addressed by Mr. Rodriguez.

11 As far as the materiality of this particular
12 event, I would simply point out that the NRC thought it was
13 material enough to initiate an investigation.

14 MR. BAXTER: I don't believe that means anything
15 is necessarily material. They are merely being prudent
16 when they investigate allegations.

17 CHAIRMAN BOWERS: Mr. Lewis?

18 MR. LEWIS: Well, I think that it does not relate
19 to the training of the operators. It may somehow have a
20 nexus to the question of management competence. I have
21 not thought about that before. So I think if it has
22 relevance it would be in that area rather than the training
23 of the unlicensed operators.

24 (Whereupon, the Board conferred.)

25 CHAIRMAN BOWERS: We think it is relevant and it

1 is material, and we think it is just part of the overall
2 picture of the training, of the way the people are used
3 or how they are not used at the plant. It might even go
4 to the morale of the individual employees, the feeling that
5 he is in a situation where he can have confidence as to
6 what is happening around him.

7 BY MR. ELLISON: (Resuming)

8 Q Do you want me to repeat the question?

9 A Yes.

10 Q Referring to Page 4, Item B-1, the second half,
11 do you know whether the incident that is described there
12 in fact occurred?

13 A I do not know the details of that particular
14 incident or how it occurred.

15 Q Is it your understanding that it did occur?

16 A I said I do not know the details. I do not know
17 for sure whether it occurred or not.

18 Q Mr. Rodriguez, if you could, I would like you to
19 turn back to Page 3 under the section, Findings.

20 Early in response to the high turnover question
21 you stated that the people that had left were primarily
22 power plant helpers at the --

23 A Excuse me. I think I said power plant helpers
24 and some EA's.

25 Q I am sorry. Perhaps I misreclected.

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 Is this, this first paragraph here, the findings,
2 does that reflect your understanding of the turnover?

3 A With regard to the classifications being primarily
4 power plant helpers and EA's, yes. The exact numbers, I
5 do not recall.

6 (Pause.)

7 CHAIRMAN BOWERS: Mr. Ellison, we want to make
8 sure this record is clear to people reviewing it who may
9 not have the technical information that many people in this
10 room have, and also in other levels of review in NRC, but
11 for instance if it would go into court, the acronym AO
12 was used. Is that an auxiliary operator in this first
13 paragraph?

14 THE WITNESS: Which paragraph are we in?

15 CHAIRMAN BOWERS: Page 4, and it is Allegation
16 One.

17 THE WITNESS: Yes. The AO is auxiliary operator.

18 CHAIRMAN BOWERS: And I think Mr. Shon just
19 brought to my attention on Page 3. The first paragraph
20 under Findings does identify the acronyms. Okay.

21 BY MR. ELLISON: (Resuming)

22 Q Referring to Page 6, Mr. Rodriguez -- this refers
23 to the high turnover problem -- there appears a statement,
24 "Licensing management personnel stated that they were aware
25 and concerned about this matter, but that there was little

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 inducement that they could offer to retain the best
2 qualified individuals."

3 Could you briefly explain what the limitations on
4 the inducement that SMUD can offer qualified individuals
5 are?

6 A Well, the primary inducement is the dollars per
7 hour rate that is paid, and as I said earlier, we made some
8 adjustments in the economic picture for power plant helpers
9 late last year, and at least for the six months since we
10 have done that, our ability to retain them has improved.

11 Q Who sets the pay scales for SMUD employees such
12 as unlicensed operators?

13 A The Board of Directors of the Sacramento
14 Municipal Utility District.

15 (Pause.)

16 Q Referring to Page 8 of the same document, under
17 Subsection C, it is entitled Follow-Up Items Identified
18 by NRC IE Inspectors on June 21 to 22, 1979 -- Unlicensed
19 Plant Operators, and it lists six items.

20 The second one is, "Procedures used by operators
21 are not up to date and or are not the same as the official
22 plant procedures."

23 Q First of all, do you believe that statement at the
24 time it was made was true?

25 A For those particular procedures that were

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

identif . The one that I remember in particular was a procedure dealing with regeneration of the resins in the polishing demineralizer beds, and that particular procedure had had additional notes annotated in the column, and those notes had not been included in an official revision.

The other instance, I believe, was a procedure located at the rad waste panel. There was one procedure in, as I recall, a clear plastic envelope to protect that procedure, and a more up to date procedure was in the volume that was located at that station, and there were two procedures there. One was the most up to date one and the other one wasn't.

Q Could you describe what steps, if any, SMUD took to ensure that operators were using up to date or official plant procedures following this investigation?

A Well, following that investigation, those procedures at the local work stations were examined to ensure that they had the up to date procedures in them, and the procedure which had the notes annotated in the column were reviewed by the operations supervisor and those notes which did in fact improve the ability to regenerate that resin were included in a formal procedure and approved by the Plant Review Committee.

The procedure that was outdated and contained in the clear plastic holder was removed and an up to date procedure

1 was inserted.

2 Q Can you recall any other actions that were taken?

3 (Pause.)

4 A In the area of the regeneration of the polishing
5 demineralizers there is one auxiliary operator who
6 essentially is responsible for the operation of both de-
7 mineralizers, and although he is not on watch all the time,
8 he sees the crews and he does much of the training of the
9 crews for regenerating that resin, and he was also
10 instructed by the operations supervisor to ensure that any
11 changes that he thought were improvements in that -- or
12 reminded, I guess, that any changes which he thought were
13 improvements to the procedures should be properly documented
14 and passed up through the chain and through the PRC for
15 formal approval and incorporation rather than simply
16 writing in pencil comments in the columns of the applicable
17 procedure.

18 Q The third item on Page 8 states, "Reactor coolant
19 system pressure was lowered below the technical specifica-
20 tion limits for about a year to keep technical specifica-
21 tion primary leak rate below limits."

22 Is that true?

23 (Pause.)

24 A Not to my knowledge. I think the inspector's
25 response that he examine the reactor power and powering



300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 system pressure records spanning 1978 and found no
2 items of non-compliance or deviation supports it. He
3 could not find any either.

4 Q That is correct. On Page 9 the statement appears
5 under 3, "The inspector examined selector reactor power
6 and primary system pressure records spanning 1978. No
7 items of non-compliance or deviations were identified."

8 A I think on the top of Page 9, Paragraph 2, is
9 also the response to what the inspector found regarding
10 procedures used by operators.

11 Q That is right.

12 The fourth item that is identified here discusses
13 the condensate demineralizer system and concludes by saying,
14 "Operator knowledge of the system is incomplete." And over
15 on Page 9 it describes in the second paragraph that the
16 NRC office requested that the licensee complete additional
17 unlicensed operator training for the condensate polisher
18 system." And it goes on to describe the training.

19 Can you tell me whether this led to any change
20 in the program for the training of unlicensed operators?

21 A Well, as I think we indicated, at the time we
22 were implementing a more formalized documented training
23 program for unlicensed operators, and we had begun
24 implementing that.

25 Q My question is as to the implementation of that

390 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

new program, whether there was increased emphasis on the polisher system as a result of this investigation.

A Yes, there was. As I said, we modified the procedure, and also brought the attention of the auxiliary operator who was fundamentally responsible for the operation of the condensate polishing demineralizer system to ensure that changes in those procedures are forwarded timely and as the investigation identifies that additional training consisting of classroom discussions and hands-on sessions in the plant were conducted.

As I recall, the fundamental concern here was the proper manipulation of the resin beds during the regeneration cycle, which means proper separation of the beds, chemical addition to regenerate them, proper mixing, and then placement back into the -- into the demineralizer tanks before putting that tank back into service on the condensate system itself.

end p11
Bob foll.



P-12
lws jl
t P-11
bfml

100 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 Q One more question on this document. If you could
2 turn to page 4, there it is discussing two personnel who
3 had dropped out of training for licensed operator status,
4 and says that: "They had stated to plant management that they
5 wished to drop out of the training due to the increased
6 responsibilities being placed on operators after the Three
7 Mile Island accident."

8 Is it your opinion that operators at Rancho Seco --
9 have the responsibilities of operators at Rancho Seco
10 increased since the Three Mile Island accident?

11 MR. BAXTER: Clarification? Licensed operators
12 or both licensed and unlicensed operators?

13 MR. ELLISON: It is my understanding of this
14 comment that these people did not -- let me ask Mr. Rodriguez
15 this.

16 BY MR. ELLISON: (Resuming)

17 Q You are familiar with the people referred to
18 here?

19 A Yes, I am.

20 Q These people were unlicensed operators at the
21 time. Is that correct?

22 A Yes, they were.

23 Q They dropped out of the licensed operator training
24 program, but remained as unlicensed operators. Is that
25 correct?

bfm2

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 A That is correct.

2 Q In that case, my question is addressed only to
3 licensed operators, whether you feel their responsibilities
4 had increased after Three Mile Island.

5 A Basically, the responsibilities have not changed.
6 Licensed operators have always been responsible for operating
7 the plant in a safe mode to protect the general -- the
8 health and safety of the general public.

9 What has increased is the social pressures on them.
10 There was a time when they could go home and feel proud
11 that they worked in a nuclear plant. It is difficult to
12 do that today.

13 These are -- I am relating comments that were
14 essentially given to me from some licensed operators,
15 control room operators and senior licensed operators and
16 shift supervisors.

17 The large amount of publicity that occurred as
18 a result of Three Mile Island, each of those individuals
19 felt personally -- a number of them said, you know, "We
20 are not that incompetent, but you read the newspapers and
21 every power plant operator in the country is incompetent."

22 Those are the pressures. I think that in this
23 context, these operators used the word "responsibility," but
24 I think that is what they are really talking about. They
25 are being looked at, and a lot of doubt being cast on their

1 ability, additional pressures from increased inspections.
2 Particularly in May and June, just prior to this occurrence
3 the great deal of additional training, auditing, the NRC
4 regional inspectors audited and came in and quizzed the
5 operators.

6 SMUD managment did training on them. The training
7 supervisor trained, the operating supervisor trained. They
8 were sent to the simulator for training.

9 The NRC came in and quizzed again and found that
10 some of the -- at least in the NRC's opinion, some of the
11 operators were not adequately familiar with natural circula-
12 tion cooling.

13 Then we hired a contractor to come in and do some
14 retraining and reauditing. Then the NRC came back and audited
15 again. These individuals were in a classroom undergoing a
16 very intensive training program.

17 It put a lot of pressures on them, too. I think
18 that is really what is being reflected. They saw what was
19 happening and it was just too much. They did not want to
20 put up with that.

21 Q Have you had occasion to talk to these two personnel
22 about the situation?

23 A Not about this particular situation, no. The
24 training supervisor and the plant superintendant and the
25 operations supervisor talked to them about it.

bfm3
300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 554-2345



bfm4

1 CHAIRMAN BOWERS: Mr. Ellison, we think it is
2 appropriate to take another very brief break now.

3 MR. ELLISON: Fine.

4 (Recess.)

5 CHAIRMAN BOWERS: Are you ready, Mr. Ellison?

6 MR. ELLISON: Yes, ma'am.

7 BY MR. ELLISON: (Resuming)

8 Q Mr. Rodriguez, Mr. Lanpher is providing you, as well
9 as everyone else with a package of licensee event reports
10 which we would like identified as CEC-40.

11 (The document referred to
12 was marked CEC Exhibit No.
13 40 for identification.)

14 THE WITNESS: Excuse me, Mr. Ellison. I wonder if
15 I just might regress back to the question about that valve,
16 because I could not remember specifically what it applied to.

17 In reading the --

18 BY MR. ELLISON: (Resuming)

19 Q Before you go forward, could you tell me which
20 valve?

21 A The valve the operator said he had been sent in to
22 change. Reading through the inspection, I see the inspec-
23 tor's bottom line was the allegation could not be substan-
24 tiated.

25 That is probably the reason I cannot remember the

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345



fm5

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 valve because they could never determine specifically what
2 it was.

3 In fact, that it had not been properly placed.

4 Q Allright. Mr. Rodriguez, would you be involved
5 in the preparation of licensee event reports related to
6 operation problems at Rancho Seco?

7 A I normally review those licensee event reports
8 prior to their being forwarded to Mr. Mattimoe for his
9 approval.

10 Q You are you familier, are you not, with the three
11 reports that led to the recent imposition of a civil penalty
12 imposition of a civil penalty against SMUD by the NRC?

13 A Yes, I am.

14 A There were three separate instances involved in
15 that. Is that correct?

16 A That is correct.

17 Q In each of those instances, there was a failure
18 to position valves that affected the -- to correct the
19 position valves that affected the performance of the high
20 pressure injection system. Is that correct?

21 A Well, I guess to be more specific, there were
22 valves that were misplaced that had an accident scenario
23 that ensued, coupled with failures, where part of the
24 high pressure injection system might not have performed
25 part of its function.

b1m6

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 559-2395

1 Q In any of those instances as a result of the
2 operation error alone, was one of the HPI trains made inoper-
3 able?

4 A A single HPI train may have become inoperable
5 had there been additional failures, at the time that it was
6 called upon to operate.

7 Q Additional failures in the HPI system, or
8 additional failures requiring the operation of the system?

9 A The operation of the single train that might have
10 failed would have required either a complete loss of off-
11 site power or a complete loss of one or both of two other
12 supporting 4160 volt buses.

13 Q Had that occurred, there would have been one HPI
14 train available?

15 A Yes.

16 Q Is that the case for all three of the instances
17 that we are referring to, or it is only the case for one?

18 A I guess I need to get specific in order to answer
19 you r question.

20 The report that we made that was deemed to be
21 considered a violation involved shutting a valve in the
22 cross tie which was supposed to have been left open.

23 That cross tie has two valves in it. One is sup-
24 posed to be shut and one is supposed to be open. The pro-
25 cedure at that time required in the event that a break

1 occurred, the operator had ten minutes to open the one cross
2 tie that was shut.

3 The two valves are immediately adjacent to each
4 other. The timing test that we ran indicated that the
5 operator could get down there any open it in four and a half
6 minutes. The accident scenario for that one would have
7 required first of all that the operator, in opening the first
8 valve in four and a half minutes, was unable to open the
9 second valve in the next five and a half minutes.

10 It would also have required that the break in the
11 reactor coolant system be a break of a certain size spectrum
12 in the discharge piping from one of two reactor coolant
13 pumps.

14 Then, a failure of the other high pressure injec-
15 tion pump, either the pump failed or the electric bus
16 supplying it failed. Those conditions occurring simultaneously
17 may have resulted in not supplying sufficient cooling water
18 to the reactor coolant system.

19 One of the other incidents that we reported was
20 classified to be an infraction. In that instance, one high
21 pressure injection pump might have failed due to lack of
22 cooling water to its lube oil cooler.

23 If both component cooling water pumps that supply
24 that cooling water would have failed -- that is how I relate
25 back to the fact that those pumps are associated with 4160

bfm7

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 554-2345

bfm8

1 volt buses and the buses failed--you would expect both pumps
2 not to operate.

3 So, you need that scenario of accidents for that
4 to become a situation where one high pressure injection
5 train would not perform its function.

6 The third infraction dealt with not supplying power
7 to a safety features valve in the discharge of the make-up
8 tank, so that that valve would go shut on a safety features
9 injection and to preclude allowing a hydrogen overpressure
10 in the make-up tank from expanding into the suction of the
11 make-up pump in the high pressure injection pump associated
12 with it.

13 Under those conditions, that pump may become
14 air bound. It may not. The assumption is that it would
15 become air bound. That is why in the general design, the
16 design is to close that valve off.

17 How that pump would actually function, I don't
18 know because we never tested it that way. It has a supply
19 from the make-up tank. It also has a supply from the borated
20 water storage tank, which would provide sufficient water to
21 it.

22 The question was or is, what is the effect of the
23 gas coming out of the make-up tank? My assumption is that
24 the pump would be pumping a gas-water mixture, but we never
25 tested it, so I cannot prove out that that pump would have

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345



bfm9

1 operated.

2 Q Could you refer to the last three licensee event
3 reports which are attached to CEC-40?

4 A could you give me the dates? I'm not sure mine
5 would be in the same order as yours.

6 Q They should be, although I may have mixed up mine,
7 here. Okay. The last three are dated February 16, 1980, the
8 licensee report number is reportable occurrence 80-3; the
9 next one is January 25, 1980, reportable occurrence 79-24;
10 and the last one is January 14, 1980, reportable occurrence
11 79-23. Have you found those?

12 A Yes.

13 Q Are those the three instances that you are referring
14 to?

ad tP-
jl flws
tP-13

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345



15
16
17
18
19
20
21
22
23
24
25

1 A Yes, they are.

2 Q And these were three instances that were
3 reported by SMUD to the NRC by way of these letters. Is
4 that correct?

5 A That is correct.

6 Q Could you identify which by the -- either the date
7 or the reportable occurrence number -- which one is which
8 relative to your last answer?

9 A The reported dated January 14, 1980, relates to
10 the closing of the cross connect valve. The report dated
11 January 25, 1980, relates to the closing of valves
12 associated with the component cooling water failure that
13 I discussed, and the report dated February 6th, 1980,
14 relates to the introduction of hydrogen and nitrogen gas
15 into the high pressure injection and makeup pump.

16 Q Referring to the first one, the January 14 letter
17 reporting the cross connect valve, when was this problem
18 discovered and how long had it been present at the time
19 that it was found?

20 A The problem described on the last page of that
21 first paragraph -- the last paragraph of the first page
22 was discovered on December 27, 1979. In backtracking, it
23 was determined that valve manipulation had occurred on
24 December the 17th, 1979.

25 Q And with respect to the January 25, 1980, letter,

300 7th STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345



1 when was that problem discovered and how long had it
2 persisted?

3 (Pause.)

4 A It was discovered on January the 9th, 1980, and
5 that had persisted since December the 17th, 1979.

6 Q Finally, the same question with respect to the
7 February 6th letter.

8 A The occurrence was January 9th. The discovery was
9 42 hours later.

10 Q With respect to the first two incidents, both of
11 them you stated occurred December 17th. Do you know
12 whether they occurred in the same maintenance operation?

13 A No, I cannot say categorically that they did.

14 Q Has SMUD identified who was responsible for the
15 error involved in these two incidents?

16 A No, SMUD has not identified the personnel.

17 Q Has SMUD attempted to do that?

18 A No, SMUD has not attempted to identify the
19 personnel.

20 Q Is that also the case with respect to the February
21 6th incident?

22 A Yes, that is also the case with the February 6th
23 incident.

24 Q Are any of these incidents, taken separately or the
25 fact that three of them occurred within a short time,



1 serious matters in your opinion?

2 A Yes, they are.

3 Q To your knowledge, has SMUD attempted to determine
4 the reasons why these three incidents occurred within the
5 time period that they did?

6 A Yes, SMUD has.

7 Q Could you elaborate on what that effort involved?

8 A For the incident dated January 14, 1980, the
9 reason this occurred and went unidentified for ten days
10 was that the individuals approving this valving operation
11 did not generate a document identifying that it was
12 a deviation from the procedure. As a result of that, the
13 management above those individuals was not made aware of
14 the incident early on to correct it.

15 Q Mr. Rodriguez, if I may, I know you have not
16 completed the answer with respect to the other two, but let
17 me ask you, you mentioned the individuals who performed
18 the operation, et cetera. Earlier I asked you if SMUD had
19 attempted to identify who was responsible for these
20 incidents, and you said no.

21 Has SMUD identified who the individuals that you
22 just referred to are?

23 A SMUD as an entity has not specifically identified
24 who the individuals are. The lower supervision, primarily
25 the operations supervisor, knows who they are.



300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 Q Would you like to complete your answer with
2 respect to the reasons for these other incidents?

3 A Prior to the 1975 Browns Ferry fire, the make-up
4 pump was normally lined up to receive cooling water to
5 its lube oil cooler in the event of a safety features
6 actuation from the A nuclear service cooling water system.
7 As a result of the Browns Ferry fire and the fire hazards
8 analysis conducted by SMUD, it was determined that a fire
9 in the area of the make-up pump could cause some leakage
10 from both the A and B nuclear service cooling water systems.

11 The reason for this was that the cooling water
12 piping is copper piping, essentially silver soldered as
13 opposed to welding, and it was determined that there was
14 some possibility that the fire could get so hot on -- I
15 do not recall particularly what was burning in there. I
16 assume it was -- I don't know; it is all pipe in concrete.
17 But anyway, the insulation on the motor or something like
18 that -- get so hot that the silbrazed joints might melt and
19 it would begin to leak from both systems.

20 As a result of that, it was required that those
21 valves remain shut. Then, except for the case where the
22 make-up pump is aligned to serve the function for high
23 pressure injection A or high pressure injection B, these
24 particular valves occurred in two places. They occurred in
25 the locked valve procedure, and they also occurred in the

300 7th STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345



1 make-up and purification system procedure. In changing the
 2 valve line-up from leaving, both valves shut,
 3 providing for one set of valves to be opened. When
 4 you put the make-up pump in a high pressure injection mode
 5 the locked valve list was changed.

6 However, the procedure, the make-up and purifica-
 7 tion system procedure, which also dealt with changing the
 8 pump configuration, was not changed. The operator in
 9 lining up this pump lined it up per the make-up procedure
 10 and not checking the locked valve procedure, and therefore
 11 did not provide for nuclear service cooling water to this
 12 system, although it did have component cooling water.

13 The February 6th, 1980, reportable occurrence
 14 identifies failure to provide power to the discharge valve
 15 from the make-up tank, in bringing the make-up pump out
 16 of its configuration to operate in place of the high pressure
 17 injection B pump. The operator in carrying out about a
 18 nine-step program overlooked the step which includes
 19 racking in the A breaker and racking out the B breaker.

20 Q Are the operations -- Had you completed your
 21 answer?

22 A Yes.

23 Q Are the operations that you just described
 24 covered by written procedures?

25 A Yes, they are.

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 Q Has SMUD changed those written procedures since
2 these incidents?

3 A The make-up and purification system procedure
4 which did not identify the proper line-up of the nuclear
5 service water valves. The make-up pump when it was placed
6 in a high pressure injection A or B position was changed.

7 We also changed the administrative procedure which
8 controls the generation and review of procedures to require
9 that their group supervisor and the Plant Review Committee
10 and their review of any procedure change and determine
11 whether or not that change may be reflected in some other
12 procedure, and if that is the case, then the appropriate
13 group supervisor is notified, and given a time to generate
14 a change to bring his procedure up to date.

15 We also changed those procedures that deal with
16 the safety features systems to require the taking out of
17 and putting into service of those systems requiring dual
18 valve and electrical breaker verification. By that I mean
19 that one operator takes a copy of a procedure and runs
20 through and places it in the proper valving operation, and
21 brings the procedure back to the control room.

22 Another operator takes another blank of the same
23 procedure and goes down there and verifies it is done
24 correctly.

25 I think that essentially describes the procedure

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2395

1 changes that we made. We have also made a commitment that
2 prior to using any surveillance test procedure during our
3 monthly, quarterly, or refueling interval testing, that
4 procedure will be reviewed to ensure that it incorporates
5 the requirements to verify dual valve operation -- dual
6 valve verification and electrical valve verification.

7 Q Before I ask this question, I would like to
8 clarify for the record that we are not interested in
9 having you name any of the individuals that were involved
10 in these incidents. We are simply concerned with SMUD's
11 organizational response to the incidents.

12 A That is good, because I don't know their names
13 and specifically I have not asked for those.

14 Q Would you like to go on?

15 A No.

16 Q What is the reason why you do not know their
17 names?

18 A Because I did not ask for them.

19 Q Why did you not ask for them?

20 A I asked the operations supervisor to make a
21 determination of whether or not the individuals that were
22 involved in this had a history of making these kinds of
23 mistakes, and his report to me was, they did not.

24 Q Do you know whether the three incidents we have
25 been discussing involved three different sets of

P14

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 individuals or whether there were individuals that were
2 involved in more than one of these incidents.

3 A I do not know.

4 Q Was there any disciplinary action taken against
5 anyone as a result of these incidents?

6 A No, there was not.

7 Q The types of operations that you have been
8 describing for these three incidents would ordinarily
9 be performed by unlicensed operators. Is that correct?

10 A That is correct.

11 However, those operations were performed under
12 the direction of the shift supervisor.

13 Q The next licensee event report I would like you
14 to look at is the first one. It should be on the very
15 top of the stack. It is dated October 9, 1974, and it
16 describes an incident in which the reactor start-up was
17 conducted with the borated water storage tank capacity
18 below the minimum established in the technical specifications.

19 Do you recognize that report?

20 A If you can give me a few minutes, I will look
21 through it, and then maybe I can tell you.

22 (Pause.)

23 MR. BAXTER: Mrs. Bowers, I suggest that if the
24 witness is going to be asked questions about this very
25 large stack of reports which on their face go back to

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20003 (202) 554-2195

1 1974, it is going to be a very cumbersome and long
2 process. I do not know what the answer is to it other
3 than to give the witness an extended amount of time to
4 review them.

5 Could we have an inquiry as to the scope and
6 nature of the examination that will be conducted with
7 respect to these documents? I am not asking for an
8 identification of your questions.

9 CHAIRMAN BOWERS: Mr. Ellison?

10 MR. ELLISON: Well, first of all, I would assume,
11 although one of the purposes of this examination is to
12 determine that Mr. Rodriguez is familiar with these
13 incidents already. Secondly, as far as the scope of our
14 examination, we are simply interested in identifying these
15 incidents, and I do not expect to be engaged in a great
16 deal of examination on any of them.

17 CHAIRMAN BOWERS: How many are there?

18 DR. COLE: A through T.

19 MR. ELLISON: There are 17 of them.

20 MR. BAXTER: Just to understand what we are
21 doing, is there any theory to the selection of these
22 reports or any particular subject matter in Mr. Rodriguez'
23 testimony to which they are purportedly related?

24 MR. ELLISON: Yes, these are all incidents that I
25 believe are related to Mr. Rodriguez's testimony and to

1 Mr. Rodriguez' employment at SMUD.

2 MR. BAXTER: I know you believe it, but I am
3 asking for an explanation. I was asking about an
4 explanation.

5 MR. ELLISON: These all pertain to incidents
6 involving operation matters at Rancho Seco.

7 CHAIRMAN BOWERS: Is it your plan to go down
8 through these in essentially the same kind of way that
9 you covered the last three?

10 MR. ELLISON: No, I would say that we spent more
11 time on the last three for two reasons. One, they are
12 more recent, and secondly, they involve a civil penalty
13 from the NRC and are arguably more serious.

14 (Whereupon, the Board conferred.)

15 MR. BAXTER: I would just suggest to the Board
16 that it might be appropriate that cross examination of
17 this nature be kept to a minimum. These are not reports
18 relied upon by Mr. Rodriguez in his testimony. They were
19 available to the Energy Commission, and they have
20 witnesses in this subject, and it certainly is a more
21 efficient way to build a record, to ask witnesses to
22 testify on direct with respect to these matters, than to
23 spend endless hours reading them on cross examination.

24 MR. ELLISON: I would simply respond that we did
25 not author these documents, nor do we have access to



100 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2195

1 the SMUD personnel who did, and it would have been very
2 difficult for us to offer a witness on these particular
3 documents.

4 Mr. Baxter?

5 MR. BAXTER: You did not author the deposition
6 transcripts either, but your witnesses discuss that as
7 they do any other reference work that is in the literature
8 and available to you in your files.

9 MR. ELLISON: Mr. Baxter, perhaps we could shorten
10 this. Would you be willing to stipulate to the admission
11 of these licensee event reports?

12 MR. BAXTER: Not at all. I have not had a chance
13 to review them to see if they are at all relevant to the
14 matters we are discussing in this hearing.

15 CHAIRMAN BOWERS: They appear to the Board to be
16 relevant.

17 MR. BAXTER: Has the Board reviewed them?

18 CHAIRMAN BOWERS: Well, we have listened to what
19 they cover. Of course, we have not had a chance to review
20 them, but following Mr. Ellison's explanation of what they
21 cover, we do think that they can be discussed, and Mr.
22 Rodriguez can be questioned with a certain amount of brevity
23 on each one, because you are covering a lot of years.

24 MR. ELLISON: I appreciate that.

25 DR. COLE: I count 20 of these. I count 17 of

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 these. Did you say there were 20?

2 MR. LEWIS: He has already covered three.

3 DR. COLE: Oh, I see.

4 MR. ELLISON: Shall I go ahead?

5 CHAIRMAN BOWERS: Yes.

6 BY MR. ELLISON: (Resuming)

7 Q Have you had a chance to review the October 9th
8 licensee event report?

9 A Yes, I have.

10 MR. BAXTER: That is October 9, 1974?

11 MR. ELLISON: That is correct.

12 BY MR. ELLISON: (Resuming)

13 Q Do you recall this incident?

14 A I think so. It sounds familiar to me.

15 Q According to this document, the nature of the
16 incident was that the reactor was started up without
17 sufficient volume in the borated water storage tank. Is
18 that correct?

19 A The reactor was brought to a critical position.
20 It was not taken to power, with the volume in the borated
21 water storage tank approximately 10 percent below the
22 technical specification value.

23 Q On the second page, the apparent cause of this
24 incident is designated as the operator, and the analysis
25 is given that the shift supervisor misunderstood the

100 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 technical specifications for the volume of that tank.

2 Is that correct?

3 A That is what the analysis says, yes.

4 Q Is that also your understanding of the cause
5 of the incident?

6 A I cannot remember all the specifics of that
7 particular instance. I think if this is what we put down
8 in our report, that is what the investigation determined
9 to be the cause at the time.

10 Q Can you recall whether SMUD, aside from authoring
11 this report and adding volume to the borated storage tank,
12 took any other actions in response to this incident?

13 A According to the report, it was at that time that
14 we also changed B1 to reflect the equivalent of 390,000
15 gallons in feet and inches and the borated storage tank,
16 and that the procedure was revised to require reverification
17 of it if actual start-up was delayed four hours or more.

18 And we instructed operating personnel not to use
19 previous data when verifying parameters which are readily
20 available with the existing instrumentation.

21 Q Is that an instruction that had not been
22 previously given?

23 A In the context of the statement, I would make the
24 assumption yes, because the words used are, "Operating
25 personnel have been instructed" rather than "reinstucted."

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 Q The next licensee event report in CEC 40 is
2 dated October 17, 1974. This one describes the exceedence
3 of the maximum cooldown rate established in the technical
4 specifications. Referring to the third page, the apparent
5 cause is designated as a procedure. Do you recall this
6 incident?

7 A If you will give me a few minutes, I will read
8 through it and see if I can jog my memory.

9 (Pause.)

10 MR. ELLISON: Mrs. Bowers, perhaps I would
11 suggest that we defer this line of questioning until
12 tomorrow in order to give Mr. Rodriguez an opportunity to
13 review CEC 40 at a time when we are not in session.

14 MR. BAXTER: Well, Mr. Rodriguez has a lot of
15 other things to do in preparing for his testimony every
16 day, and I cannot commit him to spending the evening
17 tonight reading CEC 40.

18 MR. ELLISON: As I recall, we agreed that Mr.
19 Donohew from NRC would appear in the morning.

20 MR. BAXTER: That is right, and Mr. Rodriguez
21 will -- Mr. Rodriguez has to go to the site in the
22 morning.

23 MR. ELLISON: Fine, we will continue.

24 (Pause.)

25 THE WITNESS: I have read the first three

1 pages of it, and that does not jog my memory, but I am
2 sure this occurred at that particular time since we
3 reported it.

4 BY MR. ELLISON: (Resuming)

5 Q From your reading of this document, does it appear
6 that one of the causes of this incident was procedures
7 which did not warn the operator of a problem with opening
8 the -- warn the operator not to open the gland steam
9 spillover block valve if the control valve is open, since
10 this may lead to a loss of condenser vacuum.

11 A Excuse me. What was your question again, please?

12 Q Based on your reading of the document, is it
13 your understanding that one of the causes of this
14 incident were the improperly written procedures?

15 A I guess I would not say the procedure was
16 improperly written. What the procedure did not encompass
17 was the warning of the gland steam spillover block valve
18 and the gland seal control valve interface.

19 Q Mr. Rodriguez, I would like you to refer to the
20 next one, which is dated December 6th, 1974. This one
21 describes an operator valving area that led to the failure
22 of a feedwater pump with the plant at cold shutdown.

23 Do you recognize this report?

24 A Yes, I do.

25 Q Do you recall the incident that it reports?



1 A I recall the incident, yes.

2 Q What was the cause of that problem?

3 A The cause of the incident was that the auxiliary
4 feedwater pump was run without water, and it overheated
5 and destroyed itself -- well, created considerable damage.
6 We repaired it and put it back in service.

7 Q Would you characterize this as being an operator
8 error as opposed to a procedure -- miswritten procedure?

9 A Yes. I would characterize it as an operator --
10 One of the fundamental concepts of operator training is
11 that you do not start a pump without a suction to its
12 water source open.

13 Q Were any procedures rewritten as a result of this
14 incident?

15 (Pause.)

16 A The last statement says that the Plant Review
17 Committee concluded that an operator error which failed
18 to open -- I am sure the procedure that the Plant Review
19 Committee came up with was written. I state that surely
20 primarily not because I am that familiar with the details
21 of every procedure we have, but typically a commitment like
22 this in a report to the NRC is then followed up in the
23 future by an inspector to make sure we made that
24 commitment, unless there was another report in here that
25 says we did not meet that commitment, and there is a



1 violation cited against us.

2 (General laughter.)

3 Q Do you know whether any action was taken with
4 respect to the operator that erred in this case?

5 A He was eventually promoted.

6 (General laughter.)

7 A Let me clarify that, because I remembered this
8 particular instance with some detail, primarily because our
9 own maintenance course turned the pump around very
10 quickly. There was an operator error. It was discussed
11 with him at some length, and as a matter of fact, a very
12 competent operator who erred in this particular area. His
13 performance in the following years after that certainly
14 has indicated any concern that I might have about his basic
15 competence -- he made a mistake and there is no doubt
16 about it, but he has done a lot of good things since then.

17 Q The next one is a letter dated February 18,
18 1975. This one describes a flow instrumentation that was
19 not valved in properly, that affected the performance of
20 the emergency cooling system. Do you recognize this
21 report?

22 A I will have to read through it.

23 (Pause.)

24 A I do not recall that one specifically.

25 Q You do recognize this document as a SMUD authored

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D. C. 20024 (202) 554-2345



1 licensee event report. Is that correct?

2 A Yes, I just do not recall -- I have read this.
3 I am sure it occurred the way it is described here, but I
4 do not specifically recall the incident.

5 Q I would like you to refer to the next one, which
6 is dated April 16, 1975. This one describes an incident
7 in which operators improperly increased the boron concen-
8 tration in the concentrated boric acid storage tank. Do
9 you recall this incident.

10 A I will have to read it again.

11 (Pause.)

12 A I do not recall that specifically either.

13 Q Do you recognize this as one of SMUD's licensee
14 event reports?

15 A Yes, I do.

16 Q What is the nature of the incident that is
17 identified here?

18 A The technical specifications require that we
19 maintain a minimum 390,000 gallons of borated water in
20 the borated water storage tank at a boron concentration of
21 approximately 1825 -- 1850 parts per million boron. As a
22 backup to that, it also requires that we maintain an
23 equivalent quantity of boron in a concentrated boric acid
24 storage tank.

25 That equivalency at the time this was written

300 7TH STREET, S.W. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 was related to a specific volume in a range of concentration.
2 We have changed that now to an equivalency, so you might
3 have a lower concentration and a higher volume.

4 What this relates to is, that specification had a
5 maximum boron concentration allowable in the tank and in --
6 and that concentration was a fixed number not related to
7 the temperature, and the purpose of that was to prevent
8 boron precipitation in adding additional concentrated
9 boric acid to the tank and then sampling it, the tank
10 exceeded the technical specification as described in the
11 report. It was about half of what would have been
12 required for precipitation.

13 However, the technical specification had a given
14 number in it, and therefore we had exceeded that number,
15 and we reported it.

16 CHAIRMAN BOWERS: Mr. Ellison, it is time to
17 quit for the day.

18 We will resume at 9:00 o'clock tomorrow morning.
19 So this will close the record for today.

20 (Whereupon, at 5:00 o'clock p.m., the hearing
21 was recessed, to reconvene at 9:00 a.m. the following day.)
22

23
24
25

This is to certify that the attached proceedings before the
NUCLEAR REGULATORY COMMISSION

in the matter of: SMUD (Rancho Seco)

Date of Proceeding: 5/7/80


Docket Number: 50-312

Place of Proceeding: Sacramento, CA

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

David S. Parker

Official Reporter (Typed)



Official Reporter (Signature)

This is to certify that the attached proceedings before the
NUCLEAR REGULATORY COMMISSION

in the matter of: Rancho Seco

Date of Proceeding: Wednesday, May 7, 1980


Docket Number: 50-312

Place of Proceeding: Sacramento, California

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

SUZANNE R. BABINEAU

Official Reporter (Typed)



Official Reporter (Signature)