

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

ADVISORY COMMITTEE ON REACTIVE SAFEGUARDS
SUBCOMMITTEE ON CLASS 9 ACCIDENTS

Sheraton O'Hare Motor Hotel
6810 N. Manheim Road
Chicago, Illinois

Friday, May 9, 1980

The Subcommittee on Class 9 Accidents of the Advisory
Committee on Reactive Safeguards was convened, pursuant to
notice, at 8:30 a.m.

Present:

MR. WILLIAM KERR, Chairman
MR. GARY QUITTSCHRIEBER, Member
MR. PAUL SHEWMON, Member
MR. I. CATTON, Consultant
MR. R. SEALE, Consultant
MR. J. LEE, Consultant

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

C O N T E N T S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

<u>SPEAKER</u>	<u>PAGE</u>
James Meyer, Nuclear Regulatory Commission	4
Dr. Ray DiSalvo, Nuclear Regulatory Commission	10
John Olshinski,	12
Manny Medieros, Office of Standards	73
R. Silberberg, Nuclear Regulatory Commission	139
C. Kelber,, Nuclear Regulatory Commission	174
Richard Coates, Sandia Laboratories	179
Ron Lipinski, Sandia Laboratories	193
Mr. Corradini	213
Mike Stephenson, Los Alamos	236
C. Kelber, Nuclear Regulatory Commission	240

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

P R O C E E D I N G S

8:30 a.m.

1
2 CHAIRMAN KERR: The meeting will come to order. This
3 is a meeting of the Advisory Committee on Reactive Safeguards,
4 the Subcommittee on Class 9 Accidents. My name is William Kerr.
5 I'm Chairman of the subcommittee. Paul Shewmon, another
6 member of the subcommittee, is to my left, and the designated
7 federal employee, Mr. Gary Quittschrieber, is to my left.
8 Consultants are Mr. Catton, Mr. Seale and Mr. Lee.

9 This is the first meeting of this specific subcommittee
10 that was appointed by the Committee to study the question of how
11 to deal with the Class 9 accident, and I expect, although I
12 don't think we'll get heavily involved in that today, that
13 one of these responsibilities is that of deciding what a Class 9
14 accident is.

15 The meeting is being conducted in accordance with
16 provisions of the Federal Advisory Committee Act and the
17 Government in the Sunshine Act, and all other national and
18 international protocols that apply. Rules for participation in
19 today's meeting have been announced as part of the notice of the
20 meeting published in the Federal Register of April 24, 1980. A
21 transcript of the meeting is being kept and will be available,
22 as stated in the Register notice.

23 We request that each speaker identify himself, and
24 since there seems to be some shortage of microphones, you may
25 have to shout.

1 We have under consideration today as a principal item
2 the research program of NRC, which has been designed to deal
3 with part of the Class 9 accident situation. It appears that
4 one might logically devise the consideration into at least
5 three categories. Category 1 might be an immediate problem
6 facing the Commission with respect to the Zion and Indian Point.
7 Category 2 perhaps can be described as near-term construction
8 permit plants or at least plants in early stages of construction.
9 And category 3, future designs.

10 In each of these cases there are at least two questions
11 to be answered. First, what is to be done? Second, what process
12 is to be used in deciding what is to be done? For example, there
13 is a lot of discussion, both oral and written, about the use of
14 risk assessment in the decision-making process within the
15 Commission. It seems unlikely that quantitative risk assessment
16 is going to be an important feature of the decision-making
17 process. Or at least it seems unlikely to me in these early
18 decisions because I doubt if it will be well enough developed
19 that one can use it as anything other than some minimum amount
20 of guidance.

21 The two questions of what is to be done in the process
22 to be used in making the decision are, and these of course are
23 not entirely separable. Deciding what is to be done, certainly
24 will be influenced to some extent by what is doable, but
25 it seems to me that both of these responsibilities need to be

1 spoken to in a research program, and the Subcommittee and
2 ultimately the ACRS itself, in its reports on the research
3 program, need to examine whether in our view the planned NRC
4 program speaks to both of these questions.

5 In addition, I think the Committee must seek to
6 determine if the resources available to the Commission are
7 adequate to the task and if appropriate priority is being given
8 to the work. I would hope that subcommittee members and
9 consultants as well as the members of the NRC staff will
10 attempt to deal with these issues during today's meeting and in
11 a subsequent meeting currently scheduled for the 2nd of July in
12 Los Angeles.

13 We will proceed with the meeting and I call upon Mr.
14 James Meyer of the Nuclear Regulatory Commission staff. Mr. Meyer?

15 MR. MEYER: Because a considerable portion of my
16 presentation will be directed to the meetings of the last two
17 days in downtown Chicago, I prepared my presentation in my hotel
18 room last night and I apologize for not having copies of my
19 viewgraphs for you. I will have them typed up on Monday and
20 send them down for distribution then.

21 I'm Jim Meyer of the NRR staff. Also here this
22 morning from NRR is John Olshinski, who is the coordinator for
23 the Zion-Indian Point program. My responsibilities lie in
24 consideration of mitigation features presently under
25 consideration for Zion and Indian Point.

1 I'd like to start out by very briefly reviewing
2 the Zion and Indian Point program. Several of the first view-
3 graphs you've seen before at the March 7th Full Committee meeting,
4 but I thought it appropriate to very quickly display them to
5 put the Zion-Indian Point progress into perspective.

6 The first viewgraph I decided to present to indicate
7 the key points as to why the staff is considering Zion and Indian
8 Point as opposed to other nuclear power plants presently in
9 operation. The Indian Point and Zion sites are believed to
10 present a disproportionately high contribution to the total
11 societal risk from reactor accidents. This is based on the
12 fact that for both sites, the cumulative population is
13 considerably above that for average sites. It's considerably
14 above that as presented as a standard or guideline in Red Guide
15 4.7.

16 The staff has asked the Indian Point and Zion licensees
17 to determine what additional measures and/or design changes can
18 and should be implemented that will further reduce the probability
19 of a severe reactor accident and will reduce the consequences of
20 such an accident by either reducing the amount of radioactive
21 releases and/or by delaying any radioactive releases which would
22 provide additional time for evacuation near the sites.

23 MR. SHEWMON: What does cumulative mean? Is that over
24 time, over space, over what?

25 MR. MEYER: That's cumulative over space.

1 MR. SHEWMON: At some instant in time.

2 MR. MEYER: At some instant in time.

3 MR. SHEWMON: Okay, I understand that these plants had --
4 it's not the first time the NRC has realized they're in high
5 population density areas and there were certain features that
6 went into these plants when they were built to cope with that.

7 Will you get into the basis for this conclusion
8 considering those special features that were put in when they
9 were built later in the presentation, or is this taken as given?

10 MR. MEYER: All that's reflected here is the question of
11 the population density.

12 MR. SHEWMON: No, the second one says they do constitute
13 a disproportionate risk, independent of the --

14 MR. MEYER: The yardstick for the societal risk judgment
15 comes from the fact that they're in high population densities.

16 MR. SHEWMON: Okay.

17 MR. MEYER: Your question regarding certain features
18 that were incorporated because they are in high population
19 density areas is being factored in and I or John Olshinski will
20 describe that later.

21 MR. SHEWMON: Good. Thank you.

22 MR. MEYER: A key element in the Zion-Indian Point
23 action is the investigation of mitigation features for core
24 degradation and core melt accidents. The purpose of this study
25 is to determine how immediate and practical technical fixes can

1 be implemented in the Zion 1 and 2 and Indian Point 2 and 3
2 units that will assure a real and significant reduction in
3 societal and individual risk due to severe accidents, including
4 core melt.

5 The approach is to pursue actively those design features
6 that contribute favorably toward the mitigation of the conse-
7 quences of a severe accident.

8 For this particular program, we have split up the goals
9 into two parts. The first goal is rather limited and pragmatic,
10 the one that the past two days of meetings have addressed in
11 part. Its namely to answer the following question: will the
12 proposed features significant mitigate the consequences of
13 severe core melt accidents? This question can be answered with
14 the assumption of core melt and then proceeding with the
15 capability of mitigation features.

16 For that set of severe accidents that bound the
17 expected dominant s quences for Zion-Indian Point, what do the
18 practical mitigation features look like and what do they achieve
19 in terms of attenuation and delay of release?

20 The more global goal and ultimate goal is the second
21 one, which involves an assessment of the probability of accident
22 sequences, as well as their consequences -- namely to answer
23 the question, will the installation of any or all mitigation
24 features make Zion or Indian Point significantly safer? A
25 determination of dominant risk contributors, specific to Zion and

1 Indian Point, and the accomodation of those sequences by
2 mitigation features is key. In order to do this, there is a
3 comprehensive program at NRC which includes the interim
4 reliability evaluation program, IREP, March-Corral analysis
5 that you'll be hearing more about later on today, CRAC analysis,
6 which is the WASH-1400 consequence analysis that determines
7 for example early fatalities and latent cancers for a given
8 accident. These will all be performed for Zion and Indian
9 Point.

10 In addition, the question of ultimate containment
11 failure will be addressed in order to address this final question.

12 The severe accident mitigation features that are
13 under consideration are indicated by the first three bullets
14 on this viewgraph. The primary one presently is filtered-
15 vented containment systems. Also under consideration are
16 core retention devices and hydrogen control methods for Zion
17 and Indian Point.

18 A feature of the study that is something of an aside
19 is the question of steam explosion evaluation. You'll perhaps
20 recall in WASH-1400 that there was a contribution to the
21 total risk for the PWR plant from a steam explosion causing
22 containment failure by the production of a vessel head missile.

23 The evaluation is -- the program is taking a very close
24 look at this problem, but other than providing for missile
25 shields, there is no mitigation feature program that's directed

1 to the steam explosion problem.

2 Rounding out the severe accident studies under considera-
3 tion is the accident risk calculations.

4 MR. SHEWMON: I guess I'd like to know what you
5 consider core melt when you assume a core melt, and that's
6 not a -- okay. The other is I'm distressed by the fact that
7 I don't see anything on here associated with cooling the core.
8 It's my heartfelt conviction that after we've got the thing
9 dry on the floor, you know to build a catcher down there to
10 fondle this damned thing and let it radiate everything uncooled
11 just doesn't seem like a very right approach to me, and I
12 don't see anything in here about cooling it or guaranteeing
13 sources of water to back up -- you assumed a core melt and
14 I'd like to know what you mean you assume there, and then the
15 other thing is this steam explosion, which to anybody who knows
16 anything about the toughness of hot steel sounded like a
17 desperation bounding approach anyway.

18 So if you're giving it up, I'm delighted that reason
19 still lives occasionally, because I couldn't see how it could
20 work anyway.

21 But let's go back to the core catcher -- sorry, to the
22 core melt. Could you tell me what those words mean?

23 MR. MEYER: I think you asked three questions. What is
24 meant by core melt, the question of water cooling --

25 MR. SHEWMON: And the steam explosion if you're only

1 talking about will we have completely brittle bolts as hot
2 as it's going to be in a core melt and will they do nothing to
3 keep the head from flying through the containment I think is
4 not a very good question to begin with. So if you're not asking
5 it anymore, I think that's an improvement.

6 MR. MEYER: No, the question is being asked, and you'll
7 hear much more about this in the presentations later on today --

8 MR. SHEWMON: Okay, let's go back to the core melt.

9 MR. MEYER: The program starts from the assumption of
10 a degraded core, a degraded core that could possibly lead to
11 core melt or that has the possible potential for in-place
12 coolability. But the assumption is that you had a considerably
13 degraded core condition such that you either have a coolable
14 debris bed in the location of the original core, or you don't
15 have a coolable bed and the core starts to melt and then
16 proceeds with the accident sequence.

17 MR. SHEWMON: What did WASH 1400 mean when they went to
18 a core melt? Can you tell me what the sequence was there, or
19 is that going to be another part of the presentation?

20 MR. MEYER: I don't think that there was a formal
21 presentation on that subject, but Dr. Ray DiSalvo is here from
22 NRC and he perhaps could say a few words about that.

23 DR. DI SALVO: Dr. Shewmon, in WASH 1400, if any core
24 temperature was calculated to exceed 2200 F., the core would
25 melt.

1 MR. SHEWMON: And melt means everything molten
2 through the pressure vessel and down on the pad or what?

3 DR. DI SALVO: Well, then you calculate the subsequent
4 sequence of events. Eventually that's what happens.

5 MR. SHEWMON: Okay, so they don't really consider --

6 DR. DI SALVO: You don't get credit for mitigation
7 once the systems were presumed to have failed badly enough to
8 give you the core melt.

9 MR. SHEWMON: So once you got the 2200 degree F.
10 cladding, it was all on the floor?

11 DR. DI SALVO: Eventually.

12 MR. SHEWMON: Now is that also what you're assuming
13 when you say we assume a core melt will occur in these systems?

14 MR. MEYER: In terms of the in-vessel assumption, yes,
15 but in two minutes I'll be getting to I think what your
16 concern is, namely supplies of water in the reactor cavity.

17 MR. SHEWMON: And it may be in the pressure vessel.
18 Okay, in the cavity. Go ahead.

19 MR. MEYER: Well, there's potential for cooling this
20 degree, both in-vessel and ex-vessel, and both these aspects
21 are being considered in the program.

22 MR. SHEWMON: Fine, thank you.

23 MR. MEYER: I'd like to briefly review where we are
24 now in our Zion and Indian Point program. We've issued an action
25 plan, copies of which have been provided to the ACRS. I

1 believe the date was March 17.

2 You'll recall in the Full Committee presentation on March
3 7 that there are two other elements to the Zion-Indian Point
4 action in addition to the study of mitigation features. The
5 two other elements are interim operational actions and
6 generic and plant-specific actions. If you are interested in
7 an update status of those particular components of the Zion-
8 INdian Point action plan, John Olshinski will be glad to fill
9 you in on that. If you wish rather to go directly to the
10 mitigation feature study, we can continue with my presentation.

11 CHAIRMAN KERR: Give us some advice. Have there been
12 significant developments so that we ought to be brought up to
13 date, or is the plan about where it was when the Committee
14 heard about it?

15 MR. OLSHINSKI: On the orders on the interim actions,
16 as you're aware, they were broken down into immediate, 30
17 day, 60 day and 90 day, 120 effective items, and basically
18 they proceeded on schedule. Some of the major items of those
19 categories I just mentioned, that's stationing of an additional
20 SRO and control room to the plant, two SRO's in the control
21 room. In-plant walkthroughs and certain emergency procedures
22 and simulator training on those procedures, in addition to
23 the normal training. New containment fleet test requirements
24 prior to starting up in cold shutdown conditions.

25 CHAIRMAN KERR: John, what do you mean by new?

1 MR. OLSHINSKI: A different -- what we're doing is
2 now any time they cut down the coal shutdown conditions prior
3 to starting back up, they have to verify containment integrity
4 through a leak test. That was not a requirement before. A
5 requirement that's been put into place on event V-testing,
6 which any time basically they get down into the range of
7 these plants in which the low pressure check valve or the RHR
8 system could come off their seat, they're required to do a
9 gross leak check of the test valve prior to restart. So
10 this is an attack in the event of V failure scenario and
11 WASH-1400.

12 A new diesel generator testing schedule has been
13 imposed, which is essentially the same schedule which is
14 currently required for new plants, which is a diesel generator
15 testing scheme, which is based on a failure rate, your previous
16 failure rate on your diesel. It's not a set schedule.

17 MR. SHEWMON: Are those things, the ones where you bring
18 them on and have to go to full power in one minute or something,
19 or these -- whether they'll last a long time?

20 MR. OLSHINSKI: It's a standard Red Guide requirement
21 on the testing. The only thing that has changed is the --

22 MR. SHEWMON: That doesn't answer my question because
23 I'm not sure what that means. Now I have heard of tests in
24 which you talk about how long it has to be. I've heard of
25 ones where they wind them up too damned fast for any good

1 machine, and if you're increasing the frequency to that, I
2 suspect -- you just don't know?

3 MR. OLSHINSKI: No, I don't know.

4 MR. SHEWMON: Well, I hope you're doing more good than
5 harm I guess is my concern, and I hope you look at that part.
6 Go ahead.

7 MR. OLSHINSKI: The Red Guide has been in place for
8 diesel generator testing for some time and it was put together
9 by a series of experts. The only thing that has been changed
10 as a result of this is the frequency of testing, and it is
11 a requirement that's been in place for a number of years for
12 new construction plants and it's based on reliability
13 considerations as far as the reliability of the diesel.

14 Talking to the person that developed that Red Guide,
15 he indicated that as far as your concern is as far as wearout,
16 I have many concerns. I've operated diesels for many years
17 myself. As far as wearout considerations and things like that,
18 in fact the testing would not be farmful.

19 CHAIRMAN KERR: You'll not let that statement allay your
20 concern, Mr. Shewmon?

21 MR. OLSHINSKI: But I don't know where it cuts off,
22 whether you have to take it up to load every time or not. I
23 can't answer that.

24 MR. SHEWMON: It's really how fast it has to come up
25 to load, which is distressing, I think.

1 CHAIRMAN KERR: John, I got the impression that you said
2 that in addition to the standard testing Red Guide scheme that
3 you were enforcing for these plants a new proposed Red Guide
4 which in effect has a penalty clause so that when you start
5 getting failures you have to test more frequently.

6 MR. OLSHINSKI: Yes, sir.

7 CHAIRMAN KERR: And that has not been looked at by anybody
8 in any great detail except the NRC staff. And it has not been
9 demonstrated at all that it will increase reliability. Indeed,
10 I don't think it's good enough to do that.

11 MR. OLSHINSKI: I didn't mean to apply that. It is
12 based on that scheme. It is based on an optimum test interval --

13 CHAIRMAN KERR: Based on the assumption that if you make
14 the tests often enough, people will repair things, and that's
15 about the basis for it.

16 MR. OLSHINSKI: We have a slight disagreement on that.

17 Additional requirements are the stationing of NSSS
18 vendor representative on-site, at each of the sites. That has
19 been done. The establishment of an on-site safety review group.
20 That's been formed and it's a group that is on-site but
21 reports to off-site management and reviews a number of items
22 in safety areas and they go look on their own at areas of
23 concern, separate from the plant staff. And requirements on
24 notification of NRC at lower emergency action levels than were
25 required before. Those are some of the major items that have

1 taken place as far as 30 and 60 day requirements.

2 MR. SHEWMON: I don't know where it comes and I can't
3 it out from here, and I don't even know the words to use I
4 guess because maybe it's not operational, but the licensees
5 have put together a package which I assume was gone over in the
6 last couple of days about special features in these plants and
7 what they thought they'd do, and I'd be interested in what
8 you think of that analysis. Are we going to hear anything about
9 that today? Or if I say no, let's go on to research, am I
10 foregoing it all when I say that, or what?

11 CHAIRMAN KERR: Do you understand the question, Mr.
12 Meyer?

13 MR. MEYER: I believe I do. We went over a number of
14 those features that you're referring to in the last two days'
15 meetings. It was raised as a concern by the licensees that
16 there has been less than complete communication in this area,
17 and so we are pursuing arranging a meeting in the next month or
18 so to make sure we understand that aspect very clearly.

19 MR. SHEWMON: And so you aren't prepared to talk about it
20 now but you will be at our next meeting or what?

21 MR. MEYER: We will be prepared to talk about it at the
22 July 2 meeting, yes.

23 MR. SHEWMON: Okay, I would like to see it on the
24 agenda, then.

25 MR. OLSHINSKI: Could I add something, toc? In the

1 accident mitigation features study, we're looking at the dominant
2 sequences and there will be a consideration of how much
3 risk any of these features will buy you. Clearly the plant-
4 specific design consideration for Indian Point and Zion have
5 to be taken into account when you make those determinations,
6 and that's why we're getting together, to make sure we have
7 a plant-specific design when we're looking at the dominant
8 accident sequences or any evaluation of a mitigation features.

9 MR. SHEWMON: Yes, but you have had in your hands for
10 some time the industry report on what they think resulted from
11 the differences you imposed on them when they built these
12 plants, or they agreed to, and I'd like of like --

13 MR. OLSHINSKI: Yes, sir, and that requires something
14 like 10 to the minus 12 reliability and --

15 MR. SHEWMON: Good. What I'm interested in is hearing
16 about it and you're telling me you don't know anything about it
17 yet but you will by July, and I guess I wonder why --

18 CHAIRMAN KERR: I think what he said was that they
19 would be prepared to talk about it in July.

20 MR. SHEWMON: Well, he did. He said -- I'm not sure
21 what he said.

22 CHAIRMAN KERR: I think if that is not part of your
23 scheduled presentation, you probably shouldn't spend too much
24 tim on it but we do want to hear about it certainly.

25 MR. SHEWMON: I guess so.

1 MR. MEYER: Well, let me make two very brief points.
2 We have proceeded with our analysis and assessment work on
3 Zion and Indian Point based on plant-specific information that
4 has been provided us by the utilities, so we are working with
5 what we feel is the best information we have available.

6 MR. SHEWMON: That's comforting. It wasn't clear before.

7 MR. MEYER: And the data that we haven't addressed
8 yet and we realize is important is the probability of various
9 sequences due to unique features and how that folds into a
10 risk analysis and an understanding of the contributions of these
11 various sequences to the total risk from the plant. That is to
12 be added to the program at a later date.

13 MR. SHEWMON: Okay, thank you.

14 MR. MEYER: The status of the third element of the Zion-
15 Indian Point action, namely the mitigation features portion,
16 in a sense is the subject of today's meeting, and you'll be
17 hearing much more about that in terms of the research programs
18 in place to address the various issues. Although the programs
19 look beyond Zion and Indian Point, the first two reactors
20 addressed are Zion and Indian Point units.

21 There are various NRR activities too that complement
22 the research activities in studying the mitigation features.
23 These were covered in the March 7 Full Committee meeting
24 presentation. Basically they are proceeding on course and I
25 won't go into those areas unless you have any questions regarding

1 the NRR activities and participation.

2 CHAIRMAN KERR: In the course of your presentation, will
3 we get some idea of the extent to which your program results
4 from NRR requests and needs in connection with the Indian Point
5 and Zion program?

6 MR. KELBER: Are you addressing that to me?

7 CHAIRMAN KERR: Well, whoever is appropriate to answer.

8 MR. MEYER There recently was a letter written
9 from Mr. Ross to Mr. Murley in research that in commenting on
10 the research program spelled out needs that we have and areas
11 where we feel priorities should be placed. And I can go over
12 that letter with you.

13 CHAIRMAN KERR: I think that's an answer to a question
14 that maybe I should ask, but it wasn't the one I asked. But
15 indeed I was going to try to determine if in describing the
16 research program, which I think you said deals with mitigation
17 problems as they affect Zion and Indian Point, does much of this
18 or does some fraction of it, and you can answer this as you
19 go as far as I'm concerned, result from requests of NRR or
20 is it part of an on-going program which just happens to
21 fortuitously answer questions that NRR will have?

22 MR. MEYER: I would say to a considerable extent the
23 research program is directed to responding to needs peculiar to
24 the Zion and Indian Point program.

25 CHAIRMAN KERR: It would just be helpful to me as you

1 go along to give me some guideposts.

2 MR. MEYER: Sure. I think that if I were to summarize
3 the emphasis that we would like to see coming out of the
4 research program, it would be an emphasis on real systems, on
5 taking on some very real problems that I will be listing in a
6 few minutes.

7 We need answers to questions in the time frame of
8 six, seven, eight months. And we feel that many of these
9 programs properly directed can result in if not definitive
10 answers, substantial help in making decisions regarding Zion and
11 Indian Point.

12 In the suggested outline that you gave to us, you had
13 an item called Problems, and I'd like to list a few at this time
14 before I go into what conclusions we came to regarding the
15 meetings over the last two days.

16 One key aspect to making a determination whether
17 mitigation features contribute to the health and safety of the
18 public by reducing risk is an understanding of the probability
19 of the accident sequences involved. The IREP program that I
20 referred to earlier is considered a key element in the
21 process of that determination.

22 Presently, as I understand it, the IREP program is
23 looking at Crystal River. We had hoped that they would have been
24 started on the Zion and Indian Point reactors. However, it does
25 not look like they'll be starting for some time, and we see that

1 as a delay problem in terms of making the evaluation of risk
2 reduction from the mitigation features.

3 CHAIRMAN KERR: Can you be a little more specific
4 about who we and they are?

5 MR. MEYER: The Interim Reliability Evaluation Program
6 is an NRC-RES probabilistic analysis staff program that is --

7 CHAIRMAN KERR: So "they" is sort of RES --

8 MR. MEYER: They would be RES in this instance, and --

9 CHAIRMAN KERR: And who is "we"?

10 MR. MEYER: And we would be NRR and NRC in general
11 in terms of folding in this probablistic analysis into our
12 overall assessment.

13 CHAIRMAN KERR: Now it occurs to me from what you have
14 said, and I will listen for what you will say further, that indeed
15 quantitative estimate of these accident sequences is fairly
16 essential to the decision-making process.

17 MR. MEYER: It's an important element.

18 CHAIRMAN KERR: I think that's what you're telling me,
19 and that you see a delay in getting the information you need
20 if the IREP program is not implemented on Indian Point, for
21 example. Am I understanding your message?

22 MR. MEYER: It will certainly make the tests more
23 difficult if we do not have the information in the report.

24 CHAIRMAN KERR: Is make it more difficult a euphemism
25 for impossible? I'm not trying to put words in your mouth. I

1 just want to know how you're going to make the decisions. Are
2 you depending heavily on quantitative risk assessment?

3 MR. MEYER: WE would depend heavily on it. We may be
4 in a position where decisions will have to be made independent
5 of the results of that particular study. That's why I'm
6 expressing it as a potential problem.

7 MR. SHEWMON: You're saying you will make the decisions
8 whether you have the best basis for it or not, and the
9 uncertainty of those decisions will be larger if indeed -- the
10 uncertainty in the basis will be larger if you don't have it.

11 MR. MEYER: The uncertainty in the basis, from a risk
12 perspective, will be greater if we don't have this information.
13 That's correct.

14 MR. SHEWMON: Sounds like they will make the decisions
15 whether they have a basis for it or not. The schedule is there.

16 MR. OLSHINSKI: If I may interject something, I think
17 the uncertainty in the decisions has been indicated. It's
18 going to be more without having that evaluation. However, up to
19 now there's been no decision that I know of in the Commission
20 in which a policy has been set forth on the use of probabilistic
21 risk assessment in licensing actions, so it's not clear to me
22 that there's a policy as to whether that -- your total decision
23 will be based on risk evaluation or you'll use it as additional
24 information. Clearly at least we intend to use it as additional
25 information and perhaps make a deterministic decision, but the

1 uncertainty will increase if you don't have that information.

2 CHAIRMAN KERR: Well, your comment I think is relevant
3 to what I was trying to raise as an issue in my introductory
4 statement. I would certainly expect that the Commission at some
5 point would have to specify on what basis it's making decisions.
6 I would think that it would depend heavily on recommendations
7 from the NRC staff. It is therefore interesting to me to learn
8 what the staff is doing to recommend to the Commission, in
9 terms of those things that are needed to make the decision and
10 what sort of decision-making process, in view of the staff, is an
11 appropriate one. And I would hope that we could have some
12 information on that as the meeting goes on.

13 MR. MEYER: We certainly view it as a very valuable
14 tool in our better understanding of the potential for reducing
15 risk from these several mitigation features. I don't think
16 there's any question about that.

17 CHAIRMAN KERR: But at some point, Mr. Meyer, somebody's
18 going to have to make a decision. I think either we use it or we
19 don't. I see all sorts of publications by a whole spectrum of
20 people who pay lip service to the value of quantitative risk
21 assessment. I'm not trying to decide for or against it, but
22 at some point the staff is going to have to recommend to the
23 Commission a way of making this decision, and it's that you
24 perhaps don't -- or are not prepared to make the recommendation
25 today. I would be surprised if you were. But if this is a near-

1 term obligation fairly soon it seems to me the staff is going
2 to have to decide on what it's going to recommend to the
3 Commission.

4 MR. MEYER: I agree. I had listed here as another problem
5 area the whole role of risk analysis in our assessment. I
6 agree with you that it is important. These decisions should be
7 made by NRC. I agree.

8 MR. SHEWMON: I would submit that the only reason we're
9 here today or at least the main reason is because of risk
10 assessment and that is that WASH 1400 said that core melt is
11 the largest contributor risk, and I leave out the word quantitative
12 because we can argue, and the Commission hasn't gotten into
13 whether it should be 10 to the minus 6 per year or 10 to the minus
14 something else, but risk assessment is certainly there, or why
15 we're here, I think.

16 MR. MEYER: I think we're here because of that and we're
17 here also because of what we learned from Three Mile Island.

18 A perhaps minor problem but one that is worth at least
19 mentioning very briefly is that NRR has had very serious travel
20 restrictions imposed on us and I understand that research has
21 too, and in terms of holding meetings, in terms of communicating
22 to the ACRS as well as to the utilities, this may end up
23 further -- causing further problems in the next six to nine
24 months.

25 I'd like now to move on to what's been accomplished in

1 the past two days in terms of the first two of the planned five
2 technology meetings. I presented this viewgraph at the March 7
3 Full Committee meeting, an outline of how we at that time
4 planned to have five technology meetings with the objective to
5 obtain relevant information and expert opinion on a number of
6 technical areas pertaining to designing, selecting and evaluating
7 the effectiveness of severe accident mitigating features. The
8 meetings Wednesday and Thursday basically followed the topics
9 indicated on this viewgraph 1 and 2. The description of these
10 meetings were provided to the ACRS in the form of a letter to
11 Mr. Peoples of Commonwealth Edison dated April 10th.

12 The idea behind the structure that you see here on the
13 viewgraph is to first have an understanding of what are the --
14 what we feel are the controlling and dominant accident sequences
15 for Zion and Indian Point, walking through these accident
16 sequences to gain a better understanding of the containment
17 loadings that result as a consequence of these accident sequences.

18 The meetings were set up to be technology exchange
19 meetings where we would hear the utilities' point of view on
20 these accident sequences and then they can hear our work to
21 date in analyzing these sequences.

22 The next meeting is planned two weeks from last Tuesday
23 in Bethesda, Maryland. It will take on the question of hydrogen
24 dynamics and hydrogen control measures. One of the results I'll
25 get to in a few minutes of the past two meetings is the mutual

1 feeling that the role of hydrogen will be key in assessing the
2 consequences of these core melt accidents.

3 The fourth meeting will address the two other mitigation
4 features under consideration, namely the filtered-vented
5 containment and core retention systems. The fifth meeting will
6 be directed to answering the question, how strong in fact are
7 the Zion and Indian Point containments, the structural response
8 to dynamic and static loadings, the modes of failure, and
9 the location of failure.

10 CHAIRMAN KERR: Mr. Meyer, the parenthetical expression
11 would lead me to believe that this was aimed at Zion-Indian
12 Point. Is that true for example of item 1, which is very specific,
13 or was it somewhat more general?

14 MR. MEYER: This is very specific to Zion and Indian
15 Point. I think that unless there are further questions on this
16 viewgraph, my next one indicates the scope of the last two
17 days' meetings.

18 CHAIRMAN KERR: If some of you in the back are having
19 difficulty seeing, there are seats nearer the front and there is
20 no charge for front pews. No extra contribution is required, so
21 feel free to move up.

22 MR. MEYER: Very briefly, and this is a viewgraph that
23 I presented to open the two-day set of meetings, they were
24 technology exchange meetings. They were not licensing meetings
25 in the sense of determining policy, approach or position.

1 CHAIRMAN KERR: This reminds me a little bit of the
2 disclaimer I see in a number of vendors' reports which say
3 nothing in this report is to be construed as having any validity.

4 (Laughter.)

5 MR. KELBER: No warranty.

6 CHAIRMAN KERR: So I assume that if one is not using it
7 to determine policy approach or position, it really doesn't have
8 much value.

9 MR. MEYER: The intent of the meeting was to gain an
10 understanding of the utilities' position regarding the matters
11 at hand and we felt it important to divorce that from pleas for
12 certain licensing approaches from the utilities, or for that
13 matter getting into a lot of the licensing-related problems that
14 can consume an awful lot of time. It's a very handy separation.

15 The second point is that these meetings, as well as
16 the three meetings coming up, are limited to a consideration of
17 consequences of core melt. They will not consider probabilities
18 of core melt for the reasons I referred to earlier, namely that
19 we would like to have in place the results of the IREP study
20 before we folded that aspect into the overall risk evaluation.

21 MR. SHEWMON: Now the consequences of cladding, getting
22 to 2200 degrees after the consequences of the melt being
23 gone down, going to the map?

24 MR. MEYER: The assumption, the starting assumption is
25 that you have the degraded core. That is an assumed.

1 MR. SHEWMON: Okay, it's in the pressure vessel and it's
2 not cooling adequately and that's where you start your
3 consequences.

4 MR. MEYER: That's correct. And again, the remaining
5 three meetings will be limited to the consideration of conse-
6 quences.

7 The third point is that the analysis and assessment
8 should emphasize realistic best estimate accident progression
9 paths. where we have the luxury of doing so. There are a number
10 of phenomenological areas where there's considerable unknowns
11 and uncertainties, and those must be handled as such. But we
12 emphasized wanting realistic assessments as opposed to bounding
13 or if you will conservative analyses.

14 The fourth point was that the discussion should be
15 oriented to Zion and Indian Point plants. The meetings are
16 directed specifically to Zion and Indian Point.

17 And the fifth point, that the discussions will proceed
18 under the assumption that the participants had read the reports
19 provided. The ACRS has been also sent these reports. They
20 consist of a summary report written by RES contractors and two
21 rather large reports. I don't have the new reg number.

22 MR. SILBERBERG: 1610.

23 MR. MEYER: They are advanced copies of a new reg
24 report that will be published in a few months, but the ACRS has
25 been furnished with these reports.

1 CHAIRMAN KERR: I know I received in the mail day before
2 yesterday something about so thick, chapters 1 and 2.

3 MR. SILBERBERG: That's the right thickness.

4 MR. SHEWMON: Unfortunately, that's not a unique way
5 to sort through your mail.

6 MR. LEE: One question. In your opinion, we understand
7 enough about the core melt sequences and consequences that
8 could justify somehow emphasizing the Indian Point and Zion
9 plants, even under the assumption that we have a degraded core
10 to start with?

11 MR. MEYER: Are you saying do we have enough under-
12 standing of the generic phenomenology to proceed with specifics?

13 MR. LEE: Yes.

14 MR. MEYER: I think as we proceed through the day, that
15 question will be answered for you. I have one viewgraph that
16 highlights problems that we're not going to solve in six months
17 that we're just going to have to live with for the time being.
18 There are areas, though, that I feel can be addressed and to
19 a certain extent matters resolved.

20 But rather than answer that question now, I'd like to
21 proceed and I think you'll see that as we go through the day's
22 agenda.

23 MR. LEE: But I presume your answer is yes at this point?

24 MR. MEYER: To certain elements, yes, and to certain
25 elements, no.

1 MR. LEE: Okay.

2 MR. MEYER: The research contractors did considerable
3 amount of work over a short period of time to put those documents
4 together and I think that their effort is -- their effort is
5 appreciated and I think it should be recognized.

6 The only utility document that we had to work with
7 was the one that Professor Shewmon referred to earlier, that
8 we received several months ago. It was basically a transcript of
9 their presentation before the staff of February 20, together
10 with viewgraphs. We anticipate in the future that we will have
11 more substantive documentation from which to judge their point
12 of view.

13 I'd like to move on then to some general highlights,
14 from my point of view anyway, general highlights of the meetings.
15 I apologize for my handwriting.

16 One normally makes some complimentary remark at the
17 beginning of a summary of any meeting, but I mean the first
18 comment to be more than that. I really feel that the meeting was
19 a good exchange of technical information. That may seem
20 inconsistent with my second comment, but it isn't meant to be.

21 CHAIRMAN KERR: It sure does seem inconsistent.

22 MR. MEYER: The information flow basically was in one
23 direction, that is from the NRC to the licensees. The format
24 that developed was for NRC staff and contractors to make
25 presentations based on the two inches of documentation that were

1 prepared, and the licensees were given ample opportunity to
2 direct questions to those particular analyses. It was
3 more difficult to work in the other direction, to have a better
4 understanding of how they viewed some of these sequences
5 and some of the phenomenological problems associated with them.

6 One area where this was not the case was the area
7 where Dr. Robert Henry of Fauske Associates, I believe
8 is the correct consultant firm name, made presentations on two
9 specific areas -- steam explosions and debris bed coolability
10 from the utility's point of view. And I think there was a very
11 good exchange of information in these two particular areas.

12 So I do want to emphasize that the net flow was basically
13 from NRC to the licensees and we hope that in future meetings
14 there will be a more balanced set of presentations so that
15 we can leave with a better understanding of the licensees'
16 point of view.

17 I've taken the liberty of trying to express what I felt
18 was the major licensees' concern, namely that NRC is not
19 considering appropriate sequences, taking credit for the Zion
20 and Indian Point specific mitigation features. This was a
21 problem that we discussed a few minutes ago, and we are planning
22 to address that problem, as I mentioned earlier, by having a
23 somewhat more limited meeting with key utility people so that
24 we can gain a better appreciation of what they feel are in-place
25 features unique to their plants.

1 CHAIRMAN KERR: It's not clear to me -- well, I could
2 read those, that last point as being two independent points.
3 Do you -- would you explain what they thought the proper
4 sequences could be, or do they only want you to go through
5 sequences -- are you saying they only want to go through
6 sequences where they have mitigation places in place or what?

7 MR. MEYER: Well, I can give you two examples, one
8 that we did address and one that we didn't. They feel that
9 for Zion and Indian Point, it is virtually impossible to not
10 have copious amounts of water in the reactor cavity when the
11 core melts through the vessel, and that we had not taken
12 proper account of that.

13 One of the several agreements that came out of the
14 meeting, in my opinion, is that we all understand now that
15 unless there s an intentional design change, there will be
16 substantial amounts of water in the reactor cavity for the
17 sequences that we've considered.

18 CHAIRMAN KERR: Up to that point somebody had sodium in
19 there, right?

20 MR. MEYER: Right, exactly. We've always managed to
21 keep sodium out of the reactor cavity also.

22 Another example is for the accident sequence that has
23 loss of all AC power, including emergency AC power. They felt
24 we did not take proper credit for certain steam-driven mitigation
25 features that would be independent of the loss of power. AND

1 for example, containment sprays that would under certain
2 circumstances considerably mitigate the accident by reducing
3 the containment pressure.

4 MR. SEALE: Could I ask a question? Are you saying
5 that there are mitigating features of which you were unaware,
6 or are there mitigating features whose effectiveness you were
7 not prepared to accept, let's say, to the same extent that the
8 utilities would claim?

9 MR. MEYER: It's more the latter. The consideration of
10 the transient with loss of all AC power is a transient to
11 test the capability of the containment without engineer safety
12 features being present. For the WASH 1400 PWR, the loss of
13 AC power meant that you did not have sprays. I believe I'm
14 stating it correctly that they say the loss of AC power does not
15 eliminate that possibility.

16 DR. DI SALVO: I think that was Zion.

17 MR. MEYER: Was it Zion? So we are in the process now
18 of fine-tuning that and making sure that we incorporate those
19 features if we feel they're appropriate, and the codes can
20 do that.

21 MR. SEALE: I would think that it would be interesting
22 to find out, as you go through your reconciliation of these
23 differences, whether or not there are things in that plant,
24 those two plants, of a mitigating nature that you weren't
25 aware of.

1 MR. MEYER: We certainly intend to do that.

2 MR. SEALE: And I think this subcommittee might like to
3 know about that.

4 MR. OLSHINSKI: If I could say one thing, what we were
5 trying to arrive at here were the dominant accident sequences
6 which are going to be looked at closely through the study and
7 any features that might affect that. A question that had come
8 up, another example for instance that had come up before is
9 how we treat this melt once it goes out and for instance the
10 number of structural plates below the core before it gets to the
11 vessel can impact what your supposed scenario is once you
12 get the melt through, and questions like that, as far as
13 design differences go.

14 MR. MEYER: It's an important point too that several
15 scenarios were selected in order to challenge the containment
16 to see what the containment failure modes would be, and those
17 scenarios by definition are the most severe to have an apprecia-
18 tion of what one is up against in terms of challenges to the
19 containment.

20 There were several areas of --

21 CHAIRMAN KERR: Mr. Meyer, before you change, mitigation,
22 in the case of both you and the licensee, this discussion,
23 refers to mitigation under the assumption that core melt has
24 occurred and one is mitigating the subsequent performance and
25 consequences?

1 MR. MEYER: That's correct.

2 These are basically my opinions as of last night, but
3 I think that they're shared by a number of - in fact one of them
4 came from another member of the NRC staff, but they're certainly
5 not ironclad agreement areas.

6 The first one I referred to earlier is that a dry
7 cavity is unlikely for the sequences under consideration --

8 CHAIRMAN KERR: Did somebody think of a way in which
9 one could have a core melt with a dry cavity?

10 MR. MEYER: The consideration of a dry cavity is
11 an important one to look at to compare the effect of having water
12 in the cavity, so we have something to compare it to. There
13 certainly would be -- there would be ways to keep the reactor
14 cavity dry if it was felt in the best interest of the reactor
15 safety.

16 MR. SHEWMON: Well, relatively dry. You're going to
17 have to boil off a fair amount of water before you get rid of
18 just what's in the containment, the ECCS and whatever your
19 system was on that.

20 MR. KELBER: Could I comment on that?

21 CHAIRMAN KERR: If you're going to explain that later,
22 we'll --

23 MR. KELBER: No, I'm not going to go into that much
24 detail, but we found early in the investigation that the question
25 regarding the presence of ECCS water and other water in the

1 cavity is really a detailed function of the specific plant
2 geometry.

3 MR. SHEWMON: No, I meant in the pressure vessel.

4 MR. KELBER: There are sequences where you can essentially
5 boil off the water in the pressure vessel. Whether you want to
6 consider those or not is another question. But the question of
7 how much of the water that escapes the pressure vessel and gets
8 down into the cavity is a function of the detailed geometry
9 of the plant.

10 MR. MEYER: There are ways of introducing water into
11 the vessel directly, and we will be considering those, too.

12 MR. SHEWMON: It seems to me a basic question which
13 we'll get into in the research is do you advise the utility
14 and design your plant so that they keep adding water to it at
15 all times, under any conditions?

16 MR. KELBER: That's a real question that we have to face.

17 MR. MEYER: I might add too that it's not necessarily
18 of benefit to have water in the cavity. There is considerable
19 benefit of course in terms of debris bed coolability. I don't
20 think there's too much question about that. But if you have the
21 right amount of water in the reactor cavity, you can add to
22 your containment loading to added pressure.

23 MR. SHEWMON: Or maybe the wrong amount.

24 MR. MEYER: You could have the wrong amount.

25 Another area of agreement, which was perhaps just a way

1 of expressing conservation of energy, but that prolonged debris
2 bed cooling requires water flow and heat sink for the decay
3 heat levels under consideration.

4 Another area where I think it was a refreshing basic
5 agreement was in the debris bed phenomenology. There is still
6 some major questions regarding debris bed cooling, but it's
7 more oriented to the initial conditions, what the initial
8 conditions look like in terms of the molten fuel, molten steel
9 constituents, and other temperature initial conditions that
10 make the whole issue of coolability still an open question.

11 But the phenomenology of debris bed cooling itself,
12 once you've established a debris bed, I think was felt to be
13 well in hand.

14 CHAIRMAN KERR: I guess I don't understand that statement.
15 Would you run through it again for me please?

16 MR. MEYER: If one were to propose a well defined
17 debris bed with specified size of particles, water content,
18 temperatures, decay heat, volumetric heat sources, then as I
19 understand the sense of agreement, there was an understanding
20 of the capability of the debris bed for cooling, dry-out and
21 potential for further meltdown. But we don't know how one
22 gets into the debris bed configuration well enough to say too
23 much more about --

24 CHAIRMAN KERR: Yes, I thought that's what you said
25 and in a sense it almost seems tantamount to saying if we could

1 define a debris bed that was coolable, we would then know it
2 was coolable, and I couldn't believe you were telling me that,
3 so I was looking for something else. But that's sort of what
4 you were telling me, that if you could put together a nice
5 debris bed that was coolable, then you'd know how it behaved.

6 MR. OLSHINSKI: Basically, some of the basic questions
7 of whether it's coolable or not are you know, particle sizes
8 and the depth and area of the bed, and I guess what Jim was
9 trying to convey is that providing there's an agreement on the
10 range of particle sizes involved-and the general shape or
11 depth of the bed, there's agreement on both sides, yes,
12 particular arrangement is coolable or no, that isn't. But as
13 to the --

14 CHAIRMAN KERR: That's based on the fact that somebody
15 has a code that purports to calculate the behavior of debris beds?

16 MR. MEYER: Perhaps Dr. Coates could amplify that.

17 MR. COATES: Richard Coates, Sandia Labs. Our tools
18 to assess the coolability of a given configuration are in much
19 better shape than our tools to predict what configuration we're
20 going to have to cool. In other words, the models that we have
21 developed, we're in pretty much agreement with the utilities
22 as to the --

23 CHAIRMAN KERR: Okay, maybe I should reask my question.
24 My question was, is the assumption that you can understand this
25 based on the fact that somebody has a workable code that he

1 believes?

2 MR. COATES: Workable models that we feel to be reasonably
3 adequate.

4 CHAIRMAN KERR: It wasn't meant to be a critical question.
5 I was just trying to understand on what --

6 MR. COATES: Yes, it's based on models that have been
7 developed on the basis of experimental programs.

8 MR. SHEWMON: Is the uncertainty in that as things go
9 finer or as you pack things with void fractions smaller than
10 something or other, then they aren't coolable; if they get
11 bigger and you've got larger void fractions then they are
12 coolable? Is the threshold or the boundary of that simple?

13 MR. COATES: Well, it's not, I don't think you can give
14 a very simplistic answer to the question. I think that the
15 phenomenology associated with evaluating the effect of the
16 voids, the depths of the bed and the particles, is reasonably
17 well in hand and I think that there is agreement between the
18 utilities and the NRC in those tools and the various effects.

19 In terms of looking at particular geometries, there
20 appears to be a range of uncertainty as to the smallest particle
21 size allowed before you have a coolable bed, but it's a very
22 narrow range.

23 MR. SHEWMON: Now the reason I bring up my question is
24 that in some of the stuff I was reading last night there were
25 comments about void fractions of 55 percent or 49 percent or

1 something, and that's very nice if you all agreed to -- in fact
2 it's not even nice if you agreed to take one size particle. If
3 you happen to end up with a range of particle sizes, 50 percent
4 really is a pretty unwell packed arrangement. And that was
5 why I asked my question of to what extent do the models or is
6 the limit by how well they pack and by the particle size?
7 We can discuss it again later. My impression is that you could
8 have answered my question yes. Since you chose not to, we
9 can go into detail --

10 MR. COATES: We will cover those considerations this
11 afternoon.

12 MR. SHEWMON: Okay. My impression is that in laboratories
13 things tend to be one-sized particles more than they might be
14 in reality.

15 CHAIRMAN KERR: Mr. Kelber?

16 MR. KELBER: Just one more comment. In the light water
17 reactor system that we're considering, there are a number of
18 meltable species, and that does complicate the question of
19 what is the composition of the debris bed, beyond the type of
20 thing that you --

21 MR. SHEWMON: Independent of geometry?

22 MR. KELBER: Independent of geometry. And that does
23 complicate the problem beyond what you normally consider in the
24 laboratory tests.

25 MR. MEYER: I have two -- actually one more viewgraph

1 that highlights important nearterm work, and that will complete
2 my presentation.

3 The first item under important nearterm work, and by
4 nearterm I mean work where NRR would like to see some definitive
5 answers over the period of four to six months, one is a better
6 understanding of the pressure spike. I could go into what is
7 meant by the pressure spike. Will that be covered at all in the
8 presentations this afternoon?

9 MR. KELBER: We hadn't planned on it.

10 MR. MEYER: Just very briefly, I'll give you an
11 indication of what that pressure spike is. This is a March code
12 analysis of the containment pressure history for the TMLB',
13 which is the transient with loss of all AC power. The spike
14 that I'm referring to is this rather abrupt pressure rise that
15 poses problems both in terms of continuing failure and also in
16 terms of the design of a feature to mitigate that particular
17 spike.

18 Much of the meeting over the past two days addressed
19 how fast that pressure surge actually rises, and we feel that
20 this is an important nearterm problem that needs resolution.

21 MR. SHEWMON: Ivan, is this the code where when the core
22 melts it all melts together and goes down in these small
23 particles you were speaking about?

24 MR. CATTON: Once the vessel is penetrated, all that is
25 melted is placed in the water, is small particles with a heat

1 transfer coefficient uniformly mixed, and that gives a very
2 rapid generation of steam and results in that pressure spike,
3 which I think is unrealistic.

4 MR. SHEWMON: Is there any possibility in the near
5 short time schedule of getting at the -- you know, whether
6 we're fighting a code or whether we're fighting the real
7 problem?

8 MR. MEYER: I think there's an agreement that over a
9 six-month period several things can be done to answer the
10 question of whether this is a real spike or not. Right now it's
11 a March predicted pressure spike based on some of the assumptions
12 that I've referred to.

13 CHAIRMAN KERR: In your research, has your request --
14 understand what you want, a better understanding of pressure
15 spike?

16 MR. MEYER: I believe they have a very clear under-
17 standing of the problems and the urgency that an answer is needed.

18 CHAIRMAN KERR: And this is likely to be an analytical
19 program, I presume, since you can't do much about a new
20 experiment in six months, or can you? Is it decided your
21 approach -- I don't need to know what the approach is, but --

22 MR. MEYER: It will be analysis followed up -- we're
23 studying whether it can be followed up with experimentation
24 right now.

25 MR. KELBER: Let me comment a little bit. Getting just

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 a little bit ahead of this story, the response we made to
2 the Zion-Indian Point problem was an ad hoc response. We
3 marshalled resources, redirected efforts in a short-term study.
4 It's clear to us that there are some open questions that still
5 have to be resolved.

6 I take it as my job to point these out to my management
7 and they have a very difficult job of apportioning resources
8 but I believe they are resolved to try to do their best to answer
9 some of these questions. This particular one of fighting the
10 code, I do not believe will be a big job.

11 The other point I would make is that we are not pretending,
12 in this effort, which is a very high priority effort on formal
13 transmission of needs, we're working very closely with NRR.
14 We have excellent communication. The Commission has taken, as
15 you may know, a very constructive view of the user need
16 situation, and we're proceeding to work with them as best we
17 can to get these issues resolved in a timely basis.

18 But we may have a resource problem. That's one of the
19 problems that's affecting IREP. Either people resources or
20 money resources.

21 MR. SHEWMON: This is only a steam spike we're talking
22 about here, nothing to do with hydrogen burn?

23 MR. KELBER: There are some spikes with hydrogen.

24 MR. MEYER: There are hydrogen spikes, but this is
25 addressed to how March models the steam pressure surge.

1 MR. SHEWMON: Your first item is only the March steam
2 pressure surge?

3 MR. MEYER: That's correct.

4 CHAIRMAN KERR: Okay, I interpret the combination of
5 responses that I have gotten to say that NRR knows what is
6 wanted; RES understands what is wanted. There is some question
7 about the resources being available to get the results in time.

8 MR. MEYER: Another nearterm effort that we feel would be
9 important would be a better understanding of the sensitivity of
10 certain assumptions in the March code 2, the final results --
11 namely, the pressure and temperature loading of the containment,
12 and we intend to proceed with this activity.

13 CHAIRMAN KERR: What does that have to do with?

14 MR. MEYER: The March code calculates pressure histories
15 like I just showed you --

16 CHAIRMAN KERR: And you want to find its sensitivity to
17 certain kinds of assumptions?

18 MR. MEYER: Certain kinds of assumptions. For example,
19 there are three different kinds of models, two different kinds of
20 user input options for describing the initial core melt into
21 the lower dome of the vessel. We feel that it is important to
22 understand the sensitivity of the final output to these various
23 user input options, and there are a number of other ones that
24 we'll be --

25 CHAIRMAN KERR: Okay, how do you purport to get that

1 understanding? Just by making a lot of computer runs?

2 MR. MEYER: There's a formal activity under way, as I
3 understand, at Battelle Columbus, where the code was written. We
4 have the capability at Brookhaven National Lab to run March,
5 and they will be pursuing this, and we also can run March in-
6 house within NRR.

7 CHAIRMAN KERR: Who is telling Brookhaven or whoever is
8 going to run the sensitivity analyses what is needed? You?

9 MR. MEYER: I almost said advanced reactor branch. The
10 reactor systems branch will be directing that effort at
11 Brookhaven.

12 CHAIRMAN KERR: Even before the reorganization I didn't
13 know exactly where all the branches fit.

14 (Laughter.)

15 CHAIRMAN KERR: This is the reactor systems branch of
16 what?

17 MR. MEYER: Now you're going to test my knowledge. The
18 division I believe is called systems integration, under Denwood
19 Ross.

20 CHAIRMAN KERR: Okay, it's not research?

21 MR. MEYER: No, it's the NRR office.

22 CHAIRMAN KERR: Okay, you're sort of communicating
23 with Ross and he's talking to research and to Brookhaven at the
24 same time?

25 MR. MEYER: No. The NRR has a technical assistance

1 contract directly with Brookhaven, so we can work directly with
2 Brookhaven, not through RES. We also have the code running
3 in-house and have had --

4 CHAIRMAN KERR: In effect, are you going to tell
5 Brookhaven, these are the kinds of things we need, or are you
6 going to Brookhaven and say we think we need to understanding
7 more than we understand about the sensitivity of this code,
8 tell us what to do?

9 MR. MEYER: Two members of the Brookhaven staff were at
10 the meeting and I would envision it as sitting down together and
11 both directing and getting their suggestions as to how to go
12 about it.

13 CHAIRMAN KERR: Thank you.

14 MR. MEYER: The third point needs a word of introduction.
15 IF there is a steam explosion in the vessel that does not
16 fill the vessel, one has to determine how that impacts in a
17 positive or negative way the resultant loading of the containment
18 due to slow pressurization. There are possible positive effects
19 through scattering of the debris and maintaining some coolability
20 for some time. There are negative, possible negative effects of
21 high pressures threatening the steam generator tubes. These are
22 aspects that haven't been looked at very carefully and will be
23 folded into the evaluation.

24 CHAIRMAN KERR: And again we're talking about a six to
25 eight month time schedule?

1 MR. MEYER: Yes.

2 CHAIRMAN KERR: And who's going to do this? Or maybe
3 I should ask, do you know who's going to do it or have some
4 idea who you're going to ask to do it?

5 MR. MEYER: Well, in my closing comments I was going to
6 remark about the role of the utilities and the role of NRC and
7 how research all fits into that. I put these together last night
8 and I really haven't -- I certainly haven't made recommendations
9 to Dr. Kelber or to the utilities regarding how to approach this.
10 I think that it's something that's important and that after
11 taking a look at what our resources are we'll have to assign it
12 accordingly.

13 CHAIRMAN KERR: What is meant by "what are containment
14 integrity implications"? Does that mean whether it will retain
15 integrity or not or what happens if it does? I'm just not quite
16 sure what you have in mind.

17 MR. MEYER: Perhaps I should have said what is the
18 containment loading history subsequent to a steam explosion that
19 does not fail the vessel.

20 MR. LEE: Could we perhaps have another look at your
21 viewgraph showing the -- what's a little bit curious to me is
22 certainly in addition to the pressure spike that you're talking
23 about, we do have a sustained pressure, long-term pressure
24 level there that could indeed result in failure of containment.

25 MR. MEYER: That's correct.

1 MR. LEE: It's not just the pressure spike but overall
2 pressure transient that has to be looked at altogether, in my
3 opinion.

4 MR. MEYER: That's true. It's important to consider the
5 whole history. However, the spike presents a unique problem
6 because if the March predicted spike is in fact real, then
7 the mitigating feature will have considerably different
8 characteristics than it would with a very low pressure -- with
9 a very slow pressure rise. In particular, for example, a
10 very large penetration of the containment.

11 MR. LEE: But suppose we somehow rounded off the
12 spike. Would we be home free or would we still have problems?
13 It looks like we still have problems.

14 MR. MEYER: Yes, there is a problem, again making a
15 determination of when in fact the containment fails is one
16 consideration, which is part of our program, and then making
17 a determination of appropriate design criteria, for example for
18 a filtered vent.

19 MR. SHEWMON: I think that what you design your filter
20 for in a vented containment, for example, would --

21 MR. LEE: Would be considerably subject to where the
22 spike occurs?

23 MR. MEYER: The design bases and the design criteria
24 would be based in part on how this pressure history looks in
25 containment.

1 MR. CATTON: That particular spike there I think required
2 a vented containment with the capacity of 10 million cubic feet
3 per minute, which is kind of ridiculous.

4 CHAIRMAN KERR: Now if Mr. Catton's evaluation of the
5 code performance or modeling is valid, or I should say if I
6 understand it, it seems to me you can almost eliminate a priori
7 the sharpness of that spike. Now what do you do?

8 MR. MEYER: Well, I don't think -- it's not quite that
9 clear, I think, that it can be eliminated. But if you could --

10 CHAIRMAN KERR: I say if Mr. Catton's evaluation, which
11 says that things have to break up into little pieces and they
12 all fall in the water at the same time, in order to get that
13 spike.

14 MR. MEYER: Well, this is just one sequence among many.
15 If it was determined to be the dominant sequence and our best
16 estimate of the --

17 CHAIRMAN KERR: No, I'm saying that the spike was
18 mentioned predominantly on your slide. I don't know whether it
19 was deliberate or not but that's the way it came out. Now we
20 can do a little hand waving and eliminate the spike, let's say.

21 MR. MEYER: I don't think it's that straightforward
22 quite yet.

23 MR. SHEWMON: Are you questioning the powers of the
24 chairman?

25 (Laughter.)

1 MR. OLSHINSKI: Can I interject something? The real
2 question is the rate of the pressure rise.

3 CHAIRMAN KERR: Well, the rate and the height.

4 MR. OLSHINSKI: And the height but the rate is, you
5 know on this initial impact when you fail the vessel, that rate
6 is likely to be the driving item. I don't know if this is the
7 correct sequence in which that rate is the highest, but it's
8 likely to be the driving item on the design of a filtered
9 vented containment as far as sizing goes. So if we agree that
10 the spike is not that sharp, we're going to have to come to
11 some agreement on what rate we're really talking about, an
12 agreeable rate that --

13 CHAIRMAN KERR: I'm thinking about a six to eight-month
14 time sequence, and you don't have time for much more than hand
15 waving in six to eight months, and I just wonder if we shouldn't
16 just do the hand waving here and save all that agony.

17 MR. KELBER: I'd like to comment on this because I've
18 given considerable thought to what we can do technically. There
19 are two parts to the problem, as Ivan Catton has correctly pointed
20 out. One is the heat transfer itself, and the heat transfer
21 coefficient, and I will propose that we undertake in the very
22 short term to try to get some better estimates of what the
23 variability in that might be.

24 CHAIRMAN KERR: By looking at the literature?

25 MR. KELBER: By using what we now know, yes.

1 CHAIRMAN KERR: It's not meant to be a criticism but
2 I don't see that we can do anything else.

3 MR. KELBER: It would be possible to do something but it
4 wouldn't be sufficient to scope the problem experimentally.

5 CHAIRMAN KERR: Now this implies that the people who built
6 the code haven't looked at the literature very carefully.

7 MR. KELBER: Not in this particular area for some while,
8 and the correlation used is a rather standard one, but I would
9 point out that the time predicted for the production of this
10 pressure surge is actually fairly long, ranging certainly from
11 quite a few seconds to quite a few minutes. So it's not clear
12 that considerations of transient heat conduction, for example,
13 are going to dominate. But we will be looking into these
14 questions as best we can.

15 The next question is much more difficult, and I don't
16 know that there's anything you're going to do in six months, and
17 that is are there inherent mechanisms which say that it takes
18 a long time, several tens of minutes, for this mass to fragment
19 and form heat transfer area? Or, if it does in fact have say
20 some 25,000 gallons of accumulated water dumped on it, it
21 fragments within a few minutes.

22 I don't see any way out of staying with that assumption
23 for the time being. We would like to do more on this but --

24 CHAIRMAN KERR: Which assumption?

25 MR. KELBER: Of the relatively rapid fragmentation, and

1 relatively rapid is not within mill/seconds or even within
2 seconds but within a few minutes.

3 CHAIRMAN KERR: You would stay with that because you
4 feel it is the more conservative --

5 MR. KELBER: At the present time I see we have no course
6 other than that.

7 CHAIRMAN KERR: Okay, and this is the point at which
8 you depart from best estimates and go conservative?

9 MR. KELBER: Yes, sir. It's the only thing we can do
10 at the present time.

11 CHAIRMAN KERR: No, it isn't the only thing you can do.
12 If you're trying to make best estimates you make best estimates.

13 MR. KELBER: It is our best estimate at the present
14 time because I do believe --

15 CHAIRMAN KERR: You just referred to it as conservative.

16 MR. KELBER: It's conservative; it's also the best
17 estimate. The two agree at this time. I have no other estimate
18 so it is my best one.

19 MR. SHEWMON: It's also your worst estimate.

20 MR. KELBER: That's correct.

21

22

23

24

25

1 MR. MEYER: Shall I continue?

2 CHAIRMAN KERR: It seems to me the best estimate
3 normally implies physically plausible.

4 MR. KELBER: It's physically plausible that --

5 CHAIRMAN KERR: It does not seem to me that this is
6 physically plausible.

7 MR. KELBER: I have seen large masses of metal when
8 quenched suddenly break into small fragments.

9 CHAIRMAN KERR: All the same size?

10 MR. KELBER: It doesn't have to be all the same size
11 to get an estimate that is accurate for this work.

12 MR. SHEWMAN: I don't know whether we should try to
13 solve your technical problem. They don't work too well. But
14 on the other hand, it seems to me I would like to at least
15 meditate for a half an hour one morning on what the geometry
16 of that stream is likely to be as it comes out of the reactor.
17 Where is it likely to fail, what is it likely to be inside.
18 Is it going to come out as a dribble, as a jet, or as a big
19 blob and could that value anything.

20 MR. KELBER: Yeah. We are going to discuss that.
21 That is, I think, a key issue involved and we are going to
22 discuss that this afternoon, I believe.

23 MR. MEYER: The impact of hydrogen on containment
24 loadings is a very important area and we looked to the
25 upcoming hydrogen meeting to give us a clear understanding of

1 the utilities' position on this important issue as well as our
2 sharing what we feel to be the various important aspects of
3 the hydrogen problem, both in terms of the dynamics of
4 hydrogen production, migration, burning or possible
5 detonation, the loading of the containment and the mitigation
6 features that have been recommended to considerably reduce the
7 hazard associated with the hydrogen problem.

8 CHAIRMAN KERR: What new information do you expect
9 to be able to obtain in six to eight months on this and who is
10 going to do it for you?

11 MR. MEYER: I understand that there is considerable
12 information along the lines that we are interested in from
13 technology outside the nuclear industry as well as inside the
14 nuclear industry and various experts are being invited, either
15 representing the utilities or representing NRC to make
16 presentations on what we feel are key subjects in this area.

17 CHAIRMAN KERR: Do you expect that to take care of
18 your needs, or is that still an open question?

19 MR. MEYER: It will not answer all the questions,
20 but I would anticipate it to be very beneficial in focusing on
21 problems that hopefully in the near term could be resolved.

22 CHAIRMAN KERR: By what means? I am trying to find
23 out whether this is something you are going to ask research to
24 do, you are going to do it in-house. You refer to it as part
25 of important near-term work.

1 Does that mean you need results before you make a
2 recommendation?

3 MR. MEYER: We need results before we make a
4 recommendation. That's correct.

5 There is a part of the research program in the
6 hydrogen area that was reported in the Volume One that you
7 received.

8 CHAIRMAN KERR: Does it bear directly on this?

9 MR. MEYER: Yes, it does.

10 CHAIRMAN KERR: And results are likely to be
11 forthcoming in six to eight months from that work?

12 MR. MEYER: As far as that specific work is
13 concerned, I'd have to --

14 CHAIRMAN KERR: The answer is you don't know at this
15 point.

16 MR. MEYER: I don't know at this point. I think
17 that a lot of the meeting will be so that we are asking the
18 right questions, the key questions.

19 CHAIRMAN KERR: After the meeting you have to decide
20 what to do next, but at this point you aren't sure what to do
21 next, except you're sure you need information.

22 MR. MEYER: That's correct.

23 CHAIRMAN KERR: Do you know what information you
24 need, or is it still an open -- you just know hydrogen is a
25 problem and it could explode and this could be bad for a

1 container?

2 MR. MEYER: There is a large body of data -- we do
3 know an awful lot already about how hydrogen burn fronts, what
4 that means in terms of temporal and spatial loading of
5 containment. There are in place various hydrogen control
6 methods. The technology of hydrogen control is quite
7 well-known. It is a matter of assembling from diverse sources
8 this information so that we can make judgments regarding the
9 state of where we are and what we do next.

10 I think it's more pulling together the information
11 than it is extremely long-term R&D type problems. I'm
12 certainly hoping that that's the case.

13 MR. SHEWMAN: It's my understanding -- and this is
14 another thing that came up in the last day or two -- is the
15 fact that if your core sprays are on, the drop whips
16 themselves have a salubrious -- well, beneficial effect. Tend
17 to quench out the flame.

18 And that, possibly, is another part --

19 MR. KELBER: They have to be so much finer than the
20 sprays.

21 CHAIRMAN KERR: I'm not trying to solve the problem
22 here. I'm just asking, is there a plan in place that is
23 likely to produce the information that you think you need.

24 MR. SHEWMAN: That's even nicer, because those are
25 the ones that are going to stay around longer.

1 MR. MEYER: There is a place within research, within
2 our technical assistance at NRR and the utilities have a
3 program in place also.

4 CHAIRMAN KERR: Thank you.

5 MR. MEYER: The second problem is probably not
6 resolvable, namely a better understanding of core melt
7 progression in-vessel, a problem that has been discussed
8 already this morning.

9 I think we would have false expectations if we
10 thought within six months we would have a handle on the
11 progression to the extent where we could talk in terms of a
12 dribbling in of molten core to the lower vessel dome.

13 CHAIRMAN KERR: I would agree. What is the
14 significance of the statement as it appears here, that you do
15 require more information before you make a recommendation, or
16 that you would like to have more but you don't think you'll
17 have it?

18 MR. MEYER: It's the latter, and I put it here to
19 highlight that we may have to consider it as a variable in the
20 sense that we would consider the containment loading based on
21 a variety of proposed melt progression sequences, and then to,
22 for example, a March analysis, see what the continuous impact
23 is on the --

24 CHAIRMAN KERR: If you had a variety of core melt
25 sequences, none of which you understand, I am not sure that

1 you are better off than having one that you don't understand.
2 The implication of several, in some cases, is that you can
3 sort of decide on one that's better or two or three that are
4 likely to cover all cases.

5 MR. MEYER: It would be directed, again, to asking
6 the right questions. We, right now, don't know how sensitive
7 for example it is to assume one plausible sequence over
8 another within the vessel proper itself. It impacts
9 significantly on my third important near-term area, of a
10 better understanding of the vessel failure modes. In fact,
11 several people have told me that you give me an answer to the
12 first question and it is a straightforward matter to ascertain
13 the vessel failure modes.

14 CHAIRMAN KERR: Both of these are perhaps in the
15 same category, which is the category in which you are likely
16 not to have much better understanding six or eight months from
17 now?

18 I'm not trying to put words in your mouth. I'm
19 trying to understand.

20 MR. MEYER: I'm pessimistic that we'll have a much
21 better understanding in this area.

22 CHAIRMAN KERR: Do you have a course of action in
23 mind assuming that your prediction is valid? Are you prepared
24 to make recommendations under the circumstances that you have
25 very little more information other than what you now have?

1 MR. MEYER: It's an uncomfortable position to be in,
2 but -- it depends on what you're looking for. If you're going
3 to be installing a filter-vented containment system, then you
4 want to understand the maximum loading --

5 CHAIRMAN KERR: I'm looking at two possibilities.
6 One is that you have to make a recommendation in eight months.
7 That's possibility A. The second is that you will decide in
8 eight months, we know so little that we shouldn't make a
9 recommendation at this point. We need more information.

10 There are a lot of other possibilities; those are
11 two.

12 Now, is possibility one the one you feel most likely
13 to be faced with, that in eight months, or X months, or
14 whatever, you will have to make a recommendation based on
15 whatever information you have?

16 MR. OLSHINSKI: I think I'd like to address that.

17 I think one of the inputs as to whether we have
18 to make that decision or not is we are going to have to look
19 at the sensitivity of the sequence as far as mitigation
20 features are concerned, and once we look at them, maybe we
21 could answer that question.

22 CHAIRMAN KERR: But at this point, you don't have a
23 specific deadline?

24 MR. OLSHINSKI: We have one we're going to try to
25 shoot for, but if we find that our answer to our mitigation

1 features is extremely sensitive on what we assume that core
2 melt progression is, then we may --

3 CHAIRMAN KERR: How can you find that out in six or
4 eight months?

5 MR. OLSHINSKI: We can assume different progression
6 sequences and see where that leads to as far as containment
7 loading.

8 Whether or not they happen to be right, we could
9 start out with the total drop that we talked about before,
10 immediate drop with total mixing. That gives you an almost --

11 CHAIRMAN KERR: Well isn't it almost certain that
12 you can pick up some sequence to which that is going to be
13 very sensitive, so you almost know the answer to that question
14 now.

15 There certainly have to be sequences to which it is
16 sensitive and others to which it isn't.

17 MR. OLSHINSKI: What we looked at at that slide was
18 a TMLB' sequence. It doesn't have hydrogen burn into it.
19 There's other sequences that may turn out to be dominant.

20 CHAIRMAN KERR: I'm suggesting, though, that right
21 now you could probably sit down, after having looked at 1400
22 other things and probably pick out sequences to which the
23 vessel behavior and containment behavior would be very
24 sensitive.

25 MR. OLSHINSKI: I'm not talking about accident

1 sequences. I'm talking about the core melt progression
2 sequence. That is the sensitivity we're going to be looking
3 at.

4 CHAIRMAN KERR: I hadn't considered that that was
5 part of an accident, and it was in that sense that I --

6 MR. OLSHINSKI: Well, it is, but what I'm saying is
7 that a particular accident sequence may become limiting
8 because of a hydrogen burn, for instance, and reduce any
9 sensitivity we might have when we look at this.

10 That's all I'm saying; we have to look at that.

11 CHAIRMAN KERR: Thank you.

12 MR. SHEWMAN: Would you tell me two core melt
13 progressions? It seems to me that one could prove pretty
14 conclusively that it wasn't going to all melt at once, given
15 the power distribution which we know exists in that core.

16 Is that part of a progression, or what do the words
17 mean?

18 MR. MEYER: Well, I could comment in the context on
19 what is assumed in the March code where you are correct, it
20 does not all melt at once, but the question becomes one of how
21 cooler portions phased to plug up the core debris, what
22 weakens first -- assume that we do have essentially a plugged
23 up bottom portion.

24 MR. KELBER: Excuse me, but Dick Coates will be
25 covering some of this in some detail.

1 MR. MEYER: Perhaps it would be better to have that
2 presented by Dr. Coates.

3 CHAIRMAN KERR: Okay. Fine.

4 MR. MEYER: I have perhaps one final, but very
5 important, comment, and that is to communicate to the
6 subcommittee the urgency that the NRR considers in this whole
7 Zion and Indian Point action.

8 We look to the research program in particular to,
9 through proper priority rating of their programs, to come up
10 with short-term answers to the best of their ability and to
11 take on real systems type questions and design considerations.

12 We also look to the utilities to aggressively, and
13 in an imaginative fashion, pursue these activities.

14 We think that the next three meetings will be good
15 indications of whether, in fact, the utilities are taking this
16 matter seriously and doing the amount of work that we feel is
17 appropriate for them to do.

18 That ends my presentation.

19 CHAIRMAN KERR: Mr. Meyer, perhaps it is inherent in
20 what you've been presenting, but help me a bit.

21 I have not heard anything about the sort of
22 information you think, or the approach that you are going to
23 recommend to the Commission, in arriving at criteria for
24 making a decision.

25 For example, has the decision to install a

1 core-containing device already been reached?

2 I'm not asking you to answer that question. Perhaps
3 it has, perhaps it hasn't. If it hasn't, what criterion are
4 you going to recommend, or what set of criteria are you going
5 to recommend to the Commission to make the decision and, more
6 important to this meeting, is the information that you need to
7 make that recommendation now available or is research, or
8 somebody, likely to need to collect information that you are
9 going to need to make that recommendation to the Commission?

10 What I have heard so far, I think, is the technical
11 information that you will need to have an understanding of the
12 progression of accident sequences. I've heard less about the
13 risk assessment, a little bit, and I assume this perhaps means
14 maybe unconsciously that you're not going to be able to use
15 risk assessment very importantly in the decision-making
16 process.

17 Do you understand what I'm driving at? The
18 decision-making process itself, ultimately the Commission has
19 to make a decision, based certainly on recommendation of NRC
20 staff but supported by, I assume, some recommendations among
21 which the Commission can choose, or at least enough
22 information so that the Commission will understand on what
23 basis they're finally making a decision.

24 I haven't seen what you need of anything in order to
25 make recommendations to the Commission on the decision-making

1 process.

2 MR. MEDIEROS: Jim, I think the answer to Dr. Kerr's
3 question --

4 CHAIRMAN KERR: Just a minute. We need a
5 microphone. We know these words are important.

6 MR. MEDIEROS: My name is Manny Medieros from the
7 Office of Standards and Development. I'm the next up after
8 Jim and I think the answers to all your questions, Dr. Kerr,
9 will come clearer after my presentation because that is where
10 we hope to elicit the kind of information where we can then
11 make recommendations to the Commission and answer the types of
12 questions you are raising.

13 CHAIRMAN KERR: I guess I have to wait until after
14 your presentation.

15 MR. MEYER: In the context of Zion and Indian Point,
16 the rulemaking, unfortunately, will do little to guide us
17 since it is scheduled to follow the Zion and Indian Point
18 action. But in terms of the general questions of mitigation
19 features --

20 CHAIRMAN KERR: I'm talking now about Zion and
21 Indian Point, which strikes me as very important. I mean,
22 somebody has got to make the decision at some point, and I
23 assume it will be the Commission, and they will make it based
24 upon your recommendations.

25 MR. MEYER: I could sketch out the --

1 CHAIRMAN KERR: I'm not asking for the details of
2 the process. What I'm trying to ask is, do you have in hand
3 the information that you're going to need to tell the
4 Commission how to reach a decision? If you don't, do you have
5 a program which will permit you to give the information?

6 MR. MEYER: The Zion and Indian Point plan is
7 directed to obtaining what we feel is the information needed
8 to make the recommendation to the Commission.

9 John, do you wish to comment further?

10 MR. OSHINSKI: Let me answer that question.

11 The IREP is one item of that Zion-Indian Point
12 action plan which we felt we would like to have that
13 information prior to making a recommendation. Now, whether
14 that will become --

15 CHAIRMAN KERR: But you've already told me that it
16 is very unlikely that you will have that, I think -- did I
17 misunderstand?

18 MR. OSHINSKI: Well, we know that slip. Now,
19 originally that was scheduled to be completed in August. We
20 know it's at least two months later than that and maybe six
21 months later than that. We don't have any better handle on it
22 than that.

23 CHAIRMAN KERR: Well, it strikes me that if you
24 really need that information in order to make your
25 recommendation to the Commission, that is a fairly

1 high-priority program.

2 MR. OSHINSKI: It's very high priority. We're not
3 sure that that is going to be critical to us at this point in
4 time. I definitely feel that it is very high priority that we
5 have it, if we can have it.

6 Whether we can make the decision without it or
7 not --

8 CHAIRMAN KERR: It's a high priority program that's
9 not very critical. Is that it?

10 MR. OSHINSKY: There are high priority -- I'm not
11 going to give you an answer on whether we are going to make it
12 on the risk assessment with or without --

13 CHAIRMAN KERR: Unfortunately for maybe the both of
14 us, we have some responsibility to try to tell the Commission,
15 and the Congress, if we think the research program is
16 appropriate.

17 Now, it strikes me in this case that the research
18 program and your other assets ought to be geared to trying to
19 provide information that you will need to make a
20 recommendation to the Commission.

21 All I am trying to find out is whether you think
22 that's the case.

23 MR. MEYER: Perhaps I could take a try at it, using
24 your example of a core retention device.

25 You can answer certain questions regarding a core

1 retention device or you can get some answers to questions for
2 the other mitigating features without resorting to the IREP
3 study.

4 For example, we intend in reasonably short-term to
5 have an understanding of whether a core retention device would
6 buy you anything in regard to penetration of the basemat. We
7 also are trying to ascertain how much benefit that core
8 retention device would have in terms of considerably reducing
9 the containment loading because you wouldn't have the
10 generation of gases from concrete core interaction.

11 If you can answer the question, if you install it,
12 are you more or less guaranteed for bounding accidents that it
13 will help you, then you have come a long way in a
14 decision-making process concerning it.

15 There is the other very important aspect, is it
16 practically to backfit it into the Zion and Indian Point
17 plant, and that's being addressed, too.

18 MR. OLSHINSKI: Let me get back again to your more
19 general question.

20 CHAIRMAN KERR: I promise I won't interrupt.

21 MR. OLSHINSKY: At the beginning of the process, we
22 felt that the IREP program would be a very important element
23 in helping us evaluate the decision. We still feel that way.

24 I'm not trying to be evasive. What I can't tell you
25 is, if we don't have the IREP, when we get more information, I

1 don't know whether we will feel confident enough to make a
2 decision with that information without IREP or not. I can't
3 tell you that.

4 CHAIRMAN KERR: I find, for example, that we're
5 being told that risk at these two sites, at this point, is
6 deemed to be overly high, and that therefore it needs to be
7 reduced.

8 Now, I haven't heard anybody comment on how far it
9 needs to be reduced or how one will judge that an appropriate
10 risk reduction has been achieved. I don't know, for example,
11 whether an appropriate risk reduction is a reduction that
12 would make it equal to the average risk at sites, whatever
13 that means -- I'm not sure that I know at all what that means
14 -- or whether it should be maybe one-tenth of the risk of the
15 average site.

16 It seems to me that these kind of things have to be
17 considered by you when you finally make your recommendation to
18 the Commission. We have concluded that the risk is too
19 high -- I assume you have -- we think it ought to be reduced
20 so much, or we just want to reduce it as low as is reasonably
21 achievable.

22 But there has to be some measure, some criterion,
23 some set of guideposts. Otherwise, neither you nor the
24 licensee will know where you are going, I think.

25 MR. OLSHINSKI: I don't disagree with those

1 statements. That is a true statement. We have to have some
2 measures.

3 The only question in my mind, we will have some
4 reliability analyses, and that will be from both us, the
5 staff, and from the licensee. The question in my mind is to
6 whether it is going to become necessary to have a full-blown
7 IREP program completed before we make our decisions. I can't
8 answer that at this point.

9 CHAIRMAN KERR: If you're going to make a decision
10 by X months from now, where X maybe has some flexibility, it
11 seems to me you have to have a fallback position. You can
12 say, I need IREP, but if I don't have it, I have to make a
13 decision anyway, and here is the basis on which I'm going to
14 make it. I either have the information I need, or I had
15 better start getting it -- because you don't have much time,
16 it seems to me.

17 It's that that I'm looking for.

18 MR. OLSHINSKI: I think we're in the process of
19 taking care of the fallback already in that what we're doing,
20 as Jim said, one of the items that we've identified is to try
21 to get more plant-specific details in the dominant accident
22 sequences and we're going along those routes irrespective of
23 IREP.

24 That's part of IREP program to do that, and we're
25 going that on our own now as a fallback.

1 Whether we'll feel we'll need the full IREP program
2 or not --

3 CHAIRMAN KERR: So you feel there is in place a
4 fallback program which could be used if IREP does not produce
5 results that you'd like to have.

6 MR. OLSHINSKI: Yes, sir. We're proceeding along
7 those lines.

8 CHAIRMAN KERR: And that fallback program is pretty
9 much within your division, or are these things that you're
10 asking RAS or somebody else to do?

11 MR. OLSHINSKI: Yes, sir. We've got Dr. Falsalbo of
12 PAS who's helping out on this program. We are using his input
13 and we are using PAS as much as we can until they can get the
14 IREP going, to get that fallback position.

15 But it's not, by any means, the full IREP study that
16 we're doing and at this point we can't make the decision as to
17 whether we'll need that full study or not. We're not close
18 enough yet to answer that.

19 CHAIRMAN KERR: Mr. Kelber?

20 MR. KELBER: I'd like to add one important
21 qualification to a statement that was made earlier, and that
22 is the judgment that these plants represent a major portion of
23 the societal risk from the existing plants is qualified by the
24 assumption that the risk from these plants is similar from the
25 risk of the model plant in WASH-1400, namely the Surry

1 reactor.

2 It may be greater, or it may be less.

3 CHAIRMAN KERR: Mr. Kelber, you can make that
4 statement, but other representatives of the NRC have made that
5 statement without qualification.

6 MR. KELBER: No, I do not believe so.

7 CHAIRMAN KERR: I have heard it made without
8 qualification.

9 MR. KELBER: Then it should have been so qualified.

10 CHAIRMAN KERR: I can't argue that point with you.
11 I am simply telling you what I've heard and what is --

12 MR. KELBER: That's why IREP is so important, Bill.

13 CHAIRMAN KERR: I agree that it's important and it
14 therefore concerns me to hear that it may not be available
15 when the decision has to be made. It seems to me that one
16 would want it available.

17 MR. OLSHINSKI: I would like to second Dr. Kelber's
18 assessment that the statement on societal risks that was
19 prepared and given to the Commissioners by NRR was basically
20 based on a transposition of the WASH-1400 referended plant
21 design.

22 CHAIRMAN KERR: I understand how the results were
23 achieved, but they have not always been qualified when they
24 were made in public.

25 MR. SHEWMAN: Like on the slide given up here, where

1 population is more people equals more risk. Period.

2 MR. MEYER: Well, I tried to qualify that that that
3 -- when you have twice as many people in a given area, you
4 have twice the societal risk, everything else being held
5 constant.

6 CHAIRMAN KERR: Does that complete your
7 presentation, Mr. Meyers?

8 MR. MEYERS: That completes my presentation.

9 CHAIRMAN KERR: Thank you.

10 Any questions?

11 Our schedule calls for a coffee break after two more
12 presentations but it also calls for a coffee break at 10:40.
13 I'm going to rule that, since it is very close to 10:40, we
14 will take a ten-minute recess.

15 (A brief recess was taken.)

16 CHAIRMAN KERR: Mr. Olshinski wanted to make a brief
17 comment before we come to Mr. Medieros.

18 MR. OLSHINSKI: I just wanted to make an additional
19 comment. There were some questions during the break about my
20 statement of our back-up to IREP that I was asked by Dr. Kerr
21 in case IREP didn't come through, and I just wanted to make it
22 clear it's not our intent, and perhaps I said it wrong and
23 didn't say it quite properly -- it's not our intent that we're
24 going to do, that is, NRR, is going to do a risk evaluation as
25 a back-up in case IREP doesn't come along.

1 What we intend to do, however, as part of that
2 back-up is the licensees have done on many risk assessments
3 at this point and are in the process of doing a more detailed
4 evaluation, IREP, so to speak, and we will be examining theirs
5 and modifying our sequences as necessary when we come to
6 agreement as to whether their particular evaluation is proper
7 or not.

8 So that will be our back-up program.

9 CHAIRMAN KERR: That seems perfectly clear to me.

10 Thank you.

11 Mr. Medieros?

12 MR. MEDIEROS: Good morning. My name is Manny
13 Medieros from the Office of Standards to speak on the degraded
14 cooling of advanced notice of rulemaking and I will hand out
15 the copies of distribution of the viewgraphs that I will be
16 using here today.

17 I've been allotted ten minutes and I've got ten
18 slides and so I'll try to budget the time accordingly here.

19 (The materials discussed below follow:)

20

21

22

23

24

25

DEGRADED COOLING -- ADVANCE NOTICE OF RULEMAKING

TASK ORIGIN

- o MAY 1979: OFFICE OF STANDARDS DEVELOPMENT (SD) GENERAL COMMITMENT TO THE COMMISSION TO UPGRADE AND IMPROVE THE REGULATIONS

- o AUGUST 1979: SD DETAILED PLAN TO THE EXECUTIVE DIRECTOR FOR OPERATIONS ADDRESSING THE TASK

- o MARCH 1980: THREE MILE ISLAND ACCIDENT ACTION PLAN ITEM II.B., "CONSIDERATION OF DEGRADED OR MELTED CORES IN SAFETY REVIEW"

- o FUTURE DATE: INTEGRATE TASK INTO THE AGENCY OPERATING PLAN

THE PROBLEM

- o DEGRADED COOLING AND RESULTANT CORE DAMAGE IS TREATED UNEVENLY IN THE REGULATIONS

- o SAFETY ANALYSIS STOPS SHORT OF CLASS 9 ACCIDENTS

- o THE CURRENTLY ANALYZED DESIGN BASIS ACCIDENTS DO NOT "ENVELOPE" PLAUSIBLE EVENTS SUFFICIENTLY

EXAMPLE OF RELATED PROBLEMS

- o "SAFETY GRADE" IS BASED PRIMARILY ON WHETHER OR NOT THE FUNCTION IS CREDITED IN THE ANALYSIS OF A DESIGN BASIS EVENT (THUS A PRIMITIVE VIEW OF IMPORTANCE TO SAFETY)

ADVANCE NOTICE OF RULEMAKING (ANR)

- o DEFINE AREA OF CONCERN

- o EXPLAIN PROBLEM TO THE PUBLIC

- o PROVIDE THE PUBLIC AN OPPORTUNITY TO ADVISE

- o ELICIT ADVICE BY ASKING QUESTIONS

- o USE PUBLIC RECOMMENDATIONS TO SHAPE A PROPOSED RULE

SOME EXISTING ADVICE

- o NRC TMI-2 LESSONS LEARNED TASK FORCE FINAL REPORT
 - PAGES A-14 AND A-15

- o KEMENY REPORT: THE ACCIDENT AT THREE MILE ISLAND
 - PAGES 72 AND 73

- o ROGOVIN REPORT: THREE MILE ISLAND
 - "...WE HAVE COME FAR BEYOND THE POINT AT WHICH THE EXISTING, STYLIZED DESIGN BASIS ACCIDENT REVIEW APPROACH IS SUFFICIENT. THE PROCESS IS NOT GOOD ENOUGH TO PINPOINT MANY IMPORTANT DESIGN WEAKNESSES OR TO ADDRESS ALL THE RELEVANT DESIGN ISSUES. SOME IMPORTANT ACCIDENTS ARE OUTSIDE OR ARE NOT ADEQUATELY ASSESSED WITHIN THE 'DESIGN ENVELOPE'; KEY SYSTEMS ARE NOT 'SAFETY RELATED'; AND INTEGRATION OF HUMAN FACTORS INTO THE DESIGN REVIEW IS GROSSLY INADEQUATE."

ANR FEATURES

- o REQUIRE COHERENT CONSIDERATION OF CORE DAMAGE IN DESIGN AND REVIEW

- o ANALYZE A BROAD RANGE OF ACCIDENTS WITHIN AND OUTSIDE TRADITIONAL DESIGN BASIS ENVELOPES

- o RANGE FROM CLAD PERFORATION THROUGH CORE MELT

- o CONSIDER MULTIPLE FAILURES AND OPERATOR ERRORS

TYPICAL QUESTIONS

o SAFETY ANALYSIS

THE THREE MILE ISLAND ACCIDENT WAS TERMINATED AFTER THE CORE WAS DAMAGED SEVERELY BUT BEFORE SUBSTANTIAL MELTING OCCURRED, A CONDITION WELL BEYOND THE CURRENT DESIGN-BASIS-ACCIDENT EVENTS CONSIDERED IN THE SAFETY ANALYSIS. SHOULD THE NRC REQUIRE THAT EVENTS OF THIS TYPE BE CONSIDERED IN FUTURE SAFETY ANALYSES? IF NOT, WHY NOT, OR, IF SO, WHAT CRITERIA WOULD YOU IMPOSE TO JUDGE DESIGN ACCEPTABILITY?

AND

ALTHOUGH THE CONSEQUENCES OF CORE-MELT ACCIDENTS HAVE BEEN CONSIDERED TO SOME EXTENT IN ASSESSING NUCLEAR POWER PLANT SAFETY, SUCH AS IN REQUIREMENTS FOR SITING, EMERGENCY RESPONSE PLANS, AND CERTAIN ENGINEERED SAFETY FEATURES, EXPLICIT CONSIDERATION OF THE CAPABILITY OF CURRENT DESIGNS AND CASUALTY PROCEDURES TO COPE WITH CORE-MELT ACCIDENTS HAS NOT BEEN A PART OF SAFETY ANALYSIS SCRUTINY BY THE NRC. SHOULD CORE-MELT ACCIDENTS BE SPECIFICALLY EVALUATED IN SAFETY ANALYSIS REVIEWS, AND, IF SO, TO WHAT EXTENT, OR, IF NOT, WHY NOT?

TYPICAL QUESTIONS

o DESIGN IMPROVEMENTS

IF LOSS OF CORE COOLING AND RESULTANT CORE DAMAGE OCCUR IN A NUCLEAR POWER PLANT, THERE ARE CERTAIN PREDICTABLE CONSEQUENCES. CAN THESE CONSEQUENCES BE MITIGATED SUBSTANTIALLY, AND THE RISK OF SEVERE PUBLIC HEALTH DANGER THEREBY REDUCED SUBSTANTIALLY BY PRACTICAL DESIGN IMPROVEMENTS? IF NOT, WHY NOT, OR, IF SO, WHAT DESIGN IMPROVEMENTS CAN BE MADE AND AT WHAT ESTIMATED COST? HOW DO YOUR RECOMMENDATIONS IMPACT ON OTHER SAFETY CONSIDERATIONS?

o HYDROGEN CONTROL

HOW WOULD YOU VALUE REQUIREMENTS TO INCORPORATE SYSTEMS FOR CONTROLLING HYDROGEN COMBUSTION INTO CONTAINMENT DESIGN? DO YOU FAVOR METHODS OF CONTROL THAT SUPPRESS COMBUSTION OR DO YOU FAVOR CONTROLLED BURNING? IF YOU FAVOR SUPPRESSION OF COMBUSTION, WHAT TECHNIQUES WOULD YOU RECOMMEND AND SHOULD THEY VARY AS A FUNCTION OF THE DESIGN CAPABILITY OF CURRENT CONTAINMENTS? IF YOU FAVOR CONTROLLED BURNING, DO YOU RECOMMEND OPEN FLAMES, SPARK PLUGS, CATALYTIC COMBUSTORS, OR SOME OTHER MEANS? WHAT PERCENT OF A CORE'S ZIRCONIUM BEING OXIDIZED WOULD YOU DESIGN FOR? WOULD YOU RESPOND DIFFERENTLY FOR DIFFERENT REACTOR OR CONTAINMENT TYPES? IF SO, WHAT DIFFERENCES WOULD YOU RECOMMEND?

TYPICAL QUESTIONS

o MITIGATING FEATURES

RECOGNIZING THAT THERE CAN NEVER BE COMPLETE ASSURANCE THAT ONLY EVENTS ANALYZED AS DELINEATED IN A SAFETY ANALYSIS REPORT WILL OCCUR, WHAT ADDITIONAL ANALYSIS, PROCEDURES, OR DESIGN FEATURES WOULD YOU PROPOSE TO MITIGATE FUEL DAMAGE ACCIDENTS IN THE RANGE FROM EXTENSIVE CLAD PERFORATION WITHOUT OXIDATION, THROUGH A FEW PERCENT CLAD OXIDATION, THROUGH EXTENSIVE OXIDATION TO FULL CORE MELTDOWN? WOULD YOU RECOMMEND DIFFERENT AND PERHAPS OVERLAPPING DESIGN FEATURES DEPENDING ON THE SEVERITY OF CORE DAMAGE TO BE COPEL WITH.

o CONTROLLED FILTERED VENTING

HOW WOULD YOU VALUE A NEW REQUIREMENT TO CONSTRUCT, AT EACH NUCLEAR REACTOR PLANT SITE, A NEW STRUCTURE FOR CONTROLLED FILTERED VENTING OF THE REACTOR CONTAINMENT STRUCTURE? WOULD YOU LIMIT THE FUNCTION OF SUCH A NEW STRUCTURE TO FILTERING PARTICULATES, ELEMENTAL IODINE, AND INORGANIC IODINE OR WOULD YOU EXTEND SUCH AN APPENDAGE TO INCLUDE ADSORPTION BED SYSTEMS USING CHARCOAL OR OTHER PROCESSES SO THAT ORGANIC IODINE AND NOBLE GASES COULD BE TRAPPED? WHAT QUANTITIES AND RELEASE RATES OF GASES AND PARTICULATES WOULD YOU DESIGN SUCH A STRUCTURE TO HANDLE AND AT WHAT REMOVAL EFFICIENCY AND COST? DO THE POTENTIAL REDUCTIONS IN RISK EXPECTED FROM SUCH AN APPENDAGE OFFSET POTENTIAL INCREASES IN RISK THAT MAY MATERIALIZE FROM INCIDENTS SUCH AS INADVERTENT OPERATION OR THE CONCENTRATION OF HYDROGEN IN THE FILTERING APPARATUS?

TYPICAL QUESTIONS

o CORE CATCHERS

HOW WOULD YOU VALUE A NEW REQUIREMENT TO INCORPORATE INTO CONTAINMENT DESIGN, A CORE RETENTION SYSTEM TO MITIGATE THE CONSEQUENCES OF CORE MELTDOWN BY, FOR EXAMPLE, INCREASING RESISTANCE TO MOLTEN CORE DEBRIS PENETRATION AND THEREBY SUBSTANTIALLY REDUCING GAS, VAPOR, AND AEROSOL GENERATION TO LESS THAN THAT WHICH OCCURS WHEN CORE DEBRIS IS ALLOWED TO INTERACT WITH CONCRETE? ASSUMING A CORE RETENTION SYSTEM IS REQUIRED, DO YOU FAVOR A DEVICE THAT DELAYS MELT-THROUGH OF THE CONTAINMENT BASEMAT, OR DO YOU FAVOR A DEVICE THAT PERMANENTLY RETAINS CORE DEBRIS WITHIN THE CONTAINMENT BUILDING? IF YOU FAVOR DELAY OF CORE MELT-THROUGH, DO YOU RECOMMEND REFRACTORY MATERIALS (SUCH AS MgO , ZrO_2) TO PROTECT THE CONTAINMENT CONCRETE BASEMAT, OR DO YOU RECOMMEND SOME OTHER MEANS? IF YOU FAVOR PERMANENT RETENTION OF CORE DEBRIS, DO YOU RECOMMEND USING REFRACTORY MATERIALS IN COMBINATION WITH COOLING SYSTEMS THAT RELY EITHER ON NATURAL CONVECTIVE COOLING OR FORCED PUMPING OF COOLANT AROUND THE EXTREMITIES OF THE REFRACTORY MATERIAL, OR DO YOU RECOMMEND SOME OTHER CONCEPT? WOULD YOU RESPOND DIFFERENTLY FOR DIFFERENT CONTAINMENT TYPES? IF SO, WHAT DIFFERENCES WOULD YOU RECOMMEND? HOW DO YOUR RECOMMENDATIONS IMPACT ON OTHER SAFETY CONSIDERATIONS?

TYPICAL QUESTIONS

o TRAINING AND PROCEDURES

HOW DO YOU VALUE ACTIONS SUCH AS REQUIRING MORE EXTENSIVE OPERATOR TRAINING, REQUIRING STRICT LITERAL COMPLIANCE WITH NEW AND IMPROVED DETAILED OPERATING PROCEDURES, AND EXPANDING CONTROL ROOM MINIMUM MANNING AS ALTERNATIVES OR SUPPLEMENTS TO DESIGN IMPROVEMENTS?

o DESIGN CRITERIA

WHAT DESIGN, QUALITY AND SEISMIC CRITERIA WOULD YOU RECOMMEND FOR ANY ADDITIONAL SYSTEMS TO PREVENT THE POTENTIAL BREACHING OF CONTAINMENT SUCH AS SYSTEMS FOR CONTROLLED FILTERED VENTING, HYDROGEN COMBUSTION CONTROL, AND CORE RETENTION MENTIONED IN PREVIOUS QUESTIONS? DO YOU FAVOR EVALUATING DESIGNS OF SUCH SYSTEMS ON A REALISTIC BASIS, AS OPPOSED TO THE CONSERVATIVE METHOD USED TO EVALUATE ENGINEERED SAFETY FEATURES? DO YOU FAVOR ESTABLISHING DESIGN CRITERIA FOR SUCH SYSTEMS THAT ARE EQUALLY STRINGENT, LESS STRINGENT, OR MORE STRINGENT THAN THOSE APPLIED TO ENGINEERED SAFETY FEATURES? PLEASE EXPLAIN YOUR RESPONSE IN TERMS OF CRITERIA YOU WOULD RECOMMEND, INCLUDING CONSIDERATION OF REDUNDANCY, DIVERSITY, TESTABILITY, INSPECTABILITY, AND STRUCTURAL DESIGN LIMITS (INCLUDING SEISMIC REQUIREMENTS).

1 MR. MEDIEROS: The first slide talks about the task
2 origin. In May of 1979, Mr. Minot from the Office of
3 Standards and Development made a general commitment to the
4 Commission that we should upgrade our regulations and improve
5 them to consider degraded cooling. And, later in August, he
6 provided a detailed, 20-page plan from the Executive Director
7 of Operations that would address this task.

8 And then, later on, as many of you know, the task
9 action plan as a result of the Three Mile Island accident was
10 developed about December and in March, in item II.B. -- in
11 case you want to reference it to that task action plan -- in
12 Item II.B., "Consideration of Degraded or Melted Coolers and
13 Safety Review," was written into the plan as a high-priority
14 item and today we are going to talk about Item II.B.8., which
15 is the degraded cooling advance notice of rulemaking.

16 It's not proposed rulemaking; it's not effective
17 rulemaking. It's an advance notice of rulemaking, and I'll
18 explain what that means in a minute.

19 And, of course, in the future I expect that this
20 will be integrated into the agency's plant.

21 Briefly stated, the problem is one that degraded
22 cooling and resultant core damage is treated unevenly in the
23 regulations. For example, if you go to Part 100 you will find
24 that it assumes substantial melting, it assumes 100 percent
25 release of the noble gases, 50 percent release of the

1 halogens, 100 percent release of the particulates.

2 If you go to a different part of the regulations,
3 part 5044, you'll see where we talk about 5 percent
4 hydrogen -- this is the hydrogen control portions of the
5 regulations. If you go to the ECCS portion of the
6 regulations, which is 5046, you'll see something like 1
7 percent hydrogen and then some other criteria, like 2200
8 degrees Fahrenheit and 17 percent clad oxidation, and so forth.

9 But you can go through various other sections of the
10 regulations and see an uneven treatment in the regulations of
11 degraded cooling which, of course, results in degraded cores.

12 The second way, I think, to express the problem is
13 that the safety analysis stopped short of Class 9 accidents,
14 and that is well-documented and we feel that the safety
15 analysis report, therefore, is inadequate, if it stops short
16 of discussing Class 9 accidents.

17 The third way to categorize the problem would be
18 that the currently analyzed design basis accidents do not
19 envelope plausible events sufficiently. In particular, I am
20 thinking in terms of multiple failures and operator errors and
21 so forth.

22 And then I put at the bottom here an example of
23 related problems because this spawns a whole series of other
24 problems. For example, the safety grade idea is based on
25 whether or not a function is credited analysis of a design

1 basis event.

2 The advanced notice of rulemaking has five features.

3 First of all, we try to define to the public the
4 area of concern and then we try to explain the problem to the
5 public as best we can.

6 Then we try to provide the public an opportunity to
7 advise the Commission and usually give them 45 or 50 days. We
8 try to elicit this advice by asking questions and half of my
9 slides here today will be typical questions that I will
10 suggest that we ask.

11 That's the bulk of my presentation.

12 And then, of course, we use these public
13 recommendations to shape a proposed rule, and, Dr. Kerr, this
14 is what I had in mind earlier when I popped up inappropriately
15 when you were interested particularly in Zion and Indian Point
16 and I thought you were talking more generally and suggested
17 that this was one of the means that we would try to answer
18 some of the concerns that you had.

19 CHAIRMAN KERR: Mr. Medieros, in connection with
20 your earlier statement, in your view does a Class 8 accident
21 include core degradation?

22 MR. MEDIEROS: Core degradation? Only to the
23 extent, I guess, that the ECCS criteria considers it and that
24 the --

25 CHAIRMAN KERR: Well, you just pointed out that Part

1 100 specifies that the siting analysis considers significant
2 melting of the core, and I believe it does. I would assume
3 that that is associated with core degradation.

4 MR. MEDIEROS: That's right.

5 CHAIRMAN KERR: Hence, does Part 100 deal with Class
6 9 accidents in its present form, in your view?

7 MR. MEDIEROS: Yes, sir. Certainly.

8 Part 100, with that criteria, has to assume a Class
9 9 accident because it says substantially --

10 CHAIRMAN KERR: So we are already dealing with Class
11 9 accidents.

12 MR. MEDIEROS: We're already dealing with Class 9
13 accidents. My point is that we don't deal specifically with
14 them in the safety analysis.

15 CHAIRMAN KERR: Okay. Thank you.

16 MR. MEDIEROS: The next slide is the fact that we
17 already have some existing advice. It's not that we don't
18 already receive much advice. The Commission has.

19 I show, for example, here that if you pick the NUREG
20 0585, "Lessons Learned: Task Force Final Report", you'll find
21 on those pages -- and I don't want to take the time to recite
22 that, but there are about ten brief questions that are in the
23 form of advice as to what we should be asking and looking at.

24 Similarly, the Kemeny report, the accident on Three
25 Mile Island, if you look on those pages, for example, you'll

1 find recommendations in particular with attention to multiple
2 failures and operator areas. And especially since it was
3 short enough to put here, I plucked some appropriate advice
4 from the Rogovin report which is quite pointed and says,
5 "We've come far beyond the point at which existing design
6 basis accident review approach is sufficient. The process is
7 not good enough to pinpoint many important design weaknesses,
8 or to address all relevant design issues.

9 "Some important accidents are outside, or not
10 adequately addressed, within the design envelope and key
11 systems are not safety related and integration of human
12 factors in the design review is grossly inadequate."

13 So this sums up some of the thinking that is going
14 into this advanced notice of rulemaking.

15 CHAIRMAN KERR: If you are expressing, and I assume
16 you are, a Commission position here, it is a big surprising to
17 me that you do not refer to an earlier report which also both
18 explicitly and implicitly suggests that one look at multiple
19 failures and probabilities of accidents that might involve
20 core melt.

21 Certainly the Kemeny report and the Rogovin report
22 are not the earliest advice.

23 MR. MEDIEROS: No, sir. I said some. I just picked
24 three that were timely, that would fit on the slide. I
25 suspect that we could put up three or four slides with all of

1 the advice that we've gotten.

2 It was just an illustration of the fact that we
3 already have some advice and this advice, for example, is some
4 of the thinking that's going into the advance notice of
5 rulemaking.

6 Now, the features of the advance notice of
7 rulemaking -- and this is the last slide before I get to the
8 typical question -- the features as they are presently
9 envisioned -- and I might say at this point that we are in the
10 process of writing this advance notice of rulemaking. It
11 hasn't been presented to the Commission for review, for
12 approval, for concurrence.

13 The Office of Standards has a draft paper working
14 with NRR and the other offices to try to get agreement on a
15 Commission position --

16 CHAIRMAN KERR: Remind me, what is an ANR?

17 MR. MEDIEROS: Advance Notice of Rulemaking, as
18 differentiated from the next step which would be a proposed
19 rule, which would set forth what exactly we had in mind and
20 get comments on that; and then the effective rule being the
21 third step.

22 The Advance Notice of Rulemaking, to go back a
23 couple of slides, is more a kind of question thing.

24 CHAIRMAN KERR: That's enough.

25 MR. MEDIEROS: Yes, sir.

1 Okay.

2 The features that we would envision in this Advance
3 Notice of Rulemaking again, we would require a coherent
4 consideration of core damage and design and review; not to
5 mean that all systems would be designed with the same degree
6 of cooling, degraded cooling and core damage, because that
7 might not make sense. But at least if you went through the
8 systems and the various parts of the regulations, they would
9 be coherent and you could explain why, one, maybe was less
10 stringent than another on a consistent basis.

11 The second point about the Advance Notice of
12 Rulemaking, the second feature, is that we would suggest
13 analyzing a broad range of accidents within and outside the
14 traditional design basis envelopes. We would try to express
15 the idea, I guess, that the clad is really not a strong
16 barrier, not only when you have degraded cooling and degraded
17 cores does it let the fission products out, but it contributes
18 to your accident by generating an explosive gas.

19 We've known all these things all along, but I think
20 we would try to highlight this more in asking the questions
21 and this would form an important basis for our rule -- the
22 fact that the clad might not be as important or as strong a
23 barrier as we've thought it to be. It contributes greatly to
24 the accident.

25 We would try to do this analysis in a range from

1 clad perforation, a very small kind of problem, right through
2 core melting, because the problems differ at each end of the
3 spectrum and in between, the problems you have to handle, and
4 so you might have different design ideas to cope with the
5 problems.

6 For example, at the perforation end, you might have
7 a little bit of gap activity and a little bit of hydrogen
8 because you will probably heat it up a bit. Then as you got a
9 little bit further along, you'd have lots more hydrogen to
10 worry about and more gap activity.

11 Then eventually you'd have a lot of hydrogen and
12 then, of course, finally you'd not only have the gap activity
13 but you'd get the radioactivity coming out of the fuel as
14 well. So the problem will get worse as you get towards the
15 core melt in, and different solutions might be indicated at
16 various steps on the way, in terms of mitigation or in terms
17 of prevention.

18 MR. LEE: Question.

19 Could you first comment a little bit on your first
20 statement there that you'd like to read a coherent
21 consideration of core damage with regard to the discussion we
22 had earlier in the morning relating to the probabilistic risk
23 assessment, and so on?

24 MR. MEDIEROS: Well, I don't view, or envision, a
25 terrible much use of probabalistic risk assessment in this

1 work, frankly. I just don't feel that the tools are there
2 these days to use it that much, although I recognize it is a
3 very trendy subject and --

4 CHAIRMAN KERR: You quoted the Kemeny Commission as
5 one of the reasons that you are doing this.

6 MR. MEDIEROS: Yes, sir.

7 CHAIRMAN KERR: It certainly recommended it
8 strongly.

9 MR. MEDIEROS: It certainly did, and so did Rogovin
10 and everybody else. I realize it is very trendy.

11 CHAIRMAN KERR: How do you decide which of the
12 Kemeny Commission's advice to take and which to ignore?

13 MR. MEDIEROS: The ones that make more sense than
14 the others I think we would take, and the ones that --

15 (Laughter)

16 MR. MEDIEROS: I don't think they all make sense,
17 really.

18 CHAIRMAN KERR: You use what is called engineering
19 judgment?

20 MR. MEDIEROS: Yes, sir. That's what I'm saying.
21 Yes, sir.

22 CHAIRMAN KERR: One of our committee members
23 just pointed out that the difficulty of using engineering
24 judgment is that it requires both engineering and judgment.

25 (Laughter)

1 MR. MEDIEROS: Yes, sir, and we will try to apply
2 them in liberal quantities.

3 Did I answer your question, or did I dodge it?

4 MR. LEE: Essentially you are suggesting some kind
5 of bounding calculation?

6 MR. MEDIEROS: Well, perhaps. I think as we come to
7 the questions here in a minute, this is a typical question and
8 very specific. You will see some of the things I'm
9 suggesting.

10 And then, if I haven't answered your question,
11 please --

12 CHAIRMAN KERR: When the Commission goes into
13 Advance Notice of Rulemaking, does it have in mind a rule that
14 it is going to propose, or does it sort of go in blind and
15 hope that wisdom will come out of this process?

16 MR. MEDIEROS: I hate to say it, but closer to the
17 later, really. We try to have something in mind.

18 CHAIRMAN KERR: I was hoping you would tell me
19 something different.

20 MR. MEDIEROS: No, sir. That's what we do.

21 We try to ask the questions as best we can to elicit
22 as much good technical advice as we can so that then we can
23 factor that into a proposed rule and we're not flying sort of
24 by ourselves in the proposed rule. We get the best technical
25 input that we can get.

1 CHAIRMAN KERR: Well, I don't know what your
2 experience has been, but my experience has been that you get
3 much better advice on something if what you propose is
4 specific. If we just go in and say, hey, tell us what we
5 should be doing, the advice you get is frequently not very
6 meaningful.

7 MR. MEDIEROS: I think my next questions will not
8 disappoint you in that regard. Can I beg off for just a
9 couple more slides, and I think then make you will see that
10 the kinds of questions that are being asked are specific
11 enough that they might suggest an answer.

12 CHAIRMAN KERR: It also strikes me, though, that at
13 some point in this process, the Commission ought to propose
14 some answers ---not in final, but its view of the best way to
15 approach this.

16 Is that part of the process?

17 MR. MEDIEROS: Yes, sir. It certainly is.

18 CHAIRMAN KERR: But it doesn't happen yet.

19 MR. MEDIEROS: You are going to see some of that in
20 the questions already. They presuppose some answers.

21 CHAIRMAN KERR: Oh. So they aren't really
22 questions?

23 MR. MEDIEROS: Well, they're a hybrid.

24 CHAIRMAN KERR: All right.

25 MR. MEDIEROS: One other thought that I think I

1 should put on the table that is guiding a lot of this work --
2 it's not one that I subscribe to. I really don't believe it,
3 but a lot of people I respect to and so it's important, and
4 we've thought about it in this work, is that we've reached a
5 point of diminishing returns in the area of accident
6 prevention and that we ought to be concentrating our efforts
7 in the area of mitigation. And that's a very popularly held
8 view, and this paper will try to factor that in as well.

9 As I say, I don't necessarily agree with that, but
10 that should come through in some of the questions that we ask
11 here.

12 Okay. Let me get to the next slide, which is the
13 first one with typical questions, and it will get more
14 detailed as I go.

15 MR. CATTON: Who is the public that you're going to
16 ask these questions of?

17 MR. MEDIEROS: The public is design agents, the
18 utilities, the common, ordinary citizens -- anybody that cares
19 to respond to the rulemaking and we will publish, in addition
20 to the Federal Register Notice, we will publish this and send
21 it to a long list of people we consider interested persons.

22 We will try to put this together from various
23 Commission computer lists, and so forth.

24 The first typical -- I call it a typical question.
25 We don't have an exact set of questions yet because we're

1 still working on this in the Commission, but it would discuss
2 the safety analysis, and I would put down to typical questions
3 with regard to safety analysis.

4 For the people in the back of the room, real
5 quickly: The Three Mile Island accident was terminated after
6 the core was damaged severely but before substantial melting
7 occurred, a condition well beyond the current design basis
8 accident events considered in the safety analysis.

9 Should the NRC require that events of this type be
10 considered in future safety analyses? If not, why not or if
11 so, what criteria would you impose to judge design
12 acceptability?

13 It kind of suggests an answer, I think, and some
14 direction and some guidance, but not quite, not completely.

15 The second question, along the same lines of
16 analysis: Although the consequences of core melt accident
17 have been considered to some extent in assessing nuclear power
18 plant safety, such as in requirements for siting, emergency
19 response plans and certain engineered safety features,
20 explicit consideration of the capability of current design and
21 casualty procedures to cope with core melt accidents has not
22 been a part of safety analysis scrutiny by the NRC.

23 And the question: Should core melt accidents be
24 specifically evaluated in safety analysis reviews and if so,
25 to what extent and if not, why not?

1 So that's a couple of typical questions on analysis.
2 The next typical questions would be on design
3 improvements.

4 Here we say that if we have a loss of core cooling
5 and resultant core damage in a nuclear power plant, there are
6 certain predictable consequences. By that, I mean from the
7 perforation that I showed you right on through the stages to
8 core melt.

9 Can these consequences be mitigated substantially
10 and the risk of their public health danger thereby reduced
11 substantially by practical design improvements?

12 If not, why not; or if so, what design improvements
13 can be made and at what estimated cost?

14 And here I have a question that I consider is
15 particularly important. How do your recommendations impact on
16 other safety considerations?

17 For example, somebody were to say in response to
18 this that we should inert all PWR plants, my gosh, what would
19 happen to maintainability, inspection. Or if you say well, we
20 are going to have a new policy. We'll put some people in
21 there with masks, then you create another hazard.

22 So there is all kinds of things that I think we must
23 balance in this kind of work in terms of impact on present
24 safety considerations. I think that's extremely important.

25 Then I think a typical question to the public would

1 concern hydrogen and how I've stated it here: How would you
2 value requirements to incorporate systems for controlling
3 hydrogen combustion and containment designs? Do you favor
4 methods that suppress combustion, or do you favor controlled
5 burning?

6 If you favor suppression of combustion, what
7 techniques would you recommend and should they vary as a
8 function of the design capability of current containments.

9 If you favor control burning, do you recommend open
10 flames, spark plugs, catalytic combustors or some other means?

11 And then, most important, what percent of the core's
12 zirconium being oxidized would you design for? The 44 to 60
13 percent we saw in Three Mile Island or 30 percent, or 25
14 percent?

15 And then, would you respond differently for a
16 different reactor or containment types and, if so, what
17 differences would you recommend?

18 This ties in quite a bit with what Jim Meyers
19 recommended at the earlier ACR's meeting on hydrogen control
20 and a good many of these ideas come from that lecture.

21 CHAIRMAN KERR: It is also at this point that your
22 earlier position on risk analysis puzzles me very much,
23 because I don't see how one can answer a question like this
24 without answering it in the context of a contributor to total
25 power plant risk.

1 I mean, you muck around with hydrogen all you want
2 to, but if it doesn't reduce the risk any, so what, and if it
3 reduces the risk significantly, then it may be important.

4 So I don't see how the Commission and the people who
5 respond to this and other questions have much of a context in
6 which to make a response unless they give fairly careful
7 attention to risk analysis.

8 MR. MEDIEROS: I think, in a relative sense, if
9 you're looking at relative probabilities and relative changes
10 and that sort of thing, I suspect the contribution to be made.
11 But I really haven't heard of any two experts that could agree
12 on any order of magnitude myself on a lot of these
13 probabilistic risks.

14 CHAIRMAN KERR: I would say that if they come within
15 an order of magnitude, that's very, very good.

16 MR. MEDIEROS: Maybe I should say within three
17 orders of magnitude.

18 CHAIRMAN KERR: There are two people here that want
19 to add to what you've said.

20 Yes, sir.

21 MR. MEDIEROS: I can use the help.

22 MR. MEYER: One of the questions that are included
23 in the draft that I've seen, anyway, that I don't think are
24 included in the sample that Manny has is the question of the
25 whole role of risk analysis in this area to obtain opinions

1 from the public and interested parties, how they view
2 quantitative risk analysis in an absolute sense, a relative
3 sense, so on and so forth.

4 So this opinion will be solicited from the public.

5 MR. MEDIEROS: Absolutely. I expect to put a
6 question of that kind in. I don't personally feel that it's
7 as important as one of the others and so I left it out.

8 CHAIRMAN KERR: That's going to be in the category
9 of the advice you're going to ignore because you don't think
10 it makes much sense.

11 MR. MEDIEROS: No, I'm not saying that. I'm saying
12 in the short presentation today, I picked more important
13 questions, I think, to put on the slide.

14 CHAIRMAN KERR: Mr. Kelber.
15 Will you yield to Mr. Kelber?

16 MR. MEDIEROS: Absolutely.

17 MR. KELBER: Regardless of other roles, I believe,
18 Bill, that you pointed very directly to a key role of risk
19 analysis and that is in evaluating the technical benefits and
20 the technical costs -- I hate to use the term negative benefit
21 -- the technical denigration to safety that might be put in by
22 a given fix. And I see no tool available to do this in a
23 quantitative, satisfactory way other than risk analysis.

24 CHAIRMAN KERR: Thank you, Mr. Kelber.

25 I hope that was helpful.

1 MR. MEDIEROS: I certainly will be accepting advice
2 from inside the Commission as well as outside the Commission.
3 His is as important as anybody's.

4 Okay. Let me go to the next question. The next
5 typical question.

6 CHAIRMAN KERR: I'm not sure I'd agree with that
7 last statement.

8 (Laughter)

9 MR. MEDIEROS: It makes him feel good anyway. He
10 won't heckle me, maybe, if I say that.

11 Now, getting to the mitigating features, we say that
12 -- and this, again, is just a typical question -- recognizing
13 that there could never be complete assurance that only events
14 analyzed as delineated in a safety analysis report will occur,
15 what additional analyses, procedures or design features would
16 you propose to mitigate fuel damage accidents in the range
17 from extensive clad perforation without oxidation, thus no
18 hydrogen, through a few percent clad perforation, through
19 extensive oxidation to full core meltdown?

20 Would you recommend different, and perhaps
21 overlapping, design features depending on the severity of core
22 damage to be coped with.

23 What I'm asking is basically, if you're talking
24 about mitigation for just the lower class of accidents, then
25 perhaps inerting would be appropriate. If you're thinking

1 about mitigation for a more severe accident, then maybe some
2 of the halons that Jim Meyers talked about in earlier
3 presentations, you may want to consider those.

4 CHAIRMAN KERR: Mr. Medieros, this is a lot of fun,
5 but we are far beyond schedule. It's partly my fault, for
6 asking too many questions.

7 So let me urge that we speed things up if we can.

8 MR. MEDIEROS: I'll do it. I've got two more
9 slides.

10 And control filtered -- in fact, if the people can
11 read it in the back of the room and you've had a chance to
12 read it, I won't reread it. They all don't have copies.

13 CHAIRMAN KERR: We have to assume that the people
14 that sit in the back of the room can't read -- that's the
15 reason they're sitting there --

16 (Laughter)

17 CHAIRMAN KERR: And if they want to read, they'll
18 come to the front.

19 Just make a few comments.

20 MR. MEDIEROS: All right. On controlled filter
21 venting, we have a question much like the others. I think the
22 public needs to know that what we're talking about with this
23 kind of a scheme, this kind of an idea, is letting the bird in
24 the hand that you have out for presumably getting two in the
25 bush.

1 Here you've got the radioactivity all captured in
2 containment and you're purposefully going to let it go with
3 this kind of an idea.

4 MS. SHINEFLUG: Excuse me. Could you please read
5 it, as long as I am making a tape recording, and people not
6 able to be here today would then have the benefit of knowing
7 what the questions are?

8 MR. MEDIEROS: Dr. Kerr, what are your instructions?

9 CHAIRMAN KERR: People who are not here today can
10 have a copy.

11 MR. SHEWMON: We might make the point that there is
12 a transcript available for purchase five days after the
13 meeting.

14 MS. SHINEFLUG: I cannot afford 8 cents a page.

15 CHAIRMAN KERR: Is this okay?

16 MS. SHINEFLUG: I'm not satisfied with it, no. I
17 think that as long as he's read the controlled filtered
18 venting, I'd appreciate it.

19 CHAIRMAN KERR: You're unwilling to accept the
20 written material?

21 MS. SHINEFLUG: No, I did not say that. I said that
22 I'd prefer that he'd read the questions into the tape
23 recorder. If you will not rule accordingly, then I will
24 accept this gentleman's copy of the written questions.

25 MR. MEDIEROS: I will proceed to the next slide, and

1 the next slide is a typical question on core catchers, and I
2 will leave it up long enough so that everyone can read it and
3 it incorporates the kinds of thoughts, ideas, that were
4 presented by Jim Meyer at the last ACRS meeting. It's the
5 kind of knotty thing that we're going to have to grapple with
6 if we're going to make any sense out of whether or not the core
7 catcher idea is a reasonable idea.

8 And then lastly I will put up typical questions
9 concerning training and procedures. If you believe that there
10 is still a good deal yet to be done in the area of prevention
11 in addition to mitigation, then this type of question might
12 appeal to you on the value of actions by requiring more
13 training and strict literal compliance with operating
14 procedures, and so forth, which, personally, I believe we've
15 barely scratched the surface. I believe we've got a
16 tremendous amount of work to do in this area and that could
17 have a great effect on increasing the safety of our
18 operations.

19 And then lastly, the last typical question I've put
20 up concerns the design criteria that you might use for some of
21 these mitigating features whether they be core catchers or
22 control filtered venting or hydrogen control, and whether you
23 use the realistic basis that was up on earlier slides that Jim
24 Meyer presented, or whether you go to a more conservative
25 method, and the reasons therefore.

1 And with that, I can conclude my presentation and
2 bring you closer to your schedule.

3 CHAIRMAN KERR: There is one thing I didn't see on
4 there that I would recommend you would include.

5 MR. MEDIEROS: Okay.

6 CHAIRMAN KERR: And that is a consideration of the
7 risk of these accidents compared to other risks to which
8 people are exposed. It may well be that most contributors
9 will think that there should be different, but it seems to me
10 that it would be helpful to have that input.

11 MR. MEDIEROS: I had that and a lot of other
12 questions earlier and I felt that to give the proper response
13 to this we're going to have to narrow and keep the scope very
14 tight, and that was one of the questions I took out.

15 CHAIRMAN KERR: That's a fairly key question.

16 MR. MEDIEROS: I understand. There's probably a
17 dozen more like it, but I accept your advice and I'm going to
18 put that down, and maybe we'll reconsider that.

19 But I am trying to narrow the scope to a manageable
20 one here, and I'm already being told that maybe it's a bit
21 broader than it should be.

22 But thank you.

23 CHAIRMAN KERR: Other questions or comments?

24 Mr. Lee?

25 MR. LEE: Would you perhaps comment on the procedure

1 involved in the use of the feedback you'd be getting from the
2 public in response to these questions?

3 MR. MEDIEROS: Yes, sir.

4 Let's suppose that we could put this out tomorrow,
5 and then let's start from there. Then there would be a 60-day
6 period in which the public would have time to read all of this
7 in the Federal Register or by a separate mailing, or some
8 other way, find out about it and write a response. The
9 responses would start dribbling in during that 60-day period,
10 but more than likely they would all come in on the last day
11 and so there would not be much you could do in that 60-day
12 period.

13 Then you would start, depending on how many you had
14 and how complicated they were and all that sort of thing, you
15 would start for the next month or two trying to evaluate each
16 technical response and then to form a position within the
17 Office of Standards.

18 The Office of Standards would do that facet of it.

19 Then once the Office of Standards felt that it had
20 properly reviewed all the public's response, understood what
21 they had to say and made the proper conclusions, a paper would
22 be prepared and circulated in the key offices in the
23 Commission prior to making a recommendation to the Commission.

24 And so that's a many month job, as you can see,
25 assuming we could start tomorrow. Now, we're not in a

1 position to start tomorrow, but we're working that way.

2 MR. LEE: I guess what I'm more interested in was
3 that the legal or procedural or schedular aspects of it, but
4 how to classify the technical responses, and who makes the
5 judgments on which ones they recommend, and things of that
6 nature.

7 MR. MEDIEROS: Who in the Commission?

8 MR. LEE: No, who in the Office of Standards.

9 MR. MEDIEROS: In this particular case, it could be
10 me, or it could be some more knowledgeable person, or several.
11 It could be any number of people who are not identified today.
12 I cannot identify them by name.

13 But engineers in the Office of Standards will do
14 their work and then in concert with engineers in other key
15 offices, would come to a proposed position on each of these
16 points.

17 Does that answer your question?

18 MR. LEE: Yes.

19 MR. MEDIEROS: That's how we would do it.

20 CHAIRMAN KERR: Are there any other questions?

21 Mr. Catton?

22 MR. CATTON: I notice the agenda shifting over to
23 Dr. Kelber. I'd like to ask Jim Meyer a question before we
24 get off of this area.

25 This goes back to the --

1 CHAIRMAN KERR: Let me see if we've completed
2 questioning of Mr. Medieros.

3 MR. CATTON: All right.

4 CHAIRMAN KERR: Have we?

5 Thank you, Mr. Medieros.

6 MR. MEDIEROS: Thank you.

7 CHAIRMAN KERR: Mr. Meyer, will you consent to
8 answer questions?

9 MR. MEYER: Sure.

10 MR. CATTON: In the mini-WASH-1400 report where the
11 utilities attempted to demonstrate how safe their plants were,
12 I think the numbers that they came up with were that the plant
13 was about 1000 times safer and that overall they were a factor
14 of ten better than WASH 1400.

15 If that --

16 CHAIRMAN KERR: The plants to which you refer are --

17 MR. CATTON: Zion and Indian Point.

18 If indeed their study is correct and you were agree
19 to it, what more could you require of them when they are
20 already ten times better than Surry?

21 MR. MEYER: If it is the Commission's determination
22 that in fact they are as safe in that risk perspective as they
23 claim, my personal opinion would be that there -- well, that
24 would certainly be a very important input to considering not
25 doing anything in terms of further mitigation features.

1 CHAIRMAN KERR: I think that's a statesmanlike
2 response.

3 MR. MEYER: There's the whole question of population
4 density.

5 MR. CATTON: Well, they included the population
6 density.

7 MR. MEYER: I'm aware of that.

8 MR. CATTON: And still came out with a factor of ten
9 less risk than Surry.

10 I'm not sure that I believe all of those factors,
11 but it was impressive.

12 MR. MEYER: Well, speaking for myself, if we felt
13 that that was an appropriate analysis from a risk perspective,
14 there is no reason to go ahead with any mitigation features.

15 CHAIRMAN KERR: Our next agenda item is Mr. Kelber.

16 MR. KELBER: I have copies of my testimony. My
17 testimony is in three volumes today and it is all bound
18 together.

19 I have been asked first to address the status of the
20 Class 9 technology with regard to Zion and Indian Point study.

21 The basic work of assembling the best current
22 estimate of threats to the containment and assessment of
23 suggested mitigating features is completed with the issuance
24 of reports which are NUREG CR1409 and NUREG CR1410 Volumes I
25 and II. These, I believe, have been sent to you and if you

1 haven't received them, blame it on the U.S. mail.

2 These are advance copies. The laboratories are
3 printing the reports and they should be more widely available
4 shortly.

5 The study leaves a number of questions open. I am
6 preparing, together with Walt Murfin of Sandia Laboratories, a
7 list of open topics focusing on the filtered vented
8 containment system proposed specifically for Zion and Indian
9 Point.

10 When that list of questions is complete, I will send
11 you a copy via Mr. Quittschriber.

12 The study was organized according to logic imposed
13 by WASH 1400. Therefore, the obvious assumption is that these
14 plants are not fundamentally different from the Surry plant.

15 There are differences in detail, and these will be
16 taken into account as IREP and related work proceeds, but the
17 basic logic is sound.

18 My first viewgraph demonstrates the relationship
19 between failure modes and the risks and consequences that was
20 developed in WASH 1400.

21 Now, the direct bypass LOCA in the event of Type V
22 that actually dominates the risk is not treated in this study.
23 Instead, an early analysis was made of Indian Point and Zion
24 by the probabilistic analysis staff in cooperation with NR --

25 CHAIRMAN KERR: Charlie, maybe it should be obvious

1 to me, but help me a bit. The aim of this study was not to
2 try to determine whether one should require core catchers for
3 containment.

4 MR. KELBER: No.

5 CHAIRMAN KERR: But rather to see what the state of
6 the art was if one had to design them. Is that correct?

7 MR. KELBER: That is correct.

8 All we seek to do is give NRR the best technical
9 support we can give and the best technical support available
10 right now. I will discuss the future program later.

11 An earlier analysis was made of the events of Type
12 V, because they were not within the scope of this study, and I
13 believe that appropriate orders were issued and are being
14 complied with to markedly reduce the likelihood of that
15 failure mode.

16 We also did not review in our study failure
17 isolation which is another mode illustrated on the graph.

18 The conclusions of this study should be carefully
19 qualified. As the report indicates, we simply did not have
20 time for the type of quality assurance that we normally like
21 to apply and though we did our best we want to emphasize that
22 there has to be more than the usual type of qualification.

23 I've made, for presentation purposes, a short
24 statement of the conclusions of our study. The pressure spike
25 that has been discussed earlier, or the hydrogen burn, is the

1 most challenging condition from the point of view of designing
2 an effective filtered vent containment system.

3 The venting strategies that show the promise of
4 handling the widest range of accident conditions also appear
5 to have a high potential for harmful system interaction.
6 Filtered venting does show promise of great reduction in
7 potential consequences -- by great reductions, I mean in
8 excess of an order of magnitude.

9 Steam explosions are unlikely to threaten
10 containment integrity. Hydrogen from the metal water reaction
11 is unlikely to detonate but burning might threaten the
12 containment integrity.

13 The penetration of concrete basemats cannot be ruled
14 out, but three to four days is our best estimate for the time
15 for penetration if it should occur, and penetration will be as
16 a solid mass of material.

17 The coolability of large-sized debris particles at
18 early times appears doubtful, either in- or ex-vessel, but
19 small particle debris bits may be coolable, and at later
20 times, coolability seems to be much more likely.

21 CHAIRMAN KERR: Now, are these statements in the
22 context of any existing plant?

23 MR. KELBER: These are directed specifically at the
24 Zion and Indian Point Plants and no other.

25 CHAIRMAN KERR: And no core catcher, but some

1 consideration of how filtered vented containment might affect
2 the actual sequence?

3 MR. KELBER: Yes, sir. Specifically for those
4 plants, and no others. It may be applicable to others, but it
5 is not specifically aimed at those.

6 We met our objectives of this study with somewhat
7 less precision than we had anticipated in some respects, but
8 nevertheless, with some useful guidance. As you will hear
9 later today, the conclusions on steam explosions represent the
10 synthesis of two groups' work. There is not complete
11 agreement on the details, although the conclusion for this
12 application is unaffected thereby.

13 But we expect that the current program at Sandia
14 will yield conclusive data in the next two years and then this
15 whole issue can be resolved.

16 The area of hydrogen control is still troublesome.
17 Work there is just beginning and we in the utilities have to
18 put more effort into this problem.

19 CHAIRMAN KERR: Is the conclusion that detonation is
20 unlikely based on the assumption everyone has completed
21 mixing?

22 MR. KELBER: Yes, sir.

23 I am not pleased, as an individual, with the current
24 status of work on this problem. We made surprising progress,
25 by the way, on structural response. Surprising because the

1 problem is technically formidable.

2 There are two teams, one at Sandia and one at LASL,
3 and they did a magnificent job. Basically, the response to
4 static or quasi-static loads turns out to be determining and
5 failure is predicted at about twice the rating of the
6 containment.

7 With respect to the major objective of the report,
8 that valuation of filtered vented containment systems as a
9 means of mitigating failure by overpressure, we confirmed some
10 expectations and developed some unexpected insights.

11 An FVCS -- Filtered Vented Containment System -- is
12 feasible and will be effective in reducing predicted
13 consequences of a Class 9 accident by an order of magnitude or
14 more, and that confirms our expectations based on earlier
15 studies.

16 On the other hand, an investigation of how the FVCS
17 interacts with the rest of the containment during the accident
18 sequence shows that interaction is complex, may carry with it
19 some chance for added risk, and so an assessment of the net
20 benefit from FBCS is incomplete.

21 Now, this is particularly important in the context
22 of backfitting an existing plant. If we were to design a
23 completely new plant, we might not have such a problem.

24 I don't have time to explore this topic in detail
25 with you now -- nor, in fact, the required expertise -- but I

1 suggest you may want to schedule a presentation at a mutually
2 satisfactory time with the experts, particularly Al Benjamin
3 and others at Sandia Laboratory, who have devoted a major
4 effort to this task.

5 Now, we've learned some lessons from all of this.

6 MR. CATTON: Excuse me, Charlie.

7 MR. KELBER: Yes, sir.

8 MR. CATTON: Number 7, isn't that opposite of what
9 was presented yesterday, coolability of large-sized debris
10 particles at early times appears doubtful? I thought the
11 large particles were more coolable than the small ones.

12 MR. KELBER: I think the answer to that is it
13 depends: It depends on the time of formation and the heat
14 source available.

15 MR. CATTON: Also, don't you have to consider that
16 the fragment --

17 MR. KELBER: I may have misquoted the report.
18 That's why I said, this graph has to be read with some
19 qualifications. But coolability of debris bed is not a
20 simplistic topic and it is going to be treated by the experts
21 in the area later this afternoon.

22 So why don't we defer until then. But I thought
23 that was an accurate quotation, summary, from the report.

24 We did learn some lessons and these lessons have a
25 wider range of applicability, and I'd like to dwell on them a

1 little. Accident management is a new topic. It's been
2 referred to in various aspects in your own report to Congress,
3 in NUREG 0603, in Section 1.2 and Dr. Murley is formulating a
4 new program that includes this topic, which I will comment on
5 a little bit later.

6 I am sure you want to hear more about our suggested
7 program in this area, as soon as Dr. Murley has these matters
8 well in hand. In the particular application reviewed in the
9 Zion and Indian Point study, we developed a large number of
10 alternative strategies for managing the accident, once we
11 presumed that we were inexorably headed for core melts.

12 That is a presumption which was questioned earlier
13 by Professor Shewmon and I'm going to comment on that in my
14 final presentation.

15 Most of these strategies are governed by the
16 prediction that the interaction of the molten core with waters
17 from the accumulators would produce so much steam, so rapidly,
18 that the containment pressure would rise from near, or over,
19 the failure point, even with a significant amount of venting
20 capability.

21 The strategies aimed at reducing the steam spike, or
22 by circumventing it, by reducing containment pressure earlier,
23 are spreading out the period of steam generation.

24 We cannot at this time rule out the production of
25 such a steam spike, but there is a natural reluctance that was

1 explored earlier to accept this prediction without better
2 data.

3 Finally, the prediction of structural failure under
4 static loads is still less precise and more dependent on
5 personal interpretation of sophisticated computing results
6 than we would like to see. We will be discussing these
7 problems with the structural engineering research branch, who
8 are very supportive of our efforts, and the obvious question
9 is ought we do a more precisely directed containment testing
10 program to study this problem in greater detail.

11 that concludes the first part of my presentation.

12 CHAIRMAN KERR: Are there questions on this first
13 part?

14 MR. LEE: Yes.

15 Could you comment on the verification of the March
16 code in your program plan at this moment?

17 MR. KELBER: I'm going to be taking up that in the
18 next two presentations, and Dr. Mel Silverberg will be
19 following my second presentation with a detailed discussion of
20 the work directed specifically at fuel melt interactions.

21 So perhaps we could cover that then.

22 CHAIRMAN KERR: Do you have other questions?

23 If I understood your comment concerning filtered
24 vented contingencies, I would assume that you would not, at
25 this point, with the information available to you, feel very

1 comfortable about making a decision as to whether one should
2 be installed?

3 MR. KELBER: We have yet to come to an understanding
4 of what is the way we arrive at a design basis for such a
5 system if, in fact, we go ahead and decide to put one in.

6 CHAIRMAN KERR: Now, I would assume that this, at
7 this point, is an open question at the Indian Point and Zion
8 situations.

9 MR. KELBER: That is my understanding.

10 CHAIRMAN KERR: What does NRR have in mind? Is
11 there a program that will provide you with the information
12 that you think you need to make a decision within the time you
13 need to make such a decision, or do you agree with Mr.
14 Kelber's evaluation that at this point you don't have the
15 information you need to make a decision?

16 Is my question clear? It was somewhat rambling.

17 MR. MEYER: Let me try it.

18 We presently do not have the information. We have
19 been working closely with research, and I referred to one
20 letter in particular that has recently been transmitted to
21 research that outlines our concerns and our expectations
22 regarding several of the program elements that are germane to
23 the design Indian Point effort.

24 In particular, we are anxious to see the core melt
25 interaction with concrete materials program accelerated. We

1 are --

2 CHAIRMAN KERR: This is an experimental or an
3 analytical program.

4 MR. MEYER: This is an experimental and analytical
5 and Mel will be telling you more about that.

6 CHAIRMAN KERR: And it is your view that within six
7 or eight months it can be producing the results you need to
8 make your decisions?

9 MR. MEYER: I wish that Andy Marchese was here to
10 answer that question.

11 CHAIRMAN KERR: I'll accept --

12 MR. MEYER: I'm not the appropriate person to answer
13 that question.

14 CHAIRMAN KERR: But I think if you're going to need
15 the information that you do not now have, in order to reach a
16 decision, is there an alternate way of getting whatever
17 information you will have to have to reach a decision?

18 MR. KELBER: Jim, may I interject a remark?

19 I think that we will have some early data that will
20 be very useful in screening various strategies with respect to
21 the employment of a filtered vented system.

22 There are some early analyses --

23 CHAIRMAN KERR: I don't know whether that means yes
24 or no.

25 MR. KELBER: The answer is that we will not have

1 complete data but we have data that will narrow the problem
2 substantially.

3 MR. MEYER: We hope we have impressed on research
4 the urgency and the importance of the Zion and Indian Point
5 activity and like I said before, the addressing of real
6 systems, practical conceptual designs, the type of thing that
7 has been done in Al Benjamin's work at Sandia, these are the
8 types of things that we are looking for in order for us to
9 make decisions regarding design basis and design criteria.

10 CHAIRMAN KERR: Well, you see, if I were a
11 pessimist, I could assume that one is moving towards a
12 decision and it would be nice to have the information needed
13 to make the decision, which is you're going to have to make
14 the decision anyway. The problem with that -- I'm in favor of
15 decisions, but the problem with that is that you might make
16 the wrong one and it might be a very wrong one.

17 I'm groping for something that says to me, you won't
18 have perfect data -- you never do -- and you won't have all
19 the information you'd like to have -- you never do -- but
20 you're confident that given some decision point you will have
21 enough information that you can make a reasonably intelligent
22 decision.

23 Now, do you think you have a schedule that will
24 permit you to be comfortable with that?

25 MR. MEYER: I think that, if I understand some of

1 the redirection that is taking place now in formulating the
2 final research program correctly, that we should by our
3 December milestone date, have enough information that we can
4 at least answer the questions you implied a minute ago, namely
5 are there flaws in these systems? Are there ways in which
6 they interact with other systems to possibly present more
7 problems than solutions and also have a very good feeling
8 for, given what we feel are representative and scoping
9 accident sequences, that these systems have a reasonable
10 chance of working as designed.

11 I think that we're in a position to address those.
12 The more comprehensive question of risk reduction is another
13 matter.

14 CHAIRMAN KERR: In your view, you have the resources
15 and the priorities that are appropriate to dealing with this
16 question?

17 MR. MEYER: Well, no, I didn't say resources. I
18 said my understanding of the redirection of the plan. I think
19 Dr. Kelber will comment on resources.

20 CHAIRMAN KERR: I'm not trying to make you say
21 things that you didn't say, but it seems to me if you say that
22 you think results will be available that will permit you to
23 answer the question, that implies that the resources and the
24 schedule are such that, come December, you will get the
25 results.

1 I'm not trying to put you through the third degree
2 or anything. I'm just trying to understand what you're
3 telling me.

4 MR. MEYER: There will have to be some reworking of
5 priorities in terms of both NRR and Research, financial
6 resources, in order to accomplish this. But perhaps I'm an
7 optimist, but I would anticipate that type of reallocation
8 taking place.

9 The Zion/Indian Point and the action plan has the
10 highest priority of the three priority classes and I
11 understand the Commission will accept these priorities.

12 CHAIRMAN KERR: Thank you.

13 Continue with your next presentation please, Mr.
14 Kelber.

15 MR. KELBER: Obviously, the effort directed at Zion
16 and Indian Point is just the tip of the iceberg. In addition
17 to the near-term work we have now to plan a more systematic
18 approach and I have been asked to comment on the needs for
19 future Class 9 accident research.

20 The program that I am now in the process of
21 formulating is related to the agency mission as follows.

22 First, the NRC rulemaking activities related to
23 Class 9 accident evaluation and site evaluation require
24 technical foundation as did the ECCS proceedings in 1973.

25 Class 9 accident research program aims at producing

1 some key results while the rulemaking hearings are still
2 underway.

3 I am not so optimistic to believe that those
4 hearings will be over in a short period of time. I believe it
5 is going to require a great deal of deliberation and that the
6 hearings may take two to three years.

7 I have in mind formulating a program that lasts
8 approximately four years, producing some key results within
9 the first two years, but there are some pacing problems which
10 I will discuss with you as we go on.

11 CHAIRMAN KERR: Just to give me some perspective,
12 we've talked a lot about Indian Point and Zion, which I think
13 is a sort of a first decision.

14 MR. KELBER: Right.

15 CHAIRMAN KERR: There is a later group of plant,
16 some of which are beginning construction, with which one must
17 deal. Is the assumption that the Indian Point/Zion results
18 will permit one to deal with those plants or does research
19 have some responsibility to get additional information perhaps
20 before rulemaking to deal with those problems?

21 How does one see this schedule?

22 MR. KELBER: I do not know what the view of my
23 management is on the scheduling problem, but I have expressed
24 somewhat forcibly the position that we will not have the
25 luxury of waiting indefinitely for answers to come forth, and

1 that some of these problems are very near term.

2 I think there are a substantial number of staff at
3 the NRR who feel that in the near-term, analagous problems
4 will arise and we will have to handle them as they come.

5 CHAIRMAN KERR: But as far as your chronology is
6 concerned, you are going from Indian Point/Zion to research
7 that you feel will be related to rulemaking at the present
8 time?

9 MR. KELBER: That is correct.

10 I do not believe that we can carry on effectively an
11 ad hoc program. There are too many problems here which cut
12 across the board.

13 CHAIRMAN KERR: Does that imply that in your thinking
14 you believe that the results of the rulemaking must be in hand
15 before one deals with plants beyond Indian Point and Zion?
16 I'm not trying to ask now for Commission policy, but the basis
17 for your plan.

18 MR. KELBER: I have given a lot of thought and have
19 not formed a conclusion to that, because I'm not sure what the
20 pluses and minuses are on all the sides. I simply do not know
21 how to answer that question at this time.

22 I just know that we have to deal with these problems
23 and that we have to deal with them expeditiously.

24 CHAIRMAN KERR: Mr. Oshinski?

25 MR. OSHINSKI: Thank you, sir.

1 I'd like to say something here. At NRR there is an
2 evaluation taking place now and a paper being put together for
3 the Commission in regard to whether selection of additional
4 plants past Zion and Indian Point is appropriate, and, if so,
5 what type of selection criteria might be considered and for
6 what purpose, additional risk evaluations, or whatever is
7 appropriate.

8 That is being put together now. It is my
9 understanding that that would go to the Commissioners within
10 the timeframe of the next couple of weeks.

11 CHAIRMAN KERR: Thank you.

12 MR. KELBER: The second item that relates this
13 program to the agency mission comes back to management of
14 accidents, including strategy for engineered safety featuring
15 deployment or operator action. This is largely unexplored
16 territory.

17 The Class 9 accident research program will provide
18 the technological basis for comparative analysis of
19 strategies --

20 CHAIRMAN KERR: I will not continue to interrupt
21 indefinitely, but I get the impression that this is a program
22 that is being done, not in direct response to NRR but in
23 response to what you think some of the questions are that they
24 would be asking if they had time right now.

25 MR. KELBER: That is correct, and we are going to

1 meet with them. It is my mode of operation to set down my
2 thoughts as well as I can, discuss them with my own
3 management, discuss them with NRR in a collegial way, discuss
4 them with you.

5 One of the reasons we are here today is to get your
6 input. And there will be an agreed-upon plan in the not very
7 far distant future.

8 CHAIRMAN KERR: Thank you.

9 MR. KELBER: I should say, by the way, we anticipate
10 that there will be questions developed during the rulemaking
11 that obviously may change the direction of work. None of this
12 plan is going to be graven in stone.

13 The Class 9 action and the research program will
14 provide the technological basis for comparative analysis of
15 strategies similar to the analysis of the filter vented
16 containment strategies now being carried out. The Class 9
17 accidents are generally characterized by multiple failures,
18 including failures of engineered safety features.

19 It is highly likely, therefore, that operator
20 intervention will be required to avoid containment failure.

21 From a risk perspective, this program of work forms
22 the basis for assessing methods for preventing and mitigating
23 the greatest source of risk to the public. Note that I am not
24 addressing whether that risk is too high or too low. I'm
25 simply saying that this chart which as the logo signifies, was

1 prepared by Battelle, says that if all PWR's were like Surry,
2 the risk to the public expressed in the rather peculiar unit,
3 equivalent to iodine 131 curies per reactor year, is 540 from
4 the Class 9 accidents and the next largest is the normal
5 operational release of 1.7.

6 CHAIRMAN KERR: Is the significance of plural of the
7 PWRs something or other, or is it just some arbitrary
8 normalization?

9 MR. KELBER: An arbitrary normalization.

10 Now, this comparison is hardly exact for any plant.
11 It may show some significant variation from plant to plant,
12 but the potential for risk reduction by prevention and
13 mitigation of Class 9 accidents is very clear and a factor of
14 100 reduction in the relative risk from Class 9 accidents
15 which may be achievable is probably as far as one can
16 reasonably go on a cost-benefit basis since that then would
17 bring this number into the as low as reasonably achievable
18 range.

19 The Zion/Indian Point study suggests that a factor
20 of 10 reduction in relative risk is readily achievable, at
21 least in new designs, and whether we can get another factor of
22 10 or not is still an open question. It is my personal
23 judgment at this time that we can.

24 We don't suggest, in our program, whether this
25 reduction is needed.

1 CHAIRMAN KERR: I don't understand the significance
2 of those numbers.

3 MR. KELBER: This is simply a common basis for
4 comparing the risks. This is similar to farmers unit of
5 curies per reactor year.

6 CHAIRMAN KERR: I know, but for example, I assume
7 the probability of the normal operational release at one.

8 MR. KELBER: That's correct, but it's a very small
9 release.

10 CHAIRMAN KERR: Now, clearly the probability of the
11 540 is not one.

12 MR. KELBER: No, no. This is the product of
13 probability times consequences. It is the expected value --

14 CHAIRMAN KERR: It says curies --

15 MR. KELBER: It is the expected value in curies per
16 reactor year.

17 The risk is put into -

18 CHAIRMAN KERR: It seems to me that that implies
19 that some accident with low probability is going to release
20 just about all of the iodine, I presume.

21 MR. KELBER: As an example.

22 Multiply the frequency of such actions per reactor
23 year times the release.

24 CHAIRMAN KERR: I understand the technique, but I
25 don't understand the significance.

1 MR. KELBER: The significance is that this is a
2 measure, properly normalized, of the relative contribution to
3 risk from normal operation, from the Class 3 through 3
4 accidents, and from the Class 9 accidents.

5 The risk all resides, to all intents and purposes,
6 with the Class 9 accidents.

7 We've heard this statement before. This is a
8 numerical expression of what is meant by that. It is also a
9 numerical expression of where the cost-benefit may possibly
10 lie, how far you would be able to go.

11 Now, there is a temptation, nevertheless, to focus
12 on the more probable, the less consequential events. Let me
13 illustrate very briefly the comparison of the likelihood and
14 consequences of the accidents in the Class 3 through 8 as
15 compared with the Class 9 accidents.

16 The temptation is great to concentrate on the Class
17 3 through 8 accidents because they are so much more likely as
18 a class. But the pay-off is very small, as we have
19 illustrated on the preceding viewgraph.

20 Of course, we have to avoid some blanket judgments.
21 Again, these are numbers based on a study of what is believed
22 to be a representative plant, but it is known that there is
23 wide variability from plant to plant.

24 An example is the study of valve reliability. An
25 examination of WASH-1400 shows that the failure of a valve to

1 reseat the event Q is reasonably likely in a plant like Surry
2 but the sequences involving event Q do not contribute
3 substantially to risk.

4 On the other hand, a brief IREP review of Crystal
5 River apparently indicates that sequences involving such an
6 event are predominant there. So the studies such as IREP are
7 vital to determining the priority which one attaches to
8 various problems of this sort. Simply because a problem is of
9 low priority in one plant does not mean, in other words, that
10 is of low priority in all plants, or conversely.

11 Now, the studies of component reliability do not, by
12 themselves, assure accident prevention or mitigation and I want
13 to address this in more general terms to set the context and
14 this I do in my next viewgraph.

15 MR. LEE: Would you say the uncertainties associated
16 with these estimated probable consequences would increase as
17 you go into low probability events?

18 MR. KELBER: That may be a general statement, but
19 I'm not sure that, as all general statements on risk analysis,
20 I'm not sure that that has a great deal of meaning in it. It
21 certainly is a generally true statement that we know much less
22 about rare events than about likely events. But, on the other
23 hand, we might not need to know very much about them.

24 MR. LEE: I don't understand why you say we may not
25 need to know very much about it.

1 If the uncertainties for low probability events are
2 four orders of magnitude larger -- I'm exaggerating, of
3 course, perhaps -- it is much of a difference.

4 MR. KELBER: It is possible that there are events
5 which are very rare whose likelihood we either overestimate or
6 greatly underestimate and, to give you an example, a question
7 is the existence of earthquakes that are so severe that they
8 would do massive damage to the plant. Now, there is nothing
9 you can do about mitigating the consequences of such an
10 earthquake except not build the plant.

11 Now, it is going to be a very difficult job to be
12 able to make a very precise determination. If, however,
13 you know that it is less than some given bound, you may be all
14 right in going ahead in ignorance. And that certainly is the
15 basis on which are proceeding at the present time.

16 I would like to compare, at this time, the benefits
17 and the ways we look at prevention and mitigation. This was
18 brought up earlier.

19 I think we have to appoprtion resources between
20 these two topics, and I want to point out that there is a
21 substantial stake that the plant owners have in accident
22 prevention. The experience of TMI-2 shows that quite apart
23 from the questions of public health and safety, the owners
24 have great incentives to avoid the enormous penalties
25 associated with the cost of replacement power during a

1 prolonged plant outage.

2 At least one utility has had favorable experience in
3 bond rating as a result of a company funded and staffed
4 program aimed at the prevention of serious accidents.

5 It is my recommendation that the NRC role in
6 accident prevention -- and this is strictly a personal view --
7 be restricted relative to that of DOE and the utilities. The
8 IREP, the human factors, ECCS and the related programs, the
9 multiple failure and accident analysis, enable us to assess
10 the solutions to discovered problems and to audit, in a
11 detailed way, the work of the utilities.

12 I, and many of my colleagues join me in this, feel
13 that the burden of developing detailed solutions and
14 implementing them in this area should be borne by the
15 industry. In this respect, the Committee may wish to assess
16 in some detail what the industry groups are doing to prevent
17 Class 9 accidents and, in so doing, I recommend the logic
18 developed in WASH-1400 be used to screen those programs that
19 cater to prejudices existing in the industry, or within the
20 NRC, and those which purposefully address risk reduction.

21 Now, one common factor to both prevention and
22 mitigation is the multiple failure accidents analysis. I've
23 mentioned this briefly before.

24 In accord with the recommendation I.2.10 in NUREG
25 0603 and related recommendations you made in your most recent

1 report to the Congress, Dr. Murley is organizing a program
2 devoted to analyzing the system interactions and opportunities
3 for operator intervention to reduce accident consequences.

4 I'd like to say that I understand that you are
5 preparing to hear a brief report prepared by NSAC at a later
6 date on operator actions which might be employed in response
7 to a small brake accident. I think that is certainly a step
8 in the right direction.

9 CHAIRMAN KERR: I'm trying to relate to what you are
10 telling me to the rulemaking and what you're telling me now is
11 sort of a philosophy and an approach to safety which would
12 include Class 9 accidents.

13 MR. KELBER: Yes, sir.

14 CHAIRMAN KERR: But at some point it's going to
15 become more specific?

16 MR. KELBER: Yes, sir.

17 CHAIRMAN KERR: I'm discussing how we apportion
18 resources, and what I am trying to justify is a concentration
19 within our program on mitigation knowing that there are tools
20 in place outside the scope of our program which allow us to
21 assess prevention.

22 In other words, what I'm saying is that our program
23 is not all things to all men, that there is an important role
24 for prevention. I think it is equal to mitigation. I don't
25 think we should be doing it.

1 If you feel we should be doing it, we can tackle it.

2 CHAIRMAN KERR: Okay.

3 Now, you earlier also mentioned, if I understood you
4 correctly, that there was some significant difference plant to
5 plant in risk and I assume your evaluation was one in which
6 the problem was also a corresponding significant difference in
7 the probability of core melt. Or was that it?

8 MR. KELBER: I would imagine there would be.

9 CHAIRMAN KERR: Now, is it being thought about, in a
10 longterm basis, even within RES as a recommendation to the
11 staff, or within the staff, that one will attempt to establish
12 some uniform goal for core melt probability or for
13 consequences? Without necessarily determining how it should
14 be achieved, but to say here is what we consider to be a
15 reasonable goal for something or other.

16 MR. KELBER: I suspect that one may want to try a
17 variety of techniques. One could establish a goal. One could
18 establish a variety of partial standards, such as the
19 likelihood of core melt, that you have to meet or exceed.

20 Bill Stratton, who used to be a member of your
21 committee, has commented that perhaps we ought to have a trial
22 period in which, along with a conventional licensing approach
23 we have a parallel approach based on this.

24 I think this is a topic which --

25 CHAIRMAN KERR: I think you're telling me that

1 you're telling me that there hasn't really been much thinking
2 about this with RES but maybe some day somebody will give it
3 some thought.

4 MR. KELBER: I think it has to be done.

5 CHAIRMAN KERR: Yes, sir?

6 MR. OLSHINSKI: In that regard, the generic
7 proceedings the Commissioners have said they are going to
8 hold -- I don't know the timeframe, but fairly soon -- on high
9 population density site questions as to whether they should be
10 trated differently than just overall deterministic ruling, I
11 think will touch upon this because, in addition to looking at
12 the population density they will also be looking at the risk
13 question and clearly, part of that question is going to be
14 what type of limit do we want to have on a class 9, of what
15 probability?

16 So I think that proceeding --

17 CHAIRMAN KERR: Has the Commission asked somebody
18 within the staff to begin some serious work on setting such
19 goals?

20 MR. OLSHINSKI: Not yet, but they have recently gone
21 on record as saying they were going to have generic
22 proceedings in that regard for high population density plans.

23 CHAIRMAN KERR: I guess I don't know how one has
24 generic proceedings and I probably wouldn't understand it if I
25 did, but it seems to me to be helpful if the Commission went

1 into this with at least some background homework. Now, who is
2 going to do that?

3 MR. OLSHINSKI: As far as I know they have not asked
4 the staff at this point.

5 CHAIRMAN KERR: When are the hearings to be held?

6 MR. OLSHINSKI: The timeframe has not been
7 specified. The feeling I got during the discussions that they
8 had on it was talking within the next six to eight months.

9 CHAIRMAN KERR: So they will have to ask somebody
10 fairly soon.

11 MR. OLSHINSKI: Yes, sir.

12 MR. KELBER: I think there's a problem here and that
13 is all of these proceedings, the siting evaluation, the
14 degraded core rulemaking, emergency planning, all have a
15 common thread. There is a logic which is supplied by the risk
16 evaluation approach and the question you're asking is, is that
17 going to be applied? And I don't know the answer to that.

18 I think that's a question you may want to take up
19 with Dr. Budnitz.

20 MR. SHEWMON: While you're interrupting, let me
21 bring up another point here. I can remember DOE people quoted
22 as saying that they only did research on things which had to
23 do with licensable events -- that is, not Class 9.

24 Have you any evidence that TMI-2 has changed that
25 viewpoint over there, or that they are going in this direction

1 at all with their program?

2 MR. KELBER: I would prefer that you ask them
3 directly because we have to give them time to review their
4 program just as we are doing it, and you know, we're just in
5 the midst of recasting our program now.

6 I don't want to prejudge their views.

7 If you'd asked me that several months ago, I would
8 have said no, but just as we're changing our views, they may
9 be changing theirs.

10 MR. SHEWMON: As we get into this research program,
11 we're going to put off until next year, Mr. Chairman, talking
12 to DOE probably because we're not sure what we're doing
13 ourselves yet and by that year maybe they'll know?

14 CHAIRMAN KERR: Is that a question or a statement.

15 MR. SHEWMON: It is sort of like Medieros's
16 questions that sort of implied a conclusion, I guess.

17 MR. OLSHINSKI: Dr. Kerr, there is a meeting of the
18 improved safety system of the subcommittee on June 25th in
19 which that subcommittee is going to renew the NRC work on
20 improved safety as well as the DOE work on improved safety.

21 They will begin to discuss this exact issue.

22 CHAIRMAN KERR: That's a meeting --

23 MR. OLSHINSKI: In Washington on the 25th, June
24 25th.

25 CHAIRMAN KERR: June 25th.

1 And DOE will --

2 MR. OLSHINSKI: They've been asked to give a
3 presentawtion.

4 CHAIRMAN KERR: To NRC?

5 MR. OLSHINSKI: No, to the ACRS subcommittee on
6 improved safety systems.

7 CHAIRMAN KERR: Okay. I'm finally catching up to
8 you. Thank you.

9 MR. KELBER: Let me finish with this viewgraph by
10 saying that for the nearterm the primary goal that I propose
11 is to develop means for assessing the utility of mitigating
12 features with the point to reducing the risk to the public.

13 I believe this is clearly in line with the NRC
14 mission of assuring public health and safety and I think it is
15 appropriate for NRC to bear the major burden here.

16 Let me anticipate a little bit the type of
17 Commission decisions which I believe will follow the
18 rulemaking.

19 These decisions require technical support and we aim
20 to supply that support. We aim to supply it by answering a
21 series of questions which relate to how do you assess the
22 threat to containment.

23 Answering these questions forms the logic for the
24 program. The reason is that as a core melts, that is, as a
25 Class 9 accident, the containment is a physical barrier

1 between the fission products and the public. Public health
2 and safety is assured by assuring containment integrity at
3 least long enough for evacuation.

4 The Zion/Indian Point study indicates that it may be
5 feasible to assure at least three to four days of warning time
6 provided there are some adequate additional safety features.
7 Those features may not necessarily be a filter vented
8 containment system. They may be improved methods of
9 maintaining power to emergency core coolers and things of that
10 nature.

11 So I don't want to foreclose any possible answer.

12 Now, I want to call attention to two unusual items
13 in this list. The first six items, can pressures in a
14 primary system breach the secondary? Can a melted down core
15 breach the pressure vessel? Can a hydrogen explosion breach
16 the containment? Can a steam explosion breach the
17 containment? Can a hot core melt the basemat? Can the
18 containment slowly heat up and be over-pressurized?

19 All these have been faced with Zion and Indian
20 Point.

21 A question that we are coming to realize is that we
22 may need to maintain some vital functions which also bypass
23 the containment in order to keep the containment cool or to
24 attempt to keep the core cool in some location. The let-down
25 line is an example. The main steam line is an example. There

1 are other ones.

2 And the question is, can maintainment of these vital
3 functions bypass the containment or threaten its integrity if
4 they should fail.

5 There also is brought forcibly to our attention the
6 question can failures in instrument and control compromise the
7 safety systems, a very serious question. And this has led a
8 number of people to put emphasis on passive devices for
9 protection of containment.

10 I think there is some merit to that.

11 CHAIRMAN KERR: I guess I don't understand the
12 context for number eight. It seems to me the answer is
13 clearly yes.

14 MR. KELBER: Not if you have a passive device, for
15 example, a natural convection containment cooler that does not
16 require power.

17 CHAIRMAN KERR: As you ask the question there, can
18 failure as an instrumentation of control compromise safety
19 systems, the answer to that is clearly yes. So you are asking
20 apparently some different question even more specific?

21 MR. KELBER: You're right. For purposes of brevity
22 I did not go into the full exposition. But my point is that
23 there may be significant value to passive features which do
24 not require external sources of power either for their control
25 or their continued operation.

1 CHAIRMAN KERR: Well now, I'm trying to fit this
2 into the kinds of decisions that NRR is going to have to make,
3 and then medium and longterm.

4 Many of these questions have been asked and answered
5 in the Zion/Indian Point context --

6 MR. KELBER: For those plants.

7 CHAIRMAN KERR: Yes. But surely you are not just
8 proposing sort of an incremental process which preturbs things
9 a little?

10 MR. KELBER: I think we have to give the technical
11 basis to be able to answer it for anything.

12 CHAIRMAN KERR: This is called the Class 9 accident
13 research program logic.

14 MR. KELBER: That's right.

15 CHAIRMAN KERR: Now, into what program are these
16 results expected to feed? Just the rulemaking hearing?

17 MR. KELBER: They will be important to rulemaking
18 but I believe they will give NRR the technical basis for
19 reviewing designs just as the work on ECCS gives them the
20 technical basis for reviewing the vented inspection
21 performance there.

22 CHAIRMAN KERR: Suppose somebody said to you
23 ---maybe you already in fact have this in place -- but at what
24 point would the results of this be usable in plant design?
25 Because it strikes me --

1 MR. KELBER: Do you want a schedule of work?

2 CHAIRMAN KERR: No. I'm trying to get some idea of
3 when this is going to have some influence on what one is doing
4 with plants, because this is a research program. It will
5 reduce some results. It says we do or do not need filtered
6 containment. We do or do not need core catchers, and then one
7 has to design those systems, which is another period and it
8 strikes me that this particular program you're talking about
9 is likely to have influence on plant design maybe ten years
10 from now at the earliest.

11 Is that your feeling?

12 MR. KELBER: Okay. Let me give you some estimates
13 of where I think things might happen first, and all this is
14 based on getting the necessary resources, obviously.

15 I believe that on hydrogen loads, hydrogen control
16 and containment response, we can settle that issue in a year.
17 I believe there is substantial industry interest in that as
18 well, and I believe that that can be taken care of within a
19 year.

20 CHAIRMAN KERR: How can you take care of that until
21 you have decided how much metal water reaction you are going
22 to design for. Are you going to decide that within a year?

23 MR. KELBER: I think we're can decide --

24 CHAIRMAN KERR: Doesn't that require rulemaking?

25 MR. KELBER: It requires a rulemaking if that's the

1 approach you're going to take.

2 CHAIRMAN KERR: I thought that was the approach that
3 the Commission had proposed. Am I mistaken?

4 MR. OLSHINSKI: I think you're correct, yes.

5 MR. KELBER: You're correct in that, but what I am
6 saying is that I believe we can give you a technical basis for
7 control of hydrogen up to the maximum you can get.

8 CHAIRMAN KERR: So you aren't really asking, can a
9 hydrogen explosion breach the containment, but how can we
10 handle the thing so it won't?

11 MR. KELBER: That's correct.

12 CHAIRMAN KERR: And that's a research program?

13 MR. KELBER: That's correct.

14 Steam explosion, I believe that we're partly there.
15 I think for the first time there is some real science being
16 brought to bear on this question.

17 CHAIRMAN KERR: That has to have extensive
18 experimental work associated with it, doesn't it?

19 MR. KELBER: Yes, sir, and I think there is an
20 extensive program underway. The program manager and project
21 manager are both here, as well as one of the key
22 investigators.

23 CHAIRMAN KERR: And you expect results from that to
24 be available?

25 MR. KELBER: I think there are some key results now

1 and I think that issue will be closed in two years.

2 Can a hot core melt the basemat? That is, what
3 problems arise when an uncooled core attacks the concrete, and
4 I would say that the nature of the answer depends on what you
5 want. If you want to know the answer to the type of question
6 which was asked at TMI-2, we have that answer now.

7 If you want to know more precisely whether there are
8 favored forms of concrete, whether you should use a core
9 catcher of one sort or another, I think we are perhaps three
10 to four years away.

11 MR. CATTON: Charlie, in looking through some of
12 these programs, do you plan to do anything with materials
13 other than MgO, like, for example, depleting the O₂?

14 MR. KELBER: Yes. I think we can classify it into
15 four different types of work. Mel will talk about some of the
16 nearterm plans. But basically I think we have to look at both
17 refractory and sacrificial materials, we have to look at both
18 active and passive systems.

19 CHAIRMAN KERR: There's one thing I don't see in
20 here explicitly. Maybe it's there implicitly. Are questions,
21 it seems to me, that might arise in the course of the NRC
22 evaluating designs of core catchers and filtered vented
23 containments.

24 MR. KELBER: I'm sorry, I don't follow you, Bill.

25 CHAIRMAN KERR: Well, I don't know what a core

1 catcher is going to look at. It probably won't be made out of
2 concrete, so the question is not can a hot core melt the
3 basemat, it's how do I --

4 MR. KELBER: I may have misled you. When I say
5 basemat here, I don't necessarily restrict that to being
6 concrete. We will test various basemats.

7 CHAIRMAN KERR: But I don't see anything in there
8 that would directly interact with designs of specific
9 mitigating systems and the kind of information that the NRR
10 staff, for example, might feel they will need --

11 MR. KELBER: Dr. Silberberg will discuss such
12 problems. That's in the details of the programs.

13 But the impetus for doing that work is to answer
14 this type of question.

15 CHAIRMAN KERR: I could understand that you would
16 want to answer that type of question. It seems to me that you
17 would also want -- not you, maybe, but if people are going to
18 have to license these things, it would be likely they would
19 need to ask questions that have to do with the details of
20 design of some of the systems that are likely to be proposed.

21 MR. KELBER: Yes, and there is an element that
22 Silberberg will be describing to you that addresses this
23 question.

24 CHAIRMAN KERR: Just be patient and I'll get the
25 answers?

1 MR. KELBER: Yes.

2 By the way, in that, I want to return to a very
3 important lesson that we learned from Zion and Indian Point
4 and that is you have to consider the interaction of these
5 systems with the rest of the plant. It is not a trivial
6 matter.

7 Let me now turn to what I think is my last viewgraph
8 in this part of the presentation which is what is the
9 structure we intend to give to this program in terms of our
10 management of work. This is very fluid and, in fact, I have
11 reason to believe this may be somewhat out of date already,
12 since it's about two or three days old.

13 But basically we look at a four part structure. The
14 transition to the debris bed from the coolable core. And I
15 want to discuss this later on this afternoon to, among other
16 things, address a question that was raised by Paul Shewmon
17 earlier and also to remind you of some comments I made in your
18 meeting with the fuel behavior branch that this area is the
19 interface with that branch.

20 Again, I will remind you that because there is an
21 interface, we are not going to construct an in-pile loop in
22 this program if there is a perfectly satisfactory in-pile loop
23 somewhere else.

24 The resources simply aren't available to do that
25 sort of duplication.

1 The integrated fuel melt program that Mel Silberberg
2 will describe to you next is the bulk of the effort. It is
3 roughly 50 percent of the program and represents first a
4 systematic collection and coordination of all the efforts that
5 we have going on now that addressed the problems that arise
6 when molten fuel interacts with parts of the reactor system.

7 CHAIRMAN KERR: What is the significance of
8 describing this as Class 9 accident research advance safety
9 technology? Is the implication that this goes on beyond what
10 you've been describing on the previous slide?

11 MR. KELBER: No. It was just a name that was used
12 for purposes of organizing the budget categories. That name
13 is no longer operative, to use a somewhat old-time Washington
14 phrase.

15 I believe the correct name now is severe --

16 MR. SILBERBERG: Severe accident phenomena and
17 mitigation research.

18 MR. KELBER: -- severe accident phenomena and
19 mitigation research, but I haven't been in the office for a
20 few days, and that may have changed. Sooner or later we'll
21 fix on a name, but I believe that is what it's being called
22 now.

23 The third element is containment response to
24 accident loads and I include in this the topic which I have
25 alluded to a number of times of systems interactions but the

1 whole point is the containment is a system and its response
2 has to be done as a part of a system analysis.

3 Finally, included within this budget category will
4 be the work on LMFBRs. We are providing for a possible
5 continuing program of work devoted to problems specific to
6 LMFBRs, but most of the work in that area will be changed in
7 emphasis to address problems in these first three categories.

8 Now, that concludes my presentation on the research
9 needed in this area and later on I will address the strategy
10 to perform the research and some related problems.

11 CHAIRMAN KERR: Thank you.

12 Are there questions?

13 MR. KELBER: I will also, by the way, be giving Bob
14 Curtis's presentation for him.

15 CHAIRMAN KERR: All right.

16 This appears to me to be an appropriate time for a
17 lunch break. We will break for an hour and reconvene at 1:30.

18 (Whereupon, at 12:30 p.m. the meeting recessed, to
19 reconvene at 1:30 p.m. this same day.)

20

- - -

21

22

23

24

25

AFTERNOON SESSION

(1:35 p.m.)

2
3 CHAIRMAN KERR: We will reconvene to hear Mr. Silberberg
4 give us an overview of the integrated core melt program.

5 Mr. Silberberg.

6 MR. SILBERBERG: Thank you, Mr. Chairman.

7 This afternoon I'd like to present just that, the
8 overview of the integrated fuel melt research program, and that's
9 about all one can really do this afternoon. Fortunately, two of
10 the elements in the program will be discussed in some detail by
11 speakers following.

12 The recent background for the motivation -- well, let
13 me just say that this program is a major component of the Class 9
14 accident research program that was just introduced by Dr. Kelber.
15 The recent motivation for this program, that portion that I'm
16 going to be discussing today, is both before and after TMI as is,
17 I am sure, very well known to the subcommittee; and this interest
18 with ACRS dates back many years. And as we look to the next few
19 years it is clear that the needs for the program will be driven
20 by the details of the degraded core rulemaking work that was
21 described by Mr. Medieros and the NRC decisions which will evolve.

22 You may recall that the initial basis for program
23 planning reflected the RES response to new directions in research
24 growing out of TMI-2. The formulation of an integrated fuel
25 melt research program was one of several actions taken by

1 Dr. Murley. And as program manager, in October 1979 I developed
2 a first draft plan with the assistance of individual project
3 managers in LWRSR, PAS, and ARSR.

4 The draft plan was reviewed at a special research review
5 panel meeting in February, and the major comments of the review
6 reported in April in a letter from myself to management. These
7 comments have provided some of the bases for a substantial revision
8 to the plan which is currently in progress.

9 Following the February review meeting and the insights
10 from the Zion/Indian Point studies that were going on at that time,
11 it became clear that the fuel melt research program was logically
12 part of a broader program on Class 9 accident research.

13 We expect a complete revision of the draft plan in
14 about one to two weeks so that it can be factored into the
15 Class 9 accident research program in preparation for the fiscal 82
16 budget call.

17 The purpose of my presentation today is to provide you
18 with information about the technical objective, scope, logic,
19 and key elements of the program as described in revision one of
20 the plan.

21 CHAIRMAN KERR: What class was it in before it was put in
22 Class 9?

23 MR. SILBERBERG: I think that the information being
24 directed --

25 CHAIRMAN KERR: It was unclassified before then.

1 MR. SILBERBERG: Well, certainly unclassified, but in
2 the case of the LMFBR components that were part of it were in that
3 direction, you know, beyond the Zion basis. And I think previously
4 in the case of the LWR part of the program it was in the context
5 of WASH-1400 considerations.

6 Program emphasis will be placed on providing some of
7 the technical bases for rulemaking, NRC decision options, regula-
8 tory criteria, and siting and safety reviews involving considera-
9 tions of degraded core and core melt accidents.

10 The objections of the fuel melt research program should
11 be viewed in the context of the following questions related to
12 the challenge as to containment from Class 9 accidents listed
13 in the next viewgraph. And some of these in the viewgraph after
14 this are the ones that Dr. Kelber referred to.

15 Again, on the objectives of the program we're looking
16 at a data base and models for assessing consequences, information
17 that allows us to assess special features that one may wish to
18 design to mitigate accident consequences, leading to the overall
19 objective I have as the third item.

20 CHAIRMAN KERR: Give me an example of a special feature
21 that one might assess.

22 MR. SILBERBERG: Filtered-vented containment system,
23 a core catcher.

24 CHAIRMAN KERR: The fuel melt program you can relate --

25 MR. SILBERBERG: Yes. I have that logic.

1 CHAIRMAN KERR: Good.

2 MR. SILBERBERG: I have shown here four of the questions
3 that Dr. Kelber had on his viewgraph this morning which is where
4 this program, this portion of the program addresses in terms of
5 breaching the vessel, and steam explosions, basemat penetration,
6 and ways of -- considerations of mitigating that, and the question
7 of slow heatup and overpressurization of containment, and how one
8 might address that.

9 CHAIRMAN KERR: Help me understand the difference between
10 his slide and yours. Yours is labeled "program logic."

11 MR. SILBERBERG: Yes. In effect I have just taken his
12 slide just taken the four items, four of the eight items that
13 he had.

14 CHAIRMAN KERR: Okay.

15 MR. SILBERBERG: Because those are the ones most
16 pertinent to my discussion.

17 MR. SHEWMON: Now, let's see. I don't know whether
18 this is mitigation or prevention. Anything before the molten
19 core gets down breached and on the bottom is prevention and not
20 mitigation, or does mitigation -- like spraying water, for
21 example, that's not mitigation?

22 MR. SILBERBERG: That would be mitigation, and within
23 the -- let's say within the reactor vessel, and this portion of
24 the program that I'm addressing here does not refer -- does not
25 address that.

1 MR. SHEWMON: And what does?

2 MR. SILBERBERG: That would be looked at it in terms
3 of the accident management portions of the program that Dr. Kelber
4 described, as well as how you might go through some of the -- in
5 conjunction with the melting sequences within the core.

6 MR. SHEWMON: Now, what does "integrated" mean? Ap-
7 parently most of the problem or much of it is not integrated into
8 this. What is integrated into this?

9 MR. SILBERBERG: What is integrated are the items from
10 the time that the reactor vessel is threatened and the debris or
11 molten fuel melts through to the time when we're into the reactor
12 cavity and then looking at mitigation features for adjusting
13 that.

14 MR. SHEWMON: Now we're told that Coates is going to
15 talk this afternoon about melting through a pressure vessel. That
16 is not part of this program?

17 MR. SILBERBERG: The debris bed and how it might melt
18 through the pressure vessel is part of this program, yes. And
19 maybe I can help you on the next slide.

20 MR. SHEWMON: Maybe.

21 MR. SILBERBERG: The next two slides I'm going to show
22 are -- the shaded areas that I have here on the first of two
23 slides that take one through the type of analysis one would
24 normally go through for let's say a March-Corral calculation,
25 portions thereof. And what I'm looking at here in the integrated

1 fuel melt program is starting at the point after one has loss
2 geometry, goes through core disruption and has in effect debris
3 at the bottom of the vessel now challenging the vessel. In other
4 words, is that debris bed coolable at that point?

5 MR. SHEWMON: Now, is it dry always in your program?

6 MR. SILBERBERG: No, definitely not.

7 MR. SHEWMON: And so debris behavior is in the presence
8 of water much of the time?

9 MR. SILBERBERG: Yes. And as we get to one of the
10 elements which deals with debris bed coolability, one determines
11 what those dryout limits are and the so-called extended dryout
12 capabilities of the bed even after it has dried out.

13 As I proceed from the assumption of vessel failure, then
14 I proceed to the bulk of the emphasis on the program. I might
15 say fission product behavior release in transport from the time
16 we start to keep track of fission product release, some of which
17 was described to you I believe last week, Dr. Shewmon, we continue
18 to keep track of the fission product release and accumulate it
19 until we get to the point where in the cavity as we go through
20 these interactions we then bring on other materials, mostly
21 non-radioactive, that will help determine the course of the
22 settling behavior of the fission products that have come out
23 throughout the entire course of the sequence.

24 Mitigation features would also be a part, an element of
25 our program that I will describe.

1 MR. SHEWMON: You'll describe that today.

2 MR. SILBERBERG: Yes. Well, just what the components
3 of it are.

4 MR. LEE: In your program with the vented containment
5 and so on, how far or how long would you like to be able to follow
6 into the postulated accident, in terms of days or months or
7 years?

8 MR. SILBERBERG: We would like to follow the entire
9 course of the accident as long as we're either continuing to
10 threaten the containment integrity over a longterm or continuing
11 to provide a challenge to the performance of mitigation features
12 that one may have.

13 Now, one will, of course, in terms of the phenomenon,
14 the behavior of these interactions and some of the things that
15 come up in the accident consequences, those will probably require,
16 you know, extrapolation techniques and things like that in the
17 phenomena.

18 But the interest is as long as the methods are needed
19 to assess containment challenge.

20 Yes.

21 MR. SEALE: Going back to the other end of this thing,
22 that is, the development of this molten whatever it is, early on
23 there was a problem, I seem to recall from the Kemeny report,
24 regarding the energy available from the oxidation of the zirconium
25 and the possibility of a uranium-zirconium eutectic being formed

1 in the cladding which would limit the amount of zirconium avail-
2 able for oxidation.

3 Is that kind of thing part of your program, or is that
4 part of another program?

5 MR. KELBER: May I address that, please? That's the
6 interface I was referring to earlier. In preparation of the
7 research budget for fiscal year 82 we have agreed that the Fuel
8 Behavior Branch will prepare budget proposals dealing with
9 questions -- with work, which attempts to address the questions
10 connected with how the fuel under these accident conditions reaches
11 the core plate.

12 We will prepare proposals which deal with how the fuel
13 moves from the core plate through the lower course of core structure
14 and forms a debris bed.

15 MR. CATTON: Mel?

16 MR. SILBERBERG: Please.

17 MR. CATTON: Do you have this figure?

18 MR. SILBERBERG: Yes. I'm going to be getting to it.

19 MR. CATTON: Okay. I'll hold until you get to it. I
20 thought with those other figures that I'd missed something.

21 MR. SILBERBERG: A capsule summary of the elements and
22 scope, very briefly, of the integrated core melt program are shown
23 in the next viewgraph. Later this afternoon you will hear more
24 detailed representations of two of these elements -- fuel debris
25 behavior and steam explosions. This afternoon I will describe only

1 briefly the remaining elements so that you will get some idea
2 of the work in progress and that which is planned.

3 Before going to some of the program elements, it would
4 be useful to look at the overall logic of the fuel melt research
5 program and its relationship to the Class 9 accident research
6 program.

7 The logic I've shown -- by the way, the double-line
8 items are items which refer to the previous presentation by
9 Dr. Kelber -- transition debris bed, improved system codes, and
10 dealing with containment response to accident modes.

11 The elements of the program that I've just shown you are
12 basically here, and what we have in the logic is that at this
13 point we're laying out the program. As we proceed here on the
14 phenomenological aspects of the program described in these
15 elements and improve our capabilities for assessment of systems
16 analysis, we then go back into an uncertainty and sensitivity
17 analysis to see if we've reached a point in terms of a quantitative
18 goal that would allow us to address a priority in terms of how
19 refined do we want to get our answers. And this would be, if you
20 will, the tools of the program. This would be either for risk
21 assessment or for design evaluations, as one might need, and the
22 requirements for the two are somewhat different.

23 Now, I've shown here that -- and this goes back to what
24 Jim Meyer was saying this morning and Dr. Kelber -- that an
25 important element of the planning here at this stage of the game

1 is the fact that we now have to go into conceptual design studies
2 and evaluations of real systems to see if indeed one is going to
3 make decisions on those systems. And I want to point out that
4 for the moment even though it's shown in this logic, such decisions
5 have not been made.

6 But as one goes through this part of the program, then
7 depending on what is needed here and to meet, let's say, the
8 requirements of rulemaking and NRR and licensing, we would then
9 go back in and have to reassess the priorities of the program.

10 The problem now is getting into this sequence after we
11 have -- we're taking a program that has ongoing work and trying
12 to move it in this direction so that we can come up with and be
13 useful in terms of the near-term and long-term applications.

14 MR. SHEWMON: What does "core melt modeling" mean?

15 MR. SILBERBERG: That would be taking pieces or modules,
16 if you will -- they might even be codes in some cases -- that
17 would be part of an overall integrated systems analysis code and
18 providing, if you will, the needs here and having an interface
19 at that point. So this work here and this work here would closely
20 follow one another.

21 MR. SHEWMON: You haven't said any words that speak to
22 my question yet. You'll have to try another way, I guess. Are
23 you going to melt things up and worry about the chemistry of it,
24 you worry about the fluid hydraulics of it or fluid dynamics or
25 what?

1 MR. SILBERBERG: Excuse me. Yes. Primarily we're
2 looking for the areas on that other chart, the accident sequence
3 chart that I showed previously. We'd be looking at the thermal,
4 chemical, if you will, thermodynamics that relate to the inter-
5 actions of melt with other materials primarily, leading to load
6 sources such as gases, vapors, aerosols and what have you.

7 MR. SHEWMON: Okay.

8 MR. CATTON: Does that mean that you would take the
9 data from melt interaction, your second block, and feed it into
10 core melt modeling so that you'd have something to stick in the
11 code?

12 MR. SILBERBERG: Yes. Some of that --

13 MR. CATTON: So one is the experiment and one is the --

14 MR. SILBERBERG: In other words -- yes. Some of the
15 phenomenological modeling obviously would be done as one works
16 closely with the experiment. This exact interface here, between
17 here, in terms of programmatically between the modeling and the
18 codes are still under discussion, if you will, internally. Dr.
19 Kelber may say something more about that.

20 MR. SHEWMON: Maybe a better way to ask the question
21 is what do you expect these codes to be able to predict?

22 MR. SILBERBERG: Be able to predict the containment
23 pressure, temperature, history, fission product behavior, aerosol
24 behavior within containment.

25 MR. SHEWMON: So part of that might be to get a more

1 realistic evolution of the melting process in March?

2 MR. SILBERBERG: Yes.

3 MR. SHEWMON: Okay.

4 CHAIRMAN KERR: As I look at the caption under figure 2,
5 I see integrated fuel melt research program logic and relationship
6 to Class 9 accident research program.

7 Now, which is the Class 9 accident research program and
8 which is the fuel melt research?

9 MR. SILBERBERG: Excuse me. The ones that were in the
10 double box, as I thought I had mentioned, Dr. Kerr --

11 CHAIRMAN KERR: Well, you probably did.

12 MR. SILBERBERG: -- Correspond to the same categories
13 that Dr. Kelber had on his chart this morning here, here and here.

14 CHAIRMAN KERR: So what I see, the larger chart is the
15 fuel melt research program?

16 MR. SILBERBERG: That's correct.

17 CHAIRMAN KERR: And what you're showing me in those boxes
18 is what relationship it has to the Class 9 accident research program.

19 MR. SILBERBERG: Right. Now, in other words, informa-
20 tion from this program flows to it.

21 CHAIRMAN KERR: Whose research program is the Class 9
22 accident research program? Is that RES's program or NRR's program?

23 MR. SILBERBERG: Yes. It's RES's program.

24 CHAIRMAN KERR: And it's being designed in some consulta-
25 tion with, but not necessarily at the request of NRR, is that --

1 MR. KELBER: Let me reply to that. Yes, it is an RES,
2 projected RES response to a perceived need. Very shortly as we
3 get our perceived needs listed more precisely, we will be discuss-
4 ing this with NRR and other interested parties. We will incorporate
5 your review as well, and we will be going to review groups, and
6 we will have a final plan, the program.

7 We're giving you a snapshot in time of our best guess
8 as to what the program contains.

9 MR. CATTON: Mel, before you leave this, transition to
10 debris bed, fuel debris, melt interaction, and steam explosions
11 all look to me like they're experimental programs of some kind or
12 another.

13 MR. SILBERBERG: Yes.

14 MR. CATTON: Now, in the face of the conclusion that
15 was made yesterday by Pete Cybulkis that the bottom line being
16 radiological release, the sensitivity of various aspects like
17 core melt modeling, he felt that it was relatively insensitive
18 to that.

19 It's my feeling that the fuel debris or debris coolability
20 and dryout is fairly well in hand; it really doesn't need much
21 more. Could you kind of put a figure of merit on each one of
22 those, something that you would use in allocating your resources?

23 Where is the biggest gain with respect to radiological
24 release in those four boxes?

25 MR. SILBERBERG: Well, I actually will discuss that

1 very briefly, but yes, as we've noted in our planning, right now
2 this box is -- these two here are currently the largest. But this
3 is way under --

4 MR. CATTON: I understand mitigation features.

5 MR. SILBERBERG: Yes. I want to couple them.

6 MR. CATTON: I'm looking at the basic programs that
7 you have that are here in support of your looking at some concept
8 or whatever, and I see transition to debris bed, which I think is
9 very important and that came out that we didn't know what the
10 debris bed looked like, but if we did, we knew whether it was
11 coolable or not. That kind of tells me that your fuel debris box
12 there ought to be a low priority item.

13 Melt interaction, core melt modeling based on the results
14 of the March-Corral predictions sort of indicated that gee, those
15 are not all that important either, because it didn't change the
16 source term.

17 Now, is that a result of the March-Corral code system?

18 MR. SILBERBERG: Yes.

19 MR. CATTON: And it's bad?

20 MR. SILBERBERG: To a large extent I might say that's
21 kind of getting to my next item, but --

22 MR. CATTON: Well, I can wait.

23 MR. SILBERBERG: Well, it turns out Battelle-Columbus
24 is doing this uncertainty analysis --

25 MR. CATTON: That's what I'm referring to is their

1 uncertainty analysis.

2 MR. SILBERBERG: That's right. And when that report
3 is out, we will have to assess it and --

4 MR. KELBER: Let me interject one remark.

5 MR. SILBERBERG: Go ahead.

6 MR. KELBER: There are two types of accuracy needed,
7 and the uncertainty analysis addresses itself to the different
8 classes of uncertainty. If you are doing risk analysis, order of
9 magnitude uncertainty may well be acceptable. If you are doing
10 a system evaluation to decide the relative benefit or lack of
11 benefit of a mitigation feature, you may need substantially more
12 accuracy.

13 I think that it is premature to apply the order of
14 magnitude type of analysis to this type of work. I tend to agree
15 with you that there are some things we know a great deal more
16 about than others, but the fact that we know a great deal more
17 about them may not mean -- does not necessarily imply to me that
18 we should abandon them.

19 To take as an example the steam explosion work, I don't
20 think we can leave that problem hanging just a little bit away
21 from final resolution because we're pretty sure we know what
22 the answer is. I think we have to close the loop and make sure
23 that our estimate, our current estimate, is really in the right
24 direction.

25 MR. CATTON: I guess I would submit that as long as

1 it's not at the expense of something that's needed in the short-
2 term.

3 MR. KELBER: Okay.

4 MR. CATTON: And that's what I was referring to, an
5 allocation of resources, and I was trying to get at how you did
6 it or how you're going to do it.

7 MR. SILBERBERG: Well, we're just starting to do that.

8 MR. KELBER: I think a lot of that is going to come out
9 of the question of how we do a systems analysis of the filtered
10 vent containment system. That's going to tell us a great deal
11 about what really matters.

12 MR. SILBERBERG: Ivan, I think you made an excellent
13 point, and I thought I tried to explain at the beginning that
14 we're in the process of trying to make those decisions now for
15 ongoing programs, sort of, you know, moving out and looking ahead
16 to the budget process. And I think the types of --

17 MR. CATTON: I understand. It's just that I see a
18 very heavy load about to be placed on you by NRR's requirements
19 for the near-term Z/IP study. What is it, eight months or something?
20 And it seems to me that if you wait to make these decisions very
21 long, eight months is going to be gone.

22 MR. KELBER: Yes.

23 MR. SILBERBERG: Good point.

24 Well, let me say this very clearly, that the work I'm
25 going to describe that's in this program, much of it comes well

1 beyond eight months. I think we ought to be realistic about that.

2 MR. CATTON: Would you mention briefly what you have in
3 mind for core retention devices? I don't see it spelled out any-
4 where in here?

5 MR. SILBERBERG: It's in the mitigation element, and
6 I'll just say that our work started with some of the needs of a
7 floating nuclear plant, and this now will be extended to consider
8 land-based plants.

9 MR. CATTON: The work for FNP was mostly MgO, as indi-
10 cated earlier, and I think that that's highly restrictive.

11 MR. SILBERBERG: Correct. And under our generic program
12 and materials interactions element down the road here we do look
13 at other candidate materials.

14 MR. CATTON: So how timely is this going to be, again
15 with the thought that you've only got about eight months?

16 MR. SILBERBERG: Right now in the next eight months the
17 only candidate material that we have the most information on is
18 the MgO, again and at the direction of NRR in their most recent --

19 MR. CATTON: Well, you're doing a large number of Z/IP
20 type studies. Are you going to do any analysis on other type
21 materials? For example, SNR-300 has a 15 centimeter thick cooled
22 core catcher depleted UO₂. The Japanese had some ideas. Are
23 you going to try to bring any of this to bear for NRR, or are
24 they going to do that themselves?

25 MR. SILBERBERG: No. If I get to the mitigation features

1 element, we will be going into a conceptual design study --

2 MR. CATTON: I'll wait if you're going to talk about it.

3 MR. SILBERBERG: Okay. Now, we would like to make
4 those --

5 MR. KELBER: Not in the next eight months.

6 MR. SILBERBERG: Probably not in the next eight months.
7 I think we'll be maybe happy, you know, to get the work started in
8 the next eight months, but let me get to that.

9 MR. LEE: I have a question.

10 MR. SILBERBERG: Yes.

11 MR. LEE: For the near-term again, the transition to
12 debris bed and so on, what are the assumptions you make for your
13 part of the program?

14 MR. SILBERBERG: We assume that we have a debris bed.

15 MR. LEE: Uniformly mixed?

16 MR. SILBERBERG: Uniformly mixed, sitting, if you will,
17 down near the bottom of the vessel. And one now has to determine
18 is it or isn't it coolable. But as we proceed on with the other
19 parts of the program, one assumption is -- that's why we have
20 the interaction of the concrete -- is that it's not.

21 But the research program will try to address what the
22 limits of that coolability will be and the conditions.

23 MR. KELBER: Mel, excuse me. There is a request that
24 you could consider mitigation systems now. Someone has to leave
25 for a plane.

1 MR. SILBERBERG: Okay.

2 MR. KELBER: While Mel is shuffling through, I might
3 say that the only information we have that covers the transition
4 to the debris bed comes out the LMFBR program. The materials are
5 different, the designs are somewhat different. Some of the
6 considerations, however, are general enough that we can transfer
7 those considerations. The technology certainly can be transferred.

8 But from the point of view of estimation of what the
9 debris bed looks like, we have no hard data in this area. We
10 have to make the best guess we can based on what we know from
11 LMFBR experience.

12 We will have a key experiment in the LMFBR area run off
13 this September, but it will not bear directly on this problem.

14 MR. LEE: So you have to consider something like trans-
15 ition phase and so on again?

16 MR. KELBER: Yes. Same problem, different reactor.

17 MR. SILBERBERG: In the mitigation features --

18 MR. CATTON: Excuse me. Are you referring to the trans-
19 ition phase in Clinch River?

20 MR. KELBER: Yes.

21 MR. LEE: I was.

22 MR. CATTON: Do you expect to have a boiled up core?

23 MR. KELBER: No. We don't expect to have it in Clinch
24 River either.

25 MR. CATTON: I would agree with that.

1 MR. SILBERBERG: I might add that in the mitigation
2 features element the NRC project managers are Ray DiSalvo from
3 PAS who actually got the program started, and Tom Walker from
4 ARSR who's been looking at core retention devices.

5 The program be it for vent filter containment, core
6 retention, or alternate containment systems basically has the same
7 logic which Ray has set up for the vent filter containment study.
8 The work on vent filter containment is being done at Sandia, and
9 the task leader for that is Alan Benjamin.

10 And the three aspects of the objectives on mitigation
11 features are shown here, namely to propose functional safety
12 design requirements in the features, assess their value and impact
13 for implementation, and then as needed perform separate effects
14 tests and analyses to confirm either the feasibility and/or
15 performance of the mitigation features in terms of has one set
16 the proper design criteria for them, can one test whether or not
17 there is something missing, or perhaps some uncertainty on the
18 Zion criteria that is not confirmed, if you will.

19 And the scope, very briefly, is to develop a set of
20 general design concepts for a spectrum of accidents in containment
21 designs and LWR, assess feasibility and effectiveness and impacts
22 for each of the concepts, develop detailed designs for the most
23 promising considering both backfit and new construction consider-
24 ations. More detailed are the -- specifically will be work on
25 the molten core retentions systems, vent filter containment, to

1 determine practicality and feasibility and to identify key research
2 needs.

3 Also mentioned this morning, the systems interaction
4 studies using any one of these devices. Are they beneficial or
5 is there a problem? In other words, do we gain less by putting
6 them on?

7 MR. SHEWMON: The only place you consider cooling this
8 thing or cooling anything is core retention, is that right? Pri-
9 marily you're looking at containment?

10 MR. SILBERBERG: That's correct.

11 In other words, if we go way back to my objective chart,
12 the bottom line was the threat, you know, the immediate threat to
13 containment. But as I mentioned, the accident management work and
14 work up above debris bed, those aspects, looking for, if you will,
15 mitigation there, is an important part of the overall program and --

16 MR. SHEWMON: Yes, but I think you're going to end up
17 talking out a hundred or ninety degrees out of phase with regard
18 to the industrial people then, and they come back and say there
19 are so many ways to cool this on the way down that that's the way
20 we ought to worry about mitigation. And what I see here is you
21 won't say -- are you doing anything that will allow NRR to speak
22 to this any better, or do I miss something?

23 MR. SILBERBERG: That is, I believe, part of the
24 accident management part of the program.

25 MR. DI SALVO: Well, I think most of those sequences in

1 which there are so many ways to cool the debris at some point --
2 and there probably are places where you can intercede -- all rely
3 to some extent on the availability of electric power.

4 MR. SHEWMON: They can find ways to do it with steam.

5 MR. DI SALVO: Well, you've still got to get water in
6 the core. You can move it around. So, you know, we're looking
7 at it, fine, if power's available, you do what you can to help
8 mitigate. On the other hand, for those sequences where power is
9 not available, you've going to have to look at features like
10 containment venting.

11 MR. SHEWMON: Yes, I don't argue that. It's just I
12 think it's myopic or distressingly narrow to worry only about
13 those situations in which you have no water and do nothing to
14 help get more water, because I feel reasonably strongly that
15 you can contain the radioactivity best if you can keep it cool,
16 not worry about how big a lasso you can run around it, or a big
17 crucible that you back up to catch it with or something.

18 MR. DI SALVO: Are you talking about in-vessel or
19 ex-vessel?

20 MR. SHEWMON: Any time if you can cool it you're better
21 off than if you can contain it. It's nicer to contain it in
22 the fuel than to go back to defense in depth.

23 MR. KELBER: I think there's no argument on this, and
24 yes, we are --

25 MR. SHEWMON: Well, the argument is I don't see it

1 here.

2 MR. KELBER: There's a technical question that I wanted
3 to raise later on, because I think you're headed in the same direc-
4 tion; and that is, is there in fact a condition of the core -- let's
5 start with a core that's a perfectly good and healthy core and
6 undergoes an accident.

7 Is there a point in the condition of that core as it
8 undergoes the accident that melting is inevitable no matter what
9 we do? The current approach assumes that there is such a point.
10 It is by no means clear to me that that is the case. And I must
11 be honest with you and say that plans on how to address that are
12 anything but definite, partly because we really don't know too
13 much about the answer to the basic question.

14 I suspect that you are correct and that it might be
15 very wise to consider the possibility of steam-drive pumps which
16 could circulate significant amounts of water within a damaged
17 primary coolant system.

18 But there are many variables, and I think you also have
19 to look at the cases where that is not possible.

20 MR. SHEWMON: There are power outages and power outages,
21 and I suspect we're talking about many hours or many days. It's
22 easy to say gee, there was a power failure; let's not bring up
23 the subject again. But on the other hand, if we're talking about
24 days, then there are also ways to recover.

25 MR. KELBER: Yes.

1 MR. SHEWMON: If nothing better than making sure they
2 install a stand pipe that's long enough so the local fire depart-
3 ment can get on the other end.

4 MR. KELBER: Yes.

5 MR. SILBERBERG: Summarizing the accomplishments and
6 plans of the work, conceptual design options have been for the
7 vent filter systems for large, dry PWR containment, and this
8 production potential has been indicated with some of the qualifi-
9 cations noted.

10 This work will be extended to other PWR and BWR designs,
11 and the quantities will be specified later on.

12 We'll be deciding from the program as to what the needs
13 are in terms of data, including models, related to uncertainties
14 in the vent filter analysis.

15 In support of the core retention design features work
16 for either FNP or LVP, large molten fuel interaction tests are
17 planned in '81 and '82; and that is in addition to the type of
18 work which I mentioned before to Dr. Catton, namely that the
19 generic work on the interaction modes or mechanisms of erosion
20 and so forth for these materials and some of the chemical effects
21 would be done in separate effects under the materials interactions
22 element.

23 MR. CATTON: I only see MgO up here. Is that because
24 this is an old slide?

25 MR. SILBERBERG: No, because right now the emphasis

1 has been placed on MgO in terms of the large testing. As the
2 other work proceeds, the generic work proceeds then and the
3 design evaluations proceed, I think one would look to test other
4 materials in specific design.

5 MR. CATTON: Okay. So it's some distance downstream.

6 MR. SILBERBERG: Yes.

7 MR. SHEWMON: Does the SN-300 run water pipes through
8 a concrete mat or how do they --

9 MR. CATTON: It's a steel plate, the bottom side of
10 which is cooled. On top of the steel plate is 15 centimeters of
11 depleted UO₂.

12 MR. SHEWMON: And UO₂ interacts differently with UO₂
13 than MgO does, is that right?

14 MR. CATTON: It's heavy, so the heat transfer is differ-
15 ent. You don't penetrate it near as fast, and what you melt
16 stays there.

17 MR. KELBER: In the same connection, one thing we
18 haven't really given any attention to, but SuperPhenix is consider-
19 ing at least an internal core catcher which is cooled by natural
20 convection in sodium, of course, both from above and below. And
21 I must say that they're doing their design based on models we
22 have to date.

23 So there are numbers of devices that are out there
24 being looked at.

25 MR. SHEWMON: Glad somebody's doing it. Dried PWR means

1 no ice or what?

2 MR. SILBERBERG: That's right. The non-ice condenser
3 plants.

4 We will in fiscal 81 initiate conceptual design studies
5 on alternate containment systems, and in fiscal 81 initiate
6 conceptual design studies on core retention systems.

7 I might say that this item in particular was in the most
8 recent -- was noted in the most recent recommendations from ACRS
9 to Congress and to the Commission last year.

10 And I guess in any case here, identifying concept
11 feasibility and, you know, testing needs that one would have to
12 come up with for either feasibility or testing of design criteria
13 and performance.

14 I might, as long as I'm out of order for the person
15 who has to leave, if I could go way back to the end and then
16 maybe just only touch upon those elements that aren't going to be
17 discussed today --

18 CHAIRMAN KERR: How much more time is your presentation
19 going to take, Mel?

20 MR. SILBERBERG: Oh, I'll see if I can finish it in ten
21 minutes. Is that too long?

22 CHAIRMAN KERR: If it takes that long, let's do it.

23 MR. SILBERBERG: Okay. I just wanted to note here that
24 on a schedular basis we are here now on the program where a
25 technology device has been developed and is being developed under

1 the various arms of the program that I have mentioned. And as we
2 proceed in time -- and I'm not going to attest to the accuracy
3 of this in terms of the rulemaking hearings and so forth -- but
4 we would see the program as needed, depending on what decisions
5 were being made out here for mitigation features, see the program
6 moving from the technology stage to the question of looking at
7 the needs of real systems, be it either analytical or whatever
8 experimental work one might wish to do to confirm.

9 Now, I've made no allowance in here at this point or
10 presumptions as to the contributions of others, namely the industry
11 or DOE, who work in this area. This is something that one will
12 have to certainly factor in as those decisions are made.

13 I just wanted to give you an idea of how that would
14 head as one moves in that direction for any particular mitigation
15 feature.

16 I just wanted to mention on program guidance that there
17 is some work going on now at Battelle-Columbus on certainty
18 analysis which will give us, start to give us some handle on
19 guidance. And my understanding is this work will be available,
20 the report on this will be available in May.

21 MR. SHEWMON: Who's the PI on that?

22 MR. SILBERBERG: The PI? It's under Dr. Denning at
23 Battelle-Columbus.

24 And we would try to continue to make a budgetary allowance
25 in '81 and '82 to keep that part of the -- that work going.

1 Very quickly, Dick Coates is going to describe work on
2 fuel debris behavior, but this is work, as Dr. Kelber mentioned,
3 that is an outgrowth of our studies of debris beds and sodium
4 coolant. And basically in that work we're looking at the post-
5 accident core debris, and there are some unique experiments done
6 on where melt retention materials are interacted with core debris
7 in the reactor.

8 A key aspect here that Dr. Coates is going to describe
9 is getting a handle on the formation and characterization of a
10 debris bed.

11 Briefly on plans there, it is our current intent, depend-
12 ing on budget, to move into the lightwater work, high pressure
13 water cooling of debris and in-pile experiments in fiscal 82.
14 Some planning in '81 and in '82, depending on the budget, we will --

15 MR. CATTON: You're going to do water debris dryout tests
16 in-pile?

17 MR. SILBERBERG: Yes.

18 MR. CATTON: Well, what do you expect to learn that
19 you don't already know?

20 MR. KELBER: Do we have the same extended dryout
21 characteristics we have for sodium?

22 MR. SILBERBERG: Dick, I believe, is going to get into
23 that.

24 MR. CATTON: Okay.

25 MR. SILBERBERG: I suspect you'll want to leave that. I

1 think it fits there.

2 MR. CATTON: Sure.

3 MR. SILBERBERG: Melt interactions with structure, I
4 mentioned this somewhat already, and primarily two things --
5 development of interaction models such as corcon, the large-scale
6 scoping and model verification tests with concrete, and small-
7 scale scoping and phenomenological interaction experiments. This
8 will be not only for use in the concrete materials but refractory
9 and sacrificial retention materials which I have mentioned pre-
10 viously in answer to Dr. Catton's question on looking at other
11 materials.

12 We have already looked at, in some of the scoping tests,
13 things like high alumina cement and borax in the case of the
14 sacrificial --

15 CHAIRMAN KERR: What is the time scale of what we're
16 looking at now?

17 MR. SILBERBERG: I'm going to do that on the next view-
18 graph.

19 This is where we are now. We have a large facility
20 that's been completed and going into operation this month at
21 Sandia with those capabilities. The plans, the first test of the
22 facility with again an MgO test will be conducted with 200
23 kilograms of UO₂ this fiscal year, and we're taking a look at
24 what additional testing requirements are needed to wrap up the
25 concrete interaction work. And that should be available this year

1 to give us final guidance in '81-'82.

2 Emphasis will be placed, as one of the conclusions from
3 the Z/IP study was that the longterm interaction behavior of hot
4 solid debris after the debris has frozen is an important -- an item
5 of interest. And work on that, some work has already been done,
6 and this work will continue.

7 CHAIRMAN KERR: What was the Zion/Indian Point work
8 that indicated that that was interesting?

9 MR. SILBERBERG: Calculations made by both -- at Sandia
10 by Walt Murfin and Dana Powers, there was a question as to whether
11 or not the basemat could or couldn't melt through in times of
12 the order of, let's say, three to four days is what they came
13 out with. And the conclusion was that they could not, based on
14 the uncertainties today in the data base, data technology, they
15 could not conclude whether it would or wouldn't with any assurance.

16 MR. SHEWMON: Now, that's in a situation where there's
17 no water in the plant or attainable ever for three days, is that
18 right?

19 MR. SILBERBERG: That is correct. And I would like to
20 note that this work with the larger scale MgO work or the work
21 here, we will be looking at the effect of water cooling on the
22 program in fiscal 81-82. Up to now we've done the dry tests and
23 we will --

24 MR. SHEWMON: Murfin's calculation or whatever was what --

25 MR. SILBERBERG: Yes, that was -- Dana, would you like

1 to -- Dana Powers.

2 MR. POWERS: Dana Powers, Sandia. The calculations were
3 made both with and without water in contact with the top of the
4 core. The results were fairly insensitive to that.

5 MR. SHEWMON: Once you had the bed there, putting water
6 on top of it didn't influence how fast it went to the bottom, is
7 that right?

8 MR. POWERS: It was fairly insensitive to that. It was
9 not treated as a bed but rather as a molten pool, and with water
10 it simply closed the crust over. We did not allow the water to
11 go in.

12 MR. SHEWMON: Did you ever hear of thermal shock on
13 ceramics?

14 MR. POWERS: The problem is these ceramics in the form
15 are fairly ductile because of the amount of concrete incorporated.

16 CHAIRMAN KERR: If we're going to carry on a dialogue,
17 we need mikes for both. The recorder is having problems.

18 MR. QUITTSCHREIBER: If she'd take her earplugs out,
19 she could hear.

20 (Laughter.)

21 MR. POWERS: That answers the question.

22 MR. SILBERBERG: I would like to note that the NRC
23 project managers on the material interactions work is Rick Sherry
24 from RSR, Tom Walker from RSR, and at Sandia, Marshall Berman and
25 Dana Powers.

1 I will skip steam explosion because that's going to be
2 covered by Dr. Corradini this afternoon, and let me just go through
3 the last element I wish to discuss, the radiological source term
4 and just give you a quick flavor of what's in there.

5 We're looking at release and transport of fission
6 products and aerosols over a spectrum of accident conditions. And
7 I believe it was just noted that the sensitivity studies done to
8 date by Battelle-Columbus people with the March-Corral indicate
9 that the release as well as transport behavior of the radioactivity
10 during the entire progression of the accident is an important
11 factor in the consequences, and the uncertainties there give rise
12 to an equal measure of concern about the consequences for dominant
13 accident sequences.

14 Now, one really wishes to know this because of certainly
15 those analyses, but also one needs to have an understanding of
16 the radiation environment as well as the aerosol load that one
17 will get, and how that -- in order to look at the effects on
18 engineer safety features as well as mitigating features such as
19 containment venting systems.

20 I want to note here that the NRC project managers in
21 this area are Rick Sherry from LWRSR and myself, and in the field
22 we have Tony Malinauskas from Oak Ridge, Tom Kress from Oak Ridge,
23 and Marshall Berman and Dana Powers from Sandia.

24 The emphasis in the near-term will be on work in the
25 melting fuel area in 1200 to 1800 degrees C. for irradiated LWR

1 fuel. The melting fuel work will proceed somewhat later.

2 The key aspect here is getting at the source of the
3 non-radioactive aerosols which will, we believe, determine the
4 behavior of aerosol transport in the containment. And the longer
5 one maintains containment integrity for the larger accidents, then
6 this mitigation feature which is taken into account in LMFBR
7 accident analysis needs to be fully accounted for with that
8 technology in LWR, because I believe there's a natural mitigation
9 feature that we're probably not taking full credit for, and one
10 needs to get at that.

11 There is a question of verification of fission product
12 and aerosol transport models. Some of this work can start immedi-
13 ately in the NSPP at Oak Ridge, a reasonable scale, working with
14 facilities equipped to handle the environmental conditions that
15 one sees in LWR accidents. And in '81 evaluation will be made
16 as to whether or not there's a need for a facility other than
17 that, for a larger facility; and this is a decision one has to
18 make.

19 Work is going on at Sandia on looking at the deposition
20 characteristics of fission products in the primary system. Work
21 on the trap-melt model for the primary system fission product
22 transport will be extended to the containment. Right now it is
23 handling the primary system deposition during, let's say,
24 blowdown cases.

25 By and large I think that summarizes my -- completes my

1 presentation, Mr. Chairman.

2 CHAIRMAN KERR: Questions? Now, as I interpret much of
3 what you've been presenting, it is not tied to Zion/Indian Point-2
4 at all. It could be tied to some later plants, but there is not
5 a direct tie at this point; rather, you are developing basic
6 information which is likely to be useful but which has not yet
7 been identified by anybody other than you.

8 MR. SILBERBERG: Excuse me, Doctor. Let me add that
9 much of the technology that was used in the most recent Zion/Indian
10 Point study came from the ongoing program.

11 CHAIRMAN KERR: No, I'm not trying to be critical. I'm
12 trying to identify the way in which this program is being planned.

13 MR. SILBERBERG: You're correct. You're correct.

14 MR. KELBER: There is no plan that ties current research
15 programs to the Zion/Indian Point schedule in this element, with
16 the possible exception of some efforts in PAS. The way we did
17 the work, this was an ad hoc program that was a short-term special
18 effort. We could of course repeat it. I don't think that's the
19 way to do things. But aside from those few things in PAS, there
20 is nothing tied directly to the Zion/Indian Point schedule as
21 of now. That can change at any minute.

22 CHAIRMAN KERR: What about the later plants and plants
23 yet to be designed? The programs within NRR for answering those
24 questions do not yet exist or has there not been communication
25 between the two of you?

1 MR. KELBER: When we talk with NRR we are going to have
2 to face how we schedule our work to jibe with their needs. It'
3 going to be very difficult decision.

4 CHAIRMAN KERR: Are you going to talk with them tomorrow,
5 next week?

6 MR. KELBER: Probably the end of the month or early
7 June.

8 CHAIRMAN KERR: And that talk will have some influence
9 on your FY 81 or FY 82 or what?

10 MR. KELBER: It sure better. It sure better, and
11 start with '81.

12 MR. SILBERBERG: The sooner we start the process, Dr.
13 Kerr, the quicker the results.

14 CHAIRMAN KERR: Thank you.

15 MR. SEALE: To put it another way, you have no communi-
16 cations of requirements from RSR with regard to the Class 9
17 accident problem in the generic sense?

18 MR. KELBER: Yes, we do.

19 MR. SILBERBERG: Yes.

20 MR. SEALE: Okay.

21 MR. SILBERBERG: In fact --

22 MR. KELBER: You meant NRR, did you not?

23 MR. SEALE: NRR, yes.

24 MR. SILBERBERG: NRR, yes. In fact, during -- as an
25 outgrowth of the first draft plan, Dr. Seale, which was reviewed

1 in February, it was commented on by NRR, and we have made or are
2 making adjustments to the program.

3 MR. SEALE: Those are to be in here.

4 MR. SILBERBERG: That's correct.

5 CHAIRMAN KERR: The next presentation is R. Curtis being
6 represented by Mr. Kelber.

7 MR. KELBER: In the interest of saving time, the present-
8 tation is really very short. I would like to just give you the
9 handout and suggest that if we have time at the end of the day,
10 we might discuss it, if that's your desire. It's a very quick
11 read.

12 CHAIRMAN KERR: That sounds reasonable to me.

13 MR. KELBER: And it's reasonably well self-contained.

14 Basically the point that is being made is that there
15 are a number of tools available in both the fast reactor and
16 the lightwater reactor fields that we believe can be adopted to
17 give a framework for model development in this area. But no one
18 should pretend that we have, except for a few things such as
19 debris beds, really good models of many of the processes that
20 have to be discussed. We know how to fit them together. We don't
21 have the building blocks.

22 CHAIRMAN KERR: Well, when one talks about accident
23 analysis in the context in which Mr. Curtis would have talked
24 about it, one is not talking, I gather, about risk analysis kind
25 of --

1 MR. KELBER: No. We're talking about mechanistic
2 analysis of accident sequences.

3 CHAIRMAN KERR: This might be with the objective of
4 considering the possibility of making a class of Class 9 accidents
5 a design basis.

6 MR. KELBER: That's correct. And the detailed evaluation
7 of the behavior of mitigation systems, the evaluation of possible
8 operator intervention and the evaluation of the utility of differ-
9 ent types of instruments.

10 CHAIRMAN KERR: Now, I would assume that this kind of
11 thing would be strongly or of considerable interest to the rule-
12 making people.

13 MR. KELBER: I would consider it so.

14 CHAIRMAN KERR: Does this sort of thing come in response
15 to somebody who's responsible for rulemaking, or are you ahead of
16 them?

17 MR. KELBER: I think we're ahead of them.

18 MR. CATTON: Charlie?

19 MR. KELBER: Sir.

20 MR. CATTON: This looks quite similar to the Kess system
21 developed in Germany.

22 MR. KELBER: There are some obvious resemblances. The
23 logic, of course, is that.

24 MR. CATTON: Some of the codes are kind of -- they use
25 the Boil code, for example.

1 MR. KELBER: Yes.

2 MR. CATTON: And their system is already operational.

3 MR. KELBER: We will get what we can. We have some
4 pretty good relationships with Karlzruf(?).

5 MR. CATTON: You're jumping ahead of me. What I was
6 wondering is if you would compare it with March-Corral and compare
7 it maybe with what you have in mind with respect to how good it is.

8 MR. KELBER: There are many elements that are similar,
9 but let me point out where the problems are. The problems are
10 where we don't have the data. In other words, where we have a
11 basic model such as Boil, which is really a pretty sophisticated
12 model, the logic tells you there isn't that much you can do except
13 perhaps invent some new computational tricks.

14 The problem where we have difficulty is in tracing the
15 formation of the debris bed. If someone were to tell us what the
16 debris bed looks like, chances are we could do a pretty good job
17 of analyzing its thermal behavior. Although I might say it's not
18 straightforward because we may have layers of different meltable
19 species; there may be very odd geometries in it. So let's not
20 prejudge that issue.

21 MR. CATTON: I guess I'm confused now. My view of their
22 system was it looked rather complete. There may be some --

23 MR. KELBER: Oh, March-Corral is complete. It takes
24 you from --

25 MR. CATTON: I'm not referring to March-Corral.

1 MR. KELBER: So does Kess.

2 MR. CATTON: Well, the Kess system looked to me to be
3 better than the Corral.

4 MR. KELBER: Well, that's quite possible.

5 MR. CATTON: And supposedly they're going to hold a
6 workshop at the end of summer and going to give us Kess.

7 MR. KELBER: The project manager who is most familiar
8 with this is sitting right behind you, and he can tell you some of
9 the details; but let me make again one point. I do not believe
10 that you can construct an accurate model out of whole cloth.
11 Kess may be a better system, but it has got to have basic defects
12 in it because we don't have data on the fuel pin melts down.

13 MR. CATTON: I guess what I'm really trying to drive at
14 is are you going to start from scratch rather than to take over
15 something like Kess?

16 MR. KELBER: No. I think that's the whole point of
17 Curtis' contention. Now, he did not mention the foreign work for
18 a variety of reasons. One of them was brevity. But Curtis'
19 contention is that there is a large family of codes which can be
20 used to analyze these problems.

21 There are no lightwater codes, Kess or no Kess, which
22 analyze the meltdown of the pin into a debris bed; but there are
23 LMFBR codes which can be adapted to do that task.

24 MR. CATTON: Well, I don't know that --

25 MR. KELBER: Now, March, for example, does it by an

1 arbitrary model, but it is not a deterministic model.

2 MR. CATTON: Well, the Kess series models of that aspect
3 of the core melting are more sophisticated, I think.

4 MR. KELBER: They be more sophisticated, but that
5 doesn't mean that they're more correct.

6 CHAIRMAN KERR: Why don't we reserve further discussion
7 until Mr. Curtis is here?

8 MR. KELBER: Rick Sherry is here and can discuss the
9 status of Kess with you.

10 CHAIRMAN KERR: All right.

11 MR. CATTON: I'm aware of the status of Kess, and that
12 really wasn't the question. I just wanted to find out if you were
13 incorporating this into your thinking, was Kess any good, could
14 you make use of it by maybe modifying some of the weak models in
15 it rather than starting from zero?

16 MR. KELBER: That is precisely what I think is the
17 thrust of Curtis' discussion, that we will use what's available.

18 CHAIRMAN KERR: Well, that couldn't be the thrust of his
19 discussion if he didn't mention it.

20 MR. KELBER: I don't think he can mention every code
21 that exists.

22 CHAIRMAN KERR: No, but if he's going to mention a code
23 that he's going to make a good bit of use of --

24 MR. KELBER: We haven't actually seen Kess yet.

25 CHAIRMAN KERR: So he may or may not use it.

1 MR. KELBER: Well, I think that Rick is kind of
2 chaffing at the bit to say a few words.

3 MR. CATTON: Well, not having seen it would have been
4 a good answer at the beginning.

5 MR. KELBER: Well, Rick is somewhat familiar with it.

6 MR. SHERRY: We have an agreement with the Federal
7 Republic of Germany to compare on a module by module basis the
8 components of the March code and the Kess code to see which of
9 the models are the better models and to incorporate these models,
10 you know, to transfer these models between the various countries.

11 CHAIRMAN KERR: Who is "we?" Who is going to do the
12 comparison?

13 MR. SHERRY: Which contractor? It will be an NRC con-
14 tractor.

15 CHAIRMAN KERR: You don't know who's going to do it yet?

16 MR. SHERRY: I would guess it would probably be
17 Battelle-Columbus.

18 CHAIRMAN KERR: Any other questions?

19 Let's see. Sandia. Fuel debris cooling study.

20 MR. COATES: Well, I'd like to talk about cooling. I'm
21 Richard Coates, Sandia Laboratories. And in order to talk about
22 an assessment of coolability of any given system, you have to know
23 what that system is, so I'd like to concentrate in this portion
24 of the talk on the meltdown sequence, then the states of the core
25 that could result at any point that intervention has taken place

1 and water is reinjected into the system. And Ron Lipinski, also
2 from Sandia, will then talk about cooling of that state.

3 So let me begin with the process of evolution to melt-
4 down. The first step where our world begins is when we start to
5 boiloff and void water from the fuel zone. Of course, many
6 sequences can take you to this point. We won't worry about how
7 we got there.

8 Boiloff from the core region. Then the fuel starts to
9 heat up. Things that we're concerned with are the decay heat,
10 the fission product loss -- as damage increases, we're probably
11 going to lose some of our heat sources very early in the game.
12 We have the zirc-water reaction which is producing heat. We have
13 hydrogen generation. We have heat loss by various mechanisms,
14 including gamma decay heat, radiation, conduction, convection,
15 helium -- I'm sorry, not helium but hydrogen performing some
16 cooling perhaps, clad damage, oxygen embrittlement, we have
17 spallation perhaps. The clad is going to relocate after it's
18 damaged. We need to know where it goes. And then we have the
19 possibility of the formation of a fuel clad rubble, much as might
20 have been hypothesized for Three Mile Island.

21 That's so of step one. That's the early behavior.
22 Following clad damage we get into the area of fuel melt, and by
23 fuel melt here I'm talking about the local melting of the fuel
24 still pretty much in place. We have various low melting point
25 eutectics to contend with, some perhaps significant ones with

1 1700 degrees Centigrade. And we have to start worrying about
2 how the melt is going to move, whether it comes down in a candle
3 fashion or whether it doesn't. There will be refreezing as it
4 gets to lower regions that are cooled by water, and perhaps there
5 will be remelt at lower elevations, and perhaps blockage to prevent
6 the steam from coming up and cooling the melt.

7 I want to emphasize that these are just conceptual
8 drawings.

9 Things that you do have, though, you do have crust
10 formation obviously, you have sintered rubble regions, you have
11 fractured fuel regions, all sorts of possible configurations.

12 The next major area is what we refer to as core melt,
13 and by core melt we simply mean that we've got a relatively large
14 involvement of the core; it's not just a local effect. And we have
15 the possibility of a formation of the molten fuel giving the
16 crust that we have up here. There is structural heatup to con-
17 sider and melt-in of structural steel from above perhaps.

18 It's in this regime that we also start to worry about
19 the effect on core barrel, because we may have significant
20 heating of the core barrel up above the core, in the vicinity of
21 the core; and we have to concern ourselves with whether it's going
22 to be impacted.

23 Then you also worry about things like crust failure.
24 If you break your crust, can the UO₂ or can the melt start to
25 stream. I won't go into code applications or the code

1 implications, but let me just move on.

2 The next step is how do you approach the lower plenum?
3 There is an awful lot of structure that you have to go through,
4 and my personal opinion is that it would be very difficult to have
5 a coherent drop of this melt into the lower head.

6 MR. CATTON: Not even via the annulus?

7 MR. COATES: I'm sorry.

8 MR. CATTON: Not even via the annulus?

9 MR. COATES: I'm not convinced yet, Ivan.

10 MR. CATTON: I'll keep trying.

11 MR. COATES: Okay.

12 MR. SHEWMON: The annulus is an end-run, is that --

13 MR. CATTON: Yes.

14 MR. COATES: It's an end-run. My comeback to that is --

15 MR. SHEWMON: It doesn't solidify on the way.

16 MR. CATTON: It might. But the annulus is fairly -- you
17 know, it's six to eight inches.

18 CHAIRMAN KERR: Go ahead. Don't pay any attention to
19 him.

20 MR. COATES: All right.

21 (Laughter.)

22 MR. COATES: Does that go for the rest of this talk?

23 CHAIRMAN KERR: Just the next three minutes.

24 MR. COATES: Okay. At any rate, you do have to contend
25 with the failure now of the below core structure, the melt-water

1 interactions that can occur in addition to just freezing, quenching,
2 perhaps steam explosions of some degree which could be beneficial
3 in a sense if they could spread the debris, and debris bed forma-
4 tion.

5 I hate to leave the impression that debris beds are
6 only those things that result when you get down here, because
7 debris beds are any state of the core that you have where it's
8 all jumbled up and you're worried about cooling. So debris bed
9 terminology applies to other parts of the accident sequence also.

10 Vaporization of the remaining water, attack on the
11 pressure vessel, and then breach and an exit of the core materials
12 perhaps on to the basemat.

13 I won't go into the various modes that we have conceptu-
14 alized for vessel failure, but rather I'd like to just concentrate
15 on the cooling aspects.

16 Now, the phenomenological uncertainties that we have --

17 MR. SHEWMON: Do you really think vessel failures
18 are more likely upside than down bottom?

19 MR. COATES: That's one scheme. I can't answer the
20 question in terms --

21 MR. SHEWMON: Because that's almost --

22 MR. CATTON: Same thing, it's just a different place.

23 MR. SHEWMON: Different place. Go ahead.

24 MR. COATES: There are reasons to think that that is
25 a plausible failure point.

1 Okay. Now, in all of that there are obviously uncertain-
2 ties, and what I have here is just a partial list. Some of the
3 things that are early are the mode in which the clad fails and
4 how it relocates.

5 Now, we have information on clad attack and so forth,
6 but we have very little information on relocation.

7 Fission product redistribution -- this may not be a
8 terribly significant effect -- it may be a 10 or 20 percent
9 effect -- but we need to look at it.

10 The behavior of the early melts that are formed, the
11 eutectics, how they move, their behavior, properties -- we really
12 need at this stage of the game to look at the failure modes of the
13 internal structures and blockage effects; you know, how permeable
14 blockages are that could form here.

15 Then melt motion, streaming, recreasing, and coherency.
16 I will mention one thing in connection with March. It has three
17 types of models that you utilize in addressing the remaining part
18 of the sequence. One, which is called Model C, allows the fuel
19 to melt and stream down to the bottom of the vessel upon forma-
20 tion. Models A and B more or less keep the melt in place. It's
21 quite significant in the effect on the sequence, so you really
22 do need to know whether you can stream materials or not.

23 Late in the accident you worry about stress formation,
24 its strength, and how much structural integrity it has to hold the
25 melt back, and in remelt. Again, steam explosions come up, and

1 again, they could be beneficial in spreading the debris. Melt-
2 water interactions, degree of fragmentation, dispersal, and so
3 forth. And now the question of coolability, vessel failure modes
4 and timing.

5 MR. CATTON: Before you leave this, Dick --

6 MR. COATES: Yes.

7 MR. CATTON: Melt motion, streaming, refreezing, and
8 coherency -- there is a German program that's addressing that
9 question. Do you think it's going to give you sufficient answers?

10 MR. COATES: I do not know. I can't say that it will.

11 MR. CATTON: Okay.

12 MR. SHEWMON: Do you have a schedule for looking at it,
13 or the ability to look at it?

14 MR. COATES: Not an in-place -- oh, do you mean to look
15 at the German program?

16 No, we have not scheduled such a thing, but it certainly
17 is a good thought.

18 MR. SHEWMON: I hope you do. I mean, last time they
19 were out to your place there was sometimes a flavor of not invented
20 here, and I'm sure that was just our misperception. But you could
21 do things to come to a melt motion.

22 Is this after it comes -- is that streaming after it
23 comes out of the vessel, or is this between layers inside or both?

24 MR. COATES: No. I have not gotten out of the vessel.

25 MR. SHEWMON: Okay. So the streaming is redistribution

1 within the vessel, okay.

2 MR. COATES: I will point out in connection in our
3 defense, we are working very closely with KFK people. Most of our
4 involvement, our own personal involvement to date has been with
5 the people in the advanced reactor side. They are doing some
6 modeling in debris beds which Ron Lipinski will talk about. We're
7 just now getting into this end, and we have not had a chance to
8 look at those things.

9 MR. KELBER: There is in the lightwater area a long-
10 standing agreement for exchange of information, and since we are
11 unifying our melt program, the German people have got to face this.
12 And we have had a very effective exchange, principally under the
13 direction of Rick Sherry, and yes, we have access to that informa-
14 tion and will follow up on that.

15 MR. COATES: Okay. Now, hopefully not to insult your
16 intelligence, I will put up a very simple viewgraph; because now
17 what we want to do is talk about intervention, some action on the
18 part of an automatic system or the operator, restoration auto-
19 matically of AC power. How do we look at this problem?

20 Well, we have to reintroduce water to the core. You
21 form a debris bed, no matter where you are in the core, assuming
22 that you have gone to some sort of local melt, perhaps not even.
23 And then the question becomes is the debris coolable, and we've
24 got the very simple binary system to address, yes or no. We might
25 be able to terminate the accident at that point.

1 Now, the uncertainties that we have upon the reintroduc-
2 tion of the water to the damaged core, we can look at it in
3 various areas, and I'd like to talk about what we call the early
4 stage and then the late stage. And the early stage is when we
5 have not had a great deal of core degradation. The later stage
6 is where the core has become more involved.

7 We worry about -- well, it's simply a problem in the
8 early stage, if you've got this hot material here. What happens
9 when water comes through. Thermal stresses and so forth will
10 probably break it up into smaller particles. We worry about the
11 location of the debris, whether it's in place, whether we've formed
12 a rubble heat, or whether it has settled into some parts of the
13 core that aren't yet damaged. It could form blockages or what have
14 you. We need to know what the geometry of the debris is, what
15 particle size we have, and what particle size distribution, what
16 the shape of the particles is, and the void fraction, i.e., the
17 packing. And we worry about other water entry effects, heat
18 transfer and hydrodynamic effects. How does the water come in?
19 If we are getting water back into the system, does it just come
20 up and plug the core, or are we directing something in on the
21 core? That has a difference.

22 In the late behavior obviously you need to know the
23 type and the extent of the melt, the size of the melt zone, how
24 much sensible heat this melt zone has before the water comes in,
25 how uniform and how coherent is it, the location, whether blockages

1 are present, because blockages below the melt preclude forced
2 cooling; effects of water entry, the steam explosion, quench,
3 fragmentation, dispersal, and then again, the question finally,
4 the debris bed formation, its cooling, and then you have to address
5 the questions if you can't cool it, how does it remelt and what
6 happens from that point on.

7 So that pretty well summarizes, I think, the first part
8 of the cooling problem -- what do we have to cool?

9 Mr. Chairman, that's all I have.

10 CHAIRMAN KERR: Questions?

11 Well, I think that's a good summary, and I found it
12 interesting. I have a couple questions.

13 How are you going to get the information to answer the
14 questions? And second, what are you going to do with the informa-
15 tion once you get it?

16 Maybe the answer is you're going to write a report, and
17 you don't know what people are going to do with it.

18 MR. COATES: That's true. Well, I don't know how you
19 would get at all of these questions. There are some, I think,
20 key questions that you can approach. The questions of what happens
21 to debris when water is reintroduced or to a damaged core when
22 water is reintroduced. There are some experiments that are
23 currently in place at Sandia where -- the steam explosion work --
24 where simply you might change the mode of water entry into the
25 melt, either by spray or by slow immersion, to answer some of the

1 questions of what results when water returns to the system.

2 There are other experiments where you might utilize the
3 large melt capability or a thermite capability to look at some
4 aspects of core slumping onto grid plates, and to whether or not
5 you can indeed have this coherent drop. And you can obviously
6 answer some of the streaming questions.

7 So I think that you can answer several key things in a
8 reasonably short time. It would go into a report, and hopefully
9 it would be used in a good way.

10 CHAIRMAN KERR: Well, in planning your approach to this
11 list of questions, to some extent, of course, you try to get
12 answers to the questions that you think are amenable to investiga-
13 tion.

14 MR. COATES: That's right.

15 CHAIRMAN KERR: But you also attach a priority to ques-
16 tions, the answers to which would be helpful to people who are
17 doing licensing and answering specific questions. What method
18 is going to be used to select among those, or is that something
19 that you don't worry about, and somebody else makes that decision
20 for you?

21 MR. COATES: Well, the latter is probably more correct
22 at this time, since programs are being formulated and ideas are
23 being formulated. But I really would like to field that question
24 to Charlie.

25 CHAIRMAN KERR: Well, if the answer is that you don't

1 really participate in that --

2 MR. KELBER: We know once we have formulated rather more
3 precisely than we have now our technical objectives, we have to
4 address this in a collegial fashion with NRR, with PAS, as well as
5 the RSR staff and the contractors. It's not going to be a uni-
6 lateral decision.

7 I'm pretty smart, Bill, but I do like to get some advice
8 from other people.

9 CHAIRMAN KERR: What process are you going to use?

10 MR. KELBER: Review groups.

11 CHAIRMAN KERR: What is --

12 MR. KELBER: The research review group process.

13 CHAIRMAN KERR: This is an ad hoc --

14 MR. KELBER: Once we get a program plan that's in reason-
15 ably good shape, we will have to form a regular research review
16 group to go over this.

17 MR. SHEWMON: When you get that in place I would very
18 much like to see it, because my experience in other parts of the
19 forest with research review groups is it's where the people with
20 positions like yourself get together with the principal contractors
21 and they sort of chew over who's going to do what next; and I don't
22 call that a review.

23 MR. KELBER: Not really. It's a --

24 MR. SHEWMON: I may be better informed as to what
25 I'm talking about than you are. We both hope that yours is more

1 of a review.

2 MR. KELBER: Well, we try to hold fairly dispassionate
3 and critical -- in the best sense of the word "critical" -- reviews,
4 independent reviews. We try to bring in people who have no ax to
5 grind in the issue but who have expertise to bear. And it's going
6 to be hard on this one; it's not going to be an easy process.

7 But I don't know of a better way, and I'm open to
8 suggestions, as a matter of fact, if you think there are better
9 ways. But I certainly don't think that we're going to -- that we
10 can afford to go through a process of sitting down and cutting up
11 a pie. The pie isn't that big.

12 MR. SHEWMON: Well, I wouldn't mind -- well, I would
13 urge you to get some people who aren't your contractors.

14 MR. KELBER: Yes, yes.

15 MR. SHEWMON: And that is too much what happens in some
16 other places.

17 MR. KELBER: We have in fact had good cooperation from
18 DOE in this respect.

19 MR. SHEWMON: The other thing is you could get some
20 people from EPRI or some place else even if they do, you think,
21 have a cause to push just to see what they have to say.

22 MR. KELBER: We did have EPRI at the fuel melt review,
23 for example, and the review of the Zion/Indian Point report. We
24 had both DOE and EPRI representation, which was very useful.

25 MR. SHEWMON: Somebody ought to be worrying about the

1 most large experiment of this type done yet and how we get into
2 it, and that has to do with TMI-2 which ought to be part of the
3 fuel melt.

4 Do we hear about that today?

5 MR. KELBER: No. I have a backup slide if you want to
6 hear about it.

7 MR. SILBERBERG: Dr. Shewmon, with regard to fission
8 product transport or release based upon TMI-2 data, that is part
9 of the radiologic source term work, that portion of it, but there
10 are others.

11 MR. KELBER: And you know that Dr. Johnston in his dis-
12 cussion of their work, or I think it was Pickelseimer actually,
13 referred to the TMI-2 investigation. I'm coordinating that for
14 the Office of Research, and our latest information is that we
15 hope to get a peek at the core late in fiscal '81 and actually get
16 in and get at it, get samples in fiscal '82.

17 MR. SHEWMON: Are they still waiting to decide whether
18 they'll vent radioactive gas?

19 MR. KELBER: I don't know what decisions were made this
20 week. I suspect so.

21 CHAIRMAN KERR: Thank you, Mr. Coates.

22 MR. COATES: Certainly.

23 CHAIRMAN KERR: Steam explosion studies. Oh, I'm sorry.
24 Another half of this.

25 MR. COATES: There was a second half to this one.

1 CHAIRMAN KERR: There was.

2 MR. COATES: Yes. It's Ron Lipinski.

3 CHAIRMAN KERR: Let's have it.

4 MR. COATES: Okay. Fine.

5 CHAIRMAN KERR: You just talked about half of fuel
6 debris. This is the other half.

7 MR. COATES: Yes.

8 MR. SHEWMON: We aren't to steam explosions yet, or we
9 are?

10 MR. KELBER: The next one.

11 MR. LIPINSKI: Ron Lipinski, Sandia Labs.

12 The possibility of cooling debris is quite exciting be-
13 cause it lends the possibility of terminating the accident at
14 that point, so it's worth looking into. I want to talk about what
15 we presently know about debris cooling, and maybe get into whether
16 or not it's worthwhile to do any more research on the subject.

17 There are three, getting very simplistic here, three
18 items of concern in cooling debris. One, you have to have a heat
19 sink, some place for the heat to go to. Two, you have to have
20 water in order to convey the heat from the debris to the sink.
21 And those two items are essentially engineering type items.

22 Now, in some accidents they don't exist, so perhaps you
23 can make engineering changes to increase the probability they do
24 exist.

25 But the third item is getting the heat from the debris to

XXXX
300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 the water before it goes to the heat sink, and that's more of a
2 phenomenological item, and that's what we'll be talking about
3 mostly.

4 The state of the debris, as we have seen, can be anywhere
5 along the accident progression. It could be a solid state of
6 rubblized fuel, damaged pins with dripping clads and stuff. It's
7 also possible it could be a molten pool.

8 Now, inasmuch as we have to have water in order to get
9 the heat to the sink and the water has a tendency to fragment
10 molten fuel, I'd say the more likely case is going to be particles.
11 Now, we can't just dismiss molten fuels; we have to talk about
12 them later. But for this talk I would like to talk mostly about
13 particle beds, lumping into that term the idea of any sort of a
14 solid array of torturous paths in the fuel.

15 The debris is going to be assumed to be on an impermeable
16 plate as might be if it were in the bottom of the vessel or perhaps
17 on the bottom of a reactor cavity.

18 MR. CATTON: Ron, if you did have a molten pool would
19 the water be as ineffectual as claimed for the basemat?

20 MR. LIPINSKI: Our best estimates say that if you had
21 a molten pool and the water stayed on top of the molten pool without
22 fragmenting it, the limiting heat transfer would seem to be within
23 the bed itself by internal conduction; and that's a question which
24 has to be addressed.

25 MR. CATTON: So your answer is sort of a qualified yes.

1 MR. LIPINSKI: Sort of a qualified yes, yes.

2 MR. CATTON: Go ahead.

3 MR. LIPINSKI: And the final thing is that we're going
4 to consider boiling of the water as a means of getting the heat
5 out of the bed.

6 Now, the question is what do we know at the present
7 stage.

8 MR. SHEWMON: Can you explain what that last -- I mean,
9 that almost seems so obvious, it does insult my intelligence, so
10 you must have something else in mind.

11 MR. LIPINSKI: Of boiling water?

12 MR. SHEWMON: Yes.

13 MR. LIPINSKI: Well, you could conceivably have pumps
14 on and consider only -- well, inasmuch as we've had an impermeable
15 support plate being part of the assumption, it's kind of hard to
16 consider any other way. With very cold water I'm sure you might
17 consider conduction. But that's insulting, you're right. Okay.

18 Just looking basically at water dropping down through
19 a bed and vaporizing and going back upwards, the question is what
20 are the considerations on cooling these particles. Well, one
21 limit is if these particles are quite big, you might make them so
22 large that they start to melt from the center. That's a very
23 easy conduction calculation, and you can find out that particles
24 have to be less than 10 inches to avoid that, and that's not too
25 hard to visualize.

1 The other limit, though, that comes in is that you're
2 assuming that the liquid can penetrate into the bed in this process.
3 If the bed is quite deep -- and indeed, in-vessel beds might be
4 six, possibly nine feet deep -- it could be that the water would
5 all vaporize before it reached the bottom.

6 Now, if that were the case, looking on a macroscopic
7 scale, you would have some region where you had boiling, sort of
8 a wet debris, but at the bottom you'd have a dry region where
9 heat would have to be removed by conduction.

10 Now, a dry particle bed is not a very high conductivity
11 material, like 1 degree Kelvin. And easy calculations of conduc-
12 tion indicate that you'd have fuel melt with only like a three
13 and a half inch or so dry region. And with a fuel melt you'd have
14 high jumper curves(?) and attach the lower structure of the
15 reactor cavity.

16 So you try to avoid dryout, and that's why we have been
17 investigating dryout in our particle bed investigation.

18 So it's known that as you have smaller particles, it's
19 harder for the liquid to flow through; it goes slower so it evap-
20 orates faster. So obviously whereas you have a limit that if the
21 particles are too small, you achieve dryout. So you are now struck
22 between two limits: one, you want your particles to be small
23 enough so it doesn't melt inside the particle, but big enough
24 so that the bed itself doesn't dryout. The principal problem is
25 making the particles big enough, as indicated by some

1 fragmentation studies.

2 MR. SHEWMON: If you've got liquid, you get these
3 things called rayleigh cells or whatever you call them; you know, you
4 can put dust on top of a flat pan of oil and it makes pretty
5 pictures.

6 Is this well enough understood so that you can say there
7 are similar two-dimensional or three-dimensional instabilities,
8 or do you treat this in the total absence of this because you
9 don't know any better, or because you know those are absent and
10 these are --

11 MR. LIPINSKI: Normally I believe the rayleigh cells
12 apply to sub-cooled, non-boiling single phase heat removal.

13 MR. SHEWMON: That's true, but I only bring it up as
14 the only sign of a macroscopic instability I know of, and if I
15 look at rice, that there the heat flow is again different, but
16 some channels are where steam comes out, and other places are where
17 water goes down or something. And there are various things going
18 on at once, so they may go on in different places I guess is my
19 main point. And to what extent is that phenomenon understood in
20 a bed like this?

21 MR. LIPINSKI: Okay. The phenomenon of channeling is
22 one example. Experimentally it appears to be limited to like a
23 5 to 10 centimeter type of a bed, and if we're talking between
24 1 meter for ex-vessel beds and 2 to 3, channeling is probably
25 not significant.

1 The other part, the business of rayleigh cells, with
2 boiling going on, I don't know. I have never seen any reports that
3 indicate that that is what's going on, although there have been
4 very few investigations that would look for such a thing.

5 MR. CATTON: My guess is that they probably do. Any
6 time you have something that's buoyancy-driven, it tends to do that.
7 But I'm not sure how effective that would be. The primary cooling,
8 I think, is going to be due to just the phase change, and then
9 the bubbles are going to get out. The liquid flow really won't
10 contribute a whole lot.

11 MR. SHEWMON: I guess it's more a matter of where it
12 flows to, but go ahead.

13 MR. CATTON: That's right.

14 MR. LIPINSKI: There have been quite a few experiments
15 performed on dryout itself, starting off at UCLA several years
16 ago and continuing with Dr. Kapman and his associates, and
17 Argonne National Lab with Gabriel and Baker, Sandia Labs, of
18 course. The atomic energy establishment at Winfurth in England
19 has come up with some recent measurements, and they've also done
20 some modeling indicating that capillary forces are important.
21 Verlie over at KFK in Germany is doing some ex-core experiments
22 with freon. There have been other experiments coming up from
23 I believe it's Wisconsin with Abdul Kalik, also sponsored by KFK.
24 and there have also been some down at Cornell with bottom heating
25 as opposed to volume heating.

1 Now, the problem is that all of these experiments have
2 done with beds typically around 10 centimeters high and particle
3 diameters less than a millimeter, and now we're confronted with
4 the question can we extrapolate this to a meter, to two or three
5 meter high beds.

6 MR. SHEWMON: Why is it we --

7 MR. LIPINSKI: Oh, I'm sorry.

8 MR. SHEWMON: -- We wait to make everything uniform,
9 and so if we're going to fragment any of it, we have to assume
10 we fragment all of it. Is that why you end up with sort of a
11 material balance that gets you to a two meter deep bed?

12 MR. LIPINSKI: Yes. No, it's not a material balance
13 so much as maybe possibly a conservative assumption. We assume
14 that all of the core is in the particle state in order to say
15 that --

16 MR. SHEWMON: And that's even the outer rim which is
17 most likely not going to melt under most any conditions you want
18 to talk about.

19 MR. LIPINSKI: Right. For in-vessel cases you take --
20 this is kind of a two-sided picture here -- if you take all the
21 UO₂ and an equal amount by volume of structure, it would probably
22 come up to about this high if it were down at the bottom like
23 this, or if it were sitting on top of a grid plate, it would
24 come about so high, this length or this length being three meters.

25 MR. SHEWMON: Go ahead. It's a good place to start. I

1 just --

2 MR. LIPINSKI: Okay.

3 MR. SHEWMON: We get locked into these models after a
4 while because it's the only place we can look.

5 MR. LIPINSKI: Right. Well, even if you cut that in
6 half, it would still be like one and a half meters which is
7 significant. And it leads to the question of how can you possibly
8 extrapolate from such --

9 MR. CATTON: I think more importantly if the edges are
10 not part of the rubble bed, you have a wicking, so you can essen-
11 tially feed water into the bottom of the bed and boil it up like
12 with a bubble pump.

13 MR. LIPINSKI: Okay.

14 MR. CATTON: That would be a far more effective means
15 of cooling than you have with the water having to percolate down
16 through the top.

17 MR. LIPINSKI: Okay. Let me address --

18 MR. CATTON: I think that's what you were driving at,
19 wasn't it?

20 MR. LIPINSKI: Good. I will address that question after
21 we go through all the modeling here, because we have looked at
22 that.

23 Well, it's pretty simple to establish a set of equations
24 for conservation of mass, momentum and energy involving both
25 the liquid phase going down and the vapor phase going up, using

1 1950, 1929 data for flow-through particle beds. And let me just
2 display these equations.

3 There has been some progress since I last addressed the
4 ACRS in December on such a model. If you look at the vapor and
5 the liquid momentum equation, we have added a term for the possi-
6 bility of turbulence when you have large particles. And this is
7 an important effect in these large beds with the high heat fluxes
8 that we're considering. And also as suggested by Shires and Stevens
9 in Great Britain, we've added the capillary pressure for small
10 particles. That's not important for this particular issue.

11 You can solve these equations in closed form and get
12 a solution for dryout, and it's instructive to display the solution
13 in the following manner. I apologize if the people at the back
14 can't see. The bottom says "particle diameter" and it's on a
15 log scale of one millimeter in the center. And the vertical axis
16 is the dryout flux, the heat flux coming out of the top at the
17 point of dryout.

18 Now, the present model for like a one meter deep bed
19 is the green line that merges with the red, and for a 10 centimeter
20 high bed it's similar. The important thing is that we see how
21 this compares to previous models which we may have used for pre-
22 vious expectations or estimations of bed dryout.

23 Previous models had indicated that the heat flux would
24 vary with the square of the particle diameter, hence you have
25 a slope of two there. But the new model, because of the

1 turbulence, suggests that it's the square root of the particle
2 diameter that changes with the heat flux for larger-diameter parti-
3 cles.

4 Now, this has an important effect in that the heat
5 fluxes we expect for the PWR accident cases are typically between
6 two and four megawatts per meter squared, so there's a discretion
7 between the two possible models here which might be on the order
8 of five times or so.

9 So whether or not this model is true is of some concern
10 to people making decisions on whether or not particle beds are
11 coolable. Unfortunately, all of the available data at the moment
12 is right in the region where all the models kind of cross; and
13 that's because the models were derived after the data was gotten.
14 So what we need is a few key data points out here at larger
15 diameters to see which is true.

16 Now, if I were to make my best judgment, it would be
17 this one here because it does include the possibility of turbulence,
18 and the other models in the LMFBR simplification were ignoring
19 turbulence because of the expected small diameter.

20 MR. SHEWMON: Two to four is right away after you put
21 the rods in, or one hour, or one day or --

22 MR. LIPINSKI: Okay. If you take all the debris and
23 kind of let it drop down without spreading it out much, you get
24 two at about five hours and about four at about a half of an hour
25 afterwards roughly, so that's in that span.

1 MR. CATTON: How did you get your coefficients for the
2 turbulence?

3 MR. LIPINSKI: Okay. The relation between turbulence
4 and diameter came from the Ergon equation which was based on a
5 lot of experimental work for core melt.

6 MR. CATTON: Okay. That's enough.

7 MR. LIPINSKI: Okay. But the final coefficient for the
8 dryout was done through an optimization procedure of minimizing
9 the -- maximizing the heat under the different viscosity tradeoffs
10 between liquid and vapor.

11 Now, I do want to point out one point, in that this model,
12 although it is phenomenologically based and all that and has some
13 experimental input from a coefficient, is not absolutely accurate,
14 okay. I'm plotting the predicted dryout flux versus the measured
15 dryout flux for 125 different data points for dryout and so forth.
16 And you'd expect it all on a straight line for a perfect model,
17 and as you can see, it doesn't; it's off by a factor of two.

18 The other models are even worse, and this indicates
19 that either the model is not getting all the phenomena that are
20 involved, as Dr. Shewmon suggested, or perhaps some of the early
21 work, because it wasn't aware, may have had some scatter to it.
22 So we now have two areas of uncertainty: one, whether the model
23 itself works at large particle diameters; and two, whether or not
24 the model has all the phenomena or perhaps just the data are
25 just scattered.

1 MR. CATTON: I can speak for some of the data. It's
2 data scatter.

3 MR. LIPINSKI: By factors of two?

4 MR. CATTON: Sure.

5 MR. LIPINSKI: So --

6 MR. CATTON: It's a tough kind of experiment.

7 MR. LIPINSKI: It certainly is, right. Some of the
8 more recent data is falling closer in line. The stuff from Germany
9 which was sent over to us is this and this, and that's kind of
10 closer in line. You know, they're spending more time.

11 MR. CATTON: Freon behaves better than water.

12 CHAIRMAN KERR: That Hungarian data looks rather good.

13 MR. LIPINSKI: Pardon?

14 (Laughter.)

15 MR. LIPINSKI: Okay. So let's apply this knowledge now
16 to a case, and actually let's go right to the ex-vessel case
17 since that is the bottom line, and we're running short on time
18 here.

19 Okay. I'm just going to list the assumptions that you
20 have. All of UO_2 is in the particle bed, and you have equal
21 amounts by volume, and you have a uniformly mixed bed, and the
22 bed is sitting in the bottom of the cavity and extends out just
23 below the vessel itself; it doesn't push down the cavity. And
24 just as a test case. And the water is at saturation temperature.
25 If it were sub-cooled, you'd maybe a 20 percent increase there.

1 The void fraction is .4 in this assumption here, which is what
2 you kind of get when you actually take a distribution of particles,
3 pour it into something, and you measure what the void fraction is.
4 But it may be on the low side; I don't know.

5 And the problem is we're not too sure what the effective
6 particle diameter is, so we're going to phrase our question, what
7 diameter will give you dryout, and then we'll ask what diameter do
8 we expect.

9 MR. CATTON: How deep was this bed?

10 MR. LIPINSKI: This bed turns out to be in the cavity
11 about 1.2 meters high under these assumptions.

12 MR. SHEWMON: You're describing an experiment or
13 calculations?

14 MR. LIPINSKI: I'm describing a calculation here.

15 MR. CATTON: If you spread the bed out through the
16 total area --

17 MR. LIPINSKI: Then it drops down to .8 meters.

18 MR. CATTON: Okay.

19 MR. LIPINSKI: But you have to have a mechanism for
20 doing that.

21 MR. CATTON: Boiling will do that for the smaller parti-
22 cles.

23 MR. LIPINSKI: Possibly vigorous boiling or explosions
24 might do that. I'm not too sure whether just steady state boiling
25 would do that.

1 MR. CATTON: For small beds there's some data from
2 Argonne that seems to indicate that the boiling process, even
3 though not violent, will spread it.

4 CHAIRMAN KERR: We will investigate that.

5 MR. LIPINSKI: That would be nice if it did, because
6 we have a factor two that you get there.

7 This is the bottom line for this case. For the large
8 break loca which happens like 20 minutes after the scram, you
9 would need particle diameters between 2 and 5 millimeters as an
10 average. And this is a pressure effect here. The containment
11 is pressurized which kind of helps because your vapor is denser,
12 it can get cleaned out quicker or easier. If you're at one
13 atmosphere of 85 millimeters and like five hours afterwards your
14 loss of AC power, it's like 1 to 2 millimeters.

15 Okay. So that's what we're after is those particle
16 diameters. The question is what do we expect?

17 CHAIRMAN KERR: How seriously do you take those results?

18 MR. LIPINSKI: Well, we have at least a factor of two
19 uncertainty from the scatter and the model itself, so there is
20 a first basis. And it can go either way. So at least a factor
21 of two.

22 MR. SHEWMON: You have to have a fair spread in the
23 distribution of the junk that ends up down there under those
24 conditions, too. I don't know what that does to you, but it --

25 MR. LIPINSKI: You're talking about distribution of

1 particle size?

2 MR. SHEWMON: Yes.

3 MR. LIPINSKI: Right.

4 MR. SHEWMON: Or shape, or --

5 MR. LIPINSKI: Right.

6 MR. SHEWMON: -- Homogeneity or --

7 MR. LIPINSKI: The attempt to handle the particle size
8 distribution is normally handled with this equation which was
9 originated numbers of years back and reported by Barrow. You just
10 kind of take the weight, and you inverse it, and you sum it, and
11 you inverse that. And it seems to work fairly well. It was
12 brought into the limelight by LaRigolero from France last year.

13 CHAIRMAN KERR: I'm sorry. What is the meaning of the
14 statement that it seems to work very well? You mean if you put
15 it in a computer --

16 MR. LIPINSKI: Empirically.

17 CHAIRMAN KERR: -- You get something out?

18 MR. LIPINSKI: I mean, if you do it experimentally for
19 fluid flow through a porous material, it seems to work for the
20 pressure drop, it turns out; and if you try to do a dryout experi-
21 ment, there is evidence that it does come in there, too, from
22 UCLA. So that's another slight uncertainty, too, is whether or
23 not this is accurate, but at least we're getting some numbers.

24 The question now is what fragment size do we expect, and
25 this, I think, is where the largest uncertainty exists. And this

1 is kind of -- again, I apologize. The bottom says the "weight
2 percent," that is, less than a given particle diameter D, and the
3 vertical axis is the diameter.

4 What we're plotting here is the results from an experi-
5 ment where 13 or 14 kilograms of alumina oxide, not UO_2 , was dropped
6 in the water and fragmentation occurred.

7 Now, out of 48 tests -- this was done at Sandia -- 37
8 of them kind of were explosive, and 11 of them were not explosive.
9 The explosive ones kind of ended up with a smaller diameter, or
10 this bunch of lines, and the non-explosive ended up with much
11 larger. The average diameter, according to this definition,
12 ended up to be like 200 microns, .2 millimeters for explosions.
13 For non-explosions it ended up like two. So we have a factor of
14 10 difference between explosion and non-explosion. However, this
15 is with only 13 kilograms.

16 The first indication of this, and I would have to say
17 that this suggests that particle beds are not coolable if they
18 involve the entire core, ex-vessel at, you know, like one atmosphere
19 in the reactor building. And that sounds like bad news.

20 The only hope I can hand out at this time is that if
21 you look at the progression of data, when very small one gram
22 samples were dropped into water, hit with the trigger and frag-
23 mented, the average size was like 50 microns, way down here.
24 With these larger melts like 13 kilograms, the average size was
25 like 200; it's getting bigger.

1 Now, if you're trying to be optimistic, you say well,
2 perhaps if you have large amounts of fuel -- and we're talking
3 about total core here in order to make these heat fluxes as large
4 as they are -- maybe you will have a larger average diameter.
5 At present we can only say maybe because there's no experimental
6 justification. So that's one possible hope.

7 The other possible hope, too, is that was very early
8 data. A lot of the stuff has blown out the top, so this may
9 shift one way or the other depending on --

10 MR. SHEWMON: If you only had half the core down there
11 would it be any better?

12 MR. LIPINSKI: If you only had half the core, it would
13 certainly be better; and the diameter varies at this point with
14 the square of the amount of the core down there. So if you have
15 half the core, you need one-fourth the size diameter, and that
16 gets you down to one millimeter or less.

17 MR. SHEWMON: Nobody can assume that you're unconserva-
18 tive if you put the whole core down there, but it seems to me
19 given the power distribution and any ideas on cooling, the chances
20 of the center coming out and the rest staying or plating or
21 sticking some place is approaching unity.

22 MR. LIPINSKI: Right. You know, the hard part is
23 justifying it strictly.

24 Okay. So let me just get to a bottom line then at this
25 point. And that is, what do we find from all this? We find that

1 we're close, that at the present time we have to say that particle
2 beds are not shown to be coolable. However, there is a possibility
3 that they are, and it might be worth fighting for.

4 What we have to do to resolve this question, what is
5 needed to resolve the question, the biggest item is the fragmenta-
6 tion size because that can vary by factors of ten. And I guess
7 you'd have to go to large scale --

8 CHAIRMAN KERR: Suppose it did vary by a fraction of ten.
9 Then what?

10 MR. LIPINSKI: Okay. If right now we had the particle
11 size average as .2 millimeters, a factor of 10 gets us up to
12 2 millimeters, and 2 millimeters is right underneath the noise
13 level of whether or not particle beds are coolable.

14 MR. CATTON: For the whole core.

15 MR. LIPINSKI: For the whole core, yes. That may be
16 defensible, so that's what the question is. It's getting
17 tantalizingly close, but we're not there yet at all, strictly.

18 The other item is high pressure. This applies to in-
19 vessel cooling which I didn't show you the numbers for. It re-
20 quires significantly larger particle diameters, but on the other
21 hand, if you have high pressure the question is would you get
22 explosive fragmentation. You might get, as we've seen when you
23 have non-explosions you get bigger particles; you might get
24 systematically bigger particles. So the fragmentation with large
25 scale and possibly high pressure is one degree of freedom that has

1 a potential payoff.

2 The bed structure itself, whether or not there are
3 voids involved, sodium UO₂ experiments suggest that you do get
4 up to like a 50 percent void fraction; but it's hard to justify
5 for large-scale interactions.

6 Stratification unfortunately is a bad issue. If the
7 beds fall through water and the heavy particles go down to the
8 bottom with light on the top, you'll have a tendency to have poor
9 heat removal capability because the small particles on top restrict
10 the flow down and back up again.

11 If stratification does exist, we have to find out about
12 it so that we're not incorrectly assuming the beds are coolable.

13 Large particles, the difference between the two models
14 seems phenomenologically reasonable, but it hasn't been verified
15 at all. And large bed heights, the difference between 10 centi-
16 meters and one meter, may have some unknown phenomena that will
17 have to be looked into.

18 And again, high pressures, when you're talking in-core,
19 in-vessel cooling, for example, loss of AC power, you might have
20 high pressure which because of the denser vapor has the potential
21 for payoff. And this has not been at all verified, the pressure
22 effect on the model. So far it's just phenomenological guesses.

23 So that's basically where we stand.

24 CHAIRMAN KERR: Questions?

25 MR. LIPINSKI: Shall we take time to answer the one

1 question about the wicking?

2 CHAIRMAN KERR: Do you want the question about wicking
3 answered? No.

4 MR. LIPINSKI: It won't take more than two minutes.

5 I've looked at it. I've made the calculation. In the
6 very deep bed limit the effect of wicking if the bubbles condense
7 up here is that it is a very small effect. At high pressure maybe
8 it's a 30 percent effect. At low pressure it's even less than
9 that.

10 The problem is that the pressure gradient is established
11 by the height of the bed where the bubbles are. The resistance
12 is determined by the vapor volume which doesn't matter much whether
13 the liquid comes from the top or the bottom because the liquid is
14 so small compared to the vapor. That was unfortunate, but that's
15 what the numbers say.

16 If the bubbles remain bubbles all the way to the top,
17 then you have a higher effective hydrostatic head, and maybe you
18 get a factor of two out of it, roughly.

19 MR. CATTON: There were some diameter assumptions in
20 that, weren't there?

21 MR. LIPINSKI: Diameter of what?

22 MR. CATTON: Diameter of the debris bed distance from
23 say the center of the bed to the edge where the downflow is occur-
24 ring?

25 MR. LIPINSKI: No. It was assumed a basically

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 one-dimensional model in which the liquid was able to get over
2 here without any problem at all, and then it went up one dimension
3 from that point.

4 Now, if you're talking about liquid coming in here and
5 entering this way --

6 MR. CATTON: Well, that's what I was referring to.

7 MR. LIPINSKI: Okay. Oh, I'm sorry. That's a possi-
8 bility that hasn't been investigated.

9 MR. CATTON: I was following up on Dr. Shewmon's observa-
10 tion that the edges of the core probably would not be destroyed.

11 MR. LIPINSKI: Okay. Side entry is something I haven't
12 looked at.

13 MR. CATTON: So you come down through an intact fuel
14 bundle, and all the way down you would be feeding into the debris
15 bed.

16 If the flow resistance is that high, I'm not sure that
17 would do any good either.

18 CHAIRMAN KERR: More questions or comments?

19 Thank you, sir.

20 I declare a ten-minute recess. We will reconvene at
21 about 19 of.

22 (Brief recess.)

23 (Whereupon, the meeting began before the Reporter
24 returned.)

25 MR. CORRADINI: By doing this you generate a large amount

XXXX

1 of steam at high pressure, and the whole concern with steam
2 explosions, although it's a very interesting academic pursuit, is
3 in terms of the reactor safety implication -- can this steam do
4 you harm in terms of expanding in any type of reactor system and
5 doing you harm?

6 MR. SHEWMON: How do you know the particles break up?

7 MR. CORRADINI: How do I know? From the post-test
8 examination of our experiments. When we run the experiment you
9 can see the molten material come in at some size, break down
10 prior to the explosion to some smaller size.

11 MR. SHEWMON: I see. These are molten; they're not
12 solid.

13 MR. CORRADINI: Right. But after the explosion they
14 quickly solidify, and then from post-tests you can compare the
15 relative sizes. So after the explosion, as Ron mentioned in his
16 viewgraph -- before the explosion you have sizes of the order
17 of around a centimeter; after the explosion, the size of the
18 particles, the fragmentation of when they've solidified is on
19 the order of anywhere from 100 to 1,000 microns, so anywhere from
20 a factor of 100 to a factor of 10 smaller, okay.

21 So in any case this is just a qualitative picture, and
22 I just only want to reference you that the important thing in
23 terms of reactor safety is how can this rapid production of steam
24 cause you damage in the reactor. So I'd like to talk about it in
25 the four areas; that is, fuel coolant mixing, triggering,

1 propagation, and containment failure. And I'd like to dwell on
2 containment failure probability and just try to rapidly move
3 through the first three.

4 In terms of fuel coolant mixing, right now our current
5 conclusions are that water will probably be in the lower plenum
6 at the time when a large portion of the core is molten, okay. And
7 from the experiments that we have done in many different geometries
8 with essentially an intermediate scale, we find that using a
9 simulant -- that is molten iron aluminum oxide -- we find that
10 this mixing process when the molten material falls in and mixes
11 with the water occurs quite rapidly, on the order of about 100
12 milliseconds, and you see the coarse mixture of approximately a
13 size around 1 to 2 centimeters as an upper bound.

14 Now, the important uncertainties at this point, and I
15 think most of the people, Dick, in particular, Dick Coates, in
16 particular, from Sandia mentioned it before, is that given this
17 fact, there are a lot of uncertainties in the core meltdown
18 progression on how we go from state A to state B. Those being,
19 for instance, how does the material move prior to fuel coolant
20 contact; that is, how does the meltdown progress? What is the
21 mode of lower core grid plate failure, the vessel geometry at
22 the time of failure, the effect of scale on mixing, and the behavior
23 of real reactor materials versus our simulant. And what I mean
24 by real reactor materials is coriums A and E compared to the
25 simulants.

1 Now, at this time our current research is trying to get
2 a few things, and I'll simply mention them, and if you have ques-
3 tions, we can dwell on them a little bit more. But the current
4 research is trying to begin some type of phenomenological modeling
5 of the core meltdown process, analyze possible modes of grid plate
6 failure, both structurally and internally and continue what we
7 call the fully instrumented test series, FITS, in terms of the
8 steam explosion experiment. And then we're trying in the longterm
9 to go up to larger scales, perhaps as high as 100 kilograms of
10 molten material, and introduce it to water, and develop mixing
11 models from that.

12 Now, in the second area of triggering and propagation,
13 I'd just like to take these in tandem.

14 MR. CATTON: Are you going to make some attempt to vary
15 the ratio of the drop to the water?

16 MR. CORRADINI: I'm sorry.

17 MR. CATTON: Water mass to molten material mass, the
18 ratio?

19 MR. CORRADINI: Yes, we'd like to do that. Right now
20 our ratios are approximately running, approximately like 20 to 40.
21 We'd like to decrease that down.

22 MR. CATTON: Twenty times as much mass of water?

23 MR. CORRADINI: Yes. It's a very water-rich situation;
24 that is, you have a very large tank of water.

25 MR. CATTON: I understand.

1 MR. CORPADINI: Okay. So in explosion triggering our
2 current conclusions are that right now we can trigger vigorous
3 explosions both in small-scale -- what I mean by small is approxi-
4 mately a tenth of a gram to a few grams -- and intermediate scale,
5 intermediate scale being approximately 1 to 20 kilograms of
6 material.

7 These explosions are spontaneous, and we note that the
8 explosion intensity, if you want to measure it by some figure of
9 merit, the conversion ratio, and what we call that is the work
10 of the explosion divided by the thermal energy content of the
11 melt, is very dependent on the initial conditions. I've just
12 listed these here.

13 And at this point we have simple models which can explain
14 some of the physical macroscopic variables which we measure and
15 observe during the experiment, but at this point they are simple
16 models.

17 MR. SHEWMON: I guess I don't understand what you mean
18 by spontaneous and triggered.

19 MR. CORRADINI: Okay. What I mean by that is, spontane-
20 ous is kind of a word to hide your ignorance. All experiments
21 when you throw the molten material into the water and you get the
22 explosion, you get some type of -- and this is the physical basis --
23 some type of local liquid, liquid contact between the hot and the
24 cold material which then propagates the rapid heat transfer
25 spatially and temporally through the rest of the material, okay.

1 Now, when I say by spontaneous I mean it happens, but
2 we as experiments are too ignorant to know what caused it.

3 MR. SHEWMON: I have some familiarity with the use of
4 the word in thermodynamics; let's leave that. But the question is
5 do you separately trigger, or does it spontaneously trigger, does
6 it self-trigger?

7 MR. CORRADINI: It does self-trigger.

8 MR. SHEWMON: Okay. Thank you.

9 MR. CORRADINI: What we try to do is artificially do it
10 just for experimental purposes to time for data acquisition, if
11 you see what I mean. In other words --

12 MR. SHEWMON: You say you do trigger, but it will trig-
13 ger, and you're sure you get the same results whether you triggered
14 it or it triggered itself.

15 MR. CORRADINI: Yes.

16 MR. SHEWMON: Okay.

17 MR. CORRADINI: In terms of work output, yes, okay.

18 Let's see. Now, in terms of the propagation, and what
19 I mean by propagation is the rapid fragmentation spatially and
20 temporally in time. The explosion conversion ratio, which I
21 defined as the work output divided by the thermal energy content,
22 is a function of scale. In small-scale experiments we see con-
23 version ratios, anything from no explosion to 20 percent. And
24 I should just mention the thermodynamic maximum of the conversion
25 ratio -- that is, the isotropic work divided by the thermal energy

1 content -- is approximately 30 percent.

2 In intermediate scale experiments, though, we see an order
3 of magnitude reduction anywhere from 0 to 2 percent. And the rest
4 here we just see that we do measure some of the macroscopic
5 variables, the propagation velocity and very high peak pressures
6 from the explosion.

7 MR. SHEWMON: Do you know why the intermediate scale
8 tests give you less?

9 MR. CORRADINI: We have ideas, if you'd like to hear
10 them.

11 MR. SHEWMON: I was wondering whether you understood the
12 phenomena well enough to be able to scale it up to a 50 or 500
13 kilogram mass.

14 MR. CORRADINI: No, to be dead honest with you. We
15 have ideas, but I wouldn't --

16 MR. SHEWMON: You know, drop two more orders of magnitude,
17 and it'd be news.

18 MR. CORRADINI: I don't think it will. I think it's
19 quite sensitive to -- well, in any case I think it will drop, but
20 I don't know two orders of magnitude.

21 MR. SEALE: What ambient pressures are these done at?

22 MR. CORRADINI: These, the small-scale experiments
23 were done -- well, all these experiments that I'm quoting here
24 were done at ambient pressure, slightly above ambient pressure.
25 We are in the process of doing high ambient pressure tests both at

1 small and intermediate scale. I think you'll see something in the
2 next viewgraph which will get, I think, to the question you're
3 making.

4 Right now is the uncertainties in triggering propagation,
5 and the major uncertainties are, if you remember the first view-
6 graph, if the initial conditions play a role in determining the
7 conversion ratio. And I think what Dr. Seale was mentioning is
8 one of the things that can reduce the conversion ratio of the
9 interaction is the ambient pressure, as the other ones here that
10 I've mentioned.

11 At this time we're in the process -- and I'll just skip
12 down to the next viewgraph -- at this time we're in the process of
13 doing experiments, both small and intermediate scale, by raising
14 the ambient pressure. There are two theories as to why the
15 ambient pressure reduces or eliminates the explosion, and what
16 we'd like to do is experimentally with reactor materials or reactor
17 simulants try to understand which of the two theories is correct.

18 And now in terms of containment failure, which is what
19 I wanted to dwell on a little bit more today, if I could, what we
20 have are, first of all, to talk about containment failure you have
21 to now link the explosion, which is an event that occurs in
22 many industries, okay, to the core meltdown scenario.

23 Here there are two possible modes of containment failure,
24 the in-vessel and ex-vessel steam explosion. First of all, missile
25 generation. This is what was assumed in WASH-1400; that is, the

1 steam explosion created the reactor vessel head as a missile and
2 projected it up to containment, generating a hole. So you have
3 missile generation by the expansion of a fuel coolant mixture.
4 And secondly, you may generate some type of leakage through con-
5 tainment penetrations caused by gross motion of the system or
6 the components of the system or surrounding structure given the
7 steam explosion event. That is, it doesn't fail containment
8 directly but causes some type of gross motion.

9 Now, the conclusions that we're drawing here are only
10 applicable to Zion and Indian Point and similar containments; that
11 is, large PWR dry containments.

12 The interim conclusions are at this time that it is
13 unlikely that large mass missiles will be generated. What we
14 mean by large mass missiles is the missiles that were assumed of
15 the same size range as in WASH-1400; that is, missiles of the order
16 of the reactor vessel head. And the reason for this, we feel, is
17 that we looked at various loading conditions, five different
18 loading conditions inside the vessel, using somewhat conservative
19 assumptions about structural -- fluid-structure interaction. And
20 we came to the conclusion that with this fluid-structural analysis
21 you find that vessel head failure first occurs at the top of the
22 head rather than at the sides, which was assumed in WASH-1400.
23 So because of the difference of location, instead of generating
24 a large mass missile which would simply rip and be sent up, rather
25 you generate a local failure which would cause the material to be

1 ejected through the hole but not necessarily generate a large mass
2 missile, okay.

3 Now, we can discuss this later if you have questions,
4 but I just want to move on.

5 In terms of small mass missiles, our conclusion was that
6 small mass missiles could be generated by the explosion. What
7 we mean by that is missiles of the order of like control of our
8 drive mechanism from the impact of the fuel-coolant mixture inside
9 the reactor vessel head hitting the top of the head could throw
10 or control our drive mechanism.

11 Now, slug impact could eject a small missile. In terms
12 of bounding the velocity of the missile, the bounds were, as you
13 see here, somewhere on the order of 40 to 400 meters a second.
14 The missile, though, I should maintain has to penetrate not only
15 the containment but before that must penetrate the missile shield
16 which is always installed in PWR's above the reactor vessel.

17 In looking at this we found that low velocity missiles
18 could not penetrate the missile shield, and as the velocity
19 increases, the depth of penetration increases. However, the
20 missile becomes destroyed as it tries to penetrate the full
21 missile shield. So the conclusion we reached was that although
22 small mass missiles are generated, they don't appear to threaten
23 containment because they either do not penetrate or are destroyed
24 in trying to go through the missile shield.

25 Now, in terms of current uncertainties in containment

1 failure probability, what we've come to is that we'd like to show
2 the reliability of our current analysis in terms of missile gen-
3 eration and damage potential, and then we'd like to look at differ-
4 ent containment systems. Right now we just looked at the large,
5 dry, pressurized water reactor containment. There is Mark I,
6 Mark II, BWR's, and the ice condenser plants.

7 Secondly, although we've identified it, we haven't
8 addressed it technically, is how does the gross motion caused
9 by the steam explosion compare to other gross motions which are
10 designed for in the plant, that is, seismic events and design
11 basis accidents.

12 And third -- or I'm sorry -- and fourth, what I haven't
13 dwelled upon very much is that in the analysis that was done,
14 because it had to be done over a short time period, we could not
15 take into account a lot of the mitigative effects that we know to
16 be there in the reactor vessel or outside the reactor vessel;
17 and some of these I just list here. That is, you know you're
18 going to have some upper internal structure which is not going to
19 be melted out, but rather will contribute to breaking up the fuel-
20 coolant mixture before impact on the reactor vessel head and can
21 mitigate the generation of missiles.

22 Secondly, you have the lower plenum of the vessel where
23 most likely in-vessel you'll get the explosion seems to be the
24 weak link, at least for static pressure loads; and you have the
25 possibility of failing it before the explosion does any damage to

1 the upper internals to cause a missile. And this may simply be
2 a relief path, a very benign relief path for the explosion, and
3 therefore even reduce further the possibility of missile generation
4 and containment breach. And then finally you have obstructing
5 objects in the containment.

6 Now, the one thing that did bother us is if you take,
7 which has been done in the past for final safety analysis reports
8 for missiles, if you take simple empirical correlations developed
9 from weapons-related work and apply it here, you predict that the
10 missiles may penetrate the missile shield.

11 And what we did in this analysis is rather than use the
12 empirical correlations, which we feel to be conservative -- and
13 what we mean by conservative is that they predict penetration more
14 than you would actually get -- we used a code calculation based
15 on CSQ, which is a two-dimensional hydro-code at Sandia, to look
16 at missile penetration of the missile shield. And our conclusions
17 were based on the code calculations.

18 The reason we feel that the code is somewhat reasonable
19 is that right now at Sandia large-scale missile turbine tests
20 are being performed for EPRI where a large missile is being thrown
21 at full-scale at simply a reactor containment building wall, and
22 the CSQ code is being used to calculate or try to predict the
23 effects of the experiment, and it's doing a fairly decent job of
24 that. So we think it's a good tool.

25 And then finally just to end off in terms of current

1 research, right now we'd like to in the future evaluate the
2 possibility of leaking and containment piping penetration through
3 the gross motion both for in-vessel and ex-vessel explosions. We
4 would like to refine the missile generation analysis and refine it
5 in terms of the mitigation features, because we know in our analysis
6 at this point we are on the conservative side, to some extent be-
7 cause we have neglected some of the mitigation effects.

8 And finally, in terms of being prudent for our technical
9 base we'd like to go to some type of scaled fluid structure experi-
10 ment to ensure that our analysis, because it is not at this point
11 supported by experiments, is indeed accurate.

12 So I'll stop here, and if there are any other questions
13 about specifics, we can go into it.

14 MR. SHEWMON: Fluid structure means whether the steam
15 explosion would --

16 MR. CORRADINI: Actually eject a missile or how it would --

17 MR. SHEWMON: I hope your priorities run in that order.

18 MR. CORRADINI: I'm sorry?

19 MR. SHEWMON: I hope that since it's at the bottom of
20 your list it's your lowest priority.

21 MR. CORRADINI: If you want to take it that way, that's
22 fine, but that's the way we view it, yes.

23 Any other questions?

24 MR. CATTON: Yes. What's your view to the conclusions
25 expressed yesterday that it's time to redirect our resources with

1 respect to work in the steam explosion area?

2 MR. SHEWMON: Towards what?

3 MR. CATTON: Away from steam explosions. The feeling
4 was that possibly enough work had been done.

5 MR. CORRADINI: I'm going to be diplomatic here. I'll
6 give you my opinion and then I'll bow to anybody else that
7 would like, in terms of programmatic.

8 I think at this point we have a feeling based on the
9 analysis that steam explosions are unlikely to threaten containment.
10 Now, "unlikely" is more of a qualified term, so I think more work
11 is being done.

12 In the future we're going to direct more of our work
13 towards -- in cooperation with the debris bed work. And I think --
14 it hasn't been mentioned, but it already been in the process --
15 we've done some enclosed steam explosion experiments in the FITS
16 facility where we're in the process right now of doing debris
17 analysis, so we can interact with Ron and Dick in terms of the
18 average particle sizes you get with or without a steam explosion.

19 So we're going in that direction. I don't know how fast
20 you would like to see us go versus how fast we would like to see
21 this go, so there may be some disagreement about speed.

22 MR. SHEWMON: Steam explosion is not a matter of develop-
23 ing enough pressure totally to rupture the containment --

24 MR. CORRADINI: No, no.

25 MR. SHEWMON: It's only a matter of whether you can get

1 a missile.

2 MR. CORRADINI: That's right. The reason that --

3 MR. SHEWMON: Okay.

4 MR. CORRADINI: -- The first one is physically impossible
5 is simply because of the size of the explosion versus the size of
6 containment.

7 MR. SHEWMON: I can't see really where it must have a
8 very high priority for injuring the public, I guess.

9 CHAIRMAN KERR: Mr. Lee.

10 MR. LEE: Is it your understanding that the phenomenon
11 of thermal explosion or vapor explosion or whatever you want to
12 call it, rather than limiting ourselves to steam explosions --
13 for example, if you have a sodium and molten uranium dioxide system,
14 is the magnitude of the fission release and so on different com-
15 pared to the molten fuel system?

16 MR. CORRADINI: Based on experiments I think the answer
17 would be yes. Where's Dick? I don't know where he went. But
18 experiments have been done at Sandia under, I think, Dick's direc-
19 tion for sodium and molten UO_2 of stainless steel mixes. And
20 the experimental evidence appears that they are much less energetic
21 than the molten metal or molten fuel-water experiments.

22 MR. LEE: Did the model or some of the microscopic
23 pictures that you have developed, would that apply to the sodium-
24 molten fuel interaction?

25 MR. CORRADINI: In my opinior, no, not at all, because

1 physically you're in a different temperature regime and a different
2 fluid flow regime. So I'd be very hesitant to transfer the model
3 directly.

4 MR. LEE: Would you have some comments on interpolating
5 from the simulant missile situation to actual fuel steam situations?

6 MR. CORRADINI: What simulants are we speaking of now?

7 MR. LEE: I thought you were using some simulants.

8 MR. CORRADINI: That's right. The reason that I would
9 put more faith in terms of these simulants versus what you just
10 described in terms of fuel and sodium is that fuel and sodium,
11 you're in a different temperature regime in terms of interface
12 temperature, in terms of boiling point. Sodium is a much less
13 volatile fluid than water given a constant temperature, mass and
14 composition for the fuel, whereas here what we've changed in
15 terms of a very quick and dirty change for the iron-aluminum oxide
16 simulant is we have the same, essentially the same metallic
17 compound which is molten iron, and we've changed the oxidic
18 component from a higher melting point oxide, the UO-zirconium
19 mixture, to the aluminum oxide.

20 Now, that does have some bearing, okay, but I don't
21 think a drastic jump in what the fuel material is, because in
22 small-scale experiments we have seen with corium A -- I'm sorry --
23 with corium E or with iron-alumina, the same character of the
24 explosion -- that is, the same debris, same general pressure-
25 producing behavior. So I don't think it's a bad simulant or a

1 simulant that's very off the mark.

2 MR. LEE: Okay. I have a couple more questions perhaps.
3 In one of your viewgraphs in the list of studies you'd like to
4 perform you had listed trigger magnitude.

5 MR. CORRADINI: Yes.

6 MR. LEE: Can you comment on that? I thought in answer
7 to Dr. Shewmon's question you mentioned that the triggered cases
8 essentially give you the same results as spontaneous cases.

9 MR. CORRADINI: Yes.

10 MR. LEE: From which I sort of deduced that trigger
11 magnitude did not play a role.

12 MR. CORRADINI: Yes, but let me just turn the question
13 around, not to delay it a little bit. Then you have to ask your-
14 self well, what was the spontaneous trigger? Okay. And since
15 we don't know that, we can postulate that spontaneous trigger
16 could have been any type of random event which causes a very large
17 pressure pulse over a very short timespan. Since we can't
18 characterize the spontaneous trigger, the more logical thing to
19 do is go back and look at the artificially applied trigger over
20 a variety of magnitudes to understand what had to be in the
21 spontaneous trigger to give us the explosion

22 See what I'm saying?

23 MR. LEE: Yes.

24 MR. CORRADINI: Okay. So that's the reason we're going
25 for the artificially triggered experiments and varying the trigger

1 magnitude, so we understand what's needed.

2 MR. LEE: So they indeed show sensitivity. Do the
3 results show sensitivity to the trigger magnitude?

4 MR. CORRADINI: Oh, yes. Oh, yes, yes. There are some
5 preliminary experiments we're doing right now on small scale that
6 show that if you reduce the trigger magnitude below some threshold
7 and suppress the spontaneous interaction, that you cannot -- you
8 will not get the interaction if your trigger is too small.

9 Now, how small is small? I would say less than 10 bars.

10 MR. LEE: So do I somehow or can I somehow conclude
11 that we still don't understand the mechanism behind --

12 MR. CORRADINI: Behind triggering?

13 MR. LEE: -- Thermal explosions altogether too well?

14 MR. CORRADINI: I think you can say that quite definitely;
15 but what I would emphasize is --

16 CHAIRMAN KERR: Are you sure that you understood his
17 question?

18 MR. CORRADINI: No. Well, then, maybe I didn't.

19 MR. LEE: Well, I'd like to think that we don't fully
20 understand the mechanisms behind the steam explosion or thermal
21 explosion in general yet, because if you cannot somehow distinguish
22 between triggered explosions and spontaneous explosions and so
23 on.

24 MR. CORRADINI: You'll have to be a little more specific.
25 What mechanisms? Let me see if I can break down --

1 MR. LEE: What triggers apparently how the thermal
2 explosion takes place or is initiated, perhaps it's not well under-
3 stood.

4 MR. CORRADINI: Okay.

5 MR. LEE: Can I do this?

6 MR. CORRADINI: I would say that's a fair conclusion.
7 We don't know in many cases why the spontaneous explosion occurs
8 in terms of the physical reason, the academically physical reason;
9 that is, the mechanistic, what's happening on the microscale. But
10 what I'm trying to get at is the macroscale. Given the fact you
11 get the explosion and given you have some reasonable handle under
12 the conversion ratio from the explosion, how does it macroscopically
13 affect you in the reactor system, I think we have a pretty good
14 handle, okay?

15 MR. LEE: Good.

16 MR. CORRADINI: I want to break apart the two because
17 one of them is a long-term pursuit and one of them, I think, is
18 a short-term pursuit.

19 MR. LEE: How much of a sensitivity do we have to the
20 magnitude of the trigger? Is it order of magnitude type or a
21 factor of two type of sensitivity? Could you perhaps comment
22 further?

23 MR. CATTON: It's a threshold, isn't it?

24 MR. CORRADINI: It's a threshold.

25 MR. CATTON: The actual peak pressure from your

1 interaction does change as you change the trigger providing it's
2 large enough, is that right?

3 MR. CORRADINI: Say it again. I'm sorry.

4 MR. CATTON: The magnitude of the pressure pulse from
5 the interaction does not change the triggering. It's a matter of
6 meeting a threshold requirement.

7 MR. CORRADINI: That's right.

8 MR. LEE: I didn't understand it.

9 MR. CORRADINI: Okay. Physically what we're thinking
10 of is film collapse and liquid-liquid contact between the two
11 materials. What you need in the trigger to cause that, as Dr.
12 Catton was saying, is a threshold type of thing, so we know what
13 magnitudes don't do it, what magnitudes do do it, okay.

14 But in terms of changing the conversion ratio, experi-
15 mentally, empirically we do not see a difference whether it's
16 spontaneous or artificial.

17 CHAIRMAN KERR: Is it always the same within some data
18 scatter independently of whether you trigger and with what
19 magnitude you trigger?

20 MR. CORRADINI: Within some data scatter for the inter-
21 mediate scale experiments you see a scatter or around a half a
22 percent to two percent, and in terms of if you want to plot it
23 versus various abscissa, melt mass, water mass --

24 CHAIRMAN KERR: But what about plotting it against
25 trigger magnitude? No correlation?

1 MR. CORRADINI: No correlation.

2 CHAIRMAN KERR: Once you get above the threshold.

3 MR. CORRADINI: Once you get above the threshold. At
4 this point that's what we see.

5 MR. LEE: One last question.

6 MR. CORRADINI: Sure.

7 MR. LEE: How is the energy affected by the presence of
8 impurities?

9 MR. CORRADINI: What do you mean by impurities?

10 MR. LEE: Well, for example, in an actual reactor situa-
11 tion postulated with accident materials, some steel or iron or
12 something mixed together with the fuel. Would that change the
13 picture?

14 MR. CORRADINI: Oh, okay. You mean fuel composition?
15 In fuel composition we see very little change if it's molten. The
16 real physical question is if you've got a lot of solid debris in
17 there. Then I would say the effect of solidification is quite
18 apparent, that if you solidify you will reduce the --

19 MR. LEE: They are molten, too. The stainless steel or
20 whatever is molten also with the uranium dioxide. Then it would
21 not affect your result very much?

22 MR. CORRADINI: I'll let Rick --

23 MR. SHERRY: I think you ought to mention the effect
24 of the metallic versus oxidic content of the melt in the production
25 of the non-condensed --

1 MR. CORRADINI: I don't know how deeply everybody wants
2 to know about this.

3 MR. CORRADINI: I think it bears on this question.

4 MR. CORRADINI: Okay. In terms of experiments we find
5 that when you have a metallic melt, you generate non-condensable
6 gases because the metallic melt is essentially oxidizing in the
7 steam space, okay, and the non-condensable gases serve to protect
8 you and make triggering more difficult. So in terms of that, a
9 metallic phase melt is harder to trigger than an oxidic phase
10 melt. Okay. That's one effect.

11 Another effect is solidification. If you're closer to
12 solidification temperature when you're throwing the molten materials
13 in, obviously if you're going to start solidifying some of the
14 debris or some of the driving hot fluid, again your conversion
15 ratio is going to go down. That's been empirically seen also,
16 okay.

17 So for each different effect, as you term it impurities,
18 whether it be near-solidification or more metallic, you get
19 different effects.

20 CHAIRMAN KERR: Other questions?

21 MR. SEALE: Is there a summary available of sort of
22 the best estimate results or model which you have?

23 MR. CORRADINI: Well, there's a series of reports. In
24 terms of containment what we've done, and I think you get the
25 impression the way I'm talking, is we try go separate what I will

1 call the microscale, what's happening physically in the mechanistic
2 level here, and the macroscale, how does it affect the reactor
3 system.

4 And in terms of the reactor system we put out a Sandia
5 report, 79-2002, and that talks about containment failure proba-
6 bility from the steam explosion. In terms of the microscale we've
7 put out a Sandia report 2003, 79-2003, and more reports -- I mean,
8 we could talk afterwards; I can give you a whole list of reports
9 in terms of our experiments that are either in publication or
10 have just been recently published.

11 CHAIRMAN KERR: Other questions?

12 Now, let's see. Sandia creates steam explosions, and
13 LASL creates steam explosions, and I assume they're different.
14 We're now going to hear about LASL steam explosions.

15 end

16 tp 5

17

18

19

20

21

22

23

24

25

XXXXXXXX

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

MR. STEPHENSON: I'm Mike Stephenson from Los Alamos, and Dr. Kerr, for once we've created the same steam explosion.

What I'll talk about very briefly, and because of the time constraints I'll be as brief as I possibly can, are analyses that we performed for the Zion-Indian Point study. What we tried to do in these analyses was to take a computer model, specifically the Simmer code, that has been used in similar LMWBR analyses, benchmark that against a Sandia experiment, a particular one, and then use the code to extrapolate to reactor conditions, using the same heat transfer assumptions as gave us a reasonable analysis of the experiment.

The purpose of these calculations was to see if there are strong effects due to the interactive nature of the expansion process, and the hydrodynamics, the heat transfer and the hydrodynamics in that process.

The particular experiment that we analyzed was test number 43, performed by Larry Buxton at Sandia. The assumptions we used were very similar to those that we used in other analyses, in analyzing other experiments and other accident configurations, both with simulant fluids and in the accident case, for the LMFBR materials.

There are three primary pieces of the test data that we tried to match with the experiment analysis. Particular test -- I should add the test involved pouring molten termite-generated materials into an open tank of water, atmospheric

1 pressure of the water more or less at room -- well, at 300
2 Kelvin or something of that sort.

3 The experiments exhibit behavior which shows the molten
4 materials streaming down towards the bottom of the vessel in
5 a film boiling mode, with rather large particle sizes, globules
6 of fuel. I should add that the configurations that I'm talking
7 about and the conclusions I'm making on these configurations
8 were drawn from tests performed in a lucite tank, where one can
9 see what's going on.

10 In our experimenta analysis we assumed that the explosion
11 was trigged as the molten material touched the bottom of the
12 vessel. That appears to be the case in most of the experiments
13 in which explosions occurred.

14 To match the rapid pressure rise measured in the
15 experiment on the vessel wall, we had to assume in our experiment
16 analysis that the particles were fragmented to small size. The
17 particular number that we used was 300 microns in diameter molten
18 material particles. This is in reasonable agreement with those
19 particle sizes observed after some of the tests.

20 We also assumed that there was a vapor chimney above
21 the intermixed region, the primary intermixed region. The vapor
22 chimney gives a very rapid pressure decay following the initial
23 rapid spike caused in the interaction.

24 Our analysis matches the peak pressures, the rapid
25 pressure rise, the rapid decay fairly well. The calculated

1 efficiency, in the same terms that Mike Corradini was talking
2 about, the kinetic energy of the system to the thermal energy
3 of the molten material, the calculated values were about .5 percent.
4 The measured value in this particular test was .43.

5 In performing reactor calculations for Zion specifically,
6 we took the reactor geometry of the vessel; we used the same
7 heat transfer assumptions, that is basically the 300 micron
8 particle size; we took the same ratios of molten material to
9 liquid water and steam in the primary interaction zone that
10 gave a successful match -- that's a 50-25-25 percent ratio.
11 We assumed in different cases that there was 10 percent or 20
12 percent of molten core materials, premixed with water steam.

13 In the reactor case, we assumed that as the molten
14 core, part of the molten material, fell into the lower part of
15 the vessel due to a sudden failure, the falling material mixed
16 coarsely, much as observed in the experiment, and triggered,
17 as it hit the bottom of the vessel. The remaining molten core
18 materials were left in the original core position. We assumed
19 100 percent of the core being molten in these calculations.

20 I should add that in my opinion, the largest uncertainty
21 in these calculations is given by these initial conditions,
22 assuming the amount of core materials mixed. As I said,
23 we have seen 10 percent or 20 percent in separate cases.

24 This simply shows the geometry used in the calculations,
25 an RZ two dimensional calculation, including the reactor core

1 region, the downcomer region, which allows water to flow up
2 and even out an outlet pipe, so there is some compliance,
3 inertial compliance in that direction included.

4 Now in this reactor case, the primary difference that
5 we see from the experiment analysis is the large inertial tamping
6 given by this molten core above the interaction zone. What
7 we find is that the efficiencies in this case are larger than
8 in the experiment analysis. The higher inertial tamping leads
9 to a longer expansion time. In the experiment case with the
10 vapor chimney, the expansion time is fairly short and there's
11 an early venting out -- very early there is venting out that,
12 although the liquid does close off that chimney during the
13 expansion. But nevertheless, there is not much inertial tamping
14 in the experiment case.

15 One of the points we were looking for is to see if
16 the two-dimensional behavior of this molten slug affects the
17 expansion dynamics and the loading dynamics. Our calculations
18 show that it certainly does. This large slug of molten material
19 tends to break up in a two-dimensional fashion as it moves towards
20 the head.

21 Separate calculations performed with another code indi-
22 cate the same kind of behavior, although the two-dimensional
23 aspects are very dependent on the assumptions made on the initial
24 geometry of the expansion zone.

25 In all cases we find that the loadings on the head

5
1 are very much biased towards the center, towards the apex. This
2 tends to decrease the likelihood of large missiles being
3 generated, very strongly.

4 One point that I'd like to make strongly is that we
5 feel that even though not analyzed in detail, the lower head
6 is likely to fail during the expansion process, prior to any
7 large impact delivered to the head, in cases giving large
8 kinetic energy, so that the missile generation in the upward
9 direction is even more unlikely.

10 These calculations are reported in the Zion-Indian
11 Point study. I think most of you have had a preprint. That's
12 all I have to say. If there are questions I'll be happy to
13 try to answer them.

14 CHAIRMAN KERR: Question?

15 MR. KELBER: I come now to the final part of my
16 discussion of our program. You've heard some of the details
17 of planning for the nearterm with regard to Class 9 accident
18 research and you've heard of some specific activities that are
19 going on.

20 I now want to describe the logic and some of the history
21 that's led us to this position, a current concept of the
22 strategy resolved in these issues, and the relationship of our
23 work to certain recommendations that you have made, and finally
24 to describe my understanding of how the budget will be handled.

25 The logic has been dictated by a perception, a

1 circumstance, and a misconception. That signals the possibility
2 of a change in approach, and I assure you of our readiness to
3 listen carefully to your advice in completing the program
4 formulation.

5 The perception is implicit in WASH 1400 and is referred
6 to in the Rogovin report that at some point core damage is so
7 severe that despite what efforts one makes, the core will
8 proceed inexorably to meltdown. The problem with this concept
9 is that at each end of the scale, the core is coolable for some
10 set of coolant and power conditions. Certainly it's coolable
11 when only a small amount of damage has been received, and even
12 the TMI-2 core, which is evidently pretty badly damaged, is
13 coolable.

14 We're fairly sure that a sufficient time has passed for
15 decay heat to reduce. Even a large particle debris bed can be
16 cooled, although as you have heard, we are much less certain
17 about the debris bed forming earlier in the damage sequence.

18 So I find it difficult to identify conceptually the
19 set of variables whose values being in a certain range indicate
20 non-coolability. And I have a little cartoon here that illustrates
21 my conceptual problem. I apologize for the artistry or the
22 lack of it. The artist is a miserable fellow, poor wretch.
23 Name's Kelber.

24 But basically the question is, do you proceed along
25 with a core whose heat can be removed with reasonable facility

7
1 so at some point damage accumulates and there's nothing more
2 you can do? Or as damage accumulates does it simply become
3 harder and harder to remove the heat but all of the heat, if
4 you try hard enough, you can remove the heat? And that
5 dictates a different strategy if you believe the one or the
6 other.

7 For the present, we are proceeding with the assumption
8 that after some degree of damage accumulation and some condition
9 of decay heat, the core no longer can be cooled but begins to
10 melt down into a series of blockages and debris. There's an
11 operational value to this assumption because it allows us to
12 draw a reasonably close distinction between the work under the
13 aegis of the fuel behavior branch and the work that's described
14 here. Clearly, there's overlap and an active interface.

15 Superficially the behavior in this regime is like that
16 described in the transition phase in fast reactors, but we
17 must remember that in the LMFBR case the assumption is made
18 that there's been a loss of coolant flow.

19 The other neat point about this assumption that signifies
20 another convenient dividing line, the debris bed, and with a high
21 degree of confidence we view the issue of debris bed coolability
22 as a technically separable problem.

23 Now, it is awfully tempting therefore to develop a
24 program strategy based on such assumptions that lead to nice
25 logical compartments for managing the work, but we ought to in

8
1 some respects correspond to reality and we ought to have some
2 checks on whether we're making a basic error.

3 The circumstance I referred to is that soon after the
4 immediate response to TMI-2 was in hand, Dr. Murley realized that
5 there was a need to integrate the existing fuel melt program
6 and developed a plan to use all our resources effectively to
7 resolve problems related to the treatment of fuel melt in the
8 coming years. Dr. Murley designated Mel Silberberg as program
9 manager to perform this task of integration and lead the forward
10 planning and you've heard his progress report.

11 Soon afterwards work began on the TMI-2 action plan
12 and integrated fuel melt program was incorporated as part of
13 the research activities ascribed in the plan. I recommend the
14 integrated fuel melt plan to you. A draft will be sent to you
15 soon. Nevertheless, I'm constrained to point out that it is
16 created on the basis of two assumptions -- one, that the
17 technical problems can be separated at the debris bed stage.
18 I just discussed that aspect. The second is that containment
19 loadings in response are a function of the fuel melt process and
20 there's no substantial interaction between containment systems
21 and the fuel that modifies the fuel melt process.

22 For conventional, large, dry containments it appears that
23 this is a correct statement except for the operation of sprays
24 and the ECCS system. And that's a key question that was raised
25 in the Zion-Indian Point study, and that is if it is power

1 restoration at some time after core melt, should you provide
2 for some way of diverting sprays and ECCS or how should they
3 be handled? Do you repressurize the containment? The intro-
4 duction of mitigating systems such as vents and core catchers
5 may change this view. These reservations are a consequence
6 of the circumstance that the integrated fuel melt plan is
7 a forerunner of a more complete program plan. And that
8 circumstance has led to a certain amount of confusion in
9 people's minds.

10 Still, we have to get started and the fuel melt plan
11 is a better basis than most. As is the case with most fuel
12 melt work, the fulk of the research involves extrapolation to
13 a difficult thermophysical regime. Simulation of these
14 effects is often difficult and expensive.

15 The program under fuel melt forms the largest single
16 chunk of Class 9 accident research and will get correspondingly
17 the bulk of the attention. But the circumstances that the fuel
18 melt plan was the only currently available basis for a more
19 complete Class 9 accident program became evident during the
20 detailed review of the fuel melt plan in Feburary by the
21 research review group referred to earlier.

22 First, an important gap was evident in the area of the
23 transition from a severely damaged core to a debris bed, and
24 second, key technical interfaces with the fuel melt plan were
25 identified and their role and importance within a broader

10
1 framework for organization of the total program needed. During
2 this same time period, lessons learned from the preliminary results
3 of the Zion-Indian Point study reinforced our thinking regarding
4 the need and structure of a broader Class 9 accident research
5 program.

6 All this, I might say, was accompanied by some
7 negotiations over the task action plan which I can only
8 describe as byzantine. They'll ask me to take that out of my
9 testimony, but I have to get it in. And that simply compounded
10 some of the misconceptions.

11 Because these circumstances and the groundrules,
12 timing and pace of the formulation of the task action plan
13 led to a misconception, it has to be cleared up. That is
14 that the integrated fuel melt program was the Class 9 accident
15 program. The bulk of it, but it is not the same thing.

16 I hope I've clarified the situation.

17 CHAIRMAN KERR: I didn't know there was a situation
18 to be clarified until you told me about it.

19 MR. KELBER: I think there was when we tried to
20 organize this meeting.

21 CHAIRMAN KERR: And now you have me puzzled, but at the
22 next meeting you can clarify it.

23 MR. KELBER: Okay, it's always good to have something
24 left over for the next meeting.

25 Dr. Murley's leadership in the integration of the fuel

1 melt program coupled with some of our earlier experiences in
2 assessing the coolability of the TMI-2 core caused us to examine
3 the question of ho- resources devoted to LMFBR safety might be
4 effectively utilized. We quickly realized that a considerable
5 spin-off of LMFBR safety technology could be made to save both
6 time and money in addressing Class 9 accident problems of
7 LWR's. Note that it is technology and skilled people that are
8 being spun off, and not the product itself. There are strong
9 resemblances between many of the particular problems that arise,
10 but we are under no illusion that an LWR is just an LMFBR with a
11 different coolant.

12 The process of technology transfer or spin-off is
13 illustrated in my next viewgraph, and this is hardly complete,
14 but it is illustrative. There are ample opportunities for
15 transfer and we intend to make the most of them. This point
16 has been mentioned in Congressional testimony this year by the
17 Commission and by Dr. Budnitz and as far as I know, it's had
18 a favorable reception throughout.

19 We believe that many of the techniques and technology
20 developed here, the skilled people that have done this work
21 can technically address many of these questions and save us
22 a considerable amount of time.

23 Finally, we're conscious of your views with respect to
24 maintaining a program directed at LMFBR's. The budgetary
25 pressures are such, however, that we will need to make most of

1 dollars to double duty. To the extent that LMFBR safety
2 technology can be transferred to LWR problems, the reverse is
3 likely to be true as well. So we hope to be able to carry out
4 a program that also attacks key problems unique to LMFBR's,
5 such as the sodium-concrete interaction, and we've provided for
6 that in our program logic; we await Congressional guidance
7 as to the future of that program. We believe that we will
8 receive guidance to continue work in this area.

9 With this strategy in mind, I want to recall to you
10 our program organization, the four-part organization that I
11 illustrated earlier. The second and fourth items, fuel melt
12 plan and the remnants of the LMFBR program, are well planned
13 and have received a fair amount of review within the Commission
14 and within review groups. The presentation that was to have
15 been made by Dr. Curtis earlier today exposes our thoughts
16 with respect to the first and third, where we see a short-term
17 but good-sized effort to attempt to take the various codes that
18 are available, couple them with what model tests and what
19 other tests are being done in this area to produce some good
20 system analysis methods.

21 I've been asked to comment on how this work will be
22 handled in the budget. Dr. Murley and Dr. Budnitz are
23 engaged in rectifying the budget line items and it is my
24 understanding that this program will appear as a major part of
25 a line item. And I believe that line item will be called Severe

1 Accident Phenomenology and Mitigation. I expect that my manage-
2 ment will be meeting with the Full Committee soon if they've
3 not already done so to discuss the budget organization. I believe
4 they have had preliminary discussions with the executive
5 director for operations and the comptroller. I assume that they
6 will meet with the Commission and with the ACRS.

7 There are significant interfaces that have been described
8 and as the budget organization is made clear we will have to
9 pinpoint these areas of interface and overlap. We're preparing
10 to do that.

11 This program does not by itself respond fully to the
12 recommendations for new directions in research listed in chapter
13 2 of your report, although it does address the topic of studies
14 of courses of serious accidents and of molten core retention
15 and steam explosions.

16 Taken together with the new work being initiated by
17 the Fuel Behavior Branch, the IREP program and the work on
18 multiple faults accident sequence analysis, now called severe
19 accident sequence analysis, the aggregate response is very
20 good. As budget guidance is developed the pace of work will be
21 better defined, but the scope of work is as you recommended. We
22 have no quarrel whatsoever with the recommendations in that
23 regard.

24 Recent decisions to prepare for rulemaking, to include
25 Class 9 accidents in evaluation of environmental impact, et

1 cetera, all point to a consensus regarding the need for more
2 knowledge about these accidents. Important decisions have to be
3 made about the pace of the programs that develop this knowledge.
4 Recently Dr. Ross of NRR commented on this matter in a memo to
5 Dr. Murley. Let me quote it because I think it is a key
6 statement.

7 "We view the timely and appropriate execution of a
8 substantive research program in this area as important to the
9 successful resolution of safety and licensing issues centering
10 on severe accidents beyond the design basis as described in
11 Section II.B of the TMI Action Plan, NUREG-0660. In particular,
12 we consider this component of the RES program to play an
13 important role in the rulemaking proceedings regarding
14 consideration of degraded core/core melt accidents in safety
15 reviews, especially in providing some of the technical bases on
16 the issues that will be discussed/raised during the proceedings."

17 That's the end of the quotation. I might say that
18 in that action plan, there is also anticipated approximately
19 100 man-years of effort by the industry in this same area.

20 Well, we share Dr. Ross's view. We are as one in this
21 and we anticipate that you do, too. And that concludes my
22 testimony on this matter.

23 CHAIRMAN KERR: Are there questions? Charley, I don't
24 know whether you're the one to whom I should be addressing this
25 question, but I gather that much of the present planning is

1 aimed at supporting the Commission in the rulemaking proceedings?

2 MR. KELBER: Yes, sir.

3 CHAIRMAN KERR: Part of that --

4 MR. KELBER: That is the concept which I share with
5 many others, but it's one which I think I have taken the lead on
6 and developed.

7 CHAIRMAN KERR: Part of the proceeding will necessitate
8 some understanding of the phenomena that will be discussed. At
9 some point the Commission or some consortium of the Commission
10 and others will need to put forth some criteria, if one follows
11 the sort of thing that was done in say ECCS.

12 Who's going to be responsible for that effort? Will
13 that be standards, NRR, RES?

14 MR. KELBER: I expect that NRR will be taking the
15 lead, but that they will involve us heavily as their prime source
16 of technical support, and I assume that standards will also
17 be playing a role. I'm frankly not aware of all the intricacies
18 by which criteria are developed.

19 CHAIRMAN KERR: It would not seem too early to begin
20 thinking about what research would need to do to assist in --

21 MR. KELBER: I think that's correct. I think that we
22 are behind the times and have to hurry a great deal to catch up.

23 CHAIRMAN KERR: Other questions?

24 The agenda shows a ten-minute closed session to discuss
25 budget. Is that still appropriate?

16

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. KELBER: I think it's still appropriate. You suggested that we might move it to the end. I'm agreeable to do that if you wish.

CHAIRMAN KERR: I do think that that would be the thing to do, and I'll therefore declare the non-Executive Session part of the meeting at an end. We now go into executive but open this it not a closed session. It's just an Executive Session. We've been advised among other things that we don't need to have it recorded.

(Whereupon, at 4:40 p.m. the meeting went into Executive Session.)

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

nd 6

This is to certify that the attached proceedings before the
NUCLEAR REGULATORY COMMISSION

in the matter of: Advisory Committee on Reactive Safeguards
Subcommittee on Class 9 Accidents

- Date of Proceeding: May 9, 1980

Docket Number: _____

Place of Proceeding: Chicago, Illinois

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

Sharon Connelly

Official Reporter (Typed)

Sharon Connelly

Official Reporter (Signature)