

sh

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

JOINT SUBCOMMITTEES ON SITE EVALUATION

AND REACTOR RADIOLOGICAL EFFECTS

Room 1046
1717 H Street, N.W.
Washington, D.C.

Thursday, May 22, 1980

The Joint Subcommittee meeting was convened, pursuant to notice, at 8:30 a.m.

Present:

- MR. DADE W. MOELLER, Subcommittee Chairman
- MR. J. C. EBERSOLE, Member
- MR. JEREMIAH J. RAY, Member
- MR. PETER S. TAM, Designated Federal Employee
- DR. RICHARD FOSTER, Consultant
- MR. ALEX GRENDON, Consultant

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

P R O C E E D I N G S

8:30 a.m.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

CHAIRMAN MOELLER: The meeting will now come to order.

This is the second day of a meeting of the Advisory Committee on Reactor Safeguards, Joint Subcommittees on Site Evaluation and Reactor Radiological Effects.

I'm Dade Moeller, the subcommittee chairman. The other ACRS members with us today are Jesse Ebersole and Jerry Ray. We also have with us two consultants, Richard Foster and Alex Grendon.

We have two purposes for the meeting. The first is to review and develop comments for submission to the full committee on the draft final rule on emergency planning, which has been prepared by the NRC staff. We met with them and discussed that yesterday and this afternoon we will be discussing and preparing our written comments on that rule.

The second item is to review the NRC safety research plans for FY 1982 with emphasis on the priorities assigned to the various research projects and the budgets that accompany them.

The meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act and the Government in the Sunshine Act.

We may find it necessary to hold one or more closed sessions for the purpose of exploring matters involving proprietary information. The vast majority of the meeting will be open, however.

1 Mr. Peter Tam, seated on my right, is the designated
2 federal employee for this meeting.

3 The rules for participation in the meeting have been
4 announced as part of the notice previously published in the
5 Federal Register on May 6, 1980. A transcript is being kept and
6 it is requested that each speaker first identify himself or
7 herself and speak with sufficient clarity and volume so that he
8 or she can be readily heard.

9 We have a few minutes this morning for an Executive
10 Session. Let me place in the record the fact that we do have a
11 draft, the first draft of proposed comments on the file rule
12 on emergency preparedness. These comments were prepared on the
13 basis of the discussion we had yesterday afternoon.

14 We will immediately after lunch go over them and
15 discuss and modify and refine them.

16 This morning we are meeting with the reactor
17 radiological effects research group, R. Abbey and Frank
18 Arsenault, and we have the discussions with them scheduled for
19 the morning. As background to those discussions, you do have
20 the hand-out which we distributed yesterday, which is the draft
21 long-range research plan of the Office of Nuclear Regulatory
22 Research dated May 2, 1980. And I'm fairly certain that you'll
23 find that very useful as a guide in following the projects as
24 we go along.

25 There will be, of course, and there is other hand-out

1 material that will accompany the presentations.

2 Frank, what sort of -- you're ready then to proceed,
3 and the floor is yours and whatever sequence you desire to take
4 will be fine with us.

5 Are there any questions prior to Frank's presentation?

6 (No response.)

7 CHAIRMAN MOELLER: Okay, let's proceed. We welcome you
8 here this morning and we look forward to having an in-depth
9 discussion of your research. We would like to clearly understand,
10 Frank, to have the material presented in units so we know
11 precisely what subject area, what research we're talking about,
12 and that we have some idea of the priority that you have assigned
13 to it, and in the closed session a discussion of the budgetary
14 recommendations for its support.

15 MR. ARSENAULT: Thank you.

16 I'd like to make two introductory comments or observa-
17 tions first. One is that there are two hand-outs that I brought
18 with me this morning that I think have been distributed. One of
19 these is a copy of the viewgraphs that I'll use. The other is
20 a description in greater depth of the projects that are identified
21 on the viewgraphs and contains budgetary information.

22 My discussion will deal with the substance of these
23 discussions and the talk probably will be open. The second
24 hand-out, however, containing budgetary proposals, should be
25 dealt with as proprietary information for the time being.

1 CHAIRMAN MOELLER: And we will close the session to do
2 that, because we do indeed want to cover the budget.

3 MR. ARSENAULT: The second point is that the long-
4 range plan draft that you have has one portion of it titled
5 Occupational Exposure, which ultimately will be divided into two
6 portions for the long-range plan, the reason being that we have
7 within our organization two specific activities. One is to look
8 at exposure and health effects and the other is to consider the
9 sources of occupational exposures and protective mechanisms to
10 reduce that exposure. That distinction will be made in subsequent
11 drafts of the chapter.

12 I would like to describe to you the approach that we
13 took in preparing this presentation and then get into the
14 presentation itself.

15 The scope of the presentation is taken from Chapter X
16 of last year's report, Reactor Radiological Effects. It covers
17 all reactor radiological effects. It does not cover non-
18 radiological effects. And it deals strictly with reactors.
19 Again, the long-range plan chapters are broader in scope than
20 Chapter X of the report.

21 We considered, taking some cues from observations and
22 comments made by the subcommittee previously, that it would be
23 useful to discuss the reactor radiological effects in four
24 categories: the first, occupational exposure. The second is
25 routine radiological effluents. The third is accidental

1 radiological releases. The fourth category, closely associated
2 with the third but distinct, is emergency response. The
3 distinction between the third and the fourth lies largely in
4 the fact that much research we do in the area of accidental
5 releases is to develop a predictive capability, whereas in the
6 case of emergency response we're dealing with an operational
7 capability. That is the distinction you'll see in the presentation.

8 Another point is that you are not looking at any
9 decision unit this morning. There is no decision unit corresponding
10 to Chapter X. What you will be seeing instead are pieces of a
11 number of different decision units in all of the organizational
12 entities within the Office of Research. That is from the
13 Safer Division, more than one branch, Probabilistic Analysis
14 Section has an input to this, a big input, and RSR in more than
15 one branch has a relationship to this topic. I'll make those
16 relationships evident as we go along.

17 With that, I shall begin. Looking first at occupational
18 radiation exposure, we looked at this in three areas. The
19 question of source terms and how one goes about reducing
20 exposure consistent with the ALARA principle, the question of
21 dosimetry, how one measures the exposure, and finally, what the
22 effects of those are.

23 In connection with the first area, source terms, if I
24 may, and I think this will be the only time I do this, I want to
25 put up slide 2 for just a moment and make a point. In slide 2,

1 the first item is fin number A-605, which is a project that
2 looks at the buildup of radionuclides in reactor systems and how
3 they are distributed within the facility. From the point of
4 view of determining the requirements for effluent treatment
5 systems, the point is to learn what's in the plant so that you
6 can describe the requirements and characteristics of treatment
7 systems that will result in effluents from the plant that meet
8 the EPA and NRC standards.

9 The point is that much of that work is related to the
10 interest we have in determining what the sources are of occupa-
11 tional exposure. Much of the work in this project now related
12 to how radionuclides are built up and distributed in the plant
13 will be relevant to a project -- the first project on this list,
14 which is as yet undesignated-- it's a plan to begin in earnest
15 in fiscal '82, which is to determine where the sources of
16 occupational exposure are within the plant. This will have a
17 slightly different end point than the existing project, although
18 much of the work in the existing project would be relevant to it.

19 The second project on this list -- I pointed out that
20 each of these projects listed on the slides is dealt with a little
21 more fully in the second hand-out. I'd be happy to interrupt at
22 any point to discuss these in detail, or if I get through it we
23 can go back and talk about any of the items.

24 CHAIRMAN MOELLER: Let's do that. That that UNDES means
25 it's undesignated?

1 MR. ARSENAULT: Undesignated merely means that the
2 project is being formulated in the course of budgeting. It has
3 not yet been issued a FIN number, that is an identification
4 number. It means it is not yet entered into the RES or comptroller's
5 listing of projects.

6 DR. FOSTER: How does that relate to the budget figures
7 that we will see? Are there funds set aside for these undesignated
8 projects?

9 MR. ARSENAULT: The figures you have on the sheets in
10 front of you are the staff proposals for the '82 level.

11 DR. FOSTER: Including these.

12 MR. ARSENAULT: The second hand-out that you have is
13 in fact a listing of these projects in the same order in which
14 they appear on the slides, and in addition to a somewhat more
15 detailed description of the projects I have here you will have
16 a proposed funding level for fiscal year '82.

17 DR. FOSTER: Thank you.

18 MR. ARSENAULT: Now the ones with FIN numbers are all
19 either under way now or they have been designated, funds
20 allocated and they should be started either in the remainder of
21 fiscal '80 or in fiscal '81. So those would be under way at the
22 opening of fiscal '82.

23 MR. GRENDON: I'm not sure of the sequence of events,
24 Is a contractor named in order to have a FIN number after it?

25 MR. ARSENAULT: No, not necessarily. It merely means

1 that the project is planned to be started prior to the opening of
2 fiscal '82. Most of these are in fact on-going projects and you
3 can find the contractor listed in the program print-outs that we
4 have. But there are a few of them that are not scheduled to
5 begin until fiscal '81.

6 CHAIRMAN MOELLER: And all of the undesignated are
7 beginning in FY '82?

8 MR. ARSENAULT: Correct.

9 CHAIRMAN MOELLER: Now let me, to help me on a question,
10 this looks to me to be well organized and it directly addresses,
11 as you've already said, what we had in Chapter X of our
12 comments to you last year. So I'm very pleased with it.

13 Now did the same people prepare this viewgraph that
14 prepared the write-up, this draft long-range research plan?
15 Because I don't find the same crispness and focus in this May
16 2 document that I see here on the board or on the viewgraph.

17 MR. ARSENAULT: The reason for that -- well, there are
18 two aspects to it. One is that the long-range plan draft was
19 prepared prior to the development of this material. Secondly,
20 the long-range plan draft covers this material as part of a
21 much broader scope.

22 For example, the occupational exposure chapter deals
23 with not only reactors but fuel cycle facilities and any other
24 aspects of occupational exposure. So that the level of defined
25 structure you will see in the presentation today is not built

1 into the long-range plan.

2 CHAIRMAN MOELLER: And again, you have told us that
3 here you're presenting a topic. You don't care, or you're not
4 bothering us with who does it. You're telling us the total
5 effect on that subject area.

6 MR. ARSENAULT: That's correct. Now the first slide,
7 I believe also the second slide, the work listed is entirely
8 within the SAFER Division, my division. I might be wrong on the
9 second slide, but almost all of it. In any case, in the third
10 slide you will see that most of the work is not in the SAFER
11 Division but rather in other organizations, which I'll describe
12 at that point.

13 And in the final slide on emergency planning it's
14 scattered all over the place. I'll get to that.

15 People are here from the other organizational units
16 and when we get to those points on the slides, they'll be happy
17 to discuss the cued item in greater detail for you.

18 CHAIRMAN MOELLER: Jerry Ray?

19 MR. RAY: I'm just curious as to the scope and the
20 amount of base information that's currently available in the
21 area of source terms and ALARA as a result of the accumulated
22 experience in the industry. It's not a new industry and we
23 must have had some experience as to where the crud is accumulating
24 and so on.

25 What is the status of such information?

1 MR. ARSENAULT: I indicated there's a close relationship
2 between that and the study now going on to measure the distribu-
3 tion of radionuclides in plants. I'd ask Don Solberg to
4 address the question of where we stand with regard to our
5 knowledge on how those nuclides are developed and distributed.

6 MR. SOLBERG: My name's Don Solberg. In answer to your
7 question, sir, we are aware that there's a lot of work going on
8 related to crud buildups and decontamination.

9 We are currently determining what is available in
10 the field in order to -- more definitive plans for 1982 and beyond.
11 So I can't answer specifically your question at the present
12 time what all is available, but certainly the beginning of our
13 effort will be to make sure that we understand all that and then
14 define what else we have to do in order to satisfy our needs.

15 MR. RAY: So you are acting with cognizance of the base
16 information that is available and you give this consideration?

17 MR. SOLBERG: Absolutely. Certainly EPRI has done a
18 great deal of work in this area. I'm familiar with some of it
19 but not necessarily all of it.

20 MR. RAY: Thank you.

21 MR. ARSENAULT: The second two items under source terms
22 deal with the need to determine how occupational exposure might
23 be reduced by decontamination systems and components. The
24 decontamination processes are fairly widely known but the question
25 of just what they can do within an operating plant to reduce

1 occupational exposure is not that well investigated. We're not
2 quite yet what the details of such a project would be, but we
3 have to get in and start doing enough studies to find out.

4 CHAIRMAN MOELLER: What is the -- and I know it's not
5 your project, it's a DOE project, but what is the current
6 schedule on Dresden?

7 MR. ARSENAULT: I don't know.

8 CHAIRMAN MOELLER: Does anyone here know?

9 MR. SOLBERG: I believe they're supposed to start
10 decontaminating some time very soon now. Just exactly what time
11 scale, I'm not sure, but they're either under way at the present
12 time or they will be shortly.

13 CHAIRMAN MOELLER: Jesse?

14 MR. EBERSOLE: Is there any work going on to effectively
15 assess the degree to which you can control decontamination
16 by continuous coolant polishing and cleanup? It's always an
17 issue as to how much you should continuously clean up the
18 coolant to optimize the overall operations, and I for one
19 certainly don't know that that's ever really been methodically
20 done.

21 Do you follow me?

22 MR. SOLBERG: Yes. There has been some work done at
23 by the vendors to determine the degree to which transients in
24 the system can result in cleanup.

25 MR. EBERSOLE: I'm talking about steady state polishing

1 of the coolant, bypass cleanup, whatever other steps you take
2 to maintain a stated activation level of the primary coolant.

3 MR. SOLBERG: And your question is?

4 MR. EBERSOLE: Has anyone struck an appropriate optimum
5 balance on how to accomplish this?

6 MR. SOLBERG: Not so far as I know, but certainly
7 housekeeping and cleanup are important aspects in crud buildup.

8 MR. EBERSOLE: My impression is that the boilers do not
9 permit coolant activation level nearly as high as the pressure
10 boiler reactors. It might be obvious because they have direct
11 cycle functions. And then that brings the question, well, if
12 PWR's permit a higher level, why do they, if they have similar
13 problems?

14 MR. ARSENAULT: I think the term "decontamination" used
15 in this context would include that type of activity --

16 MR. EBERSOLE: The on-stream steady state decontamination
17 of the coolant?

18 MR. ARSENAULT: That's my understanding of the general
19 scope, is how did one go about removing radionuclides from
20 not only equipment components but also systems?

21 MR. EBERSOLE: I'm thinking about the preventative
22 aspect, of keeping --

23 MR. SOLBERG: Prevention is a very key part of this
24 whole thing. That's right. Either through material selection
25 or process effluent. For example, EPRI does have a program

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 going on at the present time for electromagnetic filtration,
2 which they're testing and operating plants, another method for
3 making sure that it keeps clean so that you don't have to
4 periodically decontaminate.

5 MR. EBERSOLE: Well anyway, decontamination is supposed
6 to include, I presume, some sort of optimization program for
7 keeping the coolant clean?

8 MR. SOLBERG: We think that this whole thing covers the
9 whole thing, starting with design and materials, operations and
10 going to decontamination as well, yes, sir.

11 MR. ARSENAULT: There's another aspect that doesn't
12 shine through the titles, and that is the question of maintenance
13 regimes and the equipment reliability and so on, as it impacts
14 upon occupational exposure, and that will be within the program,
15 not necessarily within these projects.

16 With regard to the dosimetry, the three projects
17 indicated are -- one that's just being formulated now I would
18 expect to be started prior to the end of fiscal '80. It's a
19 three-year project, I believe. It consists of the development
20 of quality assurance and calibration techniques and procedures,
21 as well as sources, to calibrate the dosimeters used by NRC
22 inspectors in order to be able to trace their measurements back
23 to national standards.

24 This project is part research, the development part of
25 it, and part TA because we'll be actually in this project

1 not only developing techniques but actually doing calibration
2 and testing for I&E.

3 Ultimately, I would expect them to take it over as
4 a technical assistance service type project.

5 The second one is one that's been going on for some
6 time, and that is to develop age-specific metabolic models to
7 be able to -- this actually has broader application. I should
8 make the point that many of the projects that we'll discuss here
9 are assigned to the categories that we put them in but they have
10 far broader application than merely solving the problem to which
11 they've been assigned in this presentation.

12 MR. GLENDON: If I read that correctly, that belongs
13 under health effects, doesn't it? How does it get under this
14 entry at all?

15 MR. ARSENAULT: Well, the problem -- I'm going to take
16 a stab at that but I'll call upon July Foulke if I get into
17 trouble -- the problem here is to determine when exposed to
18 inhalants and radionuclides, how they are taken up in the body,
19 where they're distributed to, what their biological decay rate
20 is, in order to determine exactly what the dose is.

21 Now that is a necessary precursor to then determining
22 what the health effects are, but the aim of the project is
23 largely toward the dosimetry aspect of it.

24 Does that answer your question? I'm relying on Judy
25 Foulke, who's the project manager, to interrupt me if I stray too

1 far from the truth.

2 DR. FOSTER: Frank, on that particular one, how far back
3 in the research process are you going? Is this effort confined
4 to looking at what other people have done in that area and what's
5 published, in order to summarize it, to incorporate the informa-
6 tion into your computer programs or does it go back to the
7 bench or let's say --

8 MR. ARSENAULT: I understand the question and I think
9 I know the answer but I'm sure we'll get a much more --

10 MS. FOULKE: This is work going on at Oak Ridge in the
11 dosimetry group down there. The output is a computer program
12 that we'll be able to use here and it's a multi-faceted endeavor.
13 There is no bench work. The biomathematicians there get the
14 metabolic information from the literature, from as many studies
15 as they can find reported, and convert it into the mathematical
16 parameters that are used in the INREM computer code for
17 calculating interim of those as resulting from inhalation and
18 ingestion. It's not a lab study.

19 DR. FOSTER: So it's kind of a continuous updating of
20 the in-place system as further information comes in?

21 MS. FOULKE: Yes, that's right.

22 DR. FOSTER: Thank you.

23

24

25

1 Finally, we are going to continue work on improving
2 neutron dosimetry. We have work under way in this, and we
3 expect this to continue into 1982. The papers you have
4 indicate that Albedo and tract etch dosimeters would be
5 evaluated for use as neutron dosimeters.

6 In the health effects, work, I question whether I
7 should simply read from the handout you have been given. The
8 question here is to look at biological factors as precursors
9 and determine whether or not they can be used for dosimetric
10 purposes.

11 CHAIRMAN MOELLER: Say that again. I am not sure I am
12 with you.

13 MR. ARSENAULT: Judy, you might want to stay up in
14 the front row.

15 CHAIRMAN MOELLER: Or come on up to the table here if
16 you want to.

17 MR. ARSENAULT: If we pass the first level of review
18 on these things, I need help.

19 MS. FOULKE: This is a project that is going on out
20 at U.C. Davis, which has a large DOE-funded project looking at
21 the mechanisms of radiation chemogenesis. The animal being
22 studied is the beagle, and they are exposed basically
23 continuously, 22 hours per day, to Cobalt 60.

24 Our project is sort of an add-on to look at dose rate
25 effects. We have animals at comparatively low dose rates from

1 the whole series of animals. They are developing sensitive
2 blood tests, lymphocyte stimulation assays, colony-forming
3 spleen assays, and the object is, of course -- one objective,
4 and there are multiple objectives -- to see if something will
5 show up at an early stage that can be correlated with the
6 dose, since you have animals at different dose rates at the
7 same time and you are looking at their blood cells at the same
8 time.

9 We are also interested in seeing if you can predict
10 the long-range effects -- namely, leukemia -- from these blood
11 tests.

12 CHAIRMAN MOELLER: Thank you.

13 Go ahead.

14 MR. ARSENAULT: Finally is the work on neutron
15 biological effectiveness factors, which --

16 CHAIRMAN MOELLER: Excuse me. Judy, did you cover
17 the middle one?

18 MR. ARSENAULT: I am sorry, I skipped that.

19 CHAIRMAN MOELLER: Tell us about it.

20 MS. FOULKE: The second study right now is going on
21 using mice, specifically the nude mouse, which has no thymus.
22 The objective here is to see if there is a sensitive
23 subpopulation that will develop leukemia at lower doses than
24 the normal. So it is a separate study.

25 CHAIRMAN MOELLER: And where is that?

1 MS. FOULKE: That is also at U.C. Davis.

2 MR. FOSTER: Is that the genetic --

3 MS. FOULKE: The genetic factor is that the animals
4 don't have a thymus. That is as far as we have gotten. It has
5 just been funded last year, so we are not very far along on
6 the second one.

7 MR. ARSENAULT: Why don't you go on and describe the
8 last item on the list as well, Judy.

9 MS. FOULKE: The last item is something that is just
10 in the planning phase now. We do have a research request
11 letter from the Office of Standards Development concerning the
12 proper value for the QF for neutrons. There, as you are
13 aware, were studies performed by Rossi and Mays analyzing
14 Nagasaki leukemia versus Hiroshima leukemia.

15 We decided that we should be funding some animal
16 studies ourselves. Human studies have their advantages and
17 their disadvantages. So this is a project that will be
18 carried out at Argonne because there you have the Janus
19 reactor which can give you an essentially pure fission neutron
20 spectrum so you don't have gamma contamination.

21 Of course, the other side of the coin is you will
22 have animals exposed to their pure Cobalt gamma rays, so you
23 can develop the RBE. This will be a very expensive project.
24 We expect it to last about three years. When I say expensive,
25 that is about a half million per year because of the number of

1 animals that will be involved.

2 Based on the long -- well, since the early sixties --
3 programs that Argonne has carried out, they have shown
4 statistically that they expect to see an effect on mice
5 exposed to what would correspond to our 5 rem per year dose
6 limit.

7 CHAIRMAN MOELLER: Dick, and then Alex.

8 MR. FOSTER: Because of the nature of the work and
9 its, let's say, relation to this health effects type work
10 which has gone on under AEC/DOE/ERDA for many years and now
11 into the NIH situation, do you have some overall criteria or
12 plans as to what NRC's special interest role or niche is in
13 this kind of work vis-a-vis the other radiation effects work
14 in the country by other agencies?

15 The NRC is a member of the NIH Interagency Committee,
16 and I am alternate member on that committee. The Committee
17 has received a description of the research programs of all the
18 various agencies involved, of which we are among the minor
19 contributors.

20 The Committee then has the opportunity to review
21 these programs to determine whether or not additional
22 coordination, or whether there is any overlap or duplication,
23 whether additional coordination is required. In this case,
24 the technical coordination, I think, is effected largely at
25 the contractor level by information exchange by the

1 contractor.

2 I would point out that some of the work such as this
3 might be done in another agency. It is not under way, to our
4 knowledge. It is not budgeted for early initiation. We find
5 ourselves in the position of starting work tht we would be
6 happy to have someone else do if, in fact, they would do it on
7 a time scale and at a level that would satisfy our
8 requirements.

9 So I guess I was trying to explain to you why we are
10 in a business which clearly might be done by other agencies
11 if, in fact, they had budgeted for it.

12 I would ask Judy to address the question of technical
13 coordination further, if you like.

14 MR. FOSTER: I guess my interest is more here in the
15 coordination at the NIH level. Do you expect that the NIH's
16 essentially new function here as a research coordinator for
17 this sort of thing will be dictating or otherwise influencing
18 the continuation of this work or where it is located in the
19 government sytem?

20 MR. ARSENAULT: I think the NIH -- the Interagency
21 Committee, really, I should point out, rather than NIH --

22 MR. FOSTER: Yes.

23 MR. ARSENAULT: I think the Interagency Committee
24 will have an influence on where such work is done, how much of
25 it is done, and so on. I think that influence is not likely

1 to show up for another year or two. It is just getting its
2 feet under it now. The NAS is reviewing the current Federal
3 program of research in this area. The Interagency
4 Committee, through a subcommittee, is developing a Federal
5 strategy for research into the biological effects of ionizing
6 radiation.

7 The strategy paper is due to go to the Congress late
8 this year, I think maybe in January, but it might be as early
9 as September. I have forgotten. I think that by the time the
10 wheels turn in this high level, so far as I can see,
11 quite well-coordinated activity, it will take a year or two
12 before we see the effect.

13 But it seems to me to be on the right track and to be
14 approaching its tasks effectively.

15 CHAIRMAN MOELLER: Alex.

16 MR. GRENDON: I can see that genetic factors among
17 humans, the health effects of radiation would be of interest,
18 but I don't see how any experiments on a peculiar strain of
19 mice that is born without a thymus contributes any useful
20 knowledge in that respect. That isn't a study of genetic
21 factors in any sense that I can understand. It is just one
22 peculiar strain.

23 We know there are strains of mice that are very
24 susceptible to leukemia. If this is one of them, so what? I
25 don't see that it bears on the human problem at all.

1 MS. FOULKE: That is always a consideration in
2 radiobiology, extrapolation to man, but you have got to start
3 where you have the most chance of success. And there are
4 studies, I think, under NIH on humans specifically, those
5 suffering from something called ataxia telangiectasia or some
6 strange thing.

7 So there are human studies at the same time.

8 MR. GRENDON: But your project is only concerned with
9 the --

10 MS. FOULKE: Oh, it will. That is what it is doing
11 right now. It has just gotten started this last fiscal year.
12 So we are not too far off.

13 MR. GRENDON: But do you envision some other work in
14 the genetic area?

15 MS. FOULKE: That will be determined as we go on. If
16 you have some particular suggestion?

17 MR. GRENDON: I wondered what your plan of action was.
18 As I said, I don't see how this particular thing contributes
19 very much too it, but if you have something, a further step in
20 mind that might have more meaning, then I could understand why
21 you are doing this. This in itself seems to me to add nothing
22 to our knowledge.

23 MS. FOULKE: Well, we are starting with a system that
24 something is know about and where we expect to have good
25 results. It hasn't been looked at, so I think we should do it

1 and then we will proceed from there.

2 MR. RAY: Maybe I deduced too much from your initial
3 comment, but I had the impression from your first comment
4 delineating the characteristics of this mouse that biological
5 deficiencies of that breed that make it susceptible to
6 ingestion or the effect of radiation is analogous, that
7 particular characteristic, to some portion of the human
8 population.

9 Did I read too much into your statement?

10 MS. FOULKE: We are not really sure what the human
11 situation is, but the fact that leukemia is a disorder of the
12 blood-forming organisms, blood-forming elements, and that the
13 tests, the system that we are looking at also has to deal with
14 cell immunity in the blood, then if we can establish a
15 relationship it gives us a certain base of knowledge to
16 formulate questions on.

17 MR. ARSENAULT: It is my understanding that the
18 ultimate purpose is to try to set bounds on the degree to
19 which genetic factors can influence dose-effect relationships.
20 You will note that as we get into some of these topics, my
21 understanding is paper thin.

22 You indicated, Judy, that what you are doing here is
23 research that has a high probability of providing good
24 results, of success. It might be helpful to describe what
25 success means in this case and how it would be applied by NRC

1 in formulating the next step. I think that is really the
2 answer to the question that has been raised.

3 MS. FOULKE: The second part is not totally sure that
4 just because we perform a series of experiments, the results
5 will be directly applicable to NRC's standards and licensing.
6 It is more basic research than some of our other things.

7 The question has been raised by outside intervenors
8 concerning whether some portion of the population is more
9 susceptible and therefore shouldn't be submitted to the same
10 exposure limits of the other. Since nothing is known about
11 it, we have got to start somewhere. This particular animal is
12 one that we expect to be able to find some concrete evidence,
13 and then we can formulate further questions to study. But it
14 really is more basic research than a lot of our other
15 projects.

16 MR. ARSENAULT: A starting point. The implication
17 is, of course, that if some portion of the population is more
18 susceptible than the average, we may end up with standards in
19 view of the various factors involved, such as right to work
20 laws, et cetera. We may end up with standards that are keyed
21 to those more susceptible portions.

22 One question that arises, then, is what degree of
23 conservatism should be entered in on this point. The fact is
24 no one knows, but we feel impelled to start the process of
25 discovery, and that is what this is about. If it isn't

1 responsive to our needs, if there are more favorable avenues
2 of approach, we would welcome being pointed in the right
3 direction.

4 If we are finished with that slide, then --

5 CHAIRMAN MOELLER: I think we are.

6 MR. ARSENAULT: The second category that I mentioned
7 was routine radiological effluents. The Committee last year
8 in its report indicated that it did not feel that very much
9 priority should be assigned to further study of the
10 atmospheric dispersion of routine radiological effluents. In
11 fact, I think dispersion generally was the subject of the
12 comment.

13 We might have conveyed to the Committee last year
14 more emphasis on atmospheric dispersion than was intended or
15 appropriate because the work being done at atmospheric
16 dispersion and liquid pathways in connection with accidental
17 releases is, of course, applicable also to routine, and there
18 may have been a certain amount of confusion in the boundary
19 conditions last year.

20 This year we have tried to separate these. The work
21 we are doing, you can see, is with regard to source terms. We
22 have the project I mentioned earlier on radionuclide buildup
23 and the characteristics of the contaminated materials within
24 the site. That formed the source terms for effluents.

25 The purpose of this study is to determine what the

1 characteristics and capabilities of effluent treatment systems
2 should be in order to meet the standards for effluents that
3 are set by EPA and the NRC.

4 This project has been under way for a couple of
5 years. It involves in-plant measurements of radionuclide
6 buildup. The project is basically in a state of hiatus this
7 year for lack of funds. We expect to revitalize it next year
8 and, as I indicated earlier, begin to look forward to using
9 the same capabilities and much of the same information and
10 techniques as a basis for looking at sources of occupational
11 exposure.

12 In the next projects, the B-2281 is looking at the
13 effects of decontamination on radwaste systems, the question
14 of what you do with the post-accident radwaste resulting from
15 decontamination of the facility. As you know, that is a
16 problem at TMI now. Don is the manager of this project, and I
17 would call on him to extend my comments. I must admit that I
18 don't know a great deal about this project.

19 Don, do you want to extend on this

20 MR. SOLBERG: Not too much. We have completed the
21 first part of the study, which was decontamination radwaste
22 treatment requirements for decontamination as a result of
23 normal operations. The report has been issued. We are simply
24 seeking in the next years to extend that to the requirements
25 for waste treatment from post-accident decontamination.

1 MR. ARSENAULT: The next two projects. The
2 improved gale code is simply what we have learned in the
3 A-6075 to determine whether or not changes should be made to
4 the gaseous and liquid effluent analytical code used by NRR.
5 Finally, as we learn more about the characteristics of
6 effluent treatment systems required characteristics, we will
7 begin to evaluate and analyze alternative effluent treatment
8 systemes not now used in reactors but used elsewhere in
9 industry.

10 CHAIRMAN MOELLER: Is the gale code, for example, used
11 in determining compliance with Appendix I?

12 MR. ARSENAULT: That is my understanding.

13 MR. SOLBERG: Yes, sir.

14 CHAIRMAN MOELLER: Do we have questions on this first
15 group?

16 MR. GRENDON: What does assess advanced treatment
17 mean?

18 CHAIRMAN ARSENAULT: It is what I refer to at the
19 end. As we get into the final phases of the first project,
20 which is to determine what effluent treatment is required, we
21 expect that it will be desirable to assess alternative
22 advanced effluent treatment systems not now used in the
23 reactor systems.

24 MR. FOSTER: Relative to assessment of what treatment
25 is required, can you tell us whether there is a feedback to

1 that from the population dose? More specifically what I have
2 in mind here is that it is often the case where a contaminated
3 material, let's say effluent, is being cleaned up. The people
4 who are working on that cleanup are interested dominantly in
5 sort of a gross cleanup of all the dominant radionuclides, but
6 it may very well turn out that they have done an excellent job
7 of cleaning up most of the nuclides which contribute very
8 little to population dose, and those which do contribute most
9 to the dose of the population aren't worked on at all.

10 MR. ARSENAULT: I understand the question. I am going
11 to make a stab at answering it, but here again, I am going to
12 ask both Judy and Schlomo Yaniv to contribute.

13 It is my understanding that the standards set for
14 effluents are set on the basis of a computation of the
15 population dose resulting, and that it has been radionuclide
16 specific. There is considerable conservatism built into the
17 effluent standards that are then set by NRR in its technical
18 specifications. But I believe that the standards set do
19 result from a radionuclide-specific computation of the
20 ultimate dose.

21 There is a considerable amount of conservatism built
22 in so that although the effects you are speaking of may occur,
23 that is, that the stuff that easy to get out gets out and
24 other stuff doesn't, while one might wish for a better balance
25 in the treatment process, the end result, in fact, is

1 defensible and conservative.

2 If my brains back there would like to supplement that
3 comment, I would appreciate it.

4 MR. RAY: Advanced treatments. Would the work on this
5 project include benchwork to develop new treatments or would
6 it be to survey industry such as the fuel processing and so on
7 to borrow existing systems that haven't been used in reactors?

8 MR. ARSENAULT: It would be our inclination not to
9 engage in development of new systems but rather to explore the
10 possible application to reactors of existing systems.
11 Generally we think of DOE in terms of developmental
12 activities. What the actual balance and role of NRC will be
13 by the time 1982 roles around, I am not able to foresee.

14 But we do see an increasing tendency to rely on the
15 NRC for formulating solutions to the problems as well as
16 assessing them.

17 MR. RAY: Does DOE have any ongoing projects for the
18 development of new treatment systems?

19 MR. ARSENAULT: I seriously doubt it. I would ask Don
20 whether he is aware of any.

21 MR. SOLBERG: I don't know. I can't answer that.

22 MR. ARSENAULT: I think EPRI is looking at it but I
23 don't think DOE is.

24 MR. EBERSOLE: Mr. Chairman.

25 CHAIRMAN MOELLER: Yes.

1 MR. EBERSOLE: I feel compelled to mention a problem
2 here which seems to never get any attention. You just
3 mentioned the standard release criteria, or words relating to
4 that. Presumably there is an emergency release set which is
5 the opposing one.

6 There is also another category which is, in my view,
7 given little if any attention, and that is the concept of
8 allowing modest but not standard releases to guarantee or
9 insure that worse releases will not occur. I will give you a
10 case in point.

11 In the development of the Brown's Ferry plant, the
12 question of maximum floods came up. The company was forced
13 to, very expensively and with a great degradation in potential
14 success, secure the plant against floodwaters, protect certain
15 systems for cooling processes, under more or less normal
16 emission standards.

17 Other plants -- I believe it is Quad Cities -- found
18 it quite simple and highly reliable, and I think you will
19 appreciate the fact it is not difficult at all, to cool the
20 plant by simply simmering the primary coolant to atmosphere, a
21 direct release off the fuel from a coolant, if it is clean
22 enough.

23 This sort of represents a criterion which hasn't been
24 mentioned, how clean you have to keep the coolant so that you
25 can directly simmer to atmosphere, anticipating 100 percent

1 success in cooling, which is very likely, due to the
2 simplicity of the cooling process.

3 We are now coming up on a bleed/feed type of concept
4 of emergency cooling for PWRs. That will certainly involve
5 looking at the potential for deliberately bleed/feeding a
6 reactor when it gets into an emergency, which is discharging
7 the primary coolant to the containment deliberately, which is
8 one step removed from discharging it to atmosphere.

9 Presumably the PWR, since it is normally a much
10 dirtier coolant, could not be as practically cooled by direct
11 evaporation to atmosphere as could a boiler. But I think these
12 matters need to be considered. To what extent does one strike
13 a balance between the overall reliability of guaranteeing
14 against a serious accident at the expense of modest releases
15 above the standard release levels?

16 CHAIRMAN MOELLER: Such occurrences would be under an
17 unusual situation.

18 MR. EBERSOLE: Yes, they would. It would be very
19 infrequent; but the objective would be to guarantee against a
20 catastrophic release at the expense of a modest release. I
21 see no guidelines, no legal basis, no way for the operator to
22 even invoke what would, in respect to risk to the community,
23 be clearly the best action.

24 MR. ARSENAULT: I think it is an interesting point
25 you have raised. I think it is more relevant to the next

1 category of effluent, which would be accidental releases. It
2 is possible, of course, to deal with that under either
3 heading. I appreciate that.

4 MR. EBERSOLE: I am saying this is not accidental.

5 MR. ARSENAULT: Deliberate but not routine.

6 MR. EBERSOLE: Right.

7 MR. ARSENAULT: I understand that. And I think
8 although one might be able to make a rational decision between
9 this and the next category to deal with it, I personally would
10 feel it more appropriate to deal with it in the next category,
11 in the next slide.

12 MR. EBERSOLE: Well, as long as it is dealt with. My
13 point is that in the zeal which I see all around to protect
14 against any significant release, we frequently jeopardize
15 plant operation by attempting to secure it, in such a tight
16 fashion of operation that we may fail the whole process.

17 MR. ARSENAULT: I understand the point. In fact, I am
18 not proposing that it is dealt with within the program. I
19 think it may be at least partially. What I am suggesting is
20 that I would like to return to the point when we get to the
21 next slide and try to identify where it would more likely fit
22 into the program, if I might.

23 MR. EBERSOLE: Sure.

24 MR. ARSENAULT: In connection with the dispersion
25 pathways to man, we have actually no atmospheric dispersion

1 research going on, which, I am pleased to note, is consistent
2 with the priorities set by the Committee last year.

3 We do have an iodine pathway study, but that is not
4 general dispersion; that is a rather specific question of
5 where and how the iodine is transmitted through the
6 environment to man. That has been going on for a few years
7 and at a relatively modest level, as you can see by the
8 handout.

9 In the liquid pathways, as I am sure you are
10 familiar, the aquatic dispersion is a rather complex
11 phenomenon, and we do have several studies going on looking at
12 how sediments are involved in this transport. The first one
13 looks specifically at the Susquehanna River and the Chesapeake
14 Bay and has relevance to the TMI releases.

15 The next one, non-stream model, looks at the role of
16 sediments in lakes, estuaries and essentially non-flowing
17 bodies of water, non-stream bodies of water.

18 The next two projects are associated with streams.
19 The first one is the collection of field data for the purpose
20 of validating river transport models, and the next one is the
21 use of that data in the exercise of the model for validation
22 purposes.

23 Finally, the distribution coefficients is associated
24 with questions of the characteristics of the water body, water
25 quality, et cetera, and Mr. Reed would be happy to answer

1 specific questions on that, much happier than I would, I am
2 sure.

3 This research is relevant to the transport of routine
4 effluents. I point out that it also has relevance to the
5 aquatic transport of accidental releases, and there is on the
6 next slide back to these. But the motivation, the genesis of
7 these projects was actually by requests from NRR that were
8 associated with routine effluents.

9 DR. FOSTER: Frank, I have a couple of questions
10 there. The first one is relative to the sediment transport.
11 Can you tell us if the focus of that is on the role of
12 sediments in transporting the radionuclides back to man, as
13 contrasted with the role of sediments in cleaning up the water
14 and removing it into a sink?

15 Usually most of the focus has been on sediments as a
16 part of the pathway to man. I have always kind of felt that
17 perhaps the dominant role there of getting it out of the sytem
18 has been somewhat neglected.

19 I have a second question.

20 MR. ARSENAULT: You might start moving down while
21 I start the answer to this question. I am sure I am going to
22 need help. I think both aspects are covered in the study.
23 The question is exactly what is the role of sediments and how
24 do they behave in the transport.

25 Now, to the extent they act as a sink and they

1 collect and immobilize radionuclides, then that, of course,
2 would be part of the data collected and part of the modeling
3 to be done.

4 By and large, though, I think that the problem is one
5 of being able to predict or model how sediments behave in
6 transporting radionuclides. Generally, of course, they act as
7 a slow migrational mode for the transport of the radionuclides
8 in the stream beds after the materials suspended in the water
9 are long gone. By and large -- and I am going to speak now
10 from fairly general understanding and I would ask Phil then to
11 direct his attention to these specific projects -- but by and
12 large, sediments have a tendency to stretch out radionuclide
13 contamination on a stream bed for a pulse release and to reach
14 some form of equilibrium for continuous releases.

15 But there is a question as to whether or not they
16 serve as a sink, in your terms, at some point in the stream
17 bed and result in a higher level of deposition. From one
18 point of view, that is a sink. From another point of view, it
19 is a source. The real question, then, is how do they behave
20 and how do we take into account the complex behavior.

21 Now, that is a rather superficial answer, but Dr.
22 Reed will be happy to address any specific questions you have.

23
24
25

*end or
at end of page 2*

NRC/ACRS

5-22-80

Babineau/
Burrell

Tape 3

Page 1

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. ARSEN: You may wish to voluntarily add to my
2 comments, Bill, if people have any specific questions.

3 MR. REED: Okay, in your first comment with regards to
4 dose demand and uptake like that, this is not in this scope
5 of work.

6 With regards to your second question on the
7 distribution and the sediments and things like that, that is
8 primarily the focus of this particular program. These particular
9 programs are field programs to essentially collect the data.
10 The data collected are the hydrodynamic data, as well as the
11 distributions of the radionuclides on the suspended sediments
12 and the bedload sediments. The sediments are broken down
13 according to their size fraction, to silt, clay, sand, et
14 cetera.

15 These essentially then are incorporated into the
16 models. These are essentially physical transport models that
17 go from Point A to Point B. That is the only thing that we were
18 looking at at this time.

19 The models essentially are capable of predicting
20 the sinks that you have been talking about, and in addition they
21 are capable of handling resuspensions and items like that.

22 The models that we are using are essentially models
23 that have been available for some time. We are essentially
24 modifying the models to include the sediment and the transport
25 phenomena and the radiological components in the sediments.

1 MR. FOSTER: But you end with the inventory of
2 materials in the models eventually in one or two places, either
3 as material which is remaining in a, let's call it a soluble
4 state in the water, or else it is deposited someplace and may
5 constitute ultimately a direct source of radiation on a beach
6 or shoreline or something of that sort.

7 Well, the second question that I had was whether
8 you have anywhere any work which is related to the actual
9 transfer of contaminants from sediments to aquatic organisms.
10 This is something which everybody talks about as a mechanism
11 which undoubtedly is present, but to my knowledge there really
12 exists very, very little positive information as to the real
13 magnitude of that transfer.

14 MR. ARSEN: Before Phil rises to that, I will point
15 out that my attention was called at a rather late hour to the
16 fact that there was a small part of our program neglected in the
17 presentation. And that was the effect of radiological effluence
18 on fisheries and ecological, ecology. There is an ecological
19 impact category in our program. That you will not find listed
20 here. It is a rather small part of the program; that is, with
21 respect to radiological effluence.

22 Now with that comment I would like Phil to address
23 this business of ultimate transfer to biological effluence.

24 MR. REED: With regards to the biological question,
25 these particular programs are not related to the biological

1 component at this point. They are only designed to predict
2 movements from one point, essentially the effluent down to the
3 sediment.

4 The programs that regard transfer coefficients and
5 essentially uptake by bottom feeders and young of the year within
6 the streams and that are essentially either being discussed at
7 this point or the people in the reactor licensing feel that there
8 is sufficient information developed already.

9 CHAIRMAN MOELLER: Yes, Alex?

10 MR. GRINDON: Your mention of ecological effects,
11 if by that you mean a matter that I have heard over the years
12 and felt disturbed about, are we going to disturb fish
13 population or something in a way that will hurt such
14 population, I think it is a waste of effort to be studying
15 that.

16 The transfer through the food chain to man is
17 important, but changing fish isn't going to -- if you change
18 them it makes no difference to man's interest in fish. You
19 don't change enough of them to be a factor there. So I hope that
20 you are not spending money on that kind of effort.

21 I have a little detail to point out. I was trying to
22 identify that river sediment model, and I see it is 2295 in one
23 place and 2294 in the other. And just as a detail it should be
24 straightened out which it is. In your detailed one, that
25 next set of papers.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. ARSEN: Yes, I believe the correct figure --

MR. GRINDON: It is called 2294.

MR. ARSEN: I believe the correct figure is 2294.

MR. GRINDON: 94 you think is the right one?

MR. ARSEN: Right. Can you confirm that, Phil. That is the P & L study.

MR. GRINDON: It is a small point, but we might as well have it right.

MR. REED: That is correct, it should be 2294.

CHAIRMAN MOELLER: One other comment, let me put in the record, Frank has mentioned the recommendations of the ACRS on atmospheric transport, and several times we have heard of course that last year we did not support this type of research to a great degree, but I think it should be carefully pointed out that there were certain portions of it we did support and others that we did not.

These recommendations are in NUREG 9657. And just for the purposes of the subcommittee, so that we are all together and there is no misunderstanding, let me read. We said: "The ACRS does not believe there is an urgent need for emphasis on research to improve the models for describing low level, airborne or liquid radionuclide releases from nuclear power plants under routine conditions. This is especially true relative to refinements in the calculations that support 10 CFR 50, Appendix I."

1 Now we can go on to say with respect to mathematical
2 models for the transport of radionuclides in water and sediments:
3 "Portions of this work that should be emphasized include
4 evaluations of the liquid pathway, particularly as it pertains
5 to radionuclide releases from a nuclear power plant under
6 conditions of a severe accident." And then development of
7 mathematical models for the atmospheric transport of radionuclides,
8 "although models for the transport of airborne radionuclides
9 over short distances are reasonably adequate, there continues
10 to be a need for an improved capability to assess the behavior
11 of airborne releases at moderate, 5 to 15 kilometers, and greater
12 distances, 16 to 80 kilometers from nuclear power plants.
13 This is especially important relative to emergency planning
14 where models are needed to provide projections on a real-time
15 basis."

16 So I simply felt for purposes of the subcommittee
17 members to remind ourselves to clarify the point that you are
18 making, Frank. Routine releases we did not support the work.
19 Emergency situations we definitely did support it.

20 MR. GRENDON: The critical point being the distance
21 at which --

22 CHAIRMAN MOELLER: And the critical point being the
23 distance.

24 MR. GRENDON: Of the estimate they made.

25 MR. ARSEN: Well, I would, if I may, repeat what I

1 said a moment ago. Last year we described meteorological work
2 in a somewhat lumpy context with routine effluence as well as
3 accidental effluence.

4 MR. FOSTER: Right.

5 MR. ARSEN: But in fact, most of the meteorological
6 work was being done in connection with accidental releases, and
7 that is the way it is presented this year. And you will hear
8 about that in a moment.

9 With regard to these liquid pathway projects that
10 are in this current slide, the sediment projects, they were in
11 fact generated on the basis of NRR requests associated with
12 evaluation of routine releases, and I felt that it was only
13 fair to present them in that context.

14 On the other hand, I have already noted their
15 relevance for evaluations of liquid pathways for accidental
16 releases as well. And we felt that it was important to point that
17 out. And again, on the next slide I will make that reference
18 one more time.

19 If there are no more questions on the pathways to
20 man projects the health effects --

21 MR. FOSTER: Well, let me ask, Dick, can you give me
22 a bottomline at this point in terms of your assessment of the
23 proposed research on the liquid pathways?

24 MR. ARSEN: If I may interrupt, this is not all
25 research related to liquid pathways.

1 CHAIRMAN MOELLER: All right. Well, we will wait
2 and hold it then until we hear the remainder.

3 MR. FOSTER: All right.

4 MR. ARSEN: It is merely that part of the SAFER
5 program associated with transport of radionuclides in water
6 bodies that we feel is relevant to the overall issue of aquatic
7 pathways. But there is work going on in other offices which
8 actually I will touch on in the next slide.

9 CHAIRMAN MOELLER: Fine.

10 MR. ARSEN: Then the health effects model, the health
11 effects projects in fact deal with the models which are
12 applicable to the question that was asked a short time ago in
13 determining that in fact the effluence from nuclear power plants
14 do not exceed population exposure rates that have been set
15 as standards.

16 There are two projects dealing with models for this
17 purpose. And again I cannot add actually much to what is
18 written on the piece of paper. If you have any specific
19 questions Judy will be happy to answer them.

20 MR. GRENDON: You can tell me what DEMPAC means. I
21 have no idea.

22 CHAIRMAN MOELLER: Yes. And Judy, before you begin,
23 I think I would like to offer a comment on this in a general way.
24 I know that Congress has been pushing the NRC, and in fact, in
25 several of the appropriation bills and other items they have

1 specifically directed NRC to enter into the health effects
2 research area, particularly in terms of epidemiological studies.

3 Here though I think I see something that maybe
4 should be expressed in a different way. You call this health
5 effects. Actually what Frank was saying is, I heard you, Frank,
6 was you are talking about compliance with regulatory
7 requirements.

8 In other words, this research will help you determine
9 whether a plant is being operated in compliance with regulatory
10 requirements as contrasted to an assessment of health effects.
11 Now am I wrong?

12 MS. FOULKE: That is right. We are not looking at
13 any biological studies here really. The first project at Argonne,
14 DEMPAC is a computer code whose emphasis is on demography. That
15 is where the DEM comes, demography package.

16 The second one is again dosimetry work at Oak Ridge
17 and again the output is a computer code. And specifically, the
18 work they are doing now is related to vital transport, pathways
19 in the environment. Specifically, they are looking at the global
20 models for Carbon 14 and Iodine 129, Technetium 99.

21 The first project at Argonne was developed based on a
22 need and a decision, a regulatory decision in the Hartsville
23 Appeals Board case that NRC should compare the health effects of
24 a coal plant with the health effects of the nuclear plant that
25 is under question.

1 So what they are doing is taking dose-response
2 information from the BEIR reports and the UNSCEAR and others
3 and putting them into a model that will project cancers or
4 lifeshortening for specific population groups, b ause it
5 obviously, with the latency period, makes a difference, at
6 what age you got an exposure, how long the exposure continues.

7 So the continuing work has to do with refining the
8 dose-response functions that will be used in this model and
9 getting a better air pollution model.

10 Right now they have one based on cigarette smoking
11 that is not too great. But that is all they have. So they are
12 both again paper studies. And they are just lumped under a
13 category called health effects, because that is the end point
14 of the considerations.

15 They are not looking at specific health effects.

16 MR. ARSEN: I think the point that you have made,
17 Dr. Mueller, is a good one, and that is that we might be
18 sensitive to the categorization of some of these studies so as
19 to make much clearer the character of the work. It is true this
20 is not health effects research in the sense that is frequently
21 discussed. And we will give some thought to the question of
22 how we might categorize our research to make that clear.

23 We are, however, stuck with the need not to have so
24 many different categories that it becomes awkward for budgeting
25 and discussion purposes.

1 CHAIRMAN MOELLER: Alex.

2 MR. GRENDON: Your more detailed description, however,
3 does start out by saying "advanced dose-response functions to
4 be incorporated into this." And apparently dose-response
5 functions is the heart of the thing. This certainly then refers
6 to health effects there, and I am interested in the fact that
7 it says a population exposed to radioactive and nonradioactive
8 pollutants. Pollutants. Not just from nonradioactive material
9 used as a test medium, but something that is regarded as having
10 an adverse health effect, like cigarette smoke or fossil fuel
11 burning.

12 Will some information be collected in this study on
13 the adverse health effects, let's say, of the burning of coal?

14 MS. FOULKE: The people writing the program will
15 depend upon other investigators for the input into this. They
16 are not themselves looking at specific populations.

17 MR. EBERSOLE: Does this include the radiological
18 emission aspects of burning coal?

19 MS. FOULKE: Could you repeat that, please?

20 MR. EBERSOLE: Yes. Does it include the radiological
21 emission aspects of burning coal, which I understand --

22 MS. FOULKE: Yes, it will include all that, right.

23 MR. EBERSOLE: Thank you.

24 CHAIRMAN MOELLER: Certainly the second one, the
25 biotransport models, I can see immediate applicability; for

11
1 example, in terms of venting the krypton from TMI. That is one
2 of the first questions, is where does it go and what does it
3 do.

4 So this is very important.

5 Any other questions on this one?

6 Dick.

7 MR. FOSTER: In kind of a generic fashion, I wonder
8 whether you still have anything going on on acceptable risk,
9 which kind of ties in, has the related aspect of a de minimus
10 level, de minimus dose sort of thing. This has an interaction
11 with your health effects project here on global models and
12 transport. It is one which is used in a number of the other
13 NRC documents along the line.

14 It is not your problem alone, I recognize, but it is
15 one that I think the NRC could continue to beat the drum for.
16 And you did at one time have some work going on in that. I am
17 wondering what the status is.

18 MR. ARSEN: Well, the work, to address the question
19 of acceptable risk, is being handled in the probabilistic
20 analysis section. And the question of de minimus of course is
21 a policy matter. We do not have any research going on within the
22 SAFER division that is directly in support of either of those
23 two functions, for those two activities.

24 And while I recognize that it is certainly related
25 to the subject of reactor radiological effects I think

12

1 if it is in the RES presentation to the committee, it would
2 probably show up in the risk assessment program. We don't have
3 any work on it.

4 MR. FOSTER: The very evident place where this comes
5 in is in your demograph. These codes which tend to calculate
6 population dose in terms of man rems, and particularly if you
7 are getting into global models, why, you are adding up
8 extremely small doses with extremely large doses related to
9 extremely large populations. And how you handle these things
10 relative to your model building and what you plug into it is
11 heavily influenced by whether or not you do put any cutoff
12 level, whether this is distance, microrem or whatever.

13 MR. ARSEN: That is true, and it is not accommodated.
14 I stand ready to --

15 MR. FOSTER: And you don't have anything going on in
16 or even thinking about in that direction at this time?

17 MR. EBERSOLE: Do you have anything going on on more
18 or less a differential basis, which you know my earlier
19 question was. It would address the question, is it better to
20 take a small dose, for a certain probability than to face a
21 much larger one on a probabilistic basis? Do you follow me?

22 MR. ARSEN: I do. Once again that is a hard one to
23 chew.

24 MR. EBERSOLE: But it is a necessary decision.

25 MR. ARSEN: I understand the question. I have to

1 answer it in the following way.

2 The question can only be rigorously answered if one
3 knows the shape of the dose effect curve at the low levels of
4 exposure. We do not. We are operating on the basis of a no
5 threshold linear response curve.

6 With that assumption of course the answer to your
7 question is there is no difference between a large dose with a
8 small number of people and a small dose with a large number of
9 people. And I think that that is the answer that is consistent
10 with the current operating hypothesis.

11 There is of course an implication in the way we do
12 business that it is better to receive a higher dose for a small
13 number of people because this implication is present in the
14 way we deal with risk.

15 Probably, I don't have the figures to back up this
16 statement, but I strongly suspect that occupational exposure
17 in a nuclear power plant will far outweigh the accidental risk
18 to the public. And yet look at the attention that we are
19 giving to nuclear power plant accidents compared to the level of
20 attention being given to occupational exposure.

21 I think there is a strong implication in that. I
22 think I could find other examples. But the answer to your
23 question is no, we are not giving any attention to that question.
24 Beyond that aim, that rather intensive effort aims throughout the
25 federal government to a better definition of the dose-response

14
1 curve at the low level.

2 MR. EBERSOLE: Whether or not you are doing any work
3 in that area, it was implicit in the decisions made of let's
4 say Brown's Ferry versus Quad Cities that one method was better
5 than another. And I think that might be examined more
6 thoroughly.

7 I was a proponent of direct release of steam to
8 atmosphere, but I got beat down.

9 MR. ARSEN: Well, many of the hypotheses of the NRC
10 are evidenced only by the location.

11 CHAIRMAN MOELLER: But again, another aspect of what
12 Jesse is saying, I am hearing him saying several things. The
13 analogy, and correct me, Jesse, if I am using a bad analogy,
14 but would be Three Mile Island venting. Jesse is saying that
15 we could vent it with a probability of one that the population
16 would get a certain dose, because he is going to vent it under
17 control conditions. Or we could sit back and have it
18 accidentally spring a leak and go out uncontrolled not at the
19 best meteorological conditions or not under the best
20 meteorological conditions.

21 MR. EBERSOLE: I will endorse that.

22 CHAIRMAN MOELLER: And so then the question is how
23 much dose can you take with a probability of one to avoid a much
24 worse situation with a lesser probability.

25 MR. EBERSOLE: Exactly. It is a good model.

15
1 MR. ARSEN: The question and the answer of course is
2 nontechnical. I mean, I am not being facetious. I think that
3 the --

4 CHAIRMAN MOELLER: But there must be, like you are
5 doing a lot of, or you are proposing in this long-range plan
6 socioeconomic and political and so forth research. Well, I think
7 what Jesse is naming would be to me one of the top priority
8 items to place in this category.

9 MR. EBERSOLE: Right, I certainly do.

10 MR. ARSEN: The question of public acceptability of
11 various modes of exposure.

12 MR. EBERSOLE: Well, they had an alternative of
13 one over the other.

14 MR. ARSEN: I understand the point. I think it is
15 a good point.

16 MR. EBERSOLE: So it is a choice you must often
17 make, and I don't think we are helping it.

18 MR. ARSEN: I can only agree that we could do more in
19 the area of socioeconomic studies to aid in that kind of
20 decisionmaking. I would welcome the expansion of the
21 subcommittee's interest into the area of socioeconomic studies.
22 I think it is in fact an extremely important category of research
23 being done in the SAFER decision, which has been excluded from
24 the purview of the subcommittee in previous reviews.

25 We didn't bring any of our socioeconomic research with

16
1 us to present today, for example. But I take your point. I
2 think it is a very good one, and I welcome it.

3 MR. EBERSOLE: Thank you.

4 MR. ARSEN: The final category here is not really
5 a category but rather an add-on.

6 Decommissioning has been an area of specific focus
7 and attention. It represents rather than an element in the
8 logical structure on the slide, rather a phase in the life of a
9 facility to which all of the other radiological issues relate.

10 What we are doing so far in the area of decommissioning
11 is to look at the various factors that affect the susceptibility
12 to decommissioning, the modes and degrees of decontamination
13 required to bring the site into a satisfactory state for
14 decommissioning, the aspects of decommissioning decontamination
15 that affect occupational exposure and effluence.

16 Generally, that is the scope of our current interest
17 and concern with regard to decommissioning. It is reflected,
18 at least in part, in the four projects that are described here.
19 Again Don Solberg is the chief in charge of these and will be
20 happy to answer any specific questions.

21 CHAIRMAN MOELLER: Questions on decommissioning.

22 MR. ARSEN: The titles are more or less descriptive.
23 The second handout you have presents a greater detail. I can't
24 really supplement what is said here. So if you want to look at
25 it and present your questions to Don?

17

*1-5
T.S.
Bennett*

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHAIRMAN MOELLER: Well, I hear none at the moment.
There may be some that develop. This appears, Frank, to be a
good point at which to take a break.

MR. ARSEN: Yes. We are ready to move on to the next
one.

CHAIRMAN MOELLER: All right. Let's take ten minutes.

t
4
sh 1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

CHAIRMAN MOELLER: The meeting will resume. Do we have any questions on the decommissioning portion? I guess I had sort of a thought on it. I wondered where it stands in your priorities now compared to a year or so ago, the subject of decommissioning?

MR. ARSENAULT: I think it's less a matter of priorities than budgeting. I think we're giving it far more attention in our plans for '82 than we did in our plans for '81. I think that's clear. We're giving it an expanded proposal.

The question of priorities would arise in the event that the proposed requested budget for '82 is reduced significantly and many of the decommissioning problems are still some off in the future while other problems we have to address are closer at hand. I would not want to prejudge what we would do in those cases, but I feel that I can anticipate a keener interest by NRR and our other clients on some of the more immediate problems.

CHAIRMAN MOELLER: Jesse?

MR. EBERSOLE: I'd like to see you, if you can, approach the decommissioning along two broad lines. That is old plants and new plants which have yet to be designed, and after a normal history versus after an accident, because these will present four different problem areas. In the new plants, I'm quite certain they can be designed to enhance the decommissioning operations whether it's after an accident or after a normal history.

2
1 MR. ARSENAULT: In a sense, we're covering the areas
2 that you mentioned, perhaps not in an adequate or satisfactory
3 sense, but the business of post-accident decontamination, we're
4 thinking -- that was one of the projects that was addressed here --
5 we're thinking primarily in terms of post-accident decontamination
6 for return to service. But it may also be simply not to return
7 to service but rather to get it ready for decommissioning
8 activity.

9 The other aspect of this is old plants and new plants.
10 We're in the early days of collecting information and developing
11 an understanding for the factors that will influence decommis-
12 sioning at this point, but we appreciate the relevance that that
13 data-gathering can have on materials of construction and design.

14 So we are cognizant of these things. To what degree
15 we will be able to factor them productively into our on-going
16 effect is another thing.

17 DR. FOSTER: Does NRC have anyone or group which is
18 kind of watching what's going on at Hanford with the old
19 plutonium production reactors and decommissioning there? There's
20 a pretty elaborate study which has been made and to my -- well,
21 I'm not fully up to speed on it, but a decision is about to be
22 made on how, when and if to dismantle the old 100F reactor
23 there. There are probably a lot of lessons to be learned
24 associated with that.

25 MR. ARSENAULT: I want to respond to your question

3
1 before I ask Don whether he can add anything. The lead office
2 for the subject of decommissioning within the NRC is the Office
3 of Standards Development. You're familiar with the PPPG
4 and the cross-cut program areas, one of which is decommissioning.

5 Each of those cross-cut program areas has an assigned
6 lead office. As I say, Standards is the assigned lead office
7 for decommissioning.

8 I don't know the extent to which they are investigating
9 the specific cases you mentioned. Don may and he can address that
10 in a moment.

11 I would point out that the extent to which we can
12 remain cognizant of all activities that are relevant to the
13 sphere of research that we're engaged in is conditioned very
14 sharply on the amount of available time and manpower that we
15 have. I've raised this in the past. I hate to sound like I
16 keep raising it as an excuse, but the factor is extremely
17 important. Don recently doubled the size of his branch by hiring
18 a man. That's the situation that he's in.

19 So I would ask him now if he's aware of any activities
20 by Standards to coordinate with these DOE activities and if he
21 can add anything else to this, but I think the answer is that
22 we are not --we're not able to maintain a level of knowledge and
23 awareness that we would consider acceptable.

24 MR. SOLBERG: We make every effort to coordinate with
25 the Department of Energy. We know that most of the work in

1 decommissioning is going through the Richland operations office
2 of DOE. You'll notice from the program that we have that all our
3 work is being currently done at Battelle Pacific Northwest
4 Laboratories, as were the decommissioning studies done for the
5 Office of Standards Development, which is the basis upon which
6 the current rulemaking is taking place.

7 The most significant answer to your question I think
8 is that the people that we have working for us are intimately
9 familiar with all the basic plans at Battelle related to
10 decommissioning research that they're doing and are reasonably
11 familiar with the things that DOE is proposing.

12 Does that answer your question?

13 DR. FOSTER: Yes, partly. Underlying my comment here
14 was the thought that perhaps a portion of the overall money here
15 might well be spent not in a new direction but one of looking
16 over the shoulders of, in this particular case the work is being
17 done by United Nuclear out there, relative to the reactor, and
18 particularly looking for situations which would have a tie-in
19 back to commercial power reactors and the problem areas which
20 were associated there, perhaps not so much techniques as with
21 situations.

22 MR. ARSENAULT: You will note that the last item here,
23 called in-plant evaluation, deals with the exploitation of
24 opportunities to get in where decommissioning is actually going
25 on and collect some information, so I think this is in line --

1 DR. FOSTER: This is exactly in line with that, yes.

2 MR. ARSENAULT: I'm not sure that we have identified
3 all possible opportunities for such activity.

4 MR. SOLBERG: Excuse me, Frank. This is precisely how
5 we will do it. We're not planning to go in and decommission the
6 site but piggyback on what somebody else is doing. We're doing
7 it both in the fuel cycle area and the reactor area.

8 And pertinent to your question, certainly the
9 decommissioning that will be going on at Shippingport will
10 certainly be very interesting to us, and we would hope to follow
11 that very closely, perhaps have a contractor that would be
12 following all the decommissioning work at Shippingport, and provide
13 us with specific information meeting our needs that may not
14 be necessary from the DOE point of view.

15 MR. ARSENAULT: Shall we move on? The third category
16 I had mentioned was accidental radiological releases. Now
17 in connection with this, the principal activity dealing with
18 this rests in the accident sequence analysis consequence
19 assessment activities of the Probabilistic Analysis Section.
20 And you are being -- perhaps have been -- briefed by that
21 group on their program of research, which centers around this
22 activity. So that we will restrict our comments today to those
23 activities being carried on in Division of Reactor Safety
24 Research and the SAFER Division that support or supplement the
25 PAS activities.

6

1 These are principally, in connection with source term
2 generation, within the Reactor Safety Research Division, there
3 is an interconnection of body of research that leads to the
4 accident environment within the containment. That is radionuclide
5 release, transport within containment, deposition and so forth.

6 This research provides the basis for source term
7 generation for accidental releases from containment. People from
8 RSR are here to discuss in further detail that work. You are
9 in fact, the ACRS in some subcommittee manifestation, will of
10 course be briefed in detail and in toto on the RSR research,
11 including this. But we have someone here who will be able to
12 address that subject if you wish.

13 Beyond the source term, having postulated a release,
14 the transport phenomena are both meteorological and liquid
15 pathways. The liquid pathway -- this slide is incomplete because
16 it does not indicate the rather extensive work being done
17 within PAS on liquid pathways. The SAFER designation merely
18 indicates that we're supplementing that to some degree by the
19 product transport research that we're doing that we mentioned
20 earlier.

21 The meteorological transport, the airborne transport of
22 accidental releases, is done almost entirely within Jerry
23 Harbour's branch, Site Safety Branch, by Bob Abbey, and Bob
24 is here to address that in greater detail and extensively if
25 you wish.

7
1 The work that he does is used directly then by PAS
2 in its physical transport consequence assessment work.

3 Finally, with regard to health effects, much of the
4 research that we do on biological models and health effects is
5 relevant to the PAS consequence assessment, but two projects we
6 have on are directly and specifically relevant, and in fact
7 initiated for purposes of supporting that effort. They are two
8 projects we have at Loveless and P&L, I believe, Loveless and
9 P&L on the acute effects of accidental releases. This is a
10 higher order of exposure than most of our subjects looked at.

11 MR. GRENDA: Each of these two projects is marked
12 Phase 2. What was Phase 1? Is it just more of the same?

13 MS. FOULKE: I'll defer to Dr. Yaniv, who's the
14 project manager on these.

15 DR. YANIV: There is very little data available on
16 the acute effects of inhaled radionuclides, and particular when
17 the inhalation is combined with external exposure, and we're
18 dealing with mixtures of radionuclides.

19 In Phase 1, paper work was performed, which consisted
20 of collecting all available animal and some human data from
21 therapy, and in the development of a predictive model. During
22 that work, gaps in the knowledge had been identified, and
23 Phase 2 is intended to fill those gaps by doing some animal
24 research in this area.

25 Does that answer your question?

8

1

DR. FOSTER: What are the gaps?

2

DR. YANIV: Okay. The most important gaps are the combined effect of insults to multiple organs at the same time. What we're really talking about, if I illustrate it, is if an individual is exposed to an LD 50 metal dose and at the same time to an LD 50 lung dose, what is the combined effect? Is it additive, synergistic or what? And we do have no data. That's one example.

3

4

5

6

7

8

9

Another example is again inhalation let's say of a fairly non-soluble radionuclide, would you mainly irrigate the lung and this being combined with external exposure? How do you add this? This kind of thing. And animal experiments are designed to answer these questions.

10

11

12

13

14

CHAIRMAN MOELLER: And this will help you, then, or help the NRC in accident modeling of acute health effects?

15

16

DR. YANIV: Yes. It's basically designed for consequence analysis of a major accident.

17

18

MR. ARSENAULT: It will help to correct weaknesses that were identified in the WASH 1400.

19

20

DR. YANIV: Those weaknesses or strengths have been identified and we are fully aware of our deficiencies in our knowledge while doing the WASH 1400 work in this area.

21

22

23

CHAIRMAN MOELLER: What medical advice do you have in guiding -- does the NRC have in guiding the contractor on this? Do you have a team of -- do you have a consultants or review

24

25

9
1 groups that have medical people on them?

2 DR. YANIV: First of all, no work is done on humans,
3 obviously.

4 CHAIRMAN MOELLER: But certainly I would want -- you're
5 the contractor or are you with NRC?

6 DR. YANIV: I'm with NRC.

7 CHAIRMAN MOELLER: Oh, you're with NRC. I'm sorry. I
8 was thinking you represented the contractor. Okay, well who
9 guides you? I can see you have WASH 1400 and it tells you
10 there are certain problems and questions that need answers. But
11 does your group in NRC -- are you a radiation biologist?

12 DR. YANIV: I'm a radiological physicist.

13 CHAIRMAN MOELLER: Okay, radiological physicist. Do
14 you have radiation biologists? Do you have physicians who are
15 helping to guide this work?

16 DR. YANIV: No, we have no physicians. There are no
17 physicians on the NRC staff.

18 CHAIRMAN MOELLER: All right, who guides, who helps to
19 advise you in planning this work?

20 DR. YANIV: There are the biologists, health physicists
21 of the NRC staff.

22 CHAIRMAN MOELLER: I know some health physicists on the
23 NRC staff. Who are some radiation biologists?

24 DR. YANIV: Judy is a radiation biologist and there are
25 a number of radiation biologists in NRC, in all offices of NRC

10
1 practically. In NRR, in OSD, I can mention names.

2 CHAIRMAN MOELLER: But you're assuring me there are
3 plenty of these people?

4 DR. YANIV: And people who are performing the work in
5 Boston, Lovelace and Battelle Northwest are the most eminent
6 radiation biologists -- are among the most prominent radiation
7 biologists in the country. Bill Bear, for instance, is
8 intimately involved doing this work at P&L, and his work is
9 coordinated between those two labs.

10 CHAIRMAN MOELLER: That's helpful. Jesse and then Alex.

11 MR. EBERSOLE: Is it within your sphere to consider
12 this utilization of the potassium iodide method of reducing dose
13 in emergency?

14 DR. YANIV: Well, first of all potassium iodide has
15 to do only with radio-iodine in the thyroid. This work is
16 mainly directed toward the effect on the lung and the bone
17 marrow, as the critical organs which could lead -- the radiation
18 of which could lead to mortality. It is very difficult to kill
19 someone by irradiating his thyroid.

20 MR. ARSENAULT: If I may, a little more directly in
21 connection with your question, it would be within the scope of
22 our interest to do work along those lines. However, when the
23 subject was raised following TMI, it appeared, for reasons
24 unknown to me, to be more expeditious to have the work initiated
25 by the Probablistic Analysis Section, and they have initiated

11
1 efforts on that subject.

2 I do not know what precisely the nature of the project
3 is nor what its objectives are.

4 MR. EBERSOLE: Well, as a competitive measure and one
5 that might be more simple and practical, isn't it reasonable to
6 think that maybe a modest design of face-nose masks using
7 activated charcoal is a better alternative, a cheap thing? They're
8 manufactured in great quantities and simply bought at the
9 drug store and parked.

10 Do you follow me? I'm not talking about a World War II
11 type of thing. A modest amount of --

12 MR. ARSENAULT: I understand. I think the options of
13 potassium iodide versus evacuation versus mere sheltering have
14 been considered. To my knowledge no one has raised the possi-
15 bility of a mechanical solution equivalent to potassium iodide
16 for this purpose. To my knowledge no one has.

17 Has anyone ever heard of PAS considering --

18 MR. EBERSOLE: Is that unreasonable, a cheap face mask?

19 MR. ARSENAULT: It's certainly not unreasonable to
20 consider the effectiveness of such an option. PAS is using
21 its consequence assessment techniques to evaluate the relative
22 effectiveness, cost effectiveness of various options for
23 interdictive measures. As a matter of fact, that's on my next
24 slide. You seem to always manage to keep one step ahead of me.

25 MR. EBERSOLE: Well, it just seems a thing that to me

1 that would be far more meaningful to the public to have it in
2 their medicine chest.

3 MR. ARSENAULT: I certainly would be happy to pass on
4 to PAS that this is one of the options that should be introduced
5 into their evaluation program.

6 DR. YANIV: I might point out that the solution sounds
7 very attractive but there are quite a number of difficulties
8 associated with this kind of solution. For instance, at TMI
9 during the accident one of the problems was that there is no
10 such thing at this point as iodine approved cartridge for a
11 face mask. And just think about the problems of starting those
12 cartridges and their shelf life, and even activated charcoal
13 would not be very helpful to an elemental iodine. There are
14 complications.

15 Obviously, all this kind of work in my opinion has to
16 be done on the basis of cost benefit analysis and the best solu-
17 tion found.

18 CHAIRMAN MOELLER: Alex has been patiently waiting.

19 MR. GRENDON: I'm puzzled by the fact that your
20 Lovelace experiment deals in a couple of points with the
21 differences between alpha-emitters having different specific
22 activities, effects on rats of inhalation of alpha-emitters
23 having different specific activities, one such. I don't quite
24 see what difference that makes if you have the same amount of
25 activity inhaled, what difference in its specific activity?

1 DR. YANIV: It can make a considerable difference in
2 terms of the effect, but when we're talking about this kind of
3 acute injury, there is a considerable amount of repair going on.

4 MR. GRENDON: Make sure that we're talking about the
5 same thing. I'm saying you get the same amount of activity in,
6 only in the one case the nuclide has a short enough halflife so
7 its specific activity is high and in another case it's low, but
8 here's a particle of the same size because in general these are
9 deposits on some dust or something, particles the same size
10 with the same amount of microcuries or whatever involved, but
11 different specific --

12 DR. YANIV: Okay, to put it simply, it's not only the
13 dose that effects the outcome, but also the dose rate.

14 MR. GRENDON: But the dose rate is the same. I'm saying
15 the same number of microcuries.

16 DR. YANIV: The dose is the same but the --

17 MR. GRENDON: The dose rate --

18 MR. ARSENAULT: Isn't the relevant factor the biological
19 uptake rate and the question is if you have a certain amount of
20 some radionuclide, that you get a higher dose rate and poten-
21 tially, given biological halflives of the larger dose?

22 MR. GRENDON: We're talking at cross purposes again.

23 DR. FOSTER: If I can stick my foot in here, I would
24 visualize this in terms of the lung as the penetration. If
25 you're dealing with alpha, why it's strict --

1 MR. GRENDON: They're both alpha. Alpha-emitters
2 having different specific activities.

3 DR. FOSTER: But there's beta in here too.

4 MR. GRENDON: No, no. I'm saying of alpha-emitters having
5 different specific activities. Now I say here's a particle of
6 the same size, same number of microcuries. One has one microgram
7 of some radioactive material on it and the other has 10 micrograms
8 of some radioactive material on this particle, so --

9 DR. YANIV: So let's put it simple in terms. Let's
10 call it by name. One microcurie of plutonium 239 and one
11 microcurie of plutonium 238, 300 in specific activity. They
12 have both more or less the same energy and let's assume that
13 they'll have the same behavior, just for the sake of the
14 argument, then the ultimate dose will be the same.

15 MR. GRENDON: The dose rate is still the same.

16 DR. YANIV: No, I'm sorry.

17 MR. GRENDON: If you have a microcurie, it is generating
18 so many disintegrations per second.

19 MR. ARSENAULT: Didn't you mean micrograms?

20 MR. GRENDON: It generates so many disintegrations per
21 second. The same for the 238 as the 239 if you have a microcurie
22 of each. You have in the one case one microgram of plutonium
23 239 and 300 micrograms of plutonium 238, but they're on the same
24 sized particle because in general they adhere to some dust
25 particle.

1 Now what? Why is there a difference? Why do you expect
2 a difference?

3 DR. YANIV: Well, for entirely different reason we
4 expect a difference because the biological behavior of this
5 example of plutonium 239 and plutonium 238, the transports from
6 the lung and through the lung is different.

7 MR. GRENDA: Let's say they don't even transport,
8 and generally they don't if you're talking about insoluble
9 particles. These are plutonium oxide particles and in general
10 they would be --

11 DR. YANIV: Animal experiments, not for acute effects
12 but for long range --

13 MR. GRENDA: But you --

14 DR. YANIV: No, let me finish. Have shown that
15 plutonium 238 is being much more readily transported from the
16 lung into the bloodstream than plutonium 239.

17 MR. GRENDA: I know of no such experiment.

18 DR. YANIV: It was done in Hanford.

19 MR. GRENDA: With the chemical form?

20 DR. YANIV: With the same chemical form. The probable
21 explanation of it is that because of the high specific activity,
22 a concentration of energy, recoil particles are being removed.
23 It is a well known fact --

24 MR. GRENDA: That high specific activity meant high
25 rate of dose --

1 DR. YANIV: No, I'm talking about high specific
2 activity because then it's concentrated. It's a well known fact
3 that if you take plutonium 210, which is probably the highest
4 specific activity alpha-emitter that we have, and you put a
5 piece right here it will be all over the room without an air
6 movement.

7 MR. GRENDON: But what does the high specific activity
8 to do with it? It means that one microgram has as much activity
9 as 100 or 1,000 -- if you got to where it was milligrams I
10 certainly think you've made a difference, but --

11 DR. YANIV: You have a tremendous concentration of
12 energy within a very small particle.

13 MR. GRENDON: They're all very small particles in
14 terms of cell size and such.

15 DR. YANIV: But the physical behavior of the material
16 is different. The transport mechanism --

17 MR. GRENDON: We're gaining no ground, but I'm still
18 puzzled as to why --

19 MR. ARSENAULT: It is my understanding that the basis
20 for the distinction lies in the fact that the --

21 MR. GRENDON: It looks to me like it's a wild goose
22 chase.

23 MR. ARSENAULT: The biological behavior of the material
24 will be a function not of the number of curies but of the
25 number of grams, micrograms, and that the higher specific

7
1 activity does in fact provide, through the biological vehicle,
2 provides a higher dose rate, potentially a higher dose. That
3 has been my understanding. I would have to defer to the more
4 detailed knowledge possessed by the project manager, but --

5 MR. GRENDON: Well, I've registered my point and
6 belaboring it does no --

7 MR. ARSENAULT: I think it's a point that's important
8 enough to deserve our attention following this briefing and
9 we'll be happy to pass on what we've learned.

10 CHAIRMAN MOELLER: I would agree with Alex Grendon
11 that it is confusing as presented.

12 Dick, did you have further questions?

13 DR. FOSTER: I forgot what my question was at this
14 point. I will support the point here that it has been observed
15 in animal lungs that there is a much enhanced effect of the
16 plutonium 238 over the plutonium 239. That was observed to
17 begin with and then the specific activity came into the picture
18 as an explanation of something which was observed which was
19 unexpected. And at this stage of the game it's a matter of
20 searching for an explanation for an effect which has been
21 observed, which seems to be associated with the specific
22 activity.

23 So you're right, that the phenomenon is there and
24 it probably results in having it included this way in the
25 experiment.

18
1 CHAIRMAN MOELLER: Another comment on a different
2 aspect of your presentation. You mentioned that PAS is doing
3 work on a number of these subject areas. Yesterday we were
4 told that and we heard some of the work that PAS is doing, but
5 we were left with the troubled question in our minds that it
6 seemed like when you -- not necessarily you but certain groups
7 in NRC have a problem that they don't know what to do with,
8 they just say well, PAS is taking care of it.

9 (Laughter.)

10 CHAIRMAN MOELLER: Further, we really wondered if PAS
11 has all of this in-depth knowledge and intellect to do these
12 things. For example, where they're helping you or doing
13 something that's directly related to questions you want to have
14 answered, do you have ample opportunity for technical input
15 and review and working with them to be sure that they're coming
16 along and approaching it the way you want to have it approached?

17 MR. ARSENAULT: That has not been the case in the
18 past. There have been -- there is now activity under way
19 within the Office of Research to approve the coordination
20 among the various parts of the office, and I have some hope
21 that more effective coordination will be the result of this
22 effort.

23 I would point out that there are some cases where --
24 well, in the particular case in hand, the activity of PAS
25 in performing accident sequence analyses and consequence

1 assessments is a natural follow-on to the function they performed
2 during the reactor safety study. This is in fact the central
3 element of their PAS program and I see no reason to assume that
4 will change.

5 With regard to some other areas of activity, I
6 believe their involvement has been largely a matter of
7 tradition rather than as a result of any inherent logic, and
8 I suspect that there may be some adjustments made in that
9 respect as a result of the improved coordination now being
10 sought by the office.

11 The other part of your question of course is that
12 it sometimes smacks a little bit of that's not my table, you'll
13 have to get your glass of water somewhere else. But in fact the
14 only way to carry on our business is to have reasonably clear
15 assignments of responsibility. And it is impossible for one
16 organizational unit to be as aware and fully cognizant of the
17 activities of another.

18 So as a result, when there is an area which some
19 other office is engaged in, we would tend to refer you to that
20 office for more detailed information. We have brought with us
21 altogether inputs to this area, but I would put that in the
22 category of supportive, supplemental or ancillary research to
23 the main thrust of this, which is to analyze sequences,
24 accident sequences and physical transport consequence
25 assessment in detail, which is still the function of PAS.

1 CHAIRMAN MOELLER: Alex?

2 MR. GRENDON: The point that I brought up yesterday is
3 that my interpretation of the Probabilistic Analysis staff --
4 it isn't even a branch but a staff -- was exactly that, that
5 it was an instrument that the various branches used when they
6 had a problem of their type. Say will you help us solve this
7 kind of problem; it's your kind of problem.

8 But that the basic physical and biological problem
9 is the function of the branch that is asking for this kind of
10 service from PAS, and that they should be prepared to say
11 here's what we gave them and here's the answer that they gave
12 us back, and not worry about how they got their answer and if
13 you wanted to find out how they got it, you'd turn to PAS and
14 ask them how they got it. But that you shouldn't be in the
15 position of having to say, when you're asked about some
16 phenomon, some issue, some problem, say well PAS is handling
17 that.

18 They aren't handling it except in the sense, it
19 seems to me, of doing a service. Isn't that right?

20 MR. ARSENAULT: I think the description you've just
21 made is appropriate for the relationship between PAS and NRR.
22 PAS performs services for NRR. They do not perform services in
23 like manner for my division. I don't know whether RSR goes to
24 PAS with services to be performed. They have the responsibility
25 for performing accident sequence analysis and consequence

1 assessments in the way that I have described. And my function
2 relative to PAS is to perform the phenomenological research
3 which is necessary for them to acquire sufficient understanding
4 to do that competently.

5 I think you can see that with respect to service,
6 although I don't like to put it precisely that way, that it is
7 more likely that I would be asked by them to do research to
8 support their activities, rather than the other way around.

9 I do of course derive some sense of priorities from
10 the work that they do because it results in a clear understanding
11 of where the principal contributors to risk are and where the
12 principal uncertainties in risk assessment are, and that allows
13 me to focus my program on the resolution of some of those
14 problems more effectively.

15 I hope you appreciate also that I'm giving you an
16 off-the-cuff response to the question that you posed, or the
17 interest you've expressed, but the precise definition of the
18 functions and responsibilities of the various parts of the
19 offices, something that I'm sure Dr. Butness would prefer to
20 address himself.

21 CHAIRMAN MOELLER: Okay, have we finished this?

22 MR. ARSENAULT: I would like to address your attention
23 to one aspect of this slide. The RSR meteorological research
24 done to support the consequence assessments resulting from
25 accidents is done by Bob Abbey, who's with us, within the Site

1 Safety Branch, Jerry Harbour's Site Safety Branch.

2 The program of that branch is reviewed by other
3 subcommittees, but only with respect, to my knowledge, primarily
4 with respect and possibly only with respect, to the extreme
5 external phenomena aspects of the program. The meteorological
6 dispersion research is of interest primarily I believe to this
7 subcommittee, and is prepared to address it in greater depth
8 and detail if you so desire.

9 I think the point I'm trying to make is that in
10 connection with the review for budgetary purposes, if that
11 part of Jerry's program is going to get reviewed, it's likely
12 to be done here and not elsewhere.

13 CHAIRMAN MOELLER: Fine. Is it best to have him do that
14 now?

15 MR. ARSENAULT: I would suggest, with Jerry's indul-
16 gence, that we continue and finish the last slide.

17 CHAIRMAN MOELLER: All right.

18 MR. ARSENAULT: As I indicated earlier, the question
19 of accidental releases is one of analysis from a predictive
20 point of view. The question of emergency response is one of
21 looking at an accident and developing an operational capability.

22 The source term question here is not to identify or
23 postulate source terms. The question here is in the event of
24 an accident resulting in a significant release of radionuclides,
25 what in fact is being released, how fast and how much?

1 The committee drew our attention to this last year.
2 There has been some activity to respond to this need. The
3 activity has been in the Reactor Safety Research Division,
4 rather than my own. The activity has two aspects.

5 There is an instrument qualification program going on.
6 The need to address that program to the question of release --
7 qualifying instruments that could measure releases during an
8 accident for the conditions that they would encounter during
9 an accident, is being looked at. That program is considering
10 how to go about addressing that question. They have no activity
11 under way right now other than planning.

12 The other aspect of this is the question of not how
13 can the instruments be qualified, but rather what instruments
14 do you want and where? There is a new decision unit in making
15 currently called -- well, the name changes so rapidly I'm not
16 sure I have the right one, but I believe it's called Electrical
17 and Instrumentation. And this will address the question of
18 instrumentation systems, and within its purview would be the
19 question of what instruments should be installed to measure
20 releases at the time of an accident, or to get some indication
21 of the quantities being released.

22 I believe that the formation of that decision unit
23 suggests to me that there hasn't even been any planning yet
24 of any kind of detail in that area. There's certainly no
25 work under way.

1 MR. GRENDON: May I ask a question? I'm sure you told
2 us at some time in the past but I don't recall what the distinc-
3 tion between RSR does and your division does is. Some of these
4 things sound as though they belong in your division.

5 MR. ARSENAULT: Well, I keep pointing that out, as a
6 matter of fact.

7 (Laughter.)

8 MR. ARSENAULT: No, that's not quite true. On the
9 subject of instrumentation, my division has the responsibility
10 for environmental impacts, and environmental monitoring is a
11 subject that falls into that category.

12 Last year Tom Murley and I found ourselves in the
13 embarrassing position of doing this when the committee raised
14 the subject of in-plant instrumentation to measure accidental
15 releases. I sat there with blithe innocence and assumed that
16 it was Murley's responsibility and he was doing the same with
17 regard to me. It finally dawned on us that that was happening,
18 and we addressed it explicitly. We discussed it with Bob
19 Butness.

20 Because it is in-plant instrumentation, as distinct
21 from environmental instrumentation, we felt that it more
22 logically fell within the category of safety systems that
23 Tom addresses, and that's how it fell into that category.

24 It really could have gone either way but I agree with
25 the logic in this case.

1 In other areas my agreement is less pronounced, but
2 this is the way the responsibilities have been defined.

3 MR. GRENDON: But a number of things you've described
4 for our in-plant effects and plant phenomena that you are
5 engaged in investigating, it isn't the question of in-plant or
6 external that --

7 MR. ARSENAULT: Well, that is among the factors that
8 are brought to bear. Another one is whether or not it has to
9 do with accidental releases or routine releases. You will note
10 that we have no significant role anywhere on this slide with
11 regard to -- I'm sorry, on the previous slide -- with regard to
12 accidental releases. The support that we provide in that
13 category arises out of the work that we're doing on aquatic
14 pathways associated with routine releases.

15 So that's another factor that's used to decide where
16 the responsibility is assigned.

17 For first of all, the SAFER division does not involve
18 itself with accidents other than the downstream environmental
19 effects from them, and we tend not to get involved in in-plant
20 instrumentation unless it's associated with routine effluents,
21 that specific category with regard to reactors.

22 Now on fuel cycles, the situation is somewhat
23 different, at least for the time being. There we have the
24 responsibility for safety system evaluation parallel to,
25 comparable to Murley's responsibility for reactor safety

1 system evaluation. It is of course a much simpler area to
2 deal with.

3 I'll proceed. The issue in connection with a
4 reactor accident, emergency response to reactor accident, is
5 what's getting out, where's it going, what do we have to do
6 about it? The first step in that is to determine what's getting
7 out. The second step is where it's going.

8 The meteorological modeling work that Bob Abbey is
9 working on with respect to reactor accidents is now being
10 looked at with a view to developing site-specific models that
11 could be used in the event of an accident in real time to
12 track what was going on in a way that would be timely enough
13 and informative enough to make response decisions.

14 I personally consider that a somewhat ambitious goal,
15 but certainly one that is susceptible of resolution, given
16 enough effort. So that's what the second line means, and when
17 Bob addresses his work you can ask him about that.

18 CHAIRMAN MOELLER: Well, let me quickly ask, Bob, are
19 you tied into ARAC or is ARAC using any of the products of your
20 efforts?

21 MR. ABBEY: I prefer to answer that with my
22 presentation.

23 CHAIRMAN MOELLER: Fine. We'll hold it. I just
24 wanted to mention we heard about ARAC. We've heard about it
25 many times but it was reviewed yesterday and I just wanted to

1 be sure there is a tie here.

2 MR. ARSENAULT: Another element in this emergency
3 response area would be having predicted what's happening or
4 assessed what is happening, getting some confirmation from the
5 field would be useful. This calls for instrumentation out in
6 the environment.

7 There are two aspects to this, a real one and a
8 fictitious one. We have this portable iodine measurement
9 instrument which you heard about last year. It has been
10 developed. It is currently undergoing testing at I&EL, I
11 believe, and the instrument uses an activated charcoal -- Phil
12 may be able to help me on this -- it uses in any case an
13 iodine collector, which can be described in detail if you wish,
14 and that is undergoing separate tests.

15 When will the tests be completed, Phil, to the
16 point where the instrument would be available for field use?

17 DR. REED: The sampler collector evaluation should
18 be completed midway into the next fiscal year. The actual
19 testing with the specific Civil Defense and emergency
20 instrumentation testing should be completed somewhere in
21 mid 1982. We have several instruments and various types of
22 probes and detectors that we are evaluating, along with the
23 sampler collection system.

24 MR. GRENDON: I didn't understand whether this was
25 supposed to distinguish iodine from other radionuclides.

1 CHAIRMAN MOELLER: Yes, tell us or refresh us. We
2 heard about it, but does the instrument give you a number or
3 simply collect the sample?

4 DR. REED: Let me give you a little bit of background.
5 First of all, there is a sampler collection system which is
6 essentially an airborne collection system. It's essentially a
7 filter which is composed of silica gel on which has been
8 deposited approximately 8 percent silver.

9 Now the reason that we went to this mixture is that
10 we're looking for all forms of iodine. We're looking for the
11 organic iodine, the methyl iodine, the HOI forms of iodine, the
12 I-2 iodines, and there is a filter.

13 This instrument is designed to be used with a Civil
14 Defense-type instrument equipped with a small GM probe. This
15 instrument is specifically designed for iodine 131. When it's
16 used in combination with the specific probe for the CDV, we
17 fit a shield to this which essentially screens out most of
18 the exenans. So it is almost entirely for iodine 131 and this
19 is what has been used at Three Mile Island.

20 Now associated with the particular instrument
21 evaluations, it has been recognized by not only NRC but also
22 by this Federal Interagency Task Force on Emergency Instru-
23 mentation which guides us in our evaluation and which an
24 individual from FEMA is the task force chairman. So we are
25 feeding into this and he is providing us with all of the

1 guidance of his task force.

2 It was recognized that this instrument had not under-
3 gone tests under environmental conditions, for example under
4 extreme temperatures -- coldness, heat. And in addition, at
5 the Three Mile Island there was a problem with the water
6 component. So we have to test this out under conditions of
7 relative humidity, and in addition we also have to test it out
8 under shock conditions and there are I think also a dusting
9 type of testing.

10 So our purpose right now is to evaluate the testing
11 of this instrument to determine its performance under these
12 environmental conditions.

13 MR. GRENDON: Then it doesn't give real time measure-
14 ments of iodine because you do have to collect the sample and
15 then later measure; is that correct?

16 DR. REED: Right. Now the sampler is portable in the
17 sense that it is operable in the field. It collects a sample
18 and immediately, if you have a CDV system right there, you can
19 read it out --

20 MR. GRENDON: How soon after you start collecting?

21 DR. REED: Immediately. The collection takes about
22 15 to 20 minutes. In reality I think at Three Mile Island they
23 used it for longer than that. So you can get an instantaneous
24 readout --

25 MR. GRENDON: Assume that the level at which the

1 iodine appears in the air is just at the maximum concentration
2 that might present a problem. You mean that within 15 or 20
3 minutes you collect enough under those conditions?

4 DR. REED: If the activities are high enough you
5 should see --

6 MR. GRENDON: That's the reason I said, let's assume
7 the activity is just barely at the point where you consider it
8 beginning to generate a problem.

9 DR. REED: Right. It would be able to detect this
10 and incidentally, with the testing that has been going up
11 with Brookhaven, there has been a little chart developed by
12 which one can essentially take the instrument reading in
13 activity levels and just look at a chart and convert it into
14 dose levels.

15 CHAIRMAN MOELLER: So you're telling us within a
16 15-minute sampling period, reading it in the field with a
17 portable CD instrument, you could measure levels that would be
18 important to take care of the situation?

19 DR. REED: That's right. Our specific designs were
20 for 15-minute air flows.

21 CHAIRMAN MOELLER: And if you sampled 30 minutes,
22 presumably it would be twice as sensitive?

23 DR. REED: Right. We specified a maximum time of
24 15 minutes, but in reality up at Three Mile Island they used
25 it for up to an hour and it worked very well.

1 CHAIRMAN MOELLER: And is it a portable little blower
2 or pump?

3 DR. REED: Yes. Essentially it's like a vacuum cleaner.
4 It's very small. The cartridge is essentially very small, like
5 a vacuum cleaner cartridge.

6 CHAIRMAN MOELLER: Battery operated?

7 DR. REED: Yes, it is battery operated and it can also
8 be used to operate off of the cigarette lighters of old
9 automobiles.

10 MR. GRENDON: Just another small detail. On your
11 chart there you have B numbers for those, on the detailed ones
12 you have A numbers. What do the A and B signify and which one
13 should be put on -- what do A and B stand for?

14 MR. ARSENAULT: It's simply part of the --

15 DR. REED: The A number for some reason is designated
16 to those laboratories operated under I&EL and the Idaho
17 operations office. The B numbers are designated for those
18 laboratories that are all of the other places, the Oak Ridge,
19 the P&L --

20 MR. GRENDON: So these really are A numbers, in other
21 words?

22 DR. REED: The I&EL numbers should be A numbers.

23 CHAIRMAN MOELLER: Dick?

24 DR. FOSTER: Under that first one, the 6286, the
25 language here says test and evaluate performance for an

1 environmental response to radioiodines and other radionuclides.
2 What do you mean by environmental response to the radionuclide?

3 DR. REED: Okay, which number were you referring to?
4 Okay, under A-6286. What we're essentially looking for there
5 is a minimum sensitivity level and precision and accuracy that
6 we can determine with these other instruments that we have not
7 yet evaluated and these other instruments that we're talking
8 about, our portable CDV instruments and other systems that can
9 be operated out in the field. For example, we have proposed
10 tests for various CDV models with various GM tubes. We have
11 an Eberline system we're going to use. We have a couple of
12 Victorine systems that we want to use with various probes,
13 including sodium iodide.

14 What we plan to do there is to test the sensitivities
15 under various environmental conditions, again relative
16 humidity, different temperatures and pressures to see how
17 well they performed in the field such that we can recommend
18 to the states they could use these instruments under emergency
19 conditions.

20 DR. FOSTER: So it really should say the instrument
21 responds to various -- under various environmental conditions.
22 It was the "environmental response to radioiodines" that -- I
23 didn't understand how the environment was responding.

24 CHAIRMAN MOELLER: Where are you reading that, Dave?

25 DR. FOSTER: This auxiliary, the one that describes the

1 projects in somewhat more detail.

2 CHAIRMAN MOELLER: Thank you.

3 MR. EBERSOLE: I'm always impressed by what appears to
4 be the agonizingly slow rate at which such things come into
5 practical use. 1982, I believe, and I say to myself why so
6 long, and what are we doing now and how much better is the new
7 one?

8 I take it the older method of measurement involves
9 discrimination by rate and energy, or does it use mechanical
10 discrimination? How much better is the new one? Are we all
11 right now, in other words, in our measurement techniques?

12 DR. REED: Well, yes, you're entirely right. The system
13 of energy discrepancies and intensity and sensitivity are being
14 evaluated as well as the collection system. Right now the big
15 problem is in the collection system. The individual performances
16 of these particular instruments have not been evaluated under
17 the environmental conditions that we want them, so we still
18 have to look at the responses, the responses to particular
19 iodines and how we can separate out the particular iodines
20 in the presence of other nuclides that would be deposited.

21 MR. ARSENAULT: Excuse me for interrupting. I think
22 there are two parts to the question that I think we need to
23 have addressed. One is, would there be any way, looking in
24 reverse at them, the first is is there existing any way now
25 to measure radioiodine concentration in the vicinity of a

1 nuclear power plant following an accident?

2 DR. REED: Sure. All you have to do is collect a
3 sample, take it back to the laboratory, do the extensive
4 radiochemical tests, and you can get an answer.

5 MR. EBERSOLE: So the merit of this is that it's
6 faster?

7 DR. REED: The merit of this is that we're using
8 portable field instruments to get an answer right away, rather
9 than having to wait an hour and a half, maybe three days to
10 get the answer that you would normally get if you used laboratory
11 type systems.

12 MR. EBERSOLE: There are no instruments which in the
13 field now can discriminate on the ground?

14 DR. REED: Yes, it's very difficult. Unless you have
15 some type of an analyzer system that essentially gives energy
16 discrimination --

17 MR. EBERSOLE: That's what I'm talking about. Those
18 things are available.

19 DR. REED: Yes, they are, but you can't use these out
20 in the field, though. Like jelly detectors and sodium iodide
21 detectors, those are fine to be used in the laboratory, but
22 these instruments are being designed to be handled by Civil
23 Defense type people at the state level who do not essentially
24 have the sophisticated background and training --

25 MR. EBERSOLE: You can now, if you take a real

1 technician in the field, you can do a good job now, right?

2 DR. REED: Oh yes, no problem with that.

3 CHAIRMAN MOELLER: And cost, what do you anticipate
4 is the cost of your system?

5 DR. REED: By the time we have completed evaluation,
6 it would be something in the neighborhood of -- I'm giving
7 ballpark numbers now. I have the value here that we listed
8 about --

9 MR. GRENDON: No, the instrument itself.

10 DR. REED: With the simple collection system, I would
11 say it would be in the neighborhood of something like \$100
12 for just the instrument itself. The cartridges themselves would
13 run maybe another \$25. The detailed costs of this are detailed
14 in one of our NUREG reports. I just don't have the numbers
15 offhand, but we went through a complete breakdown of this
16 instrument and cost and as a matter of fact, people have been
17 calling us that they want to manufacture this and things like
18 that. So it would be relatively inexpensive.

19 CHAIRMAN MOELLER: Now what is the shelf life of a
20 cartridge? Do you break it open or something or is it -- tell
21 me about it. In other words, it doesn't just last one day, you
22 have to use it within three weeks or it spoils?

23 DR. REED: No, this cannister is essentially packed
24 in a container with silica gel and it has been designed for
25 extremely long shelf life.

1 Now in reality, of course, what's going to happen is
2 that the states themselves will implement testing procedures such
3 that the sampler essentially will be evaluated periodically.

4 MR. ARSENAULT: There was another part to the question,
5 if I may return to it, and that is the long time required to
6 get from where we're at to the end, and is this one of those
7 cases, Phil, where increased resources would speed up the test?

8 DR. REED: I'm not so sure if it's so much resources
9 as it would be for people to go through the number of steps
10 and the number of testing procedures that we essentially have.
11 We are requiring a considerable number of tests to be done with
12 several types of instruments. So these tests are somewhat
13 lengthy and they require considerable effort of the people
14 involved.

15 MR. ARSENAULT: Will they be done sequentially or
16 concurrently?

17 DR. REED: The testing performance of the absorption
18 instruments, or the air sampler, will be completed first. And
19 then following that we will then evaluate the performance of
20 the instruments, the specific ionization instruments.

21 MR. ARSENAULT: So the schedule is inherent.

22 CHAIRMAN MOELLER: Dick Foster.

23 DR. FOSTER: I wonder if you can tell us a little bit
24 more about where this information derived from this portable
25 sampler enters into the scenario of the accident. More

1 specifically here, if you have a release, you want to know where
2 it went. You depend on the meteorological input to tell you
3 generally. Then you have field monitors who are going out and
4 trying to confirm did it in fact go in that particular direction.
5 Some time later you're trying to identify what the dose to the
6 population was that was particularly in the plume, or the high
7 area.

8 I guess my hang-up here is where you are going to
9 spend even 15 minutes in the field with the portable instrument.
10 how much territory are you going to be able to cover early in
11 the game, or is that the wrong time in the accident scenario that
12 you're using it? Whereabouts does this come in?

13 DR. REED: Well, let me give you -- the practical
14 effect up at Three Mile Island was that it was used immediately
15 and the scenario that has always been used by FEMA, by the
16 Interagency Task Force, by the people in state programs, has
17 always been concerned of course with the radioiodine, and this
18 is where they want to get the initial measurements because of
19 the iodine being concentrated through the milk, through the cows.

20 The present plans that will be incorporated into
21 the action guides issued by state programs call, as I recall,
22 it will be used immediately upon the indication that an event
23 has occurred.

24 MR. ARSENAULT: If I can infer some of the content of
25 your question, I point out that this is not an instrument whose

1 primary purpose will be to map a plume or to do environmental
2 monitoring per se. Its principal purpose is for use by
3 Civil Defense type technicians, and they will likely be at
4 population centers, so it's a device that is both a detection
5 device and a confirming device, for emergency purposes.

6 DR. FOSTER: Well, I guess my problem goes back to a
7 situation of whether this has its main function here relative
8 to inhaled radioiodine by people or whether it is to provide
9 some guidance as to where the milk contamination may be
10 showing up a day or two later in the sequence, and if it's not
11 for the plume, then I worry here about, particularly in the hands
12 of the Civil Defense people, did they take the measurement in
13 the right place at the right time, or were they two miles away
14 from where the plume went?

15 There is an element here of an initial survey
16 very rapidly, what sector and what points that got hit. At
17 Hanford we used to do this not by taking samples but with a
18 field crew just with a CP going out along the roadside, looking
19 at grass or vegetation. This turned out to be a pretty good
20 collector.

21 MR. ARSENAULT: You got mapping.

22 DR. FOSTER: Yes, you got very lousy information as
23 far as quantitative, but from a qualitative point of view,
24 whether I should be looking in this direction or five miles or
25 twenty miles or here, it gave you a very rapid indication,

1 which this wouldn't do because you've got to wait 15 minutes.

2 MR. ARSENAULT: I think you characterized the two
3 applications very well when you said inhalation versus showing
4 up in the milk. The latter is what I was trying to refer to when
5 I said plume mapping.

6 I think the principal purpose of the instrument -- not
7 its exclusive purpose, but the principal application of the
8 instrument is for use by Civil Defense people to determine what
9 the radioiodine concentration is where they are -- i.e., normally
10 in the towns and population centers.

11 It could of course be used by roving teams to determine
12 what the shape and location of the plume was. For this they
13 would need to do a mapping exercise. So it could be applied
14 for both purposes. I think the principal purpose is the former.

15 Does this answer your question?

16 DR. REED: Could I comment on that? First of all, the
17 air sampler is only designed of course to measure concentrations
18 in the atmosphere, and since we've already had the experience
19 of Three Mile Island I think FEMA is pretty well sure how
20 that will be used.

21 The other part of the program, the environmental
22 part, does include the evaluation and the determinations of
23 sensitivities, conditions, et cetera, for determining radioiodines
24 and possibly other radionuclides, on pasture, in water, in milk
25 samplers, and also some other things that we're looking at

1 on down the road that FEMA has talked to us about.

2 So it's not just a simple air sampler. We are
3 considering the actual nuclides that have been deposited on the
4 pasture land itself.

5 DR. FOSTER: That's a different kind of instrument.

6 DR. REED: Yes. The sampler of course, yes, will
7 not be used for that, but these particular instruments that we
8 are testing -- we have about seven or eight different types of
9 instruments -- they will all be evaluated and then a decision
10 will be made which recommendations will be used, et cetera. They
11 will all go through this testing for the radioiodines in a
12 centric on the pasture land and in the milk, et cetera.

Tape 6
 IRC ACPS
 5/2/80
 Babineau/
 Hatfield

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DR. FOSTER: Now, my perception is that the portable sampler here is not going to be in the hands of the roving health physicist, it's going to be in the hands of the Civil Defense people, and that you're going to have enough of these located in their hands so it's essentially going to be operated more or less as a fixed location kind of thing: "I'm here and what was the iodine content of the stuff that came past me," much like a fixed TLD, if you will, for ambient radiation.

CHAIRMAN MOELLER: Let's see, Jesse.

MR. EBERSOLE: Oh. Is the reliability and use of this instrument compatible with its possible use in triggering a mass exodus from an area?

DR. REED: I would -- I would believe that recommendations for evacuations would be based on numbers obtained from an instrument like this, especially if it could -- first team in received some high values and readings. And I'm sure that this is being considered by FEMA.

MR. EBERSOLE: So this is an instrument which may be used for that purpose?

DR. REED: Oh, yes, very definitely.

CHAIRMAN MOELLER: Any other questions on this item?

Well, thank you. That -- there was interest, and we do appreciate the in-depth review discussion.

MR. ARSENAULT: Relevant to some of the questions is the second line here: "Field installations with telemeter data."

1 You won't find that listed on the handouts, because the slide
2 was prepared by me and the handouts were prepared by somebody
3 else and this thing died while unbeknownst to me, while I wasn't
4 looking. What happened with this is that following TMI and in
5 connection with, we were asked to consider what research possi-
6 bilities we felt were reasonable to address issues that were
7 raised by the accident. The possibility of establishing some
8 environmental monitoring-system that would provide, essentially,
9 real-time information to help and guide -- help to guide
10 decision-making during the emergency, was one that we felt had
11 merit. And we added it to the list. It was in our fiscal '80
12 supplemental request, to be followed by a second year of effort
13 in fiscal year '81.

14 A couple of things that happened along the way. One
15 thing is that the fiscal year '80 supplement is no longer with
16 us, at least, not for this purpose. The other is that the
17 fiscal '81 budget is likely to be reduced. This suggests that
18 the time for initiating this effort has been pushed off into
19 the future. At the same time, NRR has been looking at the
20 various requirements that it might establish relative to
21 emergency response and accident monitoring and so on.

22 The question has existed from the first day as to
23 whether or not there was, in fact, research involved here or
24 whether it was merely technical assistance or -- or what it was.
25 The further downstream we get, the more it looks like it's

JO-3

1 merely a matter of regulatory decision-making and that there
2 isn't any instrument development or any other esoteric data
3 gathering required in order to make that decision.

4 So it has slipped from our program until the needs
5 and requirements for additional research are reestablished. So
6 there it is, and it's not here and we do not have any plans
7 for this.

8 CHAIRMAN MOELLER: Well, now, you are, though, NRC as
9 an agency is, placing or installing your own environmental
10 monitoring TLD system around all operating reactors --

11 MR. ARSENAULT: Yes. The distinction --

12 CHAIRMAN MOELLER: -- but it's not telemeters.

13 MR. ARSENAULT: Exactly.

14 CHAIRMAN MOELLER: All right.

15 MR. ARSENAULT: The distinction is one of real-time
16 data to help in guiding decision-making. Now, this -- you can
17 see the interface with the question on this portable instrument.
18 If there are enough of them out there and if they are being used
19 to map plumes, that is the kind of information we are talking
20 about. But, again, I doubt that they will be used that way.

21 In any case, this is a defunct item in our planning
22 horizons for now.

23 Countermeasures is an item that the subcommittee
24 addressed last year. And two things are going on there. The
25 PAS potassium iodide study -- which I've already admitted I know

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

JO-4

1 too little about to address -- and work that they are doing as
2 a service to NRR to evaluate the effectiveness of various
3 options, sheltering potassium iodide, evacuation, et cetera;
4 another alternative they might wish to consider has been
5 mentioned today. This is not research. This is simply the
6 application of their existing capabilities for consequence
7 assessment to consider what happens in the event of -- these
8 options are adopted.

9 Now, in line with the suggestion that certain socio-
10 economic studies might be done, this actually has been raised,
11 by Bob Bernero, with me; and that had slipped my mind, but it's
12 very closely associated with the suggestion we heard today. He
13 points out that one can show the difference between potassium
14 iodide and sheltering in terms of the ultimate dose to indi-
15 viduals, but the question comes up will people, in fact, take
16 their pill and sit tight or will they, in fact, take their pill
17 and get in their car and move or will they simply be too busy
18 moving to bother taking their pill. And these are questions of
19 psychology. They are not in the program now. They are the
20 kind of thing that is continually being raised in the aftermath
21 of TMI. I'm sure that the agency will have to address questions
22 of this kind, whether in my -- the socioeconomic program or in
23 some new human factors program or exactly where I think is un-
24 clear at the present time.

25 Finally, the report raised the question of

JO-5

1 post-accident recovery and re-entry, both with respect to on-
2 site re-entry and off-site decontamination of contaminated
3 areas. We have no specific research ongoing at present that's
4 directed to these subjects. I believe that NRR has a task
5 force that is addressing some of these questions; I'm not sure
6 exactly what the content of their discussions are, but it's
7 clear to us that we will have to await the results of their
8 review and the formulation of NRR positions and policies before
9 we would have any clear guidance as to what we might be
10 required to do, if anything.

11 I beg your pardon -- in -- in -- post-accident decon-
12 tamination is, of course, in our program earlier on. So that's
13 one aspect that's covered.

14 That completes the material that I have here to
15 present.

16 CHAIRMAN MOELLER: Yes, Jesse?

17 MR. EBERSOLE: In just the general spirit of getting
18 the word around, I'd like to point out to you sort of a opera-
19 tional problem which we're dealing with elsewhere; I'm not sure
20 whether you're involved in it or not. And that has to do with
21 multi-unit sites. If we look at the degraded circumstances
22 might have been worse at TMI, which was a two-unit station, and
23 looked at the case where the first unit was still running but,
24 because of circumstances, now the effective unit had to shut
25 down, we have to conclude that the people in the working but

JO-6

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 undamaged unit may have -- will -- will, in fact -- have to
2 stay there to effect a safe shutdown in a very long term. The
3 control room designs have not been such that for degraded
4 circumstances the entry of radionuclides into the atmosphere --
5 or, for that matter, the shielding design has been such as to
6 be effective against gross accidents. They've been effective
7 against design basis, which is much more limited. Therefore,
8 we have to look at the problem of how well the occupants can
9 withstand a degraded condition in a nearby unit in respect to
10 staying there indefinitely and holding a shutdown configuration,
11 if not an operating configuration, for the adjacent units.
12 It's an effort, I think, that certainly interfaces with what
13 you have here. It's kind of a occupational dose problem under
14 unusual circumstances.

15 MR. ARSENAULT: Yes. Yes. I thank you. I think
16 that's a good point. And it is, I believe, within the scope of
17 my program to address that, that question.

18 CHAIRMAN MOELLER: Other questions or comments?

19 Well, thank you. Then we will go to Bob Abbey. Well,
20 I think at this point we'll take ten minutes, and then we'll
21 cover Bob's presentation.

22 How long will that take, Bob?

23 MR. ABBEY: Oh, I should think it would be about ten
24 or fifteen minutes.

25 CHAIRMAN MOELLER: All right. Well, we can do that.

10-7 1 And that we'll do by noon.

2 Then I'm just wondering, though, for Frank's, thinking
3 ahead on his schedule, I think the subcommittee should go over
4 the budget material, so, Frank, would you want -- and that
5 shouldn't take too long. So what we'll do, let me propose we
6 take ten minutes, then we have Bob Abbey do his presentation,
7 then we'll go into closed session and look at the budget, and
8 then go to lunch.

9 MR. ARSENAULT: If I may. You have associated with
10 the projects that we have described proposed funding levels.
11 With regard to the budget per se, which is structured quite
12 differently from this, we have three decision units within my
13 division, I do not have that information with me today, that is,
14 the total information for the decision units. That can be made
15 available to you, I believe, shortly after the beginning of
16 June. It's still undergoing a certain amount of restructuring.
17 It should be ready by next week.

18 CHAIRMAN MOELLER: Well, we would like, though, say,
19 in a closed session, to discuss certain -- you know, whatever
20 we can --

21 MR. ARSENAULT: Fine.

22 CHAIRMAN MOELLER: -- about the budget with you.
23 Let's take ten minutes.

24 (^ brief recess was taken.)

25 CHAIRMAN MOELLER: The meeting will resume. We will

1 move on, then, and have the presentation by Bob Abbey on the
2 meteorological program, to be specific, on the atmospheric
3 dispersion research program.

4 Bob, it's a pleasure to have you with us again.

5 MR. ABBEY: Thank you. We appreciate the opportunity
6 to come before the subcommittee again, as in years past. But
7 even more we appreciate the support we received last year with
8 regard to our program dealing with the dispersion of radioactive
9 material under postulated accident conditions.

10 I have no handouts -- I mean, I have handouts, I have
11 no Vu-graphs. Like to direct your attention to the package
12 labeled "Atmospheric Dispersion Research Program," which provides
13 for you, in capsulized form, the basic tenets of our dispersion
14 program.

15 The program initially was conceived in 1972, at that
16 time under the aegis of the Atomic Energy Commission, Division
17 of Reactor Development and Technology, and, with the Energy
18 Reorganization Act, came with the reactor safety program to the
19 Nuclear Regulatory Commission.

20 The program began very modestly, looking at very short-
21 term, short-distance type problems, to more adequately assess
22 for site evaluation purposes, doses at site boundaries. The
23 program has subsequently proceeded to more complex meteorologi-
24 cal and topographical considerations, to longer durations of
25 releases -- several hours -- and to longer distances downwind

1 -- nominally, 50 miles, or 80 kilometers.

2 The program began by outlining the concept of
3 diffusion over various types of terrain. That in your handout
4 page 1 is labeled A. The program at that time was in its
5 entirety an experimental, empirical program to obtain high-
6 quality tracer concentration data bases, along with coincident
7 meteorological measurements, to give the standards people and
8 the licensing people bases for arriving at selections for site
9 evaluation purposes and safety analysis decisions.

10 As the program has progressed, as problems have become
11 identified, a theoretical component has been added, to try to
12 address not only how the effluent gets dispersed but why, from a
13 physical basis standpoint. It's not enough now, especially at
14 the longer distances, to know how much effluent gets a certain
15 distance downwind and the spread of the plume, but, precisely
16 now because we cannot test at every reactor site to distances of
17 50 miles, just exactly what is the physical basis for evaluating
18 the mathematical models to predict the plume's behavior at those
19 distances.

20 The other two components -- or other three components
21 to the program, then, deal with model evaluation. That's shown
22 as item B in the handout. C and D are short-term programs
23 designed for specific purposes. C deals with the assessment of
24 vertical diffusion by measurement techniques. All models to
25 date have relied on measuring only in the ground level

JO-10

1 horizontal and inferring what the vertical distribution must
2 have been according to preconceived mathematical or analytical
3 models. With the advent of lidar technology, primarily, we have
4 attempted to try to quantify, then, the dispersion of effluents
5 in the vertical during the same time that our field measurement
6 programs are being conducted with our tracer gases in the
7 horizontal.

8 Item D is merely on here for completeness. We have
9 completed our building wakes effect research program, largely
10 responsible for ascertaining the effect of increased turbulence
11 due to building complexes on doses, then, at site boundaries.
12 The last year of the program is this year -- as such, it will
13 not affect the FY '81 or '82 considerations -- and is directed
14 toward actually finding out concentrations within the site
15 complex itself for control room-type assessments, vent intakes
16 and so forth. And that one is a concluding program.

17 I direct your attention to the objective of the
18 overall program, namely, the verification of current and pro-
19 posed models used to predict the behavior of radioactive air-
20 borne effluents, primarily for two purposes: one, emergency
21 planning, and, secondly, for site evaluation. The next two
22 pages, then, consistent with Mr. Arsenault's handout material,
23 gives the three basic, major programs currently being admin-
24 istered in the dispersion area. The first one is the -- these
25 are in order of priority -- the first one is the evaluation of

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 real-time --

2 MR. EBERSOLE: You say these are in order of priority?

3 MR. ABBEY: Yes. The evaluation of real-time dis-
4 persion models. As a result of Three Mile Island, in August
5 the Nuclear Reactor Regulation Office sent to the Office of
6 Research a request in which they identified a very real need to
7 find out, one, what models are available, two, to find out what
8 data are available by which to evaluate the models, three, to
9 establish some sort of objective evaluation criteria by which
10 the models can be judged as to their effective ability to
11 predict plume behavior in a timely manner, and then, fourthly,
12 of course, the result is then "Give me the range of models
13 applicable during certain conditions for the range of sites on
14 which nuclear power plants are currently sited."

15 Another dimension to this has recently been added
16 with the concept of ARAC -- Atmospheric Release Advisory
17 Capability. I apologize for not being here yesterday to hear
18 the presentation and conversations with regard to ARAC. Due to
19 the limited budget in FY '80, partly as a result of the late
20 request factor into the current budget, the current emphasis
21 in the evaluation of real-time dispersion model program is sole-
22 ly on the ARAC system and its suite of models. A further ex-
23 planation of this particular program is on page 4 of your hand-
24 out material and is entitled "The Approach to the Evaluation of
25 Real-Time Atmospheric Dispersion Models."

JO-12

1 We are not prepared at this time, either myself or --
2 or the staffs, or our consultants, to endorse the concept of
3 ARAC and its suite of models. Data simply do not permit such
4 a weighty decision to be made, with such far-ranging implica-
5 tions, at this time.

6 FEMA, despite the fact that they are planning to
7 install the ARAC system at Indian Point, in the state of New
8 York at Albany, at Zion, in the state of Illinois at Springfield,
9 and perhaps Rancho Seco, in the state of California at Sacra-
10 mento, asked the Office of Research to conduct a dispersion
11 program involving field tests and evaluation models, preferably
12 out to 50 miles, by which ARAC can be evaluated.

13 I would like to point out that when I say "ARAC" I'm
14 talking the entire system, only part of which involves the
15 meteorological dispersion and transport models. The other part
16 of the ARAC system being evaluated as part of our program con-
17 cerns the timeliness of response, the input data needed to make
18 accurate calculations, and, more appropriately, the interpreta-
19 tion of the results arising from the ARAC suite of models and
20 system.

21 That led us, then, to our second item on the sheet,
22 namely, intermediate range atmospheric transport experiments.
23 There's a direct correlation -- and if you look at the con-
24 tractors you'll see a number of repeats -- a direct correlation,
25 then, between our evaluation of model effort and our intermediate

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2346

JO-13

1 range atmospheric transport experiments. The ARAC system is a
2 centrally located system, namely, at Lawrence Livermore facili-
3 ties, whereby individual terminals cannot communicate with each
4 other. Indian Point can only communicate with the state of
5 New York at Albany or with the Incident Response Center in
6 Bethesda, by first going through Lawrence Livermore in Califor-
7 nia and then back out again. The primary purpose in our model
8 evaluation effort with regard to computer capabilities is to
9 try to assess the state of the art, state of the knowledge,
10 state of the technology right now to provide on-site personnel
11 with a mini-computer, if you prefer, type facility with a model
12 specifically adapted to their given site, to make quick, as
13 accurate and as efficient on-site calculations of where the
14 plume is going and how fast it's spreading.

15 Prior to the initiation of the study, the ARAC system
16 was, to our knowledge, the only system available. Merely
17 because the system is only -- is the only one of its kind does
18 not a priori rule out consideration of other alternatives. The
19 purpose of our research effort in this area is to provide those
20 alternatives to the decision-makers, part of which for this
21 particular program include FEMA. We also have been in consort
22 with NRR because of their installation of the ARAC system into
23 the Bethesda Incident Response Center. We are somewhat dis-
24 turbed, both from a scientific as well as an administrative
25 viewpoint, as to the objective evaluation being conducted to

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

10-14

1 date on ARAC. I make reference to the Rogovin Report, for one,
2 in which the assessment of ARAC is made and its performance at
3 Three Mile Island. The assessment, however, was made by
4 Lawrence Livermore Laboratories, the prime developers of the
5 ARAC system. I call attention to some programs which I heard
6 mentioned yesterday with regard to evaluation of the ARAC
7 system and its potential applicability to nuclear power plant
8 sites -- once again performed by Lawrence Livermore Labora-
9 tories.

10 Specifically for this purpose we formed a three-man
11 committee, comprised of Dr. Steve Lewellan, from Aeronautical
12 Research Associates of Princeton, one of the world's experts
13 in modeling, Mr. Gene Stark, from Noah (phonetic) Air Resources
14 Laboratory, Idaho, familiar with mini-computers, models, and
15 data collection techniques, and Mr. Frank Carnegie, from Oak
16 Ridge National Laboratory, who is familiar with the EPA-type
17 models and has them all running on the Oak Ridge computer, to
18 develop for us, then, an evaluation independent of any partici-
19 pation by Lawrence Livermore Laboratories or its proponents of
20 the ARAC system and its suite of models.

21 We are disturbed, furthermore, in the evaluation of
22 any models, that as more and more data become available, the
23 models become, surprisingly, more and more accurate. We think
24 this is not a peculiarity of the ARAC system at all but is true
25 of all models. And merely because a large computer is necessary

10-15 1 to run a large dispersion modeling program does not mean it may
2 be, you know, the best or most efficient solution to the
3 problem.

4 We are cooperating with FEMA right now in the conduct
5 of a program at Indian Point -- which is the last page in your
6 package. We just recently returned from a visit with Consoli-
7 dated Edison at the Indian Point site to consider a joint
8 program, simply because it's much too costly for either of us
9 to fund it in its entirety, to outline the initial phase and
10 test design of the dispersion program at Indian Point. By July
11 1st this test program will be available. It's our intention to
12 publish it in our NUREG report series for critical review and
13 examination prior to our target date in the field to commence
14 the program, namely, May 1st of 1981.

15 The third --

16 CHAIRMAN MOELLER: Excuse me. You -- maybe I missed
17 it -- but you mentioned this three independent -- this team
18 consisting of three people unrelated to ARAC that you've asked
19 to evaluate it. Is their report in? Or are they just in the
20 midst of doing that?

21 MR. ABBEY: They just commenced about two months ago.

22 CHAIRMAN MOELLER: Oh. So there's no -- there are no
23 results.

24 MR. ABBEY: That's correct.

25 CHAIRMAN MOELLER: Thank you.

10-16 1 MR. ABBEY: We've asked for a Christmas present of
2 that report.

3 CHAIRMAN MOELLER: Thank you.

4 Yes, Dick?

5 DR. FOSTER: Relative to that evaluation, the people
6 on the team sound to me like they are all atmospheric modelers
7 type of capability. I'm wondering, in your consideration of
8 that, whether you're also evaluating the distance-time aspect.
9 the -- let's say the point of view of a utility emergency
10 personnel and what their particular attitude is on making such
11 -- putting such tremendous responsibility, if you will, on the
12 computer program which is quite distance and over which they
13 have no, sort of, hands-on control. In other words, what I'm
14 saying, I think there are some other considerations relative to
15 the value-of the system which are in addition to those of just
16 the technical aspects of the model per se.

17 MR. ABBEY: I agree completely and will serve to
18 elaborate on that point now. It may have sounded, in my
19 cursory description of each of the experts involved in this
20 task, that they were modelers. I think only one would take that
21 as a compliment, namely, the modeler, which is Dr. Lewellan.
22 Mr. Stark developed the entire emergency response plan,
23 meteorologically speaking, involving network design, telemetry
24 of the data, the mini-computer system, the models and so forth,
25 for the Idaho National Engineering Laboratory site. He is

JO-17

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 intimately familiar with the capabilities of large and small
2 computers, with the time delays necessary to input data to get
3 a response back, and the sensitivities involved strictly from a
4 computer system interactive type viewpoint. It's for that
5 reason that Mr. Stark was selected, not for his modeling
6 expertise. We tried to keep the number to a minimum, namely, to
7 get the report out in a timely manner. Your point is well
8 taken, and I assure not only that but the cost/benefit of
9 various systems also will be considered in the report.

10 The third, and last, major program that I'll present
11 to you this morning is entitled "Dispersion in Shoreline Environ-
12 ments" and will appear in the form page number 3 -- I think it's
13 labeled number 2, but it's number 3 -- which was the program to
14 have, if you recall from last year about this time, that was our
15 number one priority program for the future, it's now relegated
16 to number three in light, of course, of the previous two pro-
17 grams we've mentioned. We still consider it a high-priority,
18 top program, due to the large number of nuclear plants located
19 near large bodies of water.

20 The simple fact of inability to measure effluent
21 spread over water, if, indeed, the initial accident has the wind
22 blowing over the water, the eventual return to the shore, the
23 complexities of fumigation or the downward transport from an
24 elevated source to the land in coastal regimes has long been a
25 problem recognized not only by the NRC but also by the

JO-18

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 Environmental Protection Agency. For this reason, and because
2 of our particular interest in obtaining tracer concentration
3 measurements, that we embarked on the design of this program
4 last year, and we intended to be in the field, if not this year,
5 certainly early next year. Once again, due to funding con-
6 straints and the introduction of other, higher-priority items,
7 namely, the model evaluation and the intermediate range trans-
8 port problem, we've had to push this one back another year.

9 I would like to also call your attention, although
10 it's not shown here, to the interest of the American Petroleum
11 Institute to cooperate with us in the conduct of our shoreline
12 dispersion experiments. It turns out, with the outer conti-
13 nental shelf regulations promulgated by the USGS, that they're
14 interested in diffusion over water as it impacts the land. I
15 assure you, all of our releases will be from the shore itself,
16 you know, on various, you know, dispersion meteorological
17 regimes. But the acquisition and the opportunity provided by
18 the oil industry for their offshore oil rigs, their data buoys,
19 their sheer manpower, which is a large part of costs involved
20 in any field program, are -- are quite welcomed on the part of
21 research. However, we still have to bear the brunt of the
22 expense to keep them interested.

23 It also turns out that the initial program probably
24 will be conducted along the Gulf Coast in Texas, not because
25 we've got a large number of plants there, but simply because

10-19

END
TAPE 6

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

the oil companies own large fetches of controlled land area,
 which sure makes our sampling problem much easier and the
 design of our sampling and meteorological networks.

2 There are a couple of minor programs which need not
3 be presented here. When I say "minor," I'm talking, you know,
4 a few tens of thousands of dollars which compared to these are
5 simply insignificant.

6 I call your attention again to the fact that many of
7 the contractors are mentioned in each of the three programs.
8 We've established a network, interactive network, if you will,
9 between steering committees and working groups.

10 What I've endeavored to do in this regard is to have
11 the steering group composed of experimentalists when the problem
12 is one of a theoretical nature, which the working group would
13 be. The steering group for the experimentalists are the modelers,
14 to indicate guidance as to what types of measurements they need
15 or would like to see in the experimental field programs.

16 This not only provides a complex web as far as a view-
17 graph is concerned, but the advantages of everyone knowing each
18 other's responsibilities and literally interacting on a daily-type
19 basis, the theoreticians as well as the empiricists, provide for
20 a coherent program which would otherwise not be attainable.

21 So in the development of the reports, the development
22 of the research, and the actual conduct of the experiments, all
23 parties are involved at each stage along the way. This way we
24 can achieve effective utilization of the results as they come
25 out rather than waiting for them to be evaluated consecutively
rather than concurrently.

1 I would like to briefly address some comments with
2 regard to the viewgraph presented by Mr. Arsenault on the acci-
3 dental radiological releases. Being a staff man I cannot go any
4 lower, and as such I say more than I'm really entitled to do.

5 The ideal sequence of events, I'm sure, would involve
6 us inputting our results into the PAS consequence model. In
7 reality that is not done, and the programs are proceeding inde-
8 pendently -- much to the chagrin not only of research but other
9 offices as well.

10 I liken it to the PAS, probablistic analysis staff,
11 phenomenology being a misnomer. In reality it acts as a division
12 or an office. We do not ask them to input into our programs be-
13 cause we're not quite sure on the interface how they can best
14 do that as far as the meteorological dispersion goes, not having
15 any capability in that area.

16 On the other hand, they feel perhaps that our expertise
17 in phenomenology characterization does not allow an adequate
18 appreciation for consequence assessment. We're trying to break
19 down these barriers, not only between SAFER, RSR, and PAS, but
20 also with NRR and SD.

21 We have formed a few months ago what we have termed
22 the meteorology information exchange group composed of staff
23 members involved in meteorology. It's a great-sounding phrase in
24 concept. In reality it involves only a handful of people, namely
25 the meteorologists dispersed throughout the Commission.

1 The function of this meteorology information exchange
2 group in a similar manner to that of the interactions between the
3 steering committees and the working groups in the research program
4 involves a rapid exchange of various types of information within
5 the Commission. The information primarily consists of three
6 parts.

7 One is identification of research and technical assistance
8 programs and results to date. The second one is with regard to
9 in-house staff review by other offices of regulatory guides and
10 standards. NUREG-0654 in the emergency planning is a good example.
11 And the third thing it does is that it promotes an exchange of
12 information and ideas without the responsibility that may come
13 back to haunt you on an organizational level. And we have found
14 that staff input into the design of these programs at that level
15 can be very effectively utilized by releasing the organizational
16 administrative constraints and allowing the individuals to speak
17 for themselves as experts in the area. The onus is then placed
18 on them to go back within their respective divisions and offices
19 and implement or inaugurate appropriate letters, staff papers, or
20 whatever to achieve official office concurrence endorsement and
21 support.

22 The third comment then comes back to ARAC and FEMA. In
23 summary, there I would guess that we have achieved some resolution
24 that the ARAC system at those three sites -- by the way, the only
25 one that's receptive at this stage is Con Ed at Indian Point -- is

1 that it is a pilot program, by no means implies that they will
2 be installed at all nuclear power plant sites, nor that they
3 should be installed, and that the results of our computer evalua-
4 tion, meteorological modeling evaluation, which involves both the
5 transport and the diffusion of airborne effluents, will be
6 utilized then by FEMA as well as the NRC staff to arrive at an
7 effective utilization of meteorological information for emergency
8 planning purposes.

9 CHAIRMAN MOELLER: Questions?

10 Alex.

11 MR. GRENDON: I notice in your Indian Point description
12 that you're using two gaseous traces, subhexachloride and an agent
13 I don't recognize. It looks like a 72 or 12B2 --

14 MR. ABBEY: 12B2.

15 MR. GRENDON: 12B2, what is that?

16 MR. ABBEY: Oh, heavens. It's a freon. It's dibromo-
17 dichloro --

18 MR. GRENDON: No, that's all right. It's a freon.

19 You know, you recall that when the military used a
20 supposedly innocuous microorganism as a tracer in some atmospheric
21 tests off the West Coast, now, 20 years later they're getting
22 repercussions of people who are lodging claims for millions of
23 dollars for damage to their health.

24 Have these been as thoroughly investigated as they
25 should be to be sure that nobody is going to come back later with

1 a claim that you've injured them? These tracers will be dissemi-
2 nated where there are people.

3 MR. ABBEY: These tracers are chemically inert,
4 biologically inert, which is the precise reason they were
5 developed, you know, for tracers, largely by Lovelock over in
6 Great Britain. They represent only two of about seven or eight
7 tracers available to us.

8 The highest degree of confidence we have now is in the
9 SF6. It's readily available. It's not costly -- it's costly
10 but not prohibitively so to use. And the background in most
11 areas is sufficiently low to make it an easily amenable tracer.

12 I am not aware, to be quite honest, of any specific
13 program directed toward the biological effects of these tracer
14 gases.

15 MR. GRENDON: Well, the hexachloride somehow troubles
16 me to begin with. I don't know what it does, but I'm a little
17 uneasy about a high ratio of fluorine to other elements in a
18 compound you're going to disperse widely, and whether or not there
19 will be repercussions at some later date.

20 MR. ABBEY: Your concern is noted.

21 MR. FOSTER: Over the weekend Mt. St. Helens injected
22 a very large amount of material which has resulted in an easily
23 identifiable plumes and deposition patterns. Has anybody given
24 any thought to using this as a test on some of these models to
25 see how well the models behave relative to verification from that?

1 MR. ABBEY: The answer is a qualified yes. If we could
2 be assured that in the event of a reactor accident we would have
3 the initial plume height to be on the order of 60,000 feet, then
4 the answer is yes, we can utilize the results of the volcano. In
5 reality we don't think it's that high. We strictly deal with
6 ground level sources.

7 The plume, as currently characterized, is pretty much
8 gaussianly distributed. Satellite photos show this very beauti-
9 fully. It's up in the layer of the stratosphere where there is
10 not a great deal of turbulence. The air is thinner, such that
11 there is not a lot of molecular particle interactions. And at
12 fairly sufficient wind speeds, you know, to adequately theorize
13 that a gaussian plume would indeed be the proper way to characterize
14 the effluent, and indeed it has been so far in the preliminary
15 nature.

16 It turns out, however, there are problems in the dis-
17 persion of radioactive material common to what we refer to as the
18 planetary boundary layer or the ground boundary layer, which gets
19 into several hundreds of feet to several thousands of feet. And
20 therein all bets are off. Therein we look at non-isotropic effects.
21 We look at turbulence. Profiles which simply are not matched in
22 the upper atmosphere at all. We look at the density of the air,
23 now becomes a factor whereas it had not up in the stratosphere.
24 We look at the interaction now of terrain and water bodies and
25 hills on the perturbing influence of the dispersion material.

1 MR. FOSTER: Please be assured that there are a lot of
2 lower atmosphere elements which are associated with Mt. St. Helens.
3 It didn't all go up to 60,000 feet and stay there.

4 MR. ABBEY: That's true.

5 MR. FOSTER: And you've got a lot of lower area irregular
6 terrain like Mt. Adams and a few other things which provide a
7 very massive --

8 MR. ABBEY: Very much so.

9 MR. FOSTER: -- Pattern there for deposition.

10 MR. ABBEY: We liken the results of the Mt. St. Helens
11 volcanic eruption to that of some of the earlier upper atmospheric
12 weapons testing programs where we're talking now not in terms of
13 hundreds of miles necessarily but in terms of global, you know,
14 thousands of lives in their effects.

15 MR. FOSTER: Well, not necessarily in your general area
16 here, but at the present time there are tremendous problems
17 associated with, let's call it, re-entrainment.

18 MR. ABBEY: Yes.

19 MR. FOSTER: Which I think there are probably a lot of
20 lessons that can be learned there, analogies for these sorts of
21 things. As long as it's happened, I just hope that agencies will
22 take full advantage of any opportunities that may be there.

23 MR. ABBEY: Please note in the model evaluation program,
24 which would be the fourth sheet, we do have an identification of
25 deposition models which is an all-encompassing term as we use it

1 to also include resuspension. After we first identify the largest
2 area of uncertainty and also the one having the highest importance,
3 namely the transport -- where is the center line of the plume
4 going -- then we address the second important factor, namely the
5 dispersion of the spread about that center line. And the third
6 thing then is the deposition and eventual resuspension perhaps.

7 That's why this program is presented as part of the FY
8 82 program, because in FY 82 the primary emphasis will be on those
9 aspects. We hope to have already solved the transport and fusion
10 aspects by FY 82.

11 CHAIRMAN MOELLER: Jessie.

12 MR. EBERSOLE: Yes. Concerning the matter of local
13 dispersion, you went rather fast through the early part of your
14 presentation, but I did hear you say something about your involve-
15 ment or non-involvement in control designs and air intakes. Is
16 this true? Is this within your scope?

17 MR. ABBEY: No. I apologize if that's the way I came
18 across. In our building wake effects dispersion program we
19 initially had the test designed to measure the increased spread
20 of the tracer gas as a result of the increased turbulence due to
21 the building complex over and above the atmospheric meander and
22 atmospheric turbulence.

23 As that program developed, the need was identified to us
24 that it would sure be nice not only to characterize the effect at
25 the site boundary, but also to ascertain any local peculiar effects

1 within a reactor complex for such purposes as locating an operating
2 room intake vent. We do not get involved at all with the actual
3 design of the operating room or the intake vent system.

4 MR. EBERSOLE: But are you doing this work to help
5 locate these intakes?

6 MR. ABBEY: We're doing work to characterize the wake,
7 yes.

8 MR. EBERSOLE: Well, let me tell you why I mention this.
9 A long time ago we were asking this question about the control
10 room environment following the postulated accident. You know,
11 the typical postulated accident, as in WASH-740 releases to the
12 containment and then in essence cancels the results of that by
13 assuming a near-perfect containment.

14 When we look at degraded accidents we have to look at
15 higher leakage than this for whatever reason due to the hostility
16 of the accident to the containment. And we got, as you mentioned
17 and inferred -- this problem went to the PAS section and came
18 back from it, and it went back and forth several times. And I
19 don't think it's ever really been settled, but it's got to be
20 settled.

21 I was interested to note that the model they use for
22 dispersion and air uptake was the classical one they used in
23 containment as though it were a single body, and it didn't account
24 for the fact that most containments are tied to auxiliary buildings,
25 and most of the penetrations directly interface the volume of the

1 auxiliary buildings which in turn interface with the volume of
2 the control room. Therefore, you don't have the benefit of the
3 kind of dispersion model that they use. In fact, you have a con-
4 centration mechanism which takes the WASH-1400-740 releases through
5 whatever leak there is and puts it undiluted into the building
6 which interfaces with the control room. As a matter of fact,
7 that's where the problem still stands. And I think we still have
8 to address this in aspect to mitigating what would be an acceptable
9 accident to the extent that operators can stand there and hold
10 its consequence down, not to mention the fact that we have multi-
11 unit stations which have the same problem.

12 Now, you don't get into that, do you?

13 MR. ABBEY: Well, may I take a couple of moments and
14 discuss the building wake program?

15 Dr. Moeller?

16 CHAIRMAN MOELLER: Yes, go ahead.

17 MR. ABBEY: This was presented last year in its
18 excruciating entirety. The design of the building wake program
19 consisted essentially of isolating two factors -- one being
20 terrain, the second one being building size. The first experiments
21 were done at the experimental organic-cooled reactor located at
22 I&EL, a building essentially square or cubicle, largely 90 percent
23 complete -- of course, no one's there any longer -- flat terrain
24 certainly, Idaho, and a series of about two dozen experiments were
25 conducted out to 1600 meters using 300 samplers spaced every six

1 degrees and so forth.

2 This was also modeled in the wind tunnel at Colorado
3 State University by Professor Robert Moroni and John Peturka.
4 The advantage to this was trying to obtain experience and insight
5 from wind tunnel data applied directly to a field prototype experi-
6 ment. There were, aside from a water tank, no ancillary,
7 auxiliary buildings around in the flat terrain.

8 Recognizing that indeed a building complex was a
9 significant factor in introducing increased turbulence into the
10 atmosphere, we then conducted a field program and also wind
11 tunnel simulation at the Rancho Seco facility just out of
12 Sacramento. There not only do we have just one containment, but
13 we've got two massive mechanical draft cooling towers which were
14 found to have as large, if not larger effect than the containment
15 building itself on perturbing the flow. Also because it was
16 a real reactor complex, we were able to take advantage of the
17 auxiliary buildings and the turbine buildings and so forth in the
18 experiments.

19 This provided us then, because Rancho Seco is also
20 located in fairly flat terrain, the comparison between a small
21 singular building and a large reactor complex. And indeed, the
22 results were a larger complex introduces more dispersive effects
23 into the atmosphere than a small one. But it also enabled us to
24 try to isolate in the wind tunnel then the various effects associ-
25 ated with increase in the complexity of the site, and this they

1 were able to do effectively, and that report also is being
2 published.

3 What they were unable to do, however, for modeling
4 purposes in the field was to separate out the wind meander factor
5 from the building-induced turbulence factor because all they're
6 measuring at a given point is the concentration of a tracer gas.
7 And unlike the wind tunnel, the wind meanders, even under barely
8 moderate wind conditions. The wind still meanders around. And
9 we're currently trying to isolate that phenomena in the wind
10 tunnel, apply then the model thus developed to the field data
11 to see if indeed it matches. Preliminary indications look pretty
12 good that it does. Once this is accomplished then, the models can
13 be extended to more sites in more types of terrain model-wise
14 rather than experimentally. It's still being verified.

15 MR. EBERSOLE: Well, was your goal to look at the fence
16 line dose as it was perturbed by these buildings?

17 MR. ABBEY: The goal was to obtain high quality tracer
18 concentration data in a dense network by which eventually the
19 dose-at-site boundaries would fall out. But because of the design
20 of the experiment in what we felt was a comprehensive manner,
21 it does more than just dose-at-site boundaries. It now is able
22 to characterize the entire wake out to site boundaries.

23 MR. EBERSOLE: Was any finding made that might lead
24 to a conclusion that control rooms in nuclear power plants should
25 have at least two air intake sources widely dispersed which could

1 be selectively picked?

2 MR. ABBEY: It sounds like a good conclusion to me, but
3 we can't take credit for it. What we were able to find, of course,
4 is that you should always locate your vent upwind.

5 MR. EBERSOLE: Since you don't know which way the
6 wind is blowing, of course that's what led to my suggestion.

7 MR. ABBEY: Exactly, exactly.

8 That's all I have.

9 CHAIRMAN MÖELLER: All right. Any other questions for
10 Mr. Abbey?

11 Well, thank you very much. I appreciate your being
12 with us and particularly for summarizing your written material in
13 such excellent fashion, not only giving us the projects but
14 telling us the priorities. That's most helpful to us.

15 I think then following our earlier plan, if it's all
16 right with the subcommittee, we'll continue on, because I think
17 in very short order we can complete our closed session with
18 Frank Arsenault to cover the budgetary details.

19 So we will then close out the open portion, and indeed
20 the recorded portion of our subcommittee meeting. Let me repeat
21 that we will be back into session this afternoon. I anticipate
22 that we should be able to cover the budget by no later than 1:00.
23 We'll recess from 1:00 to 2:00 for lunch. Then we'll go into
24 open executive session this afternoon to prepare our written
25 comments for the full committee. That will not be a recorded

1 session, but it will be open to the public to the degree that it
2 can be. If indeed we find we need to discuss budgetary details
3 this afternoon, we'll simply close the meeting for a long enough
4 period of time to do that.

5 And I would anticipate that we will complete the after-
6 noon deliberations by no later than perhaps 3:30, to choose a
7 time.

8 With those remarks then let me thank all of our people,
9 the NRC staff and others who have taken time to come down and
10 present their programs to us this morning.

11 The meeting is adjourned.

12 (Whereupon, at 12:25 p.m., the open portion of the
13 meeting was adjourned, and the subcommittee went into closed
14 session.)
15
16
17
18
19
20
21
22
23
24
25

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

in the matter of: ACRS Joint Subcommittees on Site Evaluation
and Reactor Radiological Effects

Date of Proceeding: May 22, 1980

Docket Number: _____

Place of Proceeding: Washington, D. C.

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

Suzanne Babineau

Official Reporter (Typed)

Suzanne Babineau

Official Reporter (Signature)

VIEGRAPHS FOR PRESENTATION TO
THE ACRS SUBCOMMITTEE ON REACTOR RADIOLOGICAL EFFECTS

MAY 22, 1980

OCCUPATIONAL RADIATION EXPOSURE

SOURCE TERMS & ALARA

UNDES
UNDES
UNDES

CRUD BUILDUP & REMOVAL
EQUIPMENT DECONTAMINATION
POST-ACCIDENT EXPOSURES

DOSIMETRY

B-7259
B-0410

QA & CALIBRATION TLDs
AGE-SPECIFIC METABOLIC
MODELS

UNDES

IMPROVED NEUTRON DOSIMETRY

HEALTH EFFECTS

B-3029

BIODOSIMETRY FOR DOSE RATE
FACTORS

B-3033

GENETIC & ENVIRONMENTAL
FACTORS

UNDES

NEUTRON RBE

ROUTINE RADIOLOGICAL EFFLUENTS

SOURCE TERMS

A-6075
B-2281
UNDES
UNDES

TREATMENT SOURCE TERMS
DECONTAMINATION RADWASTE
IMPROVED GALE CODE
ASSESS ADVANCED TREATMENT

PATHWAYS TO MAN

AIRBORNE
LIQUID

A-6288
B-7260
B-2271
B-2275
B-2295
B-5749

IODINE PATHWAYS
SUSQUEHANNA & CHESAPEAKE
NON-STREAM MODEL
RIVER FIELD DATA
RIVER-SEDIMENT MODEL
DISTRIBUTION COEFFICIENTS

HEALTH EFFECTS

A-2059
B-0188

DENPAK MODEL
BIOTRANSPORT MODELS

DECOMMISSIONING

B-2296
B-2299
B-2303
UNDES

ACTIVATION PRODUCTS
CONTAMINATION FACTORS
DECOMMISSIONING/DECONTAMINATION
IN PLANT EVALUATION

ACCIDENTAL RADIOLOGICAL RELEASES

ACCIDENT SEQUENCE ANALYSIS, INCLUDING SOURCE TERM DEFINITION, TRANSPORT MODELING,
AND CONSEQUENCE ASSESSMENT DONE BY PAS AND BRIEFED SEPARATELY.

SUPPORTING RESEARCH BY RSR AND SAFER:

SOURCE TERM

RSR IN PLANT PHENOMENA

TRANSPORT

AIRBORNE

RSR METEOROLOGICAL

LIQUID

SAFER

HEALTH EFFECTS

SAFER B-2268 AND A1203
EARLY EFFECTS OF NUCLEAR ACCIDENTS

EMERGENCY RESPONSE

RELEASE SOURCE TERMS

RSR QUALIFICATION TESTING & SYSTEMS ANALYSIS

METEOROLOGICAL MODELS

RSR REAL-TIME MODELS TO GUIDE DECISIONMAKING

ENVIRONMENTAL MONITORS

SAFER PORTABLE IODINE INSTRUMENTS (B-6286, B-6237)
AND FIELD INSTALLATIONS WITH TELEMETERED DATA (UNDES)

COUNTER MEASURES

PAS KI STUDIES (ALSO ASSISTANCE TO NRR)

POST ACCIDENT RECOVERY

NRR FORMULATING POLICY AND NEEDS

OCCUPATIONAL RADIATION EXPOSURE

OCCUPATIONAL RADIATION EXPOSURE

SOURCE TERMS AND ALARA

FIN #	CONTRACTOR	TITLE	DESCRIPTION	FY 1982
Undesignated		In-Plant Measurement of Crud Buildup and Removal From Operating LWRs	System will be developed to make measurement at fixed location in operating LWRs to establish dose and radionuclide buildup and removal. Data collection will be initiated at operating plants, particularly those planning decontamination at some near future date. Data will also be collected on the coolant parameters, e.g., solids, radionuclide concentrations, chemistry, etc. All data will be correlated with plant operations and designs later in the project.	600K
Undesignated		Decontamination Effectiveness	Contaminated equipment or components from operating plants will be obtained to evaluate the effectiveness of decontamination methods on radioactive deposits and their effect on the component itself. Simulated deposits will also be used.	300K
Undesignated		Post-Accident Decontamination of Plant Sites	It is assumed that NRC will have some research needs following the interagency studies on TMI-2 contamination and decontamination. These studies are not defined at this time, but funds are being programmed to permit follow on research.	300K

OCCUPATIONAL RADIATION EXPOSURE

DOSIMETRY

FIN #	CONTRACTOR	TITLE	DESCRIPTION	FY 1982
B7259	NBS	NBS Quality Assurance of Radiation Measurements in Licensed Facilities	Assess performance of Panasonic TLD's used in NRC TLD radiation monitoring network. Develop radiation fields, exposure chambers, etc. to calibrate radiation detection instruments and TLDs. Develop quality assurance program for laboratories that calibrate radiation survey instrumentation used by IE inspectors to relate measurements to NBS.	200K
B0410	ORNL	Methods in Dosimetry for Nuclear Regulations	Work will continue on the development of metabolic models for age-specific considerations. A computer program which estimates the absorbed dose commitment per unit intake as a function of age will be developed.	175K
UNDES A		Development of Improved Techniques for Neutron Dosimetry	Albedo and track etch dosimeters will be calculated for use as personnel neutron dosimeters. Helium-3 proportional counters will be evaluated as neutron spectrometers.	100K

HEALTH EFFECTS

B3029	UCDavis	Biodosimetric Confirmation of Dose-Rate Amelioration Factors	Continuation of studies on dogs exposed to whole body gamma radiation will confirm the use of hematologic and immunologic end-points as biodosimeters. Predictions of late effects, e.g. leukemia, will be made using these end-points.	150K
B3033	UCDavis	The Influence of Genetic Immune Disorders and Anemia in Radiation Leukemogenesis	Continuation of studies in different species will examine whether genetic or environmental factors pre-dispose humans to radiation induced leukemia.	190K
UNDES B		Determination of the Relative Biological Effectiveness Value of Low Dose Neutrons	Mice will be exposed to pure fission neutrons at occupational exposure levels and to pure gamma rays. Tumor induction and life-shortening will be analyzed.	425K

ROUTINE RADIOLOGICAL EFFLUENTS

ROUTINE RADIOLOGICAL EFFLUENTS

SOURCE TERMS

FIN #	CONTRACTOR	TITLE	DESCRIPTION	FY 1982
A6075	EG&G	Source Term Measurements	Assemble data on the operating parameters in liquid, gaseous and solid systems of PWRs and on the performance of effluent treatment systems as a function of plant design and operation and to compare these data with predicted results from the PWR-GALE model and other available analysis models. The results of this comparison will be used to improve existing models.	600K
B2281	PNL	Decontamination Effects on Radwaste Systems	Determine the requirements for radwaste systems needed to handle post-accident decontamination wastes. Review plans for post-accident clean-up operations at TMI-2 and discuss these plans with TMI-2 personnel, their contractors and NRC staff as needed. Assess the adequacy of proposed measurements at TMI-2 related to decontamination effectiveness and decontamination waste treatment. Formulate recommendations and a plan for additional research on radwaste system requirements for post-accident decontamination and waste handling.	60K
Undesignated		Improved PWR Effluent Analysis Model	The data obtained from project A6075 will be reviewed and compared with the approach and assumptions used in the PWR-GALE code. If improvements to this code have potential to provide NRC with a more realistic, flexible model for effluent assessment, the basis and form of this development will be defined in FY 1982.	100K
Undesignated		Advanced Effluent Treatment Systems	Conduct a literature search for effluent treatment concepts not currently used in LWRs and assess their applicability to LWRs. For concepts offering potential improvements compared to systems currently used in LWRs, develop a plan and cost estimate for necessary development and demonstration and justify these expenditures as appropriate.	100K

ROUTINE RADIOLOGICAL EFFLUENTS

PATHWAYS TO MAN

FIN #	CONTRACTOR	TITLE	DESCRIPTION	FY 1982
<u>AIRBORNE</u>				
A6288	INEL	Iodine Pathway Study	Determine behavior of I-131 and other radionuclides in environment following releases from nuclear facilities	80K
<u>LIQUID</u>				
B7260	CU	Determining Radionuclides in Susquehanna River and Chesapeake Sediments	Determine the seasonal radionuclide distributions in Susquehanna River and Chesapeake Bay suspended and bed sediments and establish mechanisms for environmental transport of radionuclides in these aquatic systems.	120K
B2271	PNL	Mathematical Simulation of Sediments and Radionuclide Transport in Surface Waters	Continue with development and validation of radionuclide transport models in lakes, oceans and estuaries to include effects due to adsorption/desorption of radionuclides on sediments, resuspension and sediment deposition.	180K
B2275	PNL	Sediment and Radionuclide Transport in Rivers	Collect field data for purposes of validating sediment/radionuclide transport models.	120K
B2294	PNL	Sediment and Radionuclide Transport in Rivers-Computer Simulations	Validate sediment and radionuclide transport in rivers using already collected field data.	120K
B5749	UW	Distribution Coefficients for Radionuclides in Aquatic Environments	Determine distribution coefficients for radionuclides in lakes and estuarine systems. Determine water quality parameters affecting sorption of radionuclides on sediments. Continue with determining distribution coefficients in Susquehanna River-Chesapeake Bay System.	120K
<u>HEALTH EFFECTS</u>				
A2059	ANL	Projection Models for Health Effects Assessments in Populations Exposed to Radioactive and Non-Radioactive Pollutants	Advanced dose-response functions will be incorporated into the DEMPAC model which will take into account dose-rate effects and non-linear responses for ionizing radiation. Better models for exposure to air pollutants will be developed.	150K

Continue to Next Page

ROUTINE RADIOLOGICAL EFFLUENTSHEALTH EFFECTS (Continued)

B0188	ORNL	Dosimetry and Biotrans- port Models to Imple- ment ALARA	Global models for environmental transport of selected radio- nuclides will be developed. Population doses resulting from multiple exposure pathways will be calculated.	175K
-------	------	--	---	------

ROUTINE RADIOLOGICAL EFFLUENTS

DECOMMISSIONING

FIN #	CONTRACTOR	TITLE	DESCRIPTION	FY 1982
B2296	PNL	Long-Lived Activation Products in Reactor Materials	Determine the long-lived radionuclides which are produced in significant quantities in reactor construction materials and which will be of major concern in decommissioning in light water reactors. The project will determine the types of radionuclides produced, their location, chemical form and the non-radioactive isotopes from which they were generated. The project will also make recommendations of alternate construction materials to minimize decommissioning problems.	100K
B2299	PNL	Characterization of Radionuclide Contamination Throughout Light Water Reactor Power Stations	Aid NRC in formulating policies and strategies for decommissioning of nuclear power plants by determining the nature, distribution and inventory of residual radionuclide contamination in and around commercial light water nuclear power stations as a function of design and operating parameters.	250K
B2303	PNL	Decontamination as a Precursor to Decommissioning	Aid NRC in formulating policies and strategies for decommissioning of nuclear power plants by determining how effective decontamination methods are in reducing dose rates and waste volumes associated with LWR plant decommissioning.	200K
Undesignated		In-Plant Decommissioning Study	The plans for actual LWR decommissionings will be reviewed (especially Shippingport) and recommendations and plans prepared for an NRC-associated program. Funds will include additional NRC data needs, either performed by the organization decommissioning the site or by a separate NRC contractor.	400K

ACCIDENTAL RADIOLOGICAL RELEASES

EMERGENCY RESPONSE

ACCIDENTAL RADIOLOGICAL RELEASES

HEALTH EFFECTS:

<u>FIN #</u>	<u>CONTRACTOR</u>	<u>TITLE</u>	<u>DESCRIPTION</u>	<u>FY 1982</u>
B2268	PNL	Early Effects of Inhaled Radionuclides, Phase II	Continuation of studies initiated in FY 1981: Effects of inhaled alpha emitting radionuclides combined with external irradiation and effects of inhalation of mixtures of alpha and beta emitting radionuclides.	200K
A1203	LVLCE	Early Morbidity and Mortality Estimates for Different Nuclear Accidents, Phase II	Continuation of studies initiated in FY 1981: (1) mortality and morbidity of rats exposed to aerosols of mixture of beta emitters having different effective half-lives in the lung, (2) effects in rats of inhalation of alpha emitters having different specific activities and (3) effects in rats of inhaled beta emitters combined with external irradiation. Additional study will be initiated to examine the combined effect on early mortality of beta irradiation of the bone marrow and inhalation of a beta emitter,	200K

EMERGENCY RESPONSE

ENVIRONMENTAL MONITORING:

<u>FIN #</u>	<u>CONTRACTOR</u>	<u>TITLE</u>	<u>DESCRIPTION</u>	<u>FY 1982</u>
A6286	INEL	Air Sampler and Emergency Radiological Instruments	Test and evaluate performance of emergency radiological instrumentation for (a) environmental response to radioiodines and other radionuclides, (b) varying environmental conditions, (c) particulates and radioiodines in milk, food and water pathways, and (d) use in recovery and decontamination operations.	180K
A6287	INEL	Iodine Adsorber Evaluation	Complete evaluation of adsorber characteristics of filter cartridge used in portable air samplers and determine anion resin capability for concentrating I-131 from milk samples under emergency field conditions.	70K

ATMOSPHERIC DISPERSION RESEARCH PROGRAM

- DISTANCES (0 - 80 KM)
- WIND SPEEDS (CALM - 10 MPS)
- ALL STABILITY CONDITIONS

A. TERRAIN EFFECTS

1. FLAT, EVEN
2. ROUGH, HILLY
3. COASTAL SHORELINE ENVIRONMENT
4. CHANNELED FLOW
5. IMPINGEMENT

B. MODEL EVALUATION

1. TRANSPORT (TRAJECTORY)
2. DIFFUSION (TURBULENCE)
3. DEPOSITION
4. COMPUTER CAPABILITY FOR EMERGENCY RESPONSE

C. VERTICAL DISPERSION

D. BUILDING WAKE EFFECTS

OBJECTIVE: VERIFICATION OF CURRENT AND PROPOSED METHODS USED TO PREDICT THE TRANSPORT AND DIFFUSION OF AIRBORNE RADIOACTIVE EFFLUENTS FOR EMERGENCY RESPONSE AND SITE EVALUATION PURPOSES

FINs	CONTRACTORS	TITLE	DESCRIPTION	FY 1981	FY 1982
B5690	NOAA/Air Resources Lab.	Evaluation of Real-Time Dispersion Models	Utilizing known atmospheric transport, diffusion, and deposition models appropriate to estimate concentration patterns of effluents to 80 km and previously developed high quality tracer concentration data sets, an objective evaluation of selected models will be performed. This evaluation will demonstrate the range of models applicable to different meteorological/topographical regimes, identify needed input data, and quantify model uncertainties. Such an assessment will provide a basis for selecting a given model for use in emergency planning and environmental effects resulting from postulated accidental releases of radioactive effluents for site evaluation purposes. An evaluation of existing minicomputer capabilities for on-site dispersion modeling as well as the Atmospheric Release Advisory Capability (ARAC) centered at LLL is being made.	\$ 400K	\$ 300K
B6333	NOAA/ Atmospheric Turbulence and Diffusion Laboratory				
B5829	Colorado State Univ.				
B6606	Aeronautical Research Associates of Princeton				
B6222	SRI International				
B6081	Battelle - Pacific Northwest Laboratories				
B0446	Oak Ridge National Lab.				
B5690	NOAA/Air Resources Lab.	Intermediate Range Atmospheric Transport Experiments	A continuous two week field program will be conducted at Indian Point, NY, to obtain high quality concentration measurements with 400 fixed point samples located in a 20 km x 50 km grid. Concurrent meteorological measurements will be made and used as data input to selected atmospheric transport and diffusion models. The model evaluation effort will be conducted independently in order to assess objectively the performance of each model in predicting the maximum concentration and spread of the tracer. Additional field programs are contemplated at Zion, IL and Rancho Seco, CA.	\$ 500	\$ 700K
B6222	SRI International				
B6606	Aeronautical Research Associates of Princeton				
B0446	Oak Ridge National Lab.				

FINs	CONTRACTOR	TITLE	DESCRIPTION	FY 1981	FY 1982
B5690	NOAA/Air Resources Lab.	Dispersion in Shoreline Environments	To quantify the spread of effluents from ground-level, point sources in shoreline environments during postulated accident conditions, a field program has been initiated to obtain high quality concentration measurements under controlled conditions. Tests are planned for the Texas Gulf Coast, Florida Atlantic Coast, and the shores of Lake Michigan. The measurements program will utilize state-of-the-art tracer technology and remote sensing techniques to determine the spread of the effluent in the horizontal and vertical, over water as well as over land. The data thus collected will be used to evaluate existing and proposed models of dispersion during accident conditions in coastal zones, both for emergency planning and site evaluation purposes.	\$ 300K	\$ 500K
B6222	SRI International				
B2081	Battelle-Pacific Northwest Laboratories				
B6240	The Research Corporation of New England				

APPROACH TO EVALUATION OF REAL-TIME ATMOSPHERIC DISPERSION MODELS

1. Identify atmospheric transport, diffusion, and deposition models appropriate to estimate concentration patterns of effluents to 80 km
Model characteristics:
 - a. Gaussian (statistical)
 - b. K-theory
 - c. 2nd-order closure
2. Identify tracer concentration data sets from point sources with simultaneous meteorological measurements taken out to 80 km.
 - a. terrain and surface conditions
 - b. atmospheric stability
 - c. transition conditions
 - d. wind fields
3. Determine evaluation criteria by which to assess models identified in 1 using data in 2.
 - a. downwind 1 hr. surface concentration patterns to 80 km
 - b. cost/benefit
 - c. real time capability
 - d. sensitivity of meteorological data input
4. Evaluate models using 3 and data in 2.
 - a. Models (not more than 6)
 - b. experiments (not more than 50)
5. In consultation with NRC determine performance criteria for meteorological data needed, model output, and compatibility at plants.
6. Perform 1, 2, 3, and 4 with precipitation scavenging models.
7. Evaluate minicomputer capabilities that currently exist which may be applicable or easily adaptable to on-site emergency planning and response functions.

ATMOSPHERIC DISPERSION FIELD EXPERIMENT AT INDIAN POINT

PROJECT DIRECTOR: Robert F. Abbey, Jr., NRC/RES

FIELD DIRECTOR: C. Ray Dickson
Air Resources Laboratory, NOAA-ID

PARTICIPANTS: NOAA/ARL
SRI International
Battelle-Pacific Northwest Laboratories
Consolidated Edison
State of New York

OBJECTIVE: To obtain high quality tracer concentration and coincident meteorological data in order to verify and evaluate ARAC and other dispersion models.

TEST PERIOD: Two weeks commencing May 1, 1981

TEST CHARACTERISTICS:

1. Gaseous tracers released either concurrently from two different locations or consecutively to distinguish between day and night releases (SF_6 , T_2B_2).
2. 50 km X 50 km square grid or 25 km X 70 km grid centered at Indian Point.
3. 200 portable samplers with four samples at each of 50 locations.
4. Continuous releases for two weeks with samplers changed every six hours.
5. Radiosondes released every six hours.
6. Tetroons tracked by radar, released every three hours for trajectory determination.
7. 6-8 150 ft instrumented towers.
8. Pibal stations and radar for wind field definition.
9. Mark IX mobile lidar system for concentration measurements in the vertical.
10. Acoustic sounder for stability and mixing height determinations.
11. Oil fog and plume photography.

OTHER OPTIONS:

1. ALPHA-1 airborne lidar.
2. Aircraft sampling.