

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

----- X
: In the Matter of: :
: : :
: PACIFIC GAS AND ELECTRIC COMPANY : Prehearing Conference :
: : :
: HUMBOLDT BAY POWER PLANT UNIT NO. 3 : Docket No. 50-133 :
: : :
----- X

Veterans Memorial Building
11th and H Streets
Eureka, California

Tuesday, June 3, 1980

The above-entitled matter came on for prehearing
conference pursuant to notice at 9:30 a.m.

BEFORE:

ROBERT M. LAZO, CHAIRMAN
GUSTAV A. LINENBERGER
DAVID R. SCHINK

APPEARANCES:

On behalf of the NRC Staff:

STEVEN GOLDBERG, ESQ.
VERN ROONEY, Project Manager

On behalf of the Applicant, Pacific Gas and Electric Company:

BRUCE NORTON, ESQ.
Norton, Burke, Berry and Struck
3216 N. Third Street
Phoenix, Arizona

RICHARD F. LOCKE, ESQ.
Pacific Gas and Electric Company
77 Beale Street
San Francisco, California 94106

8006160 211

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

On behalf of the Interveners:

LINDA J. BROWN, ESQ.
Jones, *Brown and Clifford
100 Van Ness Avenue, 19th Floor
San Francisco, California 94102

STEVEN GOMPERTZ, ESQ.
1642 G Street
P.O. Drawer U.U.
Arcata, California 95521

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

(9:30 a.m.)

1
2
3 CHAIRMAN LAZO: Good morning. Would the prehearing
4 conference come to order, please?

5 This is an administrative proceeding before an Atomic
6 Safety and Licensing Board of the United States Nuclear Regulatory
7 Commission in the matter of Pacific Gas and Electric Company regard-
8 ing Humboldt Bay Power Plant Unit No. 3. The proceeding is
9 identified as Nuclear Regulatory Commission Docket No. 50-133.

10 The proposed administrative action is the issuance of
11 an amendment to facility operating license number DPR-7, issued
12 to the licensee, Pacific Gas and Electric Company, for operation
13 of the Humboldt Bay Power Plant, Unit No. 3, located near Eureka,
14 California.

15 In accordance with the licensee's application for amend-
16 ment dated May 20, 1977, the amendment would delete requirements
17 in the license relating to seismic updating of safety-related
18 equipment and resolution of geologic-seismic concerns based upon
19 satisfactory completion of those requirements, and allow for the
20 restart of Humboldt Bay Power Plant Unit No. 3.

21 The Notice of Application for issuance of the proposed
22 license amendment and of the opportunity for hearing was given
23 general public distribution, including the news media, and was
24 published in the Federal Register on June 23, 1977. The citation
25 is 42 Federal Register 31847.

1 That notice, among other things, provided that any per-
2 son whose interests may be affected by this proceeding may file a
3 petition for leave to intervene with respect to the issuance of
4 the amendment to the subject facility operating license. Two
5 petitions for leave to intervene were thereafter filed in this
6 proceeding.

7 The first petition was filed on July 29, 1977 by Thomas
8 K. Collins, Dr. Elmont Honea, Frederick P. Cranston, Wesley Chesbro,
9 Demetrios L. Mitsanas, and the Six Rivers Branch of the Friends of
10 the Earth. The second petition, which was filed on August 16, 1977,
11 was a request by the Sierra Club to join in the Collins et al.
12 petition for leave to intervene and to be represented by the same
13 attorneys who filed the Collins et al. petition.

14 While these petitions for intervention were under con-
15 sideration, the licensee filed a motion to hold the proceedings in
16 abeyance. On May 15, 1978, the Licensing Board, which had been
17 constituted to rule on petitions for intervention, granted both
18 petitions, consolidated the participation of the Sierra Club with
19 that of Collins et al. for all purposes in this proceeding, and
20 directed that an evidentiary hearing be held on licensee's applica-
21 tion for an amendment to its operating license. Thus, there are
22 three parties to this proceeding: the licensee, Pacific Gas and
23 Electric Company; the regulatory staff of the Nuclear Regulatory
24 Commission; and the joint interveners, Collins et al.

25 Now, let me introduce the members of the Atomic Safety

1 and Licensing Board which will hear and decide this case. Seated
2 at my right, your left, is Gustav A. Linenberger. Mr. Linenberger
3 is a physicist and has been a member of the Atomic Safety and
4 Licensing Board panel since 1972. Seated at my left is David R.
5 Schink. Dr. Schink is an environmental scientist who is a
6 professor of chemical oceanography at Texas A&M University. He
7 has been a part-time member of the ASLB panel since 1974.

8 My name is Robert M. Lazo. I am a lawyer who was
9 appointed to the Atomic Safety and Licensing Board panel in 1970.

10 On March 24, 1980, this Licensing Board issued a Notice
11 of Prehearing Conference in this proceeding to be convened today
12 here in Eureka at this location to consider licensee's request
13 that this proceeding continue to be held in abeyance. That notice
14 was also given general public distribution, including the news
15 media, and was published in the Federal Register on March 31, 1980.
16 That citation is 45 Federal Register 21064 and 65.

17 Now may we have the appearances of the parties, please?
18 For the licensee.

19 MR. NORTON: Thank you, Mr. Chairman.

20 My name is Bruce Norton, and I'm lead counsel in this
21 matter for Pacific Gas and Electric. With me at the table is
22 Richard Locke, who is senior counsel with Pacific Gas and Electric.
23 He is immediately to my right. Immediately to my left is Mr. Don
24 Brand who is Vice President-Engineering for Pacific Gas and Electric.
25 To Mr. Locke's right is Mr. Frank Brady who is the Project Engineer

1 for Humboldt; and to Mr. Locke's right is Mr. Lloyd Cluff, C-l-u-f-f,
2 of Woodward-Clyde Consultants, the geology-seismology consultants
3 on the Humboldt project.

4 CHAIRMAN LAZO: And for the Nuclear Regulatory Commission.

5 MR. GOLDBERG: Yes, Mr. Chairman.

6 My name is Steven Goldberg. I represent the NRC staff
7 in this proceeding. My mailing address: U.S. Nuclear Regulatory
8 Commission, Office of the Executive Legal Director, Washington, D.C.
9 20005, zip.

10 To my right is Mr. Vern Rooney, the NRC Project Manager
11 for this docket.

12 MR. SCHINK: Sir, how does that gentleman spell his
13 name, please?

14 MR. GOLDBERG: R-o-o-n-e-y.

15 MR. SCHINK: Thank you.

16 CHAIRMAN LAZO: Thank you, Mr. Goldberg.

17 And for Collins et al. and the Sierra Club, joint inter-
18 veners?

19 MS. BROWN: My name is Linda Brown, and I'm lead counsel
20 in the case. To my immediate left is Dr. Elmont Adam Honea, one
21 of the interveners, and to my far left is Mr. Steven Gompertz,
22 co-counsel from this area.

23 CHAIRMAN LAZO: Would you spell Mr. Gompertz's name,
24 please?

25 MS. BROWN: Steven G-o-m-p-e-r-t-z.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 CHAIRMAN LAZO: Thank you, Ms. Brown.

2 In the notice of prehearing conference to which we refer-

3 red moments ago, the Board indicated that the parties should be

4 prepared to address certain items on the Board's proposed agenda.

5 Let us ask now, have any of the parties prepared additional agenda

6 items or have prepared a proposed agenda for this conference?

7 MR. NORTON: The applicant has not, Your Honor. We are

8 prepared to proceed with the agenda as proposed by the Board.

9 CHAIRMAN LAZO: And no other parties have a proposed

10 agenda to put forth?

11 MR. GOLDBERG: No, Mr. Chairman.

12 CHAIRMAN LAZO: Thank you.

13 MS. BROWN: No, Mr. Chairman.

14 CHAIRMAN LAZO: Now, do any of the parties wish to make

15 an opening statement?

16 MS. BROWN: The interveners would like to make an open-

17 ing statement.

18 CHAIRMAN LAZO: Fine. Why don't you proceed?

19 MS. BROWN: We have assumed that this hearing is going

20 to be an open dialogue discussion, and given that assumption we've

21 already introduced to the parties and to the Board our beginning

22 of that dialogue, which is the historical summary leading to the

23 present status of the plant.

24 I understand that Pacific Gas and Electric Company is

25 going to be putting on a presentation by their geologic consultants

1 here today. We're hoping that the interveners will have an oppor-
2 tunity, either during or immediately following that presentation,
3 to ask questions to gain information. We understand that this is
4 not under oath, but we feel that it should be an exchange of in-
5 formation; and we hope that we can participate by being able to
6 ask questions of the people that are making the presentation and
7 making comments.

8 CHAIRMAN LAZO. Yes, it is indeed our wish that this
9 conference be as fruitful as possible. It is not an evidentiary
10 session, but it is a meeting of counsel for the parties with the
11 Licensing Board. It need not be as formal as an evidentiary session.

12 We had noted that we wanted to get together with the
13 parties today to try and find out just what the status of this
14 case is and perhaps establish a schedule for further proceedings.

15 The members of the public have not been invited to make
16 limited appearance statements at this conference. That opportunity,
17 of course, will be provided later on in the event that the pro-
18 ceeding does go forward to an evidentiary hearing.

19 Well, Mr. Norton, would you proceed?

20 MR. NORTON: Well, may I inquire of the Board, the last
21 exchange between the intervener and the Board, I'm not sure I
22 understand precisely what we're about. As I understood the Notice
23 of Prehearing Conference, the Board wished to be informed of
24 certain things which we are here prepared to do. As I understand
25 Ms. Brown's query, she wishes to cross examine --

1 MS. BROWN: No. I did not make that statement. I indi-
2 cated I wish to ask questions that may lead to additional informa-
3 tion to give both the Board, the staff, and interveners a better
4 idea of exactly what your position is, and you in turn are given
5 the opportunity to ask us questions with regard to our position
6 and any information that we may have.

7 MR. NORTON: Excuse me, Mr. Lazo. I was addressing
8 my remarks, of course, to the bench, to the Board.

9 CHAIRMAN LAZO: We do not intend that this be an evidenti-
10 ary session. I see no reason for technical witnesses to be sworn.
11 However, since these people are here and are available to provide
12 information to the Board, I think that if there are questions by
13 any of the other parties by way of clarification that we should
14 try to proceed in that fashion.

15 MR. NORTON: Well, Your Honor, I guess I have some
16 objections to that as a procedural matter. The notice does not
17 provide for -- it's cross examination. If the attorney for the
18 other party examines my witness by asking questions, that's cross
19 examination. You can call it formal or informal, but it is in fact
20 cross examination.

21 We did not come prepared for cross examination. That's
22 an entirely different ballgame. As an attorney I'm sure you're
23 aware when your client is going to be deposed or when your witness
24 is going to be deposed, you prepare in one manner as opposed to
25 when he's going to make a presentation. You anticipate some of the

1 questions and so on.

2 We're perfectly free to answer all the Board's questions,
3 but to get into cross examination by other counsel is something
4 that the notice I don't think gives fair notice of. I'm not saying
5 we're not going to participate or not going to do it. Certainly
6 we are going to do whatever the Board desires. But I do object
7 to that procedure, and I'd like to make that a formal objection on
8 the record.

9 CHAIRMAN LAZO: Well, perhaps we can allay your fears
10 by adopting a procedure in which any of the counsel for the other
11 parties who wish to have clarification, they could address their
12 questions to the Board.

13 MS. BROWN: That's fine.

14 CHAIRMAN LAZO: And then we could proceed in that
15 fashion, make them Board questions.

16 MR. NORTON: I'm not sure that allays the problem. That's
17 getting to the same place in a roundabout way.

18 CHAIRMAN LAZO: Well, your objection is noted for the
19 record, and you may be free to renew it. If we stray into ground
20 where you feel that the proceeding is prejudicing your position,
21 then I'm sure you'll let us know.

22 Mr. Norton, would licensee lead off then, please?

23 MR. NORTON: All right. If I might give a brief introduc-
24 tion of what we are going to present. Mr. Brady has been asked
25 to give a historical summary which you have requested in your

1 prehearing conference order, and he will do that. We do not
2 anticipate that summary will, of course, be too long. Then Mr.
3 Cluff of Woodward-Clyde Consultants has a presentation which con-
4 sists of slides and viewgraphs, of course in addition to his oral
5 presentation.

6 The slides and viewgraphs can be made into 8 1/2 by 11
7 xerox or something of that size to be marked for the record. Un-
8 fortunately, there are several, as you can see hanging behind you,
9 diagrams that are not so easily marked. However, Mr. Cluff informs
10 me he can have those reduced to a size that can be marked. However,
11 that wouldn't be done today but at some later time and mailed to
12 the Board and to the court reporter and the parties.

13 Mr. Cluff's presentation will take approximately two to
14 three hours. That's the best we can do in terms of timing. It
15 might only be two, but it could be as long as three hours. I say
16 that so that the Board can perhaps schedule the breaks around that.

17 Finally, the Board did ask that we have a corporate
18 officer here, and of course, that's what Mr. Brand is here for, to
19 answer any questions the Board may have of him. However, he does
20 not have, of course, any presentation to make other than in response
21 to Board questions.

22 At this point I would like to ask if Mr. Brady would
23 proceed with a historical summary.

24 MR. LINENBERGER: Excuse me, Mr. Norton. The acoustics
25 are not the best here, and your last comment with respect to

1 Mr. Brand and his posture here, I did not hear.

2 MR. NORTON: Well, the last paragraph of the Board's
3 prehearing conference order, the next to the last paragraph, asked
4 the applicant to have a responsible corporate officer present who
5 can speak directly to the utility's posture regarding the Humboldt
6 Bay facility.

7 MR. LINENBERGER: Right.

8 MR. NORTON: We assumed you contemplated asking that
9 corporate officer some questions.

10 MR. LINENBERGER: Right.

11 MR. NORTON: Mr. Brand is here to respond to those ques-
12 tions, but he doesn't have a formal presentation to make.

13 MR. LINENBERGER: I see. I just couldn't hear you,
14 that was all. Thank you very much.

15 CHAIRMAN LAZO: And, Mr. Norton -- pardon me -- who
16 will lead off with the historic summary?

17 MR. NORTON: Mr. Brady.

18 CHAIRMAN LAZO: Mr. Brady.

19 MR. NORTON: Project Manager.

20 MR. BRADY: Please tell me if the microphone is not
21 functioning properly.

22 By way of historical summary leading to the present
23 status, I'd like to describe four periods in the history of
24 Humboldt Bay Power Plant Unit No. 3, each of which I think is
25 fairly distinct in the nature and character of the proceedings that

1 took place.

2 The first period that I'd like to describe starts with
3 the provisional operating license which was granted on February 15,
4 1963. Shortly after, in August of 1963, Humboldt Bay Power Plant
5 Unit No. 3 was turned over to the operating part of the company
6 for its first commercial operation.

7 Prior to the initial operation, in fact, prior to
8 construction of the plant, geologic and seismologic studies were
9 performed in 1958 to determine the suitability of the site for the
10 nuclear unit. These were by Dr. Perry Byerly of the University of
11 California and Dr. William Quaid.

12 In April of 1969 updated geologic and seismologic
13 studies were conducted. These resulted from an agreement between
14 Pacific Gas and Electric Company and the then AEC staff and the
15 ACRS during discussions leading to what was called the full-term
16 operating license. In those days it was standard procedure to
17 issue a provisional license for the early parts of operation and
18 later a full-term operating license.

19 The reason for these updated studies was that changes
20 had occurred in the methods of analysis of plant structures and
21 equipment. Specifically, the systematic application of dynamic
22 analysis methods had come into pretty wide usage, whereas in the
23 original design of Humboldt Bay Power Plant Unit No. 3 the seismic
24 response was largely on the basis of equivalent lateral load,
25 although certain items which were considered important to safety

1 were analyzed by dynamic analysis methods, even in the original
2 design.

3 These updated geologic and seismologic studies and
4 subsequent seismic analyses of plant structures and equipment
5 were completed, were made available to the AEC staff in May of 1970.

6 The next period that I believe is significant in the
7 history starts with information that became available in July of
8 1971, and this was data from the Braunner well, which was a 7,00
9 foot plus exploratory boring completed by Standard Oil for the
10 purposes of exploring for oil on Humboldt Hill, a few miles south-
11 east of the plant site.

12 This boring went through what is known as Little Salmon
13 Fault, one of the significant faults in the Humboldt Bay region,
14 and provided information which could be interpreted to mean that
15 faulting occurred closer to the plant site than had been thought
16 from the earlier studies; so this was clearly a new element in the
17 geologic and seismic studies for the area.

18 Subsequent to this information becoming available,
19 meetings occurred between the, I guess it was still the AEC then,
20 staff and PG&E, and additional geologic studies were conducted
21 in order to obtain information on Little Salmon Fault. These
22 studies, as further studies in this area have a way of doing,
23 provided information showing that the geology of the area was
24 in fact complex, and in fact there was an additional fault that
25 came to light called the Bay Entrance Fault which is fairly close

1 to the plant site.

2 While these studies did provide a great deal of addi-
3 tional information on the geology of the area, a few years later
4 in May of 1976 after a series of studies, review of studies, the
5 NRC staff felt that their requirements were extensive enough that
6 they would write a list of information that had to be provided
7 in order to successfully resolve the geologic problems at Humboldt
8 Bay. And this was a specification, if I may refer to it as such,
9 consisting of six items.

10 These items were attached to the operating license for
11 Humboldt Bay Power Plant Unit No. 3 in May of 1976 and appear as
12 paragraph E.2 of the license.

13 During this same period in 1973, PG&E was asked by the
14 NRC staff to proceed with a seismic reanalysis of plant structures
15 and equipment using then current dynamic analysis methods to
16 qualify an agreed upon list of safety-related equipment for a .25g
17 operating base earthquake.

18 Inasmuch as the safe shutdown earthquake level had not
19 been agreed to at that time, we were further asked to calculate
20 the margin of this safety-related equipment to withstand a safe
21 shutdown earthquake level.

22 So PG&E did proceed with these analyses and completed
23 these analyses for the most part by 1976. And it was our plan to
24 make the required plant modifications during the refueling and
25 maintenance outage which started July 2, 1976.

1 The NRC staff put further conditions on the license --
2 and I believe this is paragraph E.1 -- which listed these safety-
3 related structures and equipment to be qualified for the .25g
4 operating basis earthquake. So in May of 1976 then we had two
5 conditions added to the license. One was the list of geologic and
6 seismologic requirements; the second was the list of safety-related
7 structures and equipment to be qualified for a .25g operating
8 basis earthquake.

9 The third period that I'd like to talk about is the
10 period from the time the license was amended until August 5, 1977
11 when PG&E received a letter from the Nuclear Regulatory Commission.
12 During that period, additional geologic studies of approximately
13 a year's duration were conducted in the hope of obtaining the
14 information required to satisfy the geologic conditions that had
15 been placed on the license.

16 These studies were somewhat more extensive, included
17 deeper borings than had been previously included in the geologic
18 investigations, and included a 1600-foot long trench at the plant
19 site, which was a new item for those investigations.

20 These studies were completed in early 1977, and the
21 results submitted to the Nuclear Regulatory Commission staff.

22 CHAIRMAN LAZO: I'm sorry. You said early 1977?

23 MR. BRADY: Early 1977.

24 CHAIRMAN LAZO: But I thought you said the letter from
25 the staff was in August of '77.

1 MR. BRADY: That's correct. The report was submitted
2 in several parts over a period that I would estimate went from
3 March until perhaps as late as June 1977. Then there was a review
4 period involved where there were meetings between PG&E and the
5 NRC staff. And then on August 5th as a result of that review
6 process, the NRC staff advised PG&E that based on the information
7 available to them at that time, they were unable to support our
8 bid to restart the unit, and specifically they listed two concerns.

9 One was that they didn't feel they could say with a
10 reasonable degree of certainty that surface faulting would not
11 occur at the plant site during the remaining lifetime of the
12 facility. And secondly, they felt that there was a possibility
13 that the seismic design level may have to be substantially upgraded.

14 CHAIRMAN LAZO: Mr. Brady, had a staff of the NRC
15 assigned a value yet to the safe shutdown earthquake?

16 MR. BRADY: I'm sorry. I didn't catch that.

17 CHAIRMAN LAZO: Had the staff established a value for the
18 safe shutdown earthquake?

19 MR. BRADY: No, they hadn't.

20 CHAIRMAN LAZO: At that time.

21 MR. BRADY: At that time. What they did do when they
22 asked us to do the seismic analysis was to do it for a .25g
23 operating basis earthquake and calculate the margin to safe shutdown
24 earthquake capacity. As a practical matter, what happens when you
25 do that analysis is you do it for a .25g operating basis earthquake.

1 and a .50g safe shutdown earthquake. It simply has to be done
2 that way because of the peculiarities of the analysis techniques.

3 I would say that the tone of the August 15, 1977 letter
4 was based on the information then available to them. In other
5 words, they felt that there was insufficient data to support the
6 interpretation that we had placed on it, or at least to sufficiently
7 support it.

8 The other point I wanted to make about this period in
9 time was that starting with the July 2, 1976 outage, PG&E did
10 make extensive seismic modifications to the plant structures and
11 equipment which were necessary to satisfy the seismic criteria
12 from the dynamic analysis.

13 This consisted of modifications to certain of the plant
14 structures, namely the refueling building which received additional
15 root trusses and supporting columns. It consisted of extensive
16 work on pipehangers and work on equipment supports and items such
17 as laboratory table testing of electrical equipment and control
18 room readout devices to qualify them for the, in this case, the
19 safe shutdown earthquake level.

20 The fourth period of time I'd like to talk about is the
21 time subsequent to the August 5, 1977 letter. After meeting with
22 the NRC staff and receiving the information that they would not
23 support us in our bid to restart the unit, PG&E requested addi-
24 tional information from the staff regarding the basis for their
25 judgment in this matter, and subsequently retained Woodward-Clyde

1 Consultants to perform a thorough review of the geologic investiga-
2 tions performed to date and to look at the geologic issues at
3 Humboldt Bay and advise us as to our prospects for eventually
4 resolving these issues.

5 MR. LINENBERGER: Pardon me, sir. At what point in time
6 chronologically was the firm of Woodward and Clyde retained by
7 PG&E?

8 MR. BRADY: They were retained in October of 1977. This
9 was shortly after the letter from the NRC staff.

10 MR. LINENBERGER: Thank you.

11 MR. BRADY: Subsequent to retaining Woodward-Clyde,
12 PG&E then did request certain extensions of time from this Board
13 to obtain time to do additional geologic investigations which were
14 recommended by Woodward-Clyde. And these extensions are detailed
15 in our September 27, 1979 motion before this Board.

16 MR. NORTON: That concludes Mr. Brady's summary.

17 I would like to emphasize again, and I think this will
18 become perhaps more important when you hear Mr. Cluff's presenta-
19 tion, that the letter of August '77 from the NRC to Pacific Gas
20 and Electric is clearly based on a lack of information. It was
21 not based on data that was available that suggested something. It
22 was based on a lack of data, concerns that arose from a lack of
23 data. And it has been that lack of data which has put us in the
24 posture we're in today, which is extensive gathering of data since
25 October of 1977. And Mr. Cluff is prepared to present to you

1 basically two and a half years' collection of data in two to three
2 hours. It's an awful lot of material, and we're prepared to pro-
3 ceed whenever you are.

4 MR. LINENBERGER: Before we do, I should like to ask
5 a question of Mr. Brady.

6 You indicated that perhaps the earliest field information
7 that gave cause for reconsiderations came out of some Standard
8 Oil exploration information, if I understood you correctly.

9 MR. BRADY: That's correct.

10 MR. LINENBERGER: I'm curious to understand here what
11 was the mechanism whereby licensee obtained access to or knowledge
12 of that information.

13 MR. BRADY: Well, that's a pretty tricky business when
14 you're dealing with oil companies, as I'm sure you can appreciate.

15 MR. LINENBERGER: That's the basis for my question. I'm
16 curious whether Standard Oil came knocking on your door and said
17 look what we've found or whether you had sources of information that
18 indicated there may be something further available that you should
19 pursue. I don't want to get into company matters here that are
20 not relevant to the Board; I'm just interested to understand is
21 it the company's policy to maintain an updated knowledge of all
22 information related to geology and seismology explorations that
23 are going on in this general area, or how did you --

24 MR. BRADY: Well, I think it certainly is our policy to
25 the extent that we become aware of such information, and certainly

1 at the current time we have exchanges of information with various
2 parties obtaining information.

3 As to historically how it happened, I have to claim a
4 certain amount of ignorance because this predated my involvement
5 with the Humboldt Bay project. However, I can tell you that the
6 Braunner well was completed in late 1970, and we and the NRC staff
7 and I'm not sure who obtained it first -- did become aware of that
8 data in mid-1971, so it was relatively quickly after that well
9 was completed that we got the information.

10 MR. LINENBERGER: Fine. Thank you.

11 (Pause.)

12 CHAIRMAN LAZO: Well, Mr. Cluff, would you proceed, sir?

13 MR. CLUFF: The purpose of my discussion this morning
14 is to continue in the beginning this historical chronology to the
15 present status of the work that is now ongoing and is continuing.
16 And I will summarize the background of the technical nature of the
17 geology and seismology issues that preclude the resolution of the
18 amendment to the license, and also present a summary of the technical
19 basis of the need for further delay, including the nature of the
20 geology and seismology data that we are gathering and the analysis
21 of the entire program that is presently in progress.

22 I will be using some viewgraphs and slides, and what
23 I have prepared is a -- it's my request that we need more time
24 from PG&E in our evaluation, and so I have prepared a conceptual
25 presentation without going into all of the details; it would take

1 several days. So I'm presenting conceptual ideas aiming at the
2 technical basis for the need for the delay, which is my understand-
3 ing of the basis for this prehearing.

4 So in the first viewgraph I will begin the chronology of
5 our work. In August of 1977 the NRC concluded that it could not
6 state with reasonable certainty that sheer failure displacement
7 caused by earthquakes will not occur at the Humboldt Bay site
8 during the remaining life of the plant. This was the staff's
9 conclusion. And that based on that conclusion, the NRC informed
10 PG&E that the Humboldt Bay Unit No. 3 must be suitably designed
11 to withstand the effects of surface faulting.

12 In October of 1977, as has been stated previously,
13 Woodward-Clyde Consultants were retained, and our assignment is
14 as stated. Woodward-Clyde Consultants' assignment was to make
15 a critical review of geologic and seismologic data and the
16 conclusions reached by PG&E, the NRC, the U.S. Geological Survey,
17 the California Division of Mines and Geology, and to advise PG&E
18 of the potential for resolving the technical issues.

19 I think it's important to make sure that I emphasize
20 a few key words there. Our assignment was not to have a prejudged
21 conclusion but to independently look at all of the conclusions
22 and technical reports that have been prepared, including both
23 sides of the issue, and to advise PG&E on the potential for
24 resolving the issues, not necessarily to lay the entire matter
25 to rest. But was there data to allow confident resolution, whichever

1 way that might come out.

2 MR. LINENBERGER: Excuse me, Mr. Cluff. Is it your
3 understanding at that point when Woodward and Clyde was given this
4 assignment, was it your understanding that the NRC had indicated
5 the extent of surface faulting or extent of surface displacement
6 that they were worried about the occurrence of, or was this
7 quantified in any way what their worry was, as you understand it?

8 MR. CLUFF: The two statements that I state there was
9 basic technical conclusions, and there were some backup reports.
10 However, I had the same question you have, and so -- I was not
11 going to go through the sequence here -- we had meetings with
12 the NRC and U.S. Geological Survey to understand and clarify that
13 very question. And if you'll allow me, I'll go through that
14 process.

15 The next point was our assignment that continued through
16 November or through December of 1977, and it included basically
17 the items that I've listed there: review of the available data,
18 the published literature -- and I must point out that the published
19 literature in this area of California is very sparse, it's quite
20 old, and the purpose of a lot of the published geologic and seismo-
21 logic work in this area was not for the purpose of resolving
22 seismic issues or active faults, capable faults, but primarily
23 more for economic geology, petroleum exploration and so forth. So
24 one can't expect the results of those published maps and reports
25 to resolve all the issues that might come out of a reactor

1 licensing process.

2 And the unpublished data, which was very voluminous
3 in a number of various quality data but nevertheless a lot that
4 existed in the U.S. Geological Survey, Division of Mines and
5 Geology of the State of California, and most importantly, work that
6 had been done by professors at Humboldt State University, in
7 particular Professor Carver and his students in looking at, in
8 their senior thesis, in looking at the geology of the region.
9 And so we evaluated, and this included field trips and so forth
10 of various individuals. And then, of course, reports by PG&E, the
11 NRC, and the USGS. And all of these included site visits on
12 several occasions. And then a meeting, and a very important
13 meeting, that addressed the question that you just raised, which
14 was held in Bethesda with the NRC, U.S. Geological Survey, and the
15 California Division of Mines and Geology.

16 And the purpose of that meeting was in fact to ask
17 about the reasoning behind the conclusions that are stated there
18 at the top, because I frankly had a lot of concerns about the
19 nature of the geologic information that allowed those conclusions
20 to be reached, as well as other conclusions that were reached by
21 PG&E, which of course were opposite to those conclusions.

22 And that was a most interesting and fruitful discussion
23 in that it was very open, laying all the data out on the table
24 and talking about it. And maybe for just a moment I can go through
25 a few slides to demonstrate what some of the technical issues that

1 came out of that discussion that answer your question.

2 MR. LINENBERGER: Well, I can wait for this to come out
3 in the normal course of your presentation.

4 MR. CLUFF: That's okay. This follows so let me point
5 out a regional map of this tectonic area that we're concerned with.
6 We have the coast of California with the Humboldt area being about
7 right here, and these lines on the map, one can see the boundary
8 between California and Oregon. And then this Mendocino fracture
9 zone, and of course the northward continuation of the San Andreas
10 Fault or the plate boundary between the North American and Pacific
11 plates. And then the change from what is one tectonic environment
12 here into another tectonic environment that was over a long period
13 of geologic time in a phase of transition.

14 And it was one of the concerns from the NRC and USGS that
15 they were uneasy about an area that was in a state of tectonic
16 transition.

17 This is another view of that same regional area. Again,
18 California is positioned a little differently. Here's the boundary
19 between Oregon and California and the Humboldt Bay area being
20 up here. And I won't go a long time to go through. This was
21 the hypothesis that was put forth by Dr. Dickinson at Stanford
22 and one of his students, Tanya Atwater, that was the beginning of
23 the understanding of strike-slip faulting, transcurrent faulting
24 in the plate tectonic model. And I won't go into the details of
25 that.

1 But what this shows is that over a period of about 30
2 million years -- one can see the time intervals along here from
3 30 million to the right down to 5 million to the left, and then
4 these stars that are located here also have numbers by them which
5 are in millions of years. And this is the northward -- the
6 hypothesis put fo rd here by Dickinson was the northward migra-
7 tion of the triple junction -- those stars represent the triple
8 junction which presently exists offshore from just south of here
9 where the San Andreas ties in and meets the Mendocino fracture zone
10 that's striking offshore.

11 And one of the concerns that the NRC and USGS had was
12 that given that this hypothesis was correct, then what is the
13 tectonic processes as this continues. And they were uncertain
14 about the area from the regional point of view given this hypothesis.

15 There have been a number of other workers who have
16 postulated different hypotheses about this general region, and
17 I won't take the time to go through all of them, but here's just
18 one. Again showing the area with the Humboldt region of the plant
19 site being right here, with the San Andreas and Mendocino fracture
20 zone, and then over here a zone of faulting that this hypothesis
21 connects southward into the Bay Area faults to the south, the
22 Hayward, the Calaveras, the Maacama, and various other faults that
23 continue to the north. This hypothesis would generally be one of
24 transcurrent or strike-slip faulting down here, continuing to the
25 north in an area which was at one time or may still be an area of

1 compression or thrust faulting. And this was another model that
2 was being viewed and questions being asked, well, maybe this area
3 over several million years is going through a transition state
4 from a compressional environment to approaching, on some of the
5 faults anyway, a strike-slip environment.

6 MR. SCHINK: Whose model is that that you're showing?

7 MR. CLUFF: This is a model put forth by, oh, two or
8 three workers. I've forgotten the original person. I think
9 Darryl Herd with the U.S. Geological Survey is the most recent
10 person to emphasize this, and this is his map; but it was actually
11 postulated by someone else before that. I've forgotten who it
12 was.

13 MR. LINENBERGER: A question of logistics here. Dr. Cluff
14 is referring to maps and diagrams, and has it been -- which will
15 lead to some confusion perhaps in the transcript.

16 Now, has it been definitely established that copies of
17 these will be made available?

18 MR. NORTON: Copies definitely will be made available.
19 My understanding is this is informal, without rules of evidence and
20 so on, and that's why we did not have them marked. We can probably
21 keep fairly track of the chronological order and renumber them --
22 or excuse me, not renumber them but number them when we present
23 them to you.

24 MR. LINENBERGER: Fair enough.

25 MR. SCHINK: Well, while we're talking about logistics,

1 could you arrange to get me reprints of the Atwater paper?

2 MR. CLUFF: Yes.

3 Let me come back to the chronological sequence here.

4 We were discussing these issues with the NRC; in fact, I listed
5 the issues. Let me just show those on another viewgraph. These
6 essentially were the issues that we identified with the NRC and
7 USGS that they were concerned about or was the basis for their
8 concern from the regional geologic point of view.

9 Transitional tectonics in the region not being well
10 understood: the capability and the relationship between faults at
11 the site locality, Little Salmon and the Bay Entrance Fault; the
12 continuity in age of marker beds under the plant. In other words,
13 these marker beds, if you look at the NRC criteria, there's an
14 age criteria, and so to meet that criteria one needs to identify
15 marker beds and the age of those beds. And so it was the continuity
16 and whether or not they were of sufficient age to allow judgments
17 to be made, particularly those of stratigraphic units directly
18 under the plant. And, of course, the potential for surface
19 faulting and the review of the SSE or the vibratory ground motion
20 in the design basis earthquake.

21 And as Bruce Norton stated earlier, we concluded that
22 it was not a matter of what was known but of what was not known
23 that seemed to be the primary basis of concern. And as I stated
24 before, the purpose of this meeting with the NRC was to clarify
25 the technical basis for their conclusions and to talk about

1 reasonable certainty. They had a lot of uncertainty in the design
2 of the plant for surface faulting; in fact, if that's what may be
3 necessary.

4 Now, after that series of steps, including the meeting,
5 we concluded that additional data were required for us to complete
6 our assignment from PG&E which was to look at the potential for
7 confidently resolving the issues. And so at that time Woodward-
8 Clyde Consultants and PG&E developed a program to gather the
9 additional data which is the program that's presently underway.

10 Now, we discussed at that time with the NRC and the USGS
11 some of the ideas that would come out of resolving the issues and
12 the basic concern was getting more detailed information to be able
13 to confidently resolve the technical issues, which was the basis
14 of their concern. They were just uncertain about a lot of things.
15 They seemed to have some confidence in data right at the plant
16 site, but when they looked at the entire region and the lack of
17 understanding about faults being discovered that weren't known to
18 be there before and new data being generated, that they would like
19 to have a confident understanding of the regional tectonics and
20 that relationship to the plant site before they were willing to
21 come to a conclusion any differently than the one that they had
22 come to.

23 So what I would like to do now is to point out conceptually
24 the kinds of data that one needs to resolve these kinds of
25 issues; and I plan to do that through using some examples that

1 I've worked on in other tectonic environments to demonstrate
2 environments where one doesn't have enough data in the kind of
3 analysis you go through and then where one does have data and make
4 the contrast, and then finally relate that back to the issue we're
5 to address here, is the need to gather these kinds of data.

6 So I've prepared some slides, and I will quickly go
7 through these; and it is a conceptual type of discussion.

8 I wanted to complete one item before I get into that
9 conceptual presentation. It became clear to us after these meet-
10 ings in this sequence of evaluations that the geology and seismology
11 of this region was very complex and poorly understood, particularly
12 from the regional point of view. And that we outlined a -- let
13 me go through the rest of this chart so you can see where we're
14 going.

15 In March of '78 we had formulated a program that we
16 felt would allow us to advise PG&E about the ability to resolve
17 the technical issues, and at that time in March of '78 we went
18 back to Bethesda again with the NRC and the USGS and presented that
19 program and had some quite lengthy discussions about the program
20 and its objectives and so forth, and got a lot of very useful informa-
21 tion on what in fact the NRC would like to see. And they kept
22 emphasizing the importance of the regional understanding.

23 Again we pointed out that our purpose was to have a
24 confident potential for resolving the technical issues.

25 Then in May of '78 PG&E authorized the program that we

1 had outlined to begin. In June of '78 we began - extensive
2 field program, and that has continued. And in May of 1980 we
3 again in preparation for this meeting, part of that preparation was
4 to present to the Nuclear Regulatory Commission staff, as well as
5 the U.S. Geological Survey, where we were in the program and the
6 kinds of information that we were gathering and so forth, because
7 it had been since March of '78 that we last formally met with
8 those people, even though we had had some exchange of data through
9 the mail, but we hadn't had a thorough review.

10 And so we did that just last month, and then today is
11 where I have marked here, is the program is in continuation; there
12 are people in the field today still working. The analysis is in
13 its final stages on some aspects and in the mid-stages, preliminary
14 stages on a few other aspects; and I will get into that in more
15 detail later on. And then, of course, in September leading up to
16 the October 1 deadline that PG&E has is when Woodward-Clyde
17 Consultants will advise PG&E regarding the potential for resolving
18 the technical issues.

19 So with that understanding now I want to present a
20 conceptual discussion to kind of set the perspective about the kinds
21 of information and why I personally have twisted PG&E's arm to
22 allow us to work longer and request for delay so that we can gather
23 the additional data that's necessary.

24 Now, this is going to require me standing up at the
25 front.

(Pause.)

1
2 I want to just show very quickly a few examples of what
3 kinds of information one needs to resolve technical issues on
4 critical facilities like nuclear power plants. And this is a
5 topographic map that is from Guatemala where in 1976 the Motogua
6 Fault ruptured through here and --

7 MR. LINENBERGER: Excuse me, Dr. Cluff. The reporter
8 advises that you're probably going to have to hold the microphone.

9 MR. CLUFF: In 1976 the magnitude 7 1/2 earthquake was
10 caused by rupture along the Motogua Fault here, and this was a
11 surprise to the Guatemalans in that that part of Guatemala was
12 thought to be relatively aseismic. However, from this topographic
13 relief map using low sun angle illumination or a floodlight as
14 I used in taking this photograph, one can clearly see a topographic
15 geomorphic delineation through that area that clearly demonstrates
16 the existence of that Motogua Fault.

17 As a matter of fact, the kind of information that one
18 needs to evaluate important faults in terms of their activity and
19 so forth comes from a geomorphic evaluation, field mapping, air
20 photo interpretation, and of course, subsurface investigation to
21 assess those faults. And I just wanted to use this as an example
22 of some very important concepts that have been learned and have
23 come out of these kinds of studies.

24 This is a map prepared prior to that earthquake by Dr.
25 David Schwartz who happens to be one of our geologists and is

1 working on the Humboldt Bay plant; and the lines that you see on
2 the map are his lines where he expected future surface faulting
3 to exist. And it was no surprise to Dr. Schwartz nor to us in
4 working in that area that this fault ruptured and caused that
5 earthquake. And it came from our evaluation of the geomorphic
6 features which had not been studied by previous workers in
7 Guatemala.

8 Just to show you what some of those features look like --
9 Frank, maybe you could kind of focus that -- this is an aerial
10 view looking along that fault, and if you look very closely you can
11 see a dark line traversing through these fields here. And what
12 it's cutting, these young geologic materials, and it shows the
13 extent of surface fault rupture from about five to six feet of
14 faulting that occurred at the surface in that magnitude 7 1/2
15 earthquake.

16 And the important thing is if one comes into an area
17 like Dr. Schwartz did before that earthquake, what do you look for
18 to allow you to decide which faults are important. And it has
19 to do with the Quaternary geology of the area that allowed him
20 to map that fault; and he had precisely mapped the extent of the
21 subsurface faulting and had identified that fault as being a
22 potential source of surface faulting as well as a source of earth-
23 quakes. And it's that kind of information that allows one to
24 predict exactly where these kinds of fault ruptures might occur.

25 Here's another view, a closer view of that same feature,

1 again showing the fault rupture. And the distance from here to
2 here on the ground is about 10 feet.

3 Now, here's a cross-section that allows us to look at
4 subsurface evidence of the Quaternary geology and look at the
5 extent of the faulting at depth, and whether the fault tends to
6 migrate or not. This is one of the concerns in the Humboldt Bay
7 region from the regional point of view was well, how do you know
8 that the fault is going to continue to displace at the same location?
9 How do we know that it won't automatically jump to a new location?

10 Well, the kinds of information that we can see here in
11 a long period of geologic time being represented by these materials
12 here, and the fault that slipped in 1976 disrupted that plane
13 right there about, oh, it was a little over four feet, if I
14 recall. The slip continued after the earthquake, and the slip
15 increased; but the initial slip was about a little over three
16 feet at that location. And the actual displacement occurred across
17 a plane that was only a few centimeters wide.

18 And one can see from the zone of rupturing -- here's
19 a person standing there for scale -- that the distance from here
20 to here, the fault zone which has experienced repeated displacements,
21 that that zone has developed throughout hundreds of thousands, if
22 not millions of years of geologic time. And when you have this
23 kind of Quaternary geologic information, one can confidently
24 predict exactly where future faults are going to rupture, and with
25 confidence, if you have good quality information, come to

1 conclusions about whether or not this fault may automatically
2 jump a 100 feet, a 1000 feet, or two miles in the next major
3 rupture event.

4 And from the aerial view, just following that fault for
5 a few more slides, one can see the fault rupturing through this
6 soccer field and through here and right next to this school
7 building and down through the town of Gualan. I'll show a couple
8 of ground views of that.

9 Here's a measurement being taken on the edge of the
10 soccer field where about three feet of displacement occurred
11 laterally, and again you can see the zone of surface faulting like
12 in the other places was on the order of about 10 to 15 feet. And
13 here is where that fault zone passed within about 20 feet of that
14 school building, and the school building came through without any
15 serious problems. The only damage was some shaking damage to that
16 unreinforced wall. The school building itself was a steel-reinforced
17 concrete block building.

18 Let me go to another place where similar information
19 that brings some relevance to the Humboldt Bay plant site -- this
20 is Managua, Nicaragua. It's a photograph that I took two days after
21 the earthquake. A magnitude 6 1/2 earthquake occurred there in
22 1972, caused by three faults that slipped; and I want to just
23 show briefly some of the results of that earthquake and the faulting,
24 because the same conceptual ideas came from here. A beautiful
25 sequence of Quaternary deposits were here to allow us to accurately

1 locate the faults in the redevelopment and rebuilding of the
2 capital city of Nicaragua. And that was the purpose of our
3 assignment that continued for about two and a half years, assisting
4 the country of Nicaragua to rebuild Managua.

5 The map of Managua that shows the faults that slipped --
6 there were one, two, three faults that slipped, and I'll show you
7 one example of the displacement on this fault here and some build-
8 ings that were affected by faulting, again to show the effect of
9 surface faulting on buildings.

10 Here is a view of the extent of the faulting on that
11 fault. This was about eight inches at this location. The maximum
12 location was about a foot.

13 This is Gary Carver. He was my field assistant on this
14 assignment. And we mapped that fault, and this is a view of some
15 of the effects of the shaking to non-reinforced masonry construc-
16 tion. You can see very extensive collapse. I took this from the
17 top of a building that was not seriously damaged, which is that
18 building. This is the Bank of Central building. The fault
19 actually ruptured directly beneath this structure. That building
20 came through without any serious structural damage; yet other
21 buildings nearby that were not properly designed were seriously
22 damaged from both shaking and surface faulting.

23 Just to summarize, the importance of the information
24 out of this study that relates to the importance of having adequate
25 Quaternary geology is that we had a beautiful sequence of volcanic

1 stratigraphy here that extended for more than 100,000 years,
2 several tens of thousands directly underneath the plant site. And
3 the red zone shows the fault that existed and the actual building
4 location, the bank building -- this was the treasury of Nicaragua --
5 was located directly across that fault. This is a steel-reinforced
6 fault beneath that building. And the fault slipped at this loca-
7 tion, and the relative -- the difference between the strong vault
8 basement under that building and the relatively weak deposits that
9 that was sitting on, the volcanic materials, caused that fault to
10 divert from the building and around the building; and this is
11 one of the first documented cases of an actual building resisting
12 surface fault displacement without any difficulty whatsoever.

13 We have published this in the published literature together
14 with the structural engineering firm that helped us make this
15 analysis.

16 Let me point out that this analysis to study this --
17 there are a series of banks here, all of which survived, particu-
18 larly these two, without any serious damage whatsoever from shaking
19 or even faulting here. This study took about a year to complete,
20 and extensive geologic mapping -- these are our trenches here,
21 here, another trench that extended here, and there was actually
22 a series of trenches here, and a number of deep borings at this
23 location to develop this information.

24 So in this area we had detailed information that allowed
25 us to advise the Nicaraguan government about the potential for

1 future faulting and earthquakes that would occur directly beneath
2 their facilities in Manaua.

3 MS. BROWN: May I direct a question to Dr. Cluff, if it's
4 possible? And my question would be --

5 CHAIRMAN LAZO: Let's hear your question.

6 MS. BROWN: -- Is the Motagua Fault that you're describ-
7 ing at this time a case of a new fault trace forming?

8 MR. CLUFF: Should I answer?

9 CHAIRMAN LAZO: Well, can you respond to that?

10 MR. CLUFF: Sure.

11 MR. NORTON: Excuse me, Dr. Lazo. Again, for the record,
12 you know, we don't have any problem with these kinds of questions,
13 but this is a prehearing conference, not a hearing; and we didn't
14 come prepared for a hearing. We came prepared to give information
15 to the Board in answer to the Board's questions.

16 There are discovery procedures available for interveners
17 to notice people's depositions, etcetera, etcetera. I don't believe
18 that a prehearing conference is the proper place for discovery by
19 an intervener. And I just want to go on the record. Again, we'd
20 be happy to answer -- you know, it's not a question of not wanting
21 to answer questions. It is a question of what are the proper
22 procedures before this Board. And I don't think it's proper at
23 all to notice a prehearing conference and then have cross examina-
24 tion by an opposing party.

25 But obviously it's an innocuous question; we'd be happy

1 to answer it. But, you know, the innocuous ones very quickly turn
2 into the not so innocuous ones.

3 CHAIRMAN LAZO: Well, we understand. Since you have
4 raised the point, though, the question of discovery is one that
5 we want to discuss before we leave here. Because of the position
6 of this proceeding and licensee's many motions for holding the
7 proceeding in abeyance, the joint interveners have effectively been
8 denied any discovery rights up until this time.

9 MS. BROWN: That is correct. That is one of the reasons
10 that we would like to just ask informational questions very much
11 like the one I've just asked to try to get at least a sense of
12 where Woodward-Clyde Consultants is. We've received no information
13 from PG&E other than two or three-page outlines as to the studies
14 that have been going on for the past three years.

15 I will try to hold my questions down to the innocuous
16 level, but basically my questions are solely for the purpose of
17 gaining information that I think everyone here should be sharing
18 as opposed to holding back.

19 MR. NORTON: Excuse me, Mr. Lazo. Ms. Brown misleads
20 a little bit. They were in attendance at the meeting with the NRC
21 where this was presented for an entire day just a month ago; so
22 for them to say gee, this is the first opportunity they've had
23 to hear this is a little misleading.

24 CHAIRMAN LAZO: Would you want to repeat the question,
25 Ms. Brown?

1 MS. BROWN: Yes.

2 Dr. Cluff, was the case of the fault underneath the
3 new buildings, is that a case of a new fault trace forming?

4 MR. CLUFF: Let me answer that question by explaining the
5 situation here. The red zone that I have shown here is where the
6 fault existed prior to the building being built, and there was --
7 this fault here did exist as well, as well as part of this one.

8 This fault at this location did not exist prior to that
9 event, and that the combination of that building being located
10 here caused that fault to divert because of the strength of the
11 building and to go around the building. So this failure plane here
12 which is about -- I've forgotten the depth here, maybe 20 or 30
13 feet deep or maybe even 50 feet deep -- was caused to divert around
14 that building because of the difference. So that failure plane
15 did develop out of that new faulting; and so the building caused
16 that fault to develop.

17 Again, coming back to California where we're getting back
18 into understanding fault behavior, and that's an important point,
19 and the value of Quaternary geology. This view of the San Andreas
20 Fault to the south of San Francisco in the Carrizo Plains area,
21 and again from this kind of information, geomorphic and strati-
22 graphic information, one can clearly see where past fault ruptures
23 have occurred and where future ones are most likely to occur with
24 a great deal of confidence. In other words, we have very young,
25 various age of geologic materials having been deposited across the

1 San Andreas Fault zone from here to here, and one can see a number
2 of features that we call lineaments. And we have to be careful
3 about all lineaments being faults; some of them are erosional,
4 and some of them are related to faults.

5 But we see one here, a subtle one here, another subtle
6 feature here, a very strong feature there, and another one there.
7 Some of these are faults, and some are produced by differential
8 erosion in this area. But it's very clear from the stream channel
9 that at one time continued across here that that stream channel
10 has been displaced some 1100 feet to there. And we know in having
11 that information that that represents a zone that's only about 20
12 or 30 feet wide where multiple slip events have occurred on faults
13 like this, and it's very clear that within that time interval,
14 which is about 11,000 or 12,000 years, that all of the faulting
15 events during that period of time have been concentrated along that
16 main trace of the fault.

17 Now, of course, if we were putting a nuclear reactor
18 near this location, we would certainly be concerned about whether
19 or not these other lineaments are faults, and if they are, what
20 the history of displacement on them is and whether it's related
21 to this fault. So it comes about having sufficient Quaternary
22 geologic information to allow one to apply tools of geologic mapping,
23 geophysical profiling, air photo interpretation and trenching to
24 come up with the kinds of answers to confidently decide where
25 future faulting will exist, and to answer the question whether new

1 faults may develop, which is one of the basic issues that we are
2 addressing.

3 Let me just spend a moment talking conceptually about
4 the earthquake faulting process that's described in this diagram,
5 and that the vertical line here represents the amount of energy
6 release or the amount of faulting. They are roughly directly relat-
7 ed to each other. And the horizontal line is the continuation of
8 time, and the diagonal line here is the accumulation of regional
9 strain that results in deformation in the earth's crust. And what
10 we have is that strain accumulating through a period of time from
11 here to here and then it being released and an earthquake occurring
12 and a fault being -- or a slip occurring along a fault. And then
13 a time interval again that we call the recurrence interval where
14 that sequence proceeds, and then another earthquake occurring.

15 So it's one of strain accumulation, cyclic release along
16 a fault zone; and what we find is that there are various ways to
17 assess whether or not a fault has sufficient activity to qualify
18 as a capable fault under the NRC criteria. And that we find one
19 easy way of looking at that is to look at the rate of strain
20 accumulation. In other words, this rate here is much slower than
21 other rates. And let me just take a look at three rates of
22 strain accumulation: one, high rate accumulation, a moderate, and
23 a very slow rate accumulation. And what one generally gets is a
24 relationship of shorter recurrence intervals associated with
25 bigger slip on the fault and usually bigger earthquakes.

1 These types of faults, active faults or capable faults,
2 are usually associated with plate boundaries like the San Andreas
3 and other similar faults. Then we have strain rates that are
4 associated with slower slip rates where one might get various
5 recurrence times and various sizes of earthquakes occurring. And
6 then one can get very slow strain rate accumulation with longer
7 recurrence intervals. And usually the size of earthquake diminishes
8 as one finds lower slip rates.

9 Let me put this in perspective in terms of where we are
10 up here in this region, the plant site area. Again, the plate
11 boundary, this is the western United States with the Mendocino
12 fracture zone here, triple junction here, and San Francisco here.
13 These dots are large earthquakes that have occurred in historic
14 times.

15 And what I want to do is again bring one more example --
16 well, actually two more examples, one that shows the kind of
17 Quaternary information that exists over here on the Wasatch Fault
18 that allows one to come to very clear information that allows
19 resolution of the kinds of issues that we're talking about here
20 because of the unique preservation characteristics of that tectonic
21 environment, and then contrast that with an environment that
22 doesn't have those Quaternary geologic records which comes from
23 what we call the western Sierran foothills. It's a zone on the
24 west side of the Sierran foothills, and one can see part of the
25 answer to why one has preserved very beautiful stratigraphic and

1 geologic information, Quaternary information, to allow faulting
2 to be confidently evaluated, because of the vertical tectonic
3 nature and the great basins developed or the basin and ranges
4 developed in this great basin that preserves the geologic record
5 to allow that information to be gathered.

6 And in the western Sierran foothills is one of the
7 Sierras being uplifted. The fault system that I will show you is
8 in an area of erosion where the basic Quaternary geologic informa-
9 tion, except geomorphic information, is being stripped away by
10 erosion, and so it becomes very difficult if one is working in this
11 kind of environment to resolve these kinds of issues with the same
12 confidence that one can here. And I want to just contrast those
13 two areas very quickly.

14 This is the Wasatch fault zone near Salt Lake City, and
15 one can see the fault, the black line, traverses through that area.
16 And we have a large contract with the U.S. Geological Survey where
17 we are doing work for them to do research to understand fault
18 behavior and how one estimates fault activity and so forth. And
19 this will be applied throughout other parts of the United States
20 when the results of this research are completed. And it's in its
21 fourth year of completion right now, and we have about one more
22 year of study.

23 The kinds of geologic information that one looks for
24 are these geomorphic features. The fault has cut off these spurs,
25 and the younger Quaternary deposits have been displaced. And so

1 with this kind of information we can say with a great deal of
2 confidence that this is where this fault exists, and given the tools
3 to, say, explore an area out here, one can investigate with those
4 same deposits whether or not there is a potential for this fault
5 to all of a sudden move out in this area.

6 And going through these analyses we do an air photo
7 interpretation and a linement analysis. One can see various linea-
8 ments here, here, here, and over here. These are fault lineaments,
9 or they are the trace of the Wasatch Fault. These are linements
10 that are not faults; they are based on depositional horizons from
11 the old Lake Bonneville that was located in that area several tens
12 to hundreds of thousands of years ago.

13 Here's the kind of information that we find in making
14 geomorphic analysis, is the fault scarps that are developed in
15 various age materials. These are late Pleistocene moraines, and
16 these are glacial outwash moraines that have been displaced. And
17 allows you with confidence to demonstrate that for a long period of
18 geologic time that fault has continued to rupture at the same loca-
19 tion.

20 This is a view looking northward from that same location.
21 This is that little lake. One can see the width of the zone of
22 disruption and the extension of that zone as it traverses out
23 through this area here.

24 And, of course, subsurface investigations are extremely
25 important, and within the age limits of the materials exposed here.

1 These are Lake Bonneville gravels, some of which go back several
2 tens of thousands of years in this exposure. And one can clearly
3 see the concentration of faulting. And with this kind of informa-
4 tion one can say with a great deal of confidence that in the
5 period of time that's represented by the stratigraphic column that
6 this is the area within which the faulting has occurred. One
7 could clearly state that outside of that zone one can clearly see
8 that within that period of time no new faults have developed. So
9 it's this kind of information that is of extreme value to making
10 these studies.

11 We have conducted three detailed sites that I will just
12 quickly look at -- Hobble Creek site, Cottonwood site, Kaysville
13 site -- to work out the history of that fault to answer these
14 kinds of questions for earthquake hazard zoning along the Wasatch
15 Fault for the U.S. Geological Survey.

16 The kind of area where the Quaternary geology accumulates
17 to allow you to look at the location of faulting and so forth are
18 these little graben areas along the zone, and we excavated long
19 trenches across this area where we knew we had good geologic informa-
20 tion to allow those assessments to be made.

21 This is the extent of some of the trenches in this
22 location. Trenches were on the order of about 20 feet deep; it
23 ranged from about 10 to 20 feet deep. Several months to log each
24 one of these trenches.

25 The kinds of information that we find where we find the

1 fault, this kind of information where you can see the fault cutting
2 the various materials, and going through and dating and coming up
3 with the displacement history on the fault allows one to show that
4 the faulting has continued to develop in this zone, how often it
5 goes off, and how much the displacement is, and what the size of
6 the earthquake is. This is a very powerful tool in being able to
7 come to those assessments.

8 Another location, this is the Little Cottonwood site,
9 again just to show the extensiveness of the trenching and the
10 shoring and so forth that goes into those areas where similar
11 kinds of information were developed. And one can see again the
12 detailed stratigraphic nature of the fine laminations that allows
13 one to very accurately not only look at major displacements but
14 even minor displacements that might be associated with related
15 faults that might occur a few feet on one side of the fault, and
16 the history of the development of those faults.

17 This kind of puts together the results of the studies
18 through time in that the faulting has developed within this zone
19 along the Wasatch Fault, and one can see different time horizons
20 here, here, and here that have been displaced different amounts.
21 And I won't take the time to go into that, but in this older time
22 period there's 56 meters; this next intermediate time period is
23 28 meters; the next is 12 meters. And so one can see that with
24 continuing younger ages the fault has continued to displace along
25 that zone. And with the Quaternary geology that's preserved in that

1 area one can confidently estimate and predict where these other
2 faults are likely to experience future displacements, not only on
3 the main fault but the related faults.

4 MS. BROWN: Could I ask one additional question here?

5 CHAIRMAN LAZO: Surely.

6 MS. BROWN: How large an area did you have to cover to
7 study the Wasatch Fault?

8 MR. CLUFF: Let's see. We have been studying the entire
9 fault from one end to the other, about 370 kilometers, and on both
10 sides of the fault wherever we had the units; a mile or two on
11 either side of the fault was sufficient to come to these answers.

12 And again, the relevance to the citizens of Salt Lake
13 City is that this shadow that goes through Salt Lake City shows the
14 location of the Wasatch Fault as it cuts through that city; and the
15 topographic escarpment there demonstrates that that fault has experi-
16 enced many multiple ruptures within the short period of time that
17 we're looking at in the deposits there that are no older than a
18 few tens of thousands of years.

19 And out of this we have now -- these are the results to
20 date on that study. We are actually finding in this strain rate
21 accumulation process the ability to take the recurrence interval --
22 that's the time between major earthquakes on that fault -- and to
23 select a time window. This would be a period of interest right
24 here. And the time interval between successive earthquakes, we
25 can now estimate what it is, and it ranges, depending upon what

1 part of the fault one is on, between a few hundred years up to as
2 much as about 1200 to 2000 years, so that varies depending on
3 where one is on the fault.

4 And then the present, we know where we are in the present,
5 and so we've developed the concept of elapsed time where if you know
6 where you are since the last earthquake, you can predict with not
7 detailed accuracy to the day or the month or the year but to within
8 certainly a reasonable degree of certainty when the next slip event
9 should occur given this earthquake generation process. And one can,
10 based on this kind of information, develop a probablistic study to
11 estimate the probability of a fault slip event, as well as the size
12 earthquake occurring in a given period of time, as long as we know
13 where we are in the elapsed time process.

14 Well, this is a future research area, but the relevance
15 of this to looking at various other faults, let me just show where
16 I've quantified a number of faults around the world that we've been
17 studying in terms of what we call the slip rate or the strain accumu-
18 lation rate -- this is the Fairweather Fault in Alaska -- comparing
19 these highly active or highly capable faults with faults that never-
20 theless are active or may be capable, but a less amount of slip.

21 And so one can see -- this is in centimeters per year --
22 about 5.3, the San Andreas is about 4 or 3.7 centimeters per year.
23 And then if we go down into the next area I'm going to contrast,
24 the western Sierran foothills, the Cleveland Hill Fault which has
25 a strain accumulation rate of .0006 -- in other words, four orders

1 of magnitude difference in the rate of activity on that fault.
2 Nevertheless, this fault has the potential for slip, and under the
3 regulatory criteria we call it a capable fault.

4 Now, if we look at the calculated cumulative slip in
5 meters throughout different time intervals -- 10,000, 35,000,
6 100,000, 500,000 -- I specifically selected these time intervals
7 to represent various criteria. This is the state of California.
8 This is the single displacement in the nuclear criteria. This is
9 the multiple displacement time interval. So we can make a compari-
10 son here to see the rate of activity.

11 Let's take the Fairweather or the San Andreas Faults.
12 One can see that in 35,000 years about 2,000 meters of cumulative
13 slip, many, many earthquakes occurring in that period of time;
14 or on the San Andreas about 1,300 meters, with 500,000 years,
15 29,000 meters or 18,500 meters. And then we compare that with
16 say this one fault that I'm going to talk about in a moment with
17 .6, or excuse me, on 35,000, .2 meters, and this is .3. That
18 decimal isn't shown on there.

19 Oh, excuse me. No, three meters -- I'm sorry -- in that
20 period. Three meters. Then if we compare the maximum slip per
21 a single event, we can see the comparison being about 10 meters
22 here with about .24 meters in the maximum event that we believe
23 can occur. And then if we compare the recurrence intervals, a
24 few hundred or sometimes even less than a hundred years on these
25 kinds of faults with the kinds of faults we're talking about here

1 being in the tens of thousands of years but small displacements.

2 Well, the point of this kind of comparison is that with
3 those Quaternary geologic studies, it's the kind of information we
4 can use to locate where faults are likely to slip and how much and
5 how often; and that's relevant to going through all of this data
6 that we need to come up with size of earthquakes and so forth.

7 CHAIRMAN LAZO: Dr. Cluff, it appears that you're going
8 into another area now. This might be an appropriate time for us
9 to take a brief recess.

10 MR. CLUFF: Could I just finish this slide, and there is
11 a very natural break point as I finish this slide; and it will
12 only take about a minute.

13 CHAIRMAN LAZO: Surely.

14 MR. CLUFF: This is a graphical representation of -- we
15 have a contract with the National Science Foundation to categorize
16 faults around the world to allow engineering judgments to be made
17 about the importance of the different rate of activity of faults;
18 and this is a progress of some of that work.

19 Let me just make a quick comparison. Here's the San
20 Andreas showing displacement again in fault activity with time,
21 and these numbers are millimeters per year. So the San Andreas is
22 here at about four millimeters per year, or centimeters, or 40
23 millimeters. We see the Wasatch in Utah being here just above
24 one. We see the fault that I'm going to be looking at in a moment
25 at Cleveland Hill here being one, two, three, almost four orders

1 of magnitude less. And I'll use those concepts now to contrast
2 this area that I will show next that doesn't have the Quaternary
3 evidence to have the confidence that one has like the Wasatch and
4 other similar locations.

5 (Pause.)

6 CHAIRMAN LAZO: The prehearing conference will stand in
7 recess for 15 minutes.

8 (Recess.)

9 CHAIRMAN LAZO: Are you ready to proceed, Dr. Cluff?

10 MR. CLUFF: Yes. Thank you.

11 I will move on to the next slide. This photograph is
12 a view of the western Sierran foothills, the other area I want
13 to contrast, where we had a paucity or a lack of geologic informa-
14 tion to allow the kinds of conclusions that one can essentially
15 positively come to where one has not only geomorphic expression
16 but stratigraphic information, as well as other subsurface
17 information to evaluate faults and their behavior and activity
18 and the size of earthquakes that may be associated with them.

19 But nevertheless, in these areas in which we spent about
20 three years or maybe more than that, about five years studying
21 for some important facilities to be located in that general environ-
22 ment, one can see a strong trend or lineation. And of course the
23 question comes down to whether or not these are faults; if they
24 are faults, are they important faults in terms of activity; and
25 how do you go about assessing them in an area where the basic

1 environment is one of erosion that's stripping away the kinds of
2 information that you'd like to have to make these assessments.

3 Well, one of the things that helped us in that -- Frank,
4 that's a little out of focus -- that helped us in that environment
5 was in 1975 a fault -- no, the top one, yes; there you go -- was
6 that in that area you see this crack pattern. That is the surface
7 disruption or surface faulting associated with what was named later
8 the Cleveland Hill Fault. You can see it's not a whopping big
9 displacement. And nevertheless, it was a fault that would be
10 and was classified by us as being capable, clearly after the event
11 but later on as well, with evidence that was found prior to that.

12 But the point of this brief discussion with a few slides
13 here is to show where that surface faulting event occurred associated
14 with faults in this area, and the general system of faults that
15 exists in that tectonic environment that's on the western slope
16 of the Sierra that's up here and is sloping down toward the Great
17 Valley.

18 This is in the bedrock area that contains old rocks.
19 These are many hundreds of millions of years old. And so most of
20 the surface deposits with the exception of some of these outlying
21 features here were areas where we didn't have young materials to
22 allow confident judgments to be made at places like say here or
23 here; only at places where we had the deposits could assessments
24 be made.

25 So the question became in this environment, given this

1 event occurring here in surface faulting that indicated faults
2 in this area, or at least that fault was active or capable, what
3 about all of these faults in here. And so that was the basis of
4 our evaluation.

5 Let me just quickly show you the difficulty we had in
6 assessing the Quaternary geology in that area, although it still
7 did allow conclusions to be drawn that were important regarding
8 important facilities.

9 Subsurface investigation was an important tool, and this
10 was part of -- and I meant to mention this before in the other
11 discussions. We found it necessary to do what we call calibration
12 studies. In other words, you find a place where you have the truth,
13 and then you calibrate that so you can apply that information to
14 areas where you're not so sure, and you make the comparisons to
15 allow you to come to conclusions in your assessment.

16 Well, the surface cracks along that Cleveland Hill Fault
17 are marked by these stakes; and one can see those cracks continuing.
18 And so we said well, let's do a calibration study in this area to
19 find out if in fact there was geologic information that would have
20 allowed us to assess whether or not this fault is capable prior
21 to that earthquake occurring. So this was a huge calibration area
22 where a number of trenches were excavated, and one can clearly see
23 that where that line passes in the soil out of that trench, you
24 don't even need to look at the trench; there is a dramatic change
25 in the type of materials right where this fault was through, so one

1 is already suspect of having a fault at that location.

2 These are the kinds of information we found in there.

3 In fact, a dramatic contact between one type of geologic material
4 and another, clearly demonstrating that in fact there was a fault
5 there; but the problem at this location was there were no younger
6 deposits above this other than some soil deposits that were
7 extremely young to allow one to, other than the earthquake that
8 occurred in August of '75, to assess that fault. So we had to
9 look for other places in that calibration area, and we did find
10 a number of places that were like this where we found -- this is
11 the old bedrock that's cut by the fault.

12 Again, it's a little out of focus, I think, Frank.

13 And the reddish-brown materials above the older bedrock
14 are what we call paleosoils. They are soil horizons that have
15 developed throughout a longer period of geologic time. And to make
16 a long story short, we found a number of these in this environment
17 that dated back to in excess of 100,000 years. And so we had
18 information that allowed us for this fault to say yes, at that
19 location there was clear evidence of a bedrock fault and clear
20 evidence -- you see this step in the bedrock with disruption of
21 the old soil profile -- to show that that fault had an indication
22 of repeated displacements during the period that postdated the
23 deposition or formation of those old soil deposits.

24 So these are the kinds of informations that one likes
25 to develop out of calibration studies and then apply that to the

1 remainder of the fault system. In other words, here's a view
2 again of another part of that general trend of lineaments through
3 the western Sierran foothills where in most places the young
4 deposits have been stripped away, but in some little environments,
5 micro-environments, you get younger materials and scills that
6 allowed us to find exploration localities to apply the calibration
7 information to assess faults in those locations.

8 And so that's what we did. We took the information that
9 took us several months to develop from here, and then we started
10 applying it at various locations where we found areas to assess
11 the importance of those faults. And out of that came a basic
12 lineament analysis where on aerial photographs and so forth in
13 the area of interest -- in this case it was several tens of miles
14 wide and 200 kilometers long -- we studied that entire fault
15 system to get a feel about the places where those calibration
16 studies allowed us to assess the activity of faults.

17 I'm going to skip -- well, no. I want to show that,
18 as an example of how we applied that, at a southern location where
19 these stars are located, we found a unique geologic environment
20 that allowed some very positive assessments to be made. And I'll
21 show you how that was done.

22 This is a view looking along the trend of what's called
23 the Table Mountain latite. This is a basalt flow that is high
24 now topographically compared to the surrounding areas; and what
25 it represents is a volcanic eruption that occurred up near the

1 crest of the Sierra some 9 million years ago, and that basalt
2 flow flowed down an old stream channel, an existing at that time
3 stream channel, and then solidified. And so what we have now is
4 what we call inverted topography. In other words, we have a
5 timeline, topographically and timewise, to allow us to look at the
6 amount of faulting that's occurred since that time, both topo-
7 graphically in the amount of displacement as well as the time
8 interval that's involved in the zone of faulting, surface faulting
9 that's occurred throughout 9 million years. So this is a beautiful
10 type of topographic horizon that was developed that allowed us to
11 look at faults. And if you look closely you can see that where
12 this fault comes in -- I know because we've studied this, but there
13 is a fault that comes through here -- there is disruption here of
14 75 feet up on the downstream side, and then another disruption
15 right here of 55 feet, again up on the downstream side. And then
16 this flow crossed over a number of other faults that pass beneath
17 this without disrupting it. And down in here, which you can't
18 see from this view but I can show a similar one where three places
19 where a similar kind of disruption occurred on faults.

20 And so with this information we could clearly say aha,
21 here's two faults at this location where there is clear evidence
22 of younger than 9 million years of displacement, and here's a
23 number of faults that pass beneath the surface here; and at those
24 locations it's clear it's been 9 million years since slip has
25 occurred on those faults, and we're not worried about those.

1 So with this kind of information it's extremely useful
2 to focus other geologic studies to look at other information that
3 allows you to meet whatever criteria you're dealing with.

4 This is a topographic profile. Here's that flow surface,
5 and you can see 55, or maybe it was 75 and 55 -- I've forgotten
6 which -- but at any rate, there are two displacements. I believe
7 this was the 75, this was 55. And what we did was we found a
8 geologic environment out here that contained younger materials that
9 were within the time range that we were concerned about in terms
10 of fault activity and capability, and we excavated -- well, we
11 did some geophysical surveys through here, and we excavated a
12 number of trenches -- one here, here, another one here, and a number
13 of trenches at that location -- to apply the calibration information
14 from the Oroville earthquake area to assess the faults in this
15 area.

16 To make a long story short, here's what the trenches look
17 like. And what we found was in fact where we had the younger
18 deposits we could clearly show the fault in the bedrock, the old
19 Mesozoic bedrock which is several hundred thousand years old, and
20 the younger soil deposits that have been disrupted. You can see
21 this plane where slip has occurred, and so we can say that yes,
22 the faulting been post-9 million years and post -- in this case
23 there were several layers here that were up to in excess of 100,000
24 years old. So we could come up with not only that the fault had
25 been active in that period of time, but multiple slip events had

1 occurred on it. We could evaluate how much had occurred during
2 individual, single events.

3 Just to show that there were a number of locations
4 where those kinds of deposits allowed us to do that, here's another
5 location where the metamorphic old rock is here, and then we
6 painted the different soil horizons to -- and one can see the slip
7 here. And so we were able to use that Quaternary geologic informa-
8 tion to allow us to assess where faults had continued to rupture
9 based on the geologic information that we were gathering from
10 calibration studies.

11 Well, to conclude this area, the results of that study --
12 here is Oroville; the yellow zones are places where we had younger
13 geologic information. This was where that Table Mountain latite
14 extended completely across this fault system. And so what we found
15 were a number of locations where these dots were placed on this
16 map where the calibration study allowed us to conclude from the
17 information up here that yes, in fact, we had places where those
18 faults did disrupt not only the 9 million year horizon but younger
19 deposits. We could see successive lesser amounts of displacements
20 in younger materials. And a number of places throughout here
21 where we found faults that passed beneath that, those materials,
22 where no displacements had occurred. And our conclusion from those
23 places was that those faults did not have, were not capable or
24 did not have the potential for future slip.

25 So you can see that in a number of places, particularly

1 where we had a lot of data and we concentrated our information, we
2 did find a lot of useful information to evaluate the faults.

3 Well, the point out of this -- this is almost on the
4 opposite end of the spectrum from some of the other slides I've
5 shown from other parts of the world, particularly the Wasatch where
6 we had beautiful geomorphic, stratigraphic, subsurface information
7 to allow us to come up with beautiful information about the rate
8 and location of faulting. And at selected places even in this
9 environment we were able to do that, but the level of confidence
10 in this kind of an environment, given that one wanted to place
11 an important facility say on this fault here, it's difficult to
12 make a judgment there because you've got to extrapolate information
13 along the fault and say well, is that fault behaving there like
14 it is here, or is it behaving there like it is there. And it
15 becomes one of a very agonizing process to sort out the scientific
16 information. And that study we were involved in, like I said for
17 about five years to work out that information, and we came to what
18 we felt were realistic conclusions about faults in that environment.

19 Okay. Let's come back to the Humboldt situation now.
20 Let me just make sure that I've covered all of the ideas that I
21 wanted to cover.

22 This is a map of Ogle's 1953 published map that basically
23 was the first published -- well, one of the most reliable maps
24 that was done for the purpose of economic geology primarily, looking
25 at structure and stratigraphy, but it was more for oilfield, oil

1 exploration. And here is the power plant site located here. The
2 yellow is Quaternary deposits that are in the area, both these
3 deposits, and these deposits, and these deposits. And of course
4 the deposits even out in the bay are very young Quaternary deposits.
5 Various ages of Quaternary deposits, and the Little Salmon Fault
6 was what was the basis for the original geologic studies that
7 existed at the time that PG&E first started looking at this area.

8 Now I want to put the viewgraph on to show you the program
9 that we have been -- that we created with PG&E and reviewed with
10 the USGS and NRC to look at not only this area but a much broader
11 region, and then I'll focus on the kinds of geologic information
12 that is coming out of this study.

13 (Pause.)

14 Let me just review again where we are. I'm taking you
15 then back to March of 1978, and I'm going to show you the program
16 that we formulated with PG&E. Woodward-Clyde and PG&E developed
17 a program to gather additional data, the meeting with the NRC and
18 USGS, and then bring you down through this process to where we
19 are and what will be the future deadlines in terms of our evaluations.

20 The area that we essentially carried out various levels
21 of detail, in some parts of the area more than others, but this
22 was the general regional area that we looked at. We actually
23 looked at the entire Northern California area on a reconnaissance
24 basis, but this is, of course, the Humboldt Bay plant site here,
25 and Trinidad, Trinidad Head, Patrick's Point. I'll be talking

1 about some of our geologic studies of some of the major fault
2 systems that tend to parallel or these creeks are eroding along
3 these zones of weakness, so we tend to get a northwestward trend
4 along these major streams that often are eroding, like the Mad
5 River and so forth, along these zones of weakness. And so we
6 looked at the various faults, and I will show you some results of
7 that work as we go along.

8 But the program that we prepared with PG&E consisted
9 of regional geologic studies, regional mapping and dating of the
10 deposits, Late Quaternary geologic studies. We studied the
11 entire Quaternary but were concentrating on the Late Quaternary
12 which is within the criteria of the NRC regulations. And, of
13 course, out of that is coming the ability to evaluate the capability
14 of faults. And then, of course, the site studies, these are the
15 general studies in the location of faults in the site locality,
16 the evaluation of capability, and of course the important part of
17 the dating of the Hookton formation which is an important formation
18 that the age has been somewhat controversial. And I will discuss
19 with you the program where we're coming up with the important con-
20 clusions about that. And then, of course, an important part of
21 this is the formation and propagation of faults, how do faults
22 behave in this environment, are they different or similar, and what
23 comparisons can be made with some of the kinds of studies that I've
24 showed you earlier, and of course, detailed geophysical analysis.
25 And I left off of this drilling -- I may have that on another slide --

1 but detailed drilling.

2 CHAIRMAN LAZO: Dr. Cluff, I'm sorry. Just before you
3 remove that slide, when you're talking about preparing this program,
4 when was this program prepared? Was it at the time you were re-
5 tained in October of '77 or after the meeting with the staff and
6 USGS in '78, or was it in connection with the scope of the work
7 preparation in September of '79?

8 MR. CLUFF: Well, both.

9 CHAIRMAN LAZO: Or all three?

10 MR. CLUFF: All three. These programs were evolutionary
11 in nature in that the basic ideas are expressed on this. I am
12 starting with the regional ideas. I'll get into more detail. And
13 it developed as we started finding information. In other words,
14 you can't prejudge what you're going to find.

15 So what we did was to take information and set up calibra-
16 tion areas within this broad region to allow us to understand how
17 faults behave in this area, how much they slip, how much the dis-
18 placement is, what the age of the materials are that they're
19 cutting, and how big of earthquakes might occur on them. And those
20 calibration studies are what is the basis for looking at that and
21 then gradually applying that information to the faults that are
22 close by or in the region and site vicinity.

23 CHAIRMAN LAZO: You mean it's a continually evolving
24 program.

25 MR. CLUFF: Yes, it is. So if you discover something,

1 some Quaternary deposits that weren't mapped by anyone else before
2 that were very useful in your analysis, you have to go back and
3 say well, we've got to change the scope of that Quaternary study
4 because now we've found a tool that's extremely useful, and it's
5 going to take us a lot less time or a lot more time to gather
6 additional information.

7 So that program was presented in the general way with the
8 NRC and the USGS in '7 -- let's see, Frank. It was '7 --

9 MR. BRADY: March '78.

10 MR. CLUFF: March '78 was when we first presented the
11 ideas on how we were going to go about this, reviewed it with them,
12 and then as we continued and as we went into different parts of
13 this, we discovered things that caused us to make relatively
14 moderate modifications, but nevertheless important ones to gather
15 new data that was relevant to answering the questions.

16 CHAIRMAN LAZO: Thank you.

17 MR. CLUFF: Yes.

18 Other aspects of the study involved not only geology but
19 seismology and earthquake engineering, a look at crustal structure
20 from the standpoint of epicenter locations and focal mechanism
21 studies and so forth; and I won't go into the detail of those at
22 this time. The seismicity and its relationship to the geology that
23 we're finding in the regional as well as local Quaternary and what
24 we call seismic geology of the region, the kinds of studies that
25 I've described to you in other places, and the crustal plate

1 parameters, as we called it, or the looking at the broad crustal
2 plate theories and hypotheses that have been proposed by others
3 in looking at what models seem to best represent what we felt was
4 causing the seismicity and faults in the area. And then that
5 information together, the seismology with the geology, to allow
6 an evaluation of the ground motions or the shaking characteristics
7 that have to do with the response spectra, the SSE-soil structure
8 interreaction, and whether or not the materials in the area have
9 the potential for liquefaction.

10 So these are basically the general studies, and these
11 as well have been evolving as we've been going on; but this essen-
12 tially was the program we presented to the NRC.

13 MS. BROWN: May I ask a question?

14 CHAIRMAN LAZO: Surely.

15 MS. BROWN: Did Woodward-Clyde have the opportunity to
16 review earlier studies that were performed by Terra Corp. and
17 Earth Science Associates that basically covered this same area?

18 MR. CLUFF: Yes, we did. They covered some of the same
19 topics, but if you reflect back to the statements I made early on,
20 the concentration of most of those studies were looking directly at
21 the site, and that there wasn't a large effort put forth to under-
22 stand the regional faults and information in this regard, although
23 from a seismological point of view clearly you have to look at the
24 region.

25 But our study was to take all of those data that had been

1 done by others, not only the previous consultants with PG&E but
2 the oil companies, the students at Humboldt State, and a number
3 of other people, but to start putting that all together in the
4 context with both the broad regional plate tectonic review and
5 gradually focusing in on understanding what was happening. And we
6 used all the information we could get a hold of.

7 Now, if I might focus on the general approach that we've
8 been using at the site studies themselves, and this, of course, has
9 evolved through time. But item one there is to locate and
10 evaluate the structures in the site vicinity with primary emphasis
11 towards faulting, and particularly understanding the location and
12 the displacement history of the Bay Entrance and Little Salmon
13 Faults or other faults that we may find in our investigation.

14 That included the methods primarily of drilling, geo-
15 physical logging of the bore holes and so forth, and seismic high
16 resolution, seismic reflection, with new data being generated
17 as well as reinterpretation of existing data from others, including
18 oil companies and others who had been doing geophysical work,
19 particularly in the offshore environment.

20 Item two there is to look at the movement history of the
21 faults that were known to exist or ones that we found in this --
22 again, "site" isn't directly at the site, but it's in the immediate
23 vicinity within a few miles of the site -- and to interpret the
24 relative movement history using the various data from the bore
25 holes, and the age dating, a very important aspect, and to look at

1 the age of the materials that had been faulted, to look at the
2 displacement history using what's called magnetostratigraphy.
3 This is paleomagnetic methods that allow one to see the earth's
4 fluctuation in magnetic reversals through time. It's a very
5 powerful tool to use. Radioisotopic dates of volcanic ash
6 deposits, and radiocarbon dates, Carbon 14, amino acid, and sea
7 level changes in relation to the fluctuations in sea level that
8 have occurred in this area throughout the Quaternary period.

9 And then, of course, out of that we've been locating
10 any place where we have surface faults through aerial photo inter-
11 pretation within several miles of the site; trench any surface
12 breaks to see what the origin of that feature is, whether it's
13 a fault or a zone of deformation or whether it's a differential
14 erosion; and then, of course, the object there is to divine, to
15 look at the zone of minor faulting that could be associated with
16 any of the primary structures, in other words, secondary faults
17 or places where the fault may break away and cause minor displace-
18 ments associated with the primary structures. And we used the
19 other techniques, particularly close spaced drilling, as well as
20 high resolution geophysics.

21 Now, let me just show you quite briefly, and there isn't
22 time to go into the detail of this, but here is a map that shows
23 the amount of deep borings that we have made since 1978, March of
24 1978. The blue are borings, deep borings that existed prior to
25 our program, and the yellowish-orange circles are places where we

1 have very deep borings. And the purpose and location of those
2 borings was -- here's the plant site here -- was to get deep
3 stratigraphic information on the postulated faults that were
4 postulated through here and through here, in fact, the Little
5 Salmon Fault that was located in this area.

6 These are some previous deep holes. The Braunner well
7 is one of those blue dots.

8 CHAIRMAN LAZO: Have any of those deep holes been
9 drilled south of Fields Landing at this date?

10 MR. CLUFF: Well, none of these deep holes. Here's
11 Fields Landing here. We have some shallow holes that I didn't
12 show on this map that were to look at those minor, small fractures
13 at Fields Landing.

14 CHAIRMAN LAZO: But you've been planning some deep holes
15 south of Fields Landing, have you not?

16 MR. CLUFF: Not as deep as these. Yes, we have. Let me
17 show you the next slide and maybe that will help answer. How
18 deep is deep I guess is the question.

19 Here is a kind of statistical summary of the drilling.
20 From the dates here one can see that in 1972 there was roughly
21 2,400 feet of drilling; in '75 there was about 13,000; in '77,
22 61,000; and then in this period of time, '77, 53,000 to date addi-
23 tional drilling. And again, showing -- these are deep borings;
24 these are borings again showing, the shaded areas showing the 1978-
25 80. These are shallower borings. And then -- oh, I'm sorry. The

1 deepest borings are on the bottom. I had this mixed up.

2 This was just prepared yesterday. I wanted to show the
3 depth. Here's a thousand feet. This is the shallow borings up
4 here. I'm sorry. A thousand feet in depth, and these are 4,000
5 feet in depth, or this is the 4,000 foot level. The deepest is
6 3,500. One can see the amount of boring data available in different
7 periods of time, and this was prepared up to June 2nd, 1980.

8 So the map that I showed was strictly the deeper ones to
9 get a feel for the major faults in the area, and the relatively
10 shallower ones that are several hundred to a thousand feet deep
11 were in other parts of that area, including the Fields Landing.

12 MS. BROWN: Could I ask a question on this? Is that
13 in cumulative feet or is that new drilling?

14 MR. CLUFF: Ashok, I'm going to have to ask you.

15 MS. BROWN: The first section.

16 MR. CLUFF: In the preparation of this is this cumulative
17 to date or what?

18 MR. PATWARDHAN: The top is cumulative.

19 MS. BROWN: Could I see the top again, if that's possible?

20 MR. PATWARDHAN: That's cumulative. That's the total
21 footage of borings drilled between '78 and '80.

22 MR. CLUFF: Total footage drilled between '78 and '80,
23 53,000 cumulative.

24 MR. PATWARDHAN: Since we started the program in '78,
25 53,000 feet or so of boring was done. The lower two are average

1 depths of borings separated arbitrarily by saying shallow borings
2 are those up to a thousand foot depth or less, and deeper borings
3 are those that are greater than a thousand feet in depth. And
4 what it shows is the average depth of borings which were about a
5 thousand foot or thereabouts -- well, it was about 1,200 feet.
6 The average depth of borings that did exceed a thousand foot limit
7 was around 3,500.

8 MS. BROWN: Can I ask one more question? How much of
9 the activity in the first chart, the actual drilling between '78
10 and '80 was performed in '78?

11 MR. CLUFF: I don't know.

12 MR. PATWARDHAN: How much what?

13 MS. BROWN: How much actual total footage from the 53,000
14 to date was actually done in 1978?

15 MR. PATWARDHAN: I, of course, can't give you the exact
16 number, but I would say a major portion of it was done in '79,
17 primarily in '79 with a little bit in '80.

18 MS. BROWN: And how much of the average depth boring
19 was done in '78, the 12,000 that you mentioned on the second
20 section of the graph?

21 MR. CLUFF: Ashok, I think since we prepared this just
22 to show the general information, that information can be made
23 available, and for us to make guesses about it right now without --

24 MS. BROWN: Was the majority of that also done in 1979?

25 MR. NORTON: Excuse me, Mr. Lazo. I thought we were going

1 to direct questions to the Board, and now all of a sudden I find
2 my witness being cross examined on when borings were done, and he
3 says he doesn't know. That's exactly why I didn't want to get into
4 this procedure.

5 CHAIRMAN LAZO: Ms. Brown, I'm not sure the information
6 is available here.

7 MS. BROWN: I don't even need an exact -- I'm not going
8 to hold them to the exact number. I just want to know if the
9 majority was done in 1978 or 1979.

10 MR. CLUFF: Ashok, who is project manager of this project,
11 helped prepare this yesterday; I was out of town. And so I'm
12 looking at this for the second time this morning.

13 MR. PATWARDHAN: I would say the majority were done in
14 1979, '80.

15 MR. CLUFF: Part of this has to do with --

16 MR. PATWARDHAN: And the relative distribution is between
17 '79-'80 simply because the program started in 1978, and you cannot
18 move into these programs. You have to accumulate a certain amount
19 of minimal information before we can decide on the location of
20 the borings. So such information became available sometime later
21 in '78, and that's the reason why you find that once that basic
22 information is available, you go into an appropriate plan for the
23 borings.

24 MR. CLUFF: Let me move now to show the Quaternary
25 geologic studies that focus on the evaluation of regional plus

1 faults near the site, and I'm going to be showing through slides
2 the various studies we've done on the Trinidad Fault, which is a
3 calibration fault, trenches and borings and so forth; Goose Lake
4 lineaments -- we've now renamed some of those lineaments faults,
5 although some of them turned out not to be faults, in the terrace
6 mapping and Carbon 14 dating and drilling; McKinleyville area
7 and College of the Redwoods area near the Little Salmon Fault; the
8 Brazil property which is a long trend of the Little Salmon Fault
9 to the west of the College of the Redwoods; and then the plant
10 site vicinity.

11 I'm going to be showing slides that represent pretty
12 much in that order, although one or two of them may be slightly
13 different.

14 CHAIRMAN LAZO: Dr. Cluff, I apologize for interrupting
15 you, but I wonder just for the completeness of the record would
16 you identify the gentleman who recently spoke regarding the previous
17 chart?

18 MR. CLUFF: Yes. Dr. Ashok Patwardhan. Ashok is his
19 first name, A-s-h-o-k. Patwardhan is his last name, P-a-t-w-a-r-d-
20 h-a-n. He is the project manager for Woodward-Clyde, working very
21 closely with me on this analysis.

22 CHAIRMAN LAZO: Thank you, sir.

23 MR. CLUFF: So I have a series of slides now that will
24 take us to the complete presentation of the information showing the
25 kinds of data that we're finding in the studies.

1 Here is a map showing the published interpretation of
2 faults in the site vicinity, the power plant site being here,
3 the Bay Entrance Fault being interpreted here, and the Bay Entrance
4 fault traversing down here with the Little Salmon Fault through
5 here. And a lot of this came from, particularly in this area,
6 came from Ogle's work, and the primary area of the previous
7 studies was concentrated in this area. And a lot of this informa-
8 tion came out of the boring data that were available. And so that's
9 an area that we concentrated our site specific studies.

10 MR. SCHINK: Could we go back just for a minute?

11 MR. CLUFF: Sure.

12 MR. SCHINK: Just to give me some perspective, is this
13 location where we're sitting right now on that map?

14 MR. CLUFF: Let's see. Eureka -- someone that knows
15 this map better than I do --

16 MR. NORTON: The righthand corner, off the map.

17 MR. CLUFF: Up here?

18 MR. NORTON: Yes. Off the map.

19 MR. CLUFF: Up here, yes. Eureka is up here. King
20 Salmon is here. We don't have geographic locations. This is a
21 geologic --

22 This is again a much larger scale map showing Cape
23 Mendocino down here, Arcata Bay here, the plant site being located
24 here. And this was a slide prepared for the meeting that we thought
25 was going to take place back in December, and we haven't updated

1 this; but it gives the idea that I wanted to present. It is the
2 areas in which mapping had been completed at that time and areas,
3 the darker areas are the areas of proposed future mapping. And it
4 shows the detail of regional mapping showing the concentration of
5 various mapping and calibration locations to get a general feel
6 for the regional geology and particularly the Quaternary geology
7 as it relates to understanding the regional tectonic framework.

8 MS. BROWN: Could I ask a question on that map, going
9 back? Does that map reflect then where you were back in December
10 of 1979?

11 MR. CLUFF: Well, it reflected the general level of
12 effort expended in certain areas in December of 1979.

13 MS. BROWN: And has the brown area decreased since that
14 time?

15 MR. CLUFF: Well, it has increased.

16 MS. BROWN: Increased.

17 MR. CLUFF: Yes.

18 MS. BROWN: I'm sorry. The brown area is where you've
19 already done intensive work?

20 MR. CLUFF: Areas in which mapping is completed, areas
21 in which future mapping is continuing, and then we've even filled
22 in white areas.

23 MS. BROWN: Okay. How much of that is now basically
24 concluded on that map that you have there?

25 MR. CLUFF: Oh, I would say close to 90-95 percent of

1 our work is. We're in the analysis stage really. There is still
2 some work being done, but we're in the later stage of that work
3 being completed. I don't know exactly because I'd have to ask
4 the people we have got working on this.

5 And, of course, exposures like this in the sea cliff
6 allow us to take a look at calibration areas to understand the
7 stratigraphy and the type of materials we're dealing with, and
8 particularly where they're cut by faults.

9 This is a view of one of the marine terraces. This is
10 a Quaternary terrace that is raised, and this is another one of
11 those kinds of stratigraphic and topographic profiles that allows
12 one to look at the amount of deformation and faulting that may have
13 affected that surface or those deposits since they were formed.
14 So, again, we knew from the reconnaissance studies of the U.S.
15 Geological Survey and particularly Gary Carver and some of his
16 students were working that these were valuable tools to use to
17 allow us to look at the activity of various faults and the location
18 and rate of activity particularly.

19 This is a map representing an area from, let's see, I
20 believe Eureka is just off the map to the south, Trinidad Head is
21 here, so we're looking at a stretch where detailed Quaternary
22 mapping was carried out to locate and map the various terrace
23 levels. The youngest ones are closest to the coastline. So what
24 we have is a sequence of raised terraces which are represented in
25 this profile here. I'll show an enlargement of that in the next

1 slide. But the various different colors represent progressively
2 older terraces which are horizons that we can evaluate to assess
3 any faults that may cut through there to see if they've affected
4 those terrace deposits, and that's a direct way to take a good
5 look at that.

6 And here is the profile from a conceptual point of view
7 to show to the west a sea stack out here, and the Patrick's Point
8 terrace which has been estimated to be about 82,000 years old,
9 the Savage Creek terrace about 105, Westhaven terrace about 124,
10 Sky Horse terrace, 140, A-Line terrace, 160, and the Maple Stump
11 terrace somewhere between 200 and 400,000.

12 Now, this again is from a conceptual point of view, the
13 kinds of information that we were looking at to gather on a
14 regional basis to look at how faults in the region have affected
15 these, and one good example can be seen in the next fault I will
16 talk about, is a calibration study that we did along the Trinidad
17 fault that actually displaces this Patrick's Point terrace that
18 at one time was thought to be two terraces. The previous interpre-
19 tations of this thought that this was a younger terrace, and the
20 studies along this fault indicated that that was a separated
21 terrace due to faulting. And that's the kind of information we were
22 looking for, so it's a valuable piece of information.

23 Regional studies were carried on, regional mapping. This
24 just shows some of our field reconnaissance studies to look at
25 outcrops and some of the details that one finds. One of the

1 difficulties, of course, is the intense vegetative cover in this
2 area. If you come up close and look, you can see a fault that
3 cuts through here. It's basically a thrust fault. This is a
4 fault belonging to the Mal River fault zone. Again, we were
5 looking at the width of deformation and the type of faulting and
6 the amounts of displacement that one could see in roadcuts and
7 various exposures like this.

8 This is the view, an aerial view looking straight down
9 on the Trinidad Head area, and this I can see from a geologist's
10 calibrated eyeball is this surface coming out, and there's an
11 escarpment here that trends in this direction. This is that
12 terrace surface that was thought to be two terrace surfaces,
13 a younger one and an older one; and it was found that this might
14 represent possibly the younger terrace surface being displaced
15 by a fault. And so together with some work that we did and some
16 preliminary work that had been done by some of the students at
17 Humboldt State University and some mapping of the sea cliff out
18 here, we excavated a number of trenches to put all this together
19 in a calibration area to look at that faulting and its effect on
20 that terrace.

21 And this is what the faulting looks like in that sea
22 cliff, a spectacular kind of exposure to allow one to see the
23 amount of faulting, the style of faulting, and looking at the
24 amount of displacement and so forth of the various units. It's
25 the kinds of information that we gather out of the trenches, but

1 when you have natural exposures it's often very spectacular with
2 the weathering. And this was exposed out of a large storm that
3 came through the area that uncovered this section and made it
4 visible.

5 These are the trenches that were excavated across that
6 topographic scarp, as we call it, which was a lineament on a map
7 that we wondered whether or not was a fault, and that trenching,
8 you can see again from the spoil pile the color change, and that
9 was the location where we found the fault. And then we made the
10 kinds of evaluations that I have previously discussed and presented
11 to you in these other studies and looking at the age of the
12 materials. Those studies and analyses are still going on. We
13 clearly found a fault there and are in the process of evaluating
14 the significance of that data?

15 MS. BROWN: May I ask a question with regard to the
16 Trinidad Fault?

17 CHAIRMAN LAZO: Surely.

18 MS. BROWN: How much displacement was there as a result
19 of that fault between what initially had been considered an older
20 level and a younger level?

21 MR. CLUFF: I don't have all of the details. We've got
22 about eight or ten -- well, we have 20 trenches that we've
23 excavated. I didn't come with all of the facts prepared to make
24 the presentation like we made to the NRC staff a couple of weeks
25 ago. I'm not prepared to answer that question because I don't have

1 the facts in front of me. That will be part of the results of
2 our analysis and study. Each one of these trenches will be --
3 I've got a trench log up on the wall, and it's a representative
4 trench log of the McKinleyville trench. I can maybe use that as
5 an example to show --

6 MS. BROWN: Dr. Cluff, was it more than ten feet?

7 MR. CLUFF: Well, yes, it was more than ten feet of
8 displacement of the young materials on that terrace surface.

9 MS. BROWN: Was it more than 20?

10 MR. CLUFF: I don't remember.

11 MR. HONEA: I can answer it for her.

12 CHAIRMAN LAZO: Well, he said he doesn't know. Can you
13 read the material off the chart behind us over our luncheon recess
14 perhaps?

15 MR. CLUFF: Yes, sure. People can come up and look at
16 that profile. It's very similar.

17 Again, this is along that Trinidad Fault showing the
18 escarpment, and again, two trenches to get different information.
19 What we learned is one has to be careful about relying on one
20 data point because you find that your confidence increases as you
21 get more data points just to repeat the information to allow you
22 to come to confident conclusions about the type of faulting, and
23 the amount of displacement, and the history of slip on the fault.

24 This is the McKinleyville location. This is the end of
25 the runway. These are the Navy buildings, and I believe the

1 terminal is in the background here. And the runway is actually
2 built out, and the reason there is fill on this end of the runway
3 is because -- well, first of all, this was the lineament, and we
4 suspected because of the topographic shift here that that fill had
5 to be placed because that runway came over and crossed the feature
6 that traverses about through here. One can subtly see it through
7 here. And so we excavated some trenches across that feature.

8 I believe -- oh, sorry about the darkness of that slide.
9 The feature comes through here, and our trench is located there.
10 I'm sorry about that.

11 CHAIRMAN LAZO: You're working night and day?

12 (Laughter.)

13 MR. CLUFF: And I will talk about the log from that trench
14 after I've gone through all of these exploration localities, because
15 this is quite representative of what we're finding. There are
16 subtle differences, but it shows the nature of what's being found.

17 Another area where we found -- this is at Goose Lake.
18 Goose Lake is this area here. It was dry when I took this photo-
19 graph. But one can see here a number of lineaments that are
20 suspect of being possibly related to the geology. One is these
21 set of lineaments that are here, here, and here, as well as a
22 cross-cutting set of lineaments that are here, here, and here.

23 Now, without a great deal of discussion I think I can
24 convince everyone that this lineament is a man-made lineament so
25 we can dismiss that; it's a road, although sometimes roads follow

1 geologic features. But often when one is doing high altitude
2 lineament analysis, straight lines like this that are cultural
3 features are often interpreted by geologists as being important
4 geologic structures; and one has to be careful about ground truth
5 when you're at such a high elevation like Curt's Images(?) and
6 so forth.

7 But the point I want to make here is that from this
8 information I can clearly distinguish the difference between these
9 kinds of lineaments, or at least I can make what I think is a
10 reasonable guess of what they are. These, since there is a stream
11 channel down here, these lineaments that are highlighted by the
12 shadows here are old stream terraces probably belonging to this
13 river, and the erosional and depositional terraces that result
14 from flooding coming out of this stream throughout geologic time.

15 So what we see is a sequence of dates, datable horizons
16 and materials, that appear to be affected by these features that
17 are cross-cutting them. So this is a beautiful -- the kinds of
18 information that had not been published, was not available in the
19 published literature, that we were looking at to try to understand
20 whether or not these features were faults; if they are, what has
21 been their activity and amounts of displacement and so forth. And
22 so this was an area of concentrated kind of calibration again,
23 trying to understand fault behavior.

24 And we made a purpose in these calibration studies to
25 try to find exploration localities where the materials were similar

1 to the materials that underlie the plant site. This is a criterion
2 we used, so that we could say well, can we or can we not confidently
3 assess whether the materials have been faulted. That was one of
4 the basic questions that the NRC and the USGS were uneasy about
5 on whether or not if faulting had occurred, could you see it. And,
6 of course, that was one of the objectives of these studies was to
7 try to answer that question with the highest confidence that we
8 could.

9 And so this was an area -- and let me just show you the
10 interpretations we made from aerial photographs. The dash lines
11 are the boundaries between the stream terraces. The red lines
12 are the features that we felt had a high likelihood of being false,
13 primarily because you can see the differential offset between
14 various floodplain or terrace horizons; and so we felt that there
15 were a number of these, and we selected this one to excavate some
16 trenches across to gather detailed information.

17 This is a view looking along that lineament. One can
18 see a topographic profile. Our trench can be seen there in the
19 lower part of the photograph. And then another view from a helicopte
20 looking at the extensive and the length of that trench. We exca-
21 vated a number of these trenches in these kinds of localities, and
22 it takes literally weeks and months of many of our geologists
23 mapping in detail to gather the detailed information that's needed
24 to answer and meet the objectives that we set out in the beginning.

25 Another place that we felt important to look at is along

1 the mapped trend of the Little Salmon Fault. This general area
2 through here is the trend of the Little Salmon Fault, and one can
3 see some subtle but to the geologist's trained eye some lineaments
4 that come through here, and these are old terraces related to some
5 of the terraces down here. The plant site is located right here.

6 So this was the general trend in this direction in here
7 of the Little Salmon Fault, and so we felt it important to take
8 a look at those because one of our objectives was assessing the
9 activity of the Little Salmon Fault.

10 Now, this is a parking lot for the College of Redwoods.
11 The College of Redwoods is located at that location along those
12 lineaments. And here are some of the trenches again that we
13 excavated across some very subtle lineaments through here and
14 one into here. The results of these are quite similar, and there
15 isn't the time, and we're still going through the analysis; so the
16 data will be presented in our report when we've completed it.

17 MS. BROWN: Dr. Cluff, have you finished the trenching
18 on the Little Salmon?

19 MR. CLUFF: No. I'm missing a slide there. It doesn't
20 want to go down. I don't think that other slide -- let me just --
21 ah, yes. This shows the extent of the shoring and so forth in
22 those trenches that allow us to get down into these trenches to
23 map them in detail.

24 Then here's a closeup view of Tom Stevens who's working
25 with us on mapping the detailed geology in that trench. This just

1 gives you a feel for the depth of some of these trenches. They're
2 from 10 to some of them as deep as 20 feet to expose the kinds of
3 materials that were needed.

4 And here's one example of some of the information that
5 we found out of that trench. One can see the markers that we've
6 placed in here of a fault plane that comes up into these materials
7 here, and another fault plane here. So there is a zone of faulting
8 through here with two discrete planes of faulting. There are more
9 than that, but this is the kinds of information that we were
10 gathering out of these trenches in looking at the relative age
11 of the materials with respect to the faulting and the history of
12 the fault displacements.

13 Now, here's an aerial view photo taken in 1948, I
14 believe. Again, the lighting here isn't very good. The plant
15 site is here. This was part of the plant being built. And that
16 Little Salmon trend is here, and there are some lineaments that
17 under the proper lighting conditions one can see that come down
18 through here. And the College of the Redwoods is located in this
19 location, and that was one of our exploration localities. We call
20 it the College of the Redwoods exploration locality.

21 Here's a closer view of that same area, and one can see
22 a number of features that were the target of our studies.

23 Now, this is a view, again backing up a little bit, show-
24 ing some of those features where we excavated those trenches here,
25 and I believe another one in here. I was not in the field on the

1 detailed evaluation of that trench, but I did inspect these in
2 here, and this is the College of the Redwoods that's located along
3 that general trend.

4 Looking back in the other direction again, we had diffi-
5 culty in that we would have like to have excavated trenches through
6 this area, but cultural modifications precluded us from doing that.
7 It's often a problem when one is dealing in these kinds of areas.

8 I have about eight or ten more slides, and I will be
9 complete with my slide presentation, and then we'll have a brief
10 summary.

11 (Pause.)

12 Here is one of those old --

13 CHAIRMAN LAZO: Pardon me. I'm sorry. I was just going
14 to say we're getting close to a luncheon recess. If you could
15 complete your presentation in the next five or ten minutes?

16 MR. CLUFF: Okay. I will run through these very quickly.

17 Here is the old photograph of the plant site location,
18 and what we found was a very, very minor but nevertheless subtle
19 lineament that traversed off in this direction -- the plant site
20 is actually right in here -- over in this area. And that was a
21 target for some of the ongoing trenching at the site itself.

22 Here is a photograph today of -- these are the storage
23 tanks, and this is where the nuclear power plant exists. And the
24 very subtle lineament that was one of our targets was a feature
25 that passed -- I've forgotten -- but about right through here; and

1 we have an onsite trench that starts from here and completely
2 crosses that and then jogs over and goes down here. And that's in
3 progress right now.

4 Here is a view of the plant site, again showing this
5 terrace surface that it's sitting on, and so the materials the
6 plant site is sitting on is very similar to if not the same as some
7 of the materials we've used in our calibration studies elsewhere
8 in the region.

9 This is a view of the Centreville Beach just showing
10 the stratigraphic relations that relate to some of the stratigraphy
11 that we're dealing with in the vicinity of the plant site. I
12 won't -- oh, the point I wanted to make here was an age dating
13 technique other than paleomagnetic dating was some radiometric
14 dating on ash, volcanic ash deposits. And we found a number of
15 these in the area that have been extremely useful in dating the
16 materials.

17 This is from another location. There are several ash
18 beds that were extremely important in working out the stratigraphic
19 sequences in this area.

20 And drilling, of course, that was done, all those drill
21 holes, deep and shallow, were done with these kinds of drill rigs.
22 And we logged every one of them in detail with the slummeberger
23 downhole logging geophysical techniques, very sophisticated logging,
24 to glean as much information as we can out of the borings other
25 than the cuttings that come up.

1 And here's a sidewall sampler just to show the sophisti-
2 cation of some of the samplers that go out into the site of the
3 boring to gather important information in our analysis.

4 And this is the kinds of information -- this was prepared
5 for our December meeting -- the kinds of information that we're
6 finding on the displacement history on the Bay Entrance Fault.
7 This was out of the boring program. I won't take a long time to
8 go through this other than it can clearly be seen -- this is a
9 vertical offset or vertical displacement apparent. Again, the
10 geometry is important, and we're still working that out.

11 Let's see. Was this in feet or meters?

12 MR. BRADY: Feet.

13 MR. CLUFF: Feet, right. This was in feet. And the
14 depth. So one can see that the older in superposition, the older
15 the material, the more displacement one gets; and so the younger
16 materials in this area, one can see a progressive -- and in this
17 place we had two interpretations. The evidence seems to be favor-
18 ing this interpretation. But one can see successive lesser amounts
19 of displacement with younger materials, or successively greater
20 amounts of displacement with older materials. And we're working
21 out the displacement history on the Bay Entrance Fault out of this
22 in our analysis, and that is going on right now. So this is the
23 kind of information we're gathering from those borings.

24 I think, yes, this is a view again -- I just wanted to
25 show where the trench that was ongoing right now is. It starts

1 here and comes over across here, jogs over and comes down here,
2 and we have another deep trench over here, and another one that
3 goes down the face of Boune Point at that location.

4 And here's a slide from the trench of what we're finding,
5 the trenches ranging from about 10 to, I think, 18 feet in depth.
6 And it may not be too clear with the lighting in the room, but
7 the detail or the fine laminations in the alternating clays and
8 silts gives a very high resolution on being able to look for
9 whether there have been fault displacements through these materials;
10 and one of the objectives is to look at that as well as to see
11 if we can't get a feel on the age of the materials.

12 Well, that's the last slide, and let me just take about
13 two minutes, if I might --

14 MR. SCHINK: Can I interrupt with a question? How many
15 ash beds, ash layers do you have that are dated in that trench?

16 MR. CLUFF: In this trench here?

17 MR. SCHINK: Yes.

18 MR. CLUFF: We don't have, I don't believe, Tom -- I'll
19 have to ask Tom. No, we do not have any ash beds in this trench.
20 If those ash beds exist in this area, they're probably deeper.

21 MR. SCHINK: And how do you date that terrace that the
22 plant's sitting on?

23 MR. CLUFF: Well, there are several ways of looking at
24 it. One is looking at the radiometric or radiocarbon --

25 MR. SCHINK: What age did you come up with?

1 MR. CLUFF: Well, we're still going through that analysis
2 right now. Let me give you the range, okay. The range we're
3 looking at is a few tens of thousands of years to somewhere between
4 150 to 250,000 years. That's the range of those materials that
5 are being exposed beneath the plant site, and we're still going
6 through that analysis.

7 Well, that's the last slide. Let me just summarize to
8 say that the program that we have formulated is one at taking
9 developed techniques that we have developed and others have
10 developed and looking at the Quaternary geology, doing the calibra-
11 tion studies to allow us to see what the resolution of the informa-
12 tion is, both in the age of the materials, the ability to see
13 fault displacements in them, the ability to see where we have
14 a fault, the style and amount and types of displacements that
15 might occur so we can relate that to the sizes of earthquakes
16 and how often those earthquakes might occur. And we're applying
17 all of that information in our program I've outlined to address
18 the question which is, as I showed in, well, the first, is to
19 look at the potential; our charge from PG&E is to look at the
20 potential to resolve the technical issues. And our schedule is
21 to continue those studies and to give PG&E this what we're calling
22 phase one to answer that question by October 1, or they will have
23 a response to that answer.

24 We don't know what that answer is right now, and I can't
25 prejudge it. Our full, intense assessment and evaluation is going

1 on right now, and then at that time PG&E will decide what they
2 are going to do with our advice on what their decision will be,
3 which the various representatives from PG&E will discuss later,
4 and then we will probably meet with the NRC, depending upon that
5 decision, to see to the extent of the NRC's evaluation of the
6 data and whether or not additional information is required to
7 gather more data at various locations.

8 We suspect that there will be additional data required
9 to -- if there is a high potential of resolving the issues,
10 additional data to actually resolve the issues one way or the
11 other.

12 That concludes my presentation.

13 MR. LINENBERGER: Mr. Norton, going along with the
14 most recent comments of Dr. Cluff, what is licensee's method of
15 proceeding here with what's going on, and I mean this in the
16 following respect.

17 Is the Woodward and Clyde information being accumulated
18 for ultimate delivery and recommendations to licensee, who will
19 then when it's all done relay it to the staff, or is the staff
20 being kept up to date as the program evolves and as results come
21 in?

22 MR. NORTON: Well, that's a multiple question. Let me
23 start out by saying that one of the problems is the staff avail-
24 ability. The staff because of TMI and because of other investiga-
25 tions of other sites of larger facilities, operating facilities

1 and so on, because of financial commitments, as I understand it,
2 or financial limitations, really doesn't have the people available
3 to evaluate the data that has been accumulated to date. However,
4 the data has not been presented to the staff in final result. We've
5 been told that by the staff. It has not been presented to the
6 staff in final form because it's not in final form.

7 We have periodically -- and that may not be the right
8 word -- we have met with the staff, as you know, perhaps a month
9 ago, and there have been several meetings prior to that early on.
10 But until we have a complete picture to give the staff or at least
11 enough of a picture for the staff to make an independent judgment
12 of, and until they are free to evaluate that material, it doesn't
13 make much point in hand-feeding it to them as we go.

14 The first part of your question as to how we proceed
15 from here, I find myself in a unique situation. As a lawyer
16 I think we frequently expect of the scientists to give us a
17 definite date, and yet here the lawyers are demanding lawyers'
18 specific dates, and scientists are telling us we can't give you a
19 specific date.

20 I think October 1st is a very artificial date. It's
21 a date that, you know, somehow we lawyers have dreamed up, but
22 as this presentation by Mr. Cluff has stated, you can't prejudge
23 what you're going to find. They're digging trenches. They're
24 doing bore holes, although those are done now, and they're
25 analyzing the data. They're digging trenches and so on. If they

1 find certain data that requires looking elsewhere, that's what's
2 going to happen. And for us to sit here and say you will be done
3 by October 1st or to have sat here two years ago and say you'll
4 be done by December of '79 or whatever is frankly folly.

5 I think we cannot prejudge what we're going to find,
6 and we're going to have to let the scientists do their work so
7 that this Board and the Nuclear Regulatory Commission can arrive
8 at a reasoned and informed decision.

9 I think the place -- and, you know, I'm glad we had this
10 opportunity today for Mr. Cluff to present this data to you that
11 the work is going on; indeed, millions are being spent. It's
12 not -- somebody's not out there with just a backhoe digging up
13 the ground. There are a number of geologists and seismologists
14 involved in this study, and it's very important to Pacific Gas and
15 Electric to proceed, and hopefully -- and again, we don't want
16 to prejudge -- and hopefully the information we find will allow
17 us to operate that plant.

18 MS. BROWN: Chairman Lazo, I'd like to point out first
19 that interveners do have people available to begin analyzation
20 of the documentation, and we would like to begin to proceed with
21 that analyzation as soon as possible. We've been precluded from
22 that review because of the technical proceedings and the status
23 that they are in. So even though the staff is not able to proceed
24 and doesn't have the time available to proceed, the interveners
25 do; and we would like the opportunity to have that begin as soon

1 as possible, either under a formal order from the Board indicating
2 that discovery is to open or on informal agreement between the
3 parties reviewed by the Board.

4 I think we can then offer to the staff and to PG&E yet
5 an additional analysis of the materials that are being presented
6 to them, which I think will be helpful to everyone.

7 Secondly, I'm somewhat confused by PG&E's indication
8 that they may not be ready by October 1st, since I understood
9 the hearing today was to review their request to extend these
10 proceedings until October 1st. If they have in mind another date,
11 I'd like to know what that date is, as I'm sure the Board and
12 staff would like to know.

13 CHAIRMAN LAZO: Well, thank you, Ms. Brown. You will
14 have an opportunity to make any comments when the time comes for
15 the joint interveners to make their presentation. And of course,
16 if you wish to file any request in the form of an oral motion,
17 that will be fine, too.

18 We've already indicated earlier that the fact that
19 the interveners have not even begun any discovery process is of
20 concern to us; and that is something that we do want to talk about
21 some more before we leave Eureka.

22 MS. BROWN: I have a proposed order for a schedule that
23 I've prepared in writing that I might as well circulate to the
24 parties and to you at this point, giving you an opportunity to
25 review it before we reconvene.

1 CHAIRMAN LAZO: All right. You could do that, I think,
2 during the recess.

3 We've approached getting on a quarter to 1:00. Why don't
4 we recess until 2:00 p.m. this afternoon?

5 (Whereupon, at 12:45 p.m., the hearing was recessed
6 until 2:00 p.m., the same day.)
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

AFTERNOON SESSION

(2:00 p.m.)

1
2 CHAIRMAN LAZO: The prehearing conference will come to
3 order, please.

4 Mr. Norton, have the licensees completed their presenta-
5 tion?

6 MR. NORTON: Yes, we have.

7 CHAIRMAN LAZO: Mr. Goldberg, we'll now call upon the
8 Nuclear Regulatory Commission staff. Have you prepared any formal
9 remarks in response to the Board's agenda or proposed agenda?

10 Do you wish to respond to the licensee's presentation?

11 MR. GOLDBERG: We have no comments on the licensee's
12 presentation today. I will attempt to present the position of the
13 staff on the matters that the Board raised in its prehearing
14 conference order.

15 I should indicate at the outset that the position of the
16 staff on the motion to hold the proceedings in abeyance remains
17 unchanged from its December 26, 1979 response to that motion.

18 With respect to the question the Board raised about the
19 reasonableness of the request for further delay in light of
20 facility modifications and ongoing site explorations, we would
21 offer the following position.

22 The facility modifications and site explorations were
23 undertaken in response to the license conditions imposed on the
24 Humboldt Bay facility as a result of the NRC order for modification
25 of May 1976. The facility modifications have apparently been

1 undertaken in an effort to address the first item of those
2 license conditions, namely the requirement that the licensee up-
3 grade facility structures to withstand the effects of an operating
4 basis earthquake of 0.25g's.

5 The staff has observed, though not reviewed, the
6 facility modifications that have been undertaken at the station.
7 The staff is further advised that the cost of such modifications
8 is around \$20 million. The staff feels that the nature of the
9 modifications are generally responsive to the license condition
10 that I refer to, but expresses no opinion on the sufficiency of
11 those modifications or the possibility that there may be a need
12 to further upgrade the facility seismic design following the
13 results of the geologic and seismic investigations that are now
14 being carried on.

15 However, as relevant to the motion, the performance of
16 these modifications would tend to suggest that the licensee is in
17 earnest in trying to address the relevant portions of the existing
18 license which it seeks to have removed by virtue of its amendment
19 application.

20 With regard to the ongoing site explorations, a presenta-
21 tion very similar to that made today by Dr. Cluff was made at a
22 meeting with the staff on May 7th of this year. On the basis of
23 that presentation it was the judgment of the Geosciences Branch
24 of the Office of Nuclear Reactor Regulation that the investigation
25 was reasonably directed toward the geologic and seismic concerns

1 which again form a portion of the license for which an amendment
2 is sought.

3 The staff felt that the investigations were vigorous
4 and appeared to be comprehensive; that they were further aimed at
5 providing information which will be needed for both the licensee
6 and the staff, assuming the licensee proceeds to hearing on its
7 application to assess the geological and seismological input
8 parameters for the site.

9 Again, as with the facility modifications, however, the
10 staff has not assessed the technical adequacy of the data, nor
11 can it express any opinion on whether the data will modify the
12 staff's present position on the application, which was as stated
13 in the August 1977 correspondence that was referred to earlier
14 in the licensee's presentation.

15 However, the staff does feel that it would be worthwhile
16 to permit the investigations to continue until October 1, 1980,
17 but also believes it reasonable to expect at that time that the
18 licensee be in a position to go forward with the prosecution of
19 its application or otherwise make clear its intentions with
20 respect to that application.

21 The Board further inquired of the staff as to the rea-
22 sonableness of the licensee's occupational exposure review.

23 CHAIRMAN LAZO: Mr. Goldberg, perhaps before going on
24 with that next item, there are a couple of questions. In the NRC
25 staff's response to the licensee's motion, referring to your

1 December 26 response, you indicated that the staff has been under
2 resource constraints. I think there was an affidavit filed by
3 Mr. Gammill which referred to the press of the staff work and
4 that the review of the investigations being conducted by the
5 licensee would be postponed indefinitely. A further statement
6 that it would be likely that the staff review would not be carried
7 out for the foreseeable future.

8 Now, this doesn't offer much hope that the staff come
9 October 1 is going to be prepared to say well, we're ready to go
10 ahead; we're ready to tell the Board what our position is, if
11 you by that time won't even have begun to review. I understand
12 you're not even seeing the reports of the ongoing investigations
13 by licensee.

14 MR. GOLDBERG: Well, of course, Mr. Chairman, it's
15 fairly common that the staff performs its technical evaluation
16 of an application while a proceeding is ongoing. Certainly this
17 proceeding is in its very preliminary stages, and there are other
18 activities that perhaps can be undertaken at the same time as the
19 staff commences and decides a timeframe within which it could con-
20 duct its review.

21 I will say that the staff is under considerable resource
22 constraints, particularly in the geology and seismological areas,
23 that it cannot review any material relative to this docket before
24 October; but at the same time I do not think the staff would be
25 an inactive party to an ongoing proceeding. But I will stress

1 again that the staff will have to evaluate its ability to perform
2 an evaluation and the timeframe within which that evaluation can
3 be performed in October. I think we would be then in a better
4 position to do so than perhaps we are at this date.

5 CHAIRMAN LAZO: Would the staff plan to prepare let's
6 say a safety evaluation supplement and publish it, issue it in
7 connection with these modifications?

8 MR. GOLDBERG: Well, certainly we would prepare a safety
9 evaluation with respect to the license amendment; but I can't tell
10 you right now the timeframe within which that evaluation would be
11 performed, but it's not clear to me right now what document we're
12 going to have to review in October, and I could better assess in
13 October when that review could be undertaken.

14 MR. LINENBERGER: Continuing in this vein for a moment,
15 Mr. Goldberg, correct me if I'm wrong but I think I hear you
16 saying that the significance of the 1 October date that we've
17 been talking about to the staff is that that represents perhaps
18 the earliest date which the staff could get started on what the
19 applicant has submitted, assuming that he has his information
20 wrapped up in a nice, neat package by then. Let's make that
21 assumption.

22 Am I correct in so characterizing 1 October?

23 MR. GOLDBERG: Well, perhaps coincidentally that's true.
24 October also happens to be the end of fiscal 1980, and I could
25 tell you that, reasonably confident, that we could not expand any

1 technical review effort in fiscal 1980, which would conclude in
2 October of 1980; and that certainly as long as the proceeding is
3 in the posture that it's in, it is not likely that there will be
4 any staff effort expended on the review of this application.

5 I cannot give you a fixed date, even assuming that we
6 have the applicant's entire technical case, when we could conclude
7 that review; but I would say that we could be in a position to
8 advise the Board in October, having seen what it is that will be
9 presented at that date.

10 MR. LINENBERGER: Okay. Now, understand we're not
11 trying to put anybody on the spot here, but I get the impression
12 that maybe the applicant is perhaps carrying too big of a delay
13 label on his back when if he had things ready to hand you right
14 now, the NRC couldn't do anything about it. So I just wanted to
15 understand the posture of things here.

16 Now, the Chairman asked you about a safety evaluation
17 report or supplement or whatever. I guess this is as good a time
18 as any to ask you what the staff's position is with respect to the
19 fact that Humboldt Bay has never had -- the facility has never had
20 a NEPA review.

21 Do you see the necessity for preparing, for the staff
22 to prepare an environmental impact statement in conjunction with
23 getting yourselves ready to prosecute this proceeding?

24 MR. GOLDBERG: Mr. Linenberger, the staff really hasn't
25 formulated a position on that matter. If I had to just indicate

1 my preliminary view, it would be that the scope of this proceeding
2 would be confined to the terms of the license that are sought to
3 be removed, which are in the geologic and seismic areas. And
4 it's not immediately apparent to me that issues which fall outside
5 of those categories should be the subject of an adjudication in
6 an amendment proceeding which typically has a more narrow scope
7 than an operating license or a construction permit hearing.

8 (Pause.)

9 MR. LINENBERGER: With respect to the constraints that
10 are currently upon the staff, I think I have heard two causative
11 factors mentioned so far today. One related to Three Mile Island,
12 and the other related to budgetary constraints.

13 Now, I can see that they may be intertwined or they
14 may be entirely separate. With respect to the constraints on you
15 right now or on the staff right now, is the problem that -- does
16 the problem derive from the fact that the Three Mile Island inci-
17 dent has required that people of the same talents and discipline
18 that would be needed on this problem are being used on something
19 else, or has the Three Mile Island incident so soaked up the
20 available manpower that it represents purely a budget and not a
21 technical lack of resources?

22 MR. GOLDBERG: Can I have a moment before I answer that
23 question?

24 MR. LINENBERGER: Surely.

25 (Pause.)

1 MR. GOLDBERG: Mr. Linenberger, I think the primary
2 constraint right now is personnel resources in the branch within
3 the staff office that would have to review the technical material
4 for the Humboldt Bay project, and that is the Geosciences Branch.
5 Certainly budgetary considerations come into play; it could be
6 necessary, for instance, to retain consultants to assist in that
7 review effort.

8 But I think we're moving beyond the point where personnel
9 involved in the post-Three Mile Island review would have a serious
10 future impact on the ability of the staff to review this particular
11 application.

12 MR. LINENBERGER: Yes. It wasn't clear to me how Three
13 Mile Island would need a heavy assistance from geoscientist types,
14 but okay.

15 Now, let's continue still on the implications of the
16 constraints you're operating under. Let's pose a hypothetical
17 situation that Woodward-Clyde is bringing their investigation to
18 a close and will have their final package of data wrapped up in,
19 let's say, two weeks for the sake of the question I'm about to
20 ask.

21 Under that circumstance, from a purely technical point
22 of view, it would seem to this member of the Board to be quite
23 logical to talk about initiating discovery based on contentions that
24 interveners have submitted, although the admissibility of all con-
25 tentions has not been ruled upon, but that the Board can accommodate

1 itself to very readily.

2 Now, what I'm getting at here is I think I've heard the
3 implication from what you've said, or I make the inference from
4 what you said, that the staff might not be able to respond or
5 begin to respond to discovery requests perhaps before 1 October
6 or next fiscal year because of the constraints you're talking
7 about.

8 Now, do I go too far there, or is that perhaps an
9 impact of your present situation?

10 MR. GOLDBERG: I think it would depend on the nature of
11 the discovery that was sought and if it would require any consider-
12 able effort on behalf of these individuals who are unavailable to
13 work on the project. I would have to say yes, it would not be
14 possible to accommodate those kind of discovery requests before
15 October.

16 But then again I'm not sure that the staff would be
17 the principal party upon whom discovery would be sought during that
18 period of time.

19 MR. NORTON: Excuse me, Dr. Linenberger. May I address
20 that question a little bit from the applicant's standpoint vis-a-vis
21 the staff.

22 Maybe we weren't as clear this morning as we might have
23 been. There really is nothing available now but raw data, and
24 some of it even pre-raw data. In other words, it's data being
25 taken out of trenches; for example, the trench at the site that

1 was discussed this morning, there is data being taken out of that
2 today, yesterday, the day before. Obviously it hasn't been sub-
3 mitted in report form so that there would be anything the staff
4 could be discovered about it.

5 MR. LINENBERGER: My question was prefaced on a
6 hypothetical assumption --

7 MR. NORTON: Okay. I misunderstood then.

8 MR. LINENBERGER: -- That the data might be available
9 in an analyzed, wrapped up package in two weeks. I wanted to see
10 what the staff's position is with respect to their restraints.
11 I think I understood what your position is with respect to Woodward-
12 Clyde information and its completeness or lack thereof at this
13 time.

14 CHAIRMAN LAZO: Do you want to proceed then, Mr.
15 Goldberg?

16 MR. GOLDBERG: The second matter that the Board inquired
17 of the staff was the reasonableness of the licensee's occupational
18 exposure review. The staff received occupational exposure data
19 from the licensee for 1979 and the first four months of 1980,
20 and based on that date would estimate that the workers at the plant
21 will receive a collective dose equivalent of about 10 man-REMs
22 during the next four months, which would be until October 1, in
23 performing necessary maintenance work.

24 Based on a discussion I had with an inspection and
25 enforcement inspector in the local region who had performed a

1 health physics investigation of the station in March, it would
2 appear that the licensee's records are a reasonably reliable
3 representation of the actual occupational dose commitment being
4 received at the plant, and that the licensee is capable of main-
5 taining those exposures as low as reasonably achievable pursuant
6 to the requirements of 10 CFR Part 20, given the nature of the
7 maintenance activities that are being performed and would be
8 expected to be performed in that period.

9 The next matter that the Board --

10 CHAIRMAN LAZO: Well, it's been alleged that the average
11 dose during 1977, I guess which was the first full year that the
12 plant was shut down, no power was produced that year, that the
13 average dose to occupational people was something like 1.8 REM.
14 And am I correct in understanding that essentially it's the same
15 workforce in a lightwater reactor whether it's down or whether
16 it's running?

17 How does that square with your estimate of 10 man-REMs
18 during the next four months? How many people are involved?

19 MR. GOLDBERG: May I have a moment, Mr. Chairman?

20 CHAIRMAN LAZO: Surely.

21 (Pause.)

22 MR. GOLDBERG: Mr. Chairman, I'm going to ask the
23 Project Manager, Mr. Vern Rooney, to see if he could address this
24 question for you.

25 CHAIRMAN LAZO: All right. He could take some time to

1 do it a little later if you want to proceed, or we can --

2 MR. ROONEY: If I understood the question correctly, I
3 think I can speak to it very quickly.

4 CHAIRMAN LAZO: Oh, Mr. Rooney, please do.

5 MR. ROONEY: You cited exposures that had been recorded
6 for an earlier period of time about two years ago, is that correct?

7 CHAIRMAN LAZO: Yes. I think it was for the year 1977
8 with an average dose to however many workers of about 1.8 REMs.

9 MR. ROONEY: Yes. Early in the outage there was a very
10 intensive effort on the part of PG&E to get certain modifications
11 done with the goal for subsequent restart, and that included some
12 work in the reactor vessel.

13 CHAIRMAN LAZO: Oh, I see. So that would run up the
14 dose --

15 MR. ROONEY: Sparger replacement --

16 CHAIRMAN LAZO: -- Until that work is done.

17 MR. ROONEY: -- And there were high doses at that time
18 that haven't happened since then and are not anticipated in the
19 future.

20 CHAIRMAN LAZO: Fine. Thank you.

21 MR. GOLDBERG: The third matter that the Board inquired
22 of the staff was the apparent implied approval of the onsite
23 storage of spent fuel and other radioactive materials, if any,
24 during the delay. Under the expressed terms of the Humboldt Bay
25 operating license, the licensee has the authority to possess such

1 by-product and special nuclear materials as may be produced by
2 operation of the reactor pursuant to 10 CRF Parts 30 and 70 of the
3 Commission's regulations. And I would refer to facility operating
4 license number DPR-7, Section B.4.

5 This authorization, unlike the authorization for
6 commercial operation, was not rescinded in the NRC order of May 21,
7 1976. And the staff, I should say, is not aware of any materials
8 onsite that do not fall within this description of materials for
9 which they have lawful permission to possess.

10 MR. LINENBERGER: Well, sir, in essence I guess you're
11 saying that the materials they possess, they possess in accordance
12 with license to possess, and that's what was meant here by the
13 term "implied approval." But the question really had a slightly
14 different orientation.

15 First off, by way of information, this member of the
16 Board does not know the status of the fuel in the reactor. Can
17 you tell us that, Mr. Goldberg, or your staff man?

18 MR. GOLDBERG: Mr. Rooney indicates that he can respond
19 to you, Mr. Linenberger.

20 MR. ROONEY: I think I can give you the approximate
21 status, and perhaps I can get corrected if I say something wrong.
22 But I believe as it now stands the core vessel has fuel in it
23 following a fuel movement, right? And a portion of that fuel is
24 previously exposed and some is new. In addition, there is fuel
25 in the storage basin.

1 Did your concern extend to radioactive wastes as well?

2 MR. LINENBERGER: Not primarily. I was primarily con-
3 cerned about the fuel, the fact that part of it is fresh, the
4 fact that part of it has been burned, exposed.

5 MR. ROONEY: There are about 250 assemblies in the
6 storage basin.

7 MR. LINENBERGER: Okay. Now, the fuel is possessed in
8 accordance with the license to possess the fuel. The reactor,
9 however, is not operating because there is concern that potentially
10 the geology-seismology makeup of the site would make it prudent
11 to either improve the resistance of the reactor facility to
12 catastrophe or else maybe there is no way to get there from here,
13 that the potential catastrophes are just too horrendous to worry
14 about.

15 Nevertheless, the reactor is sitting there and has been
16 there for some years with spent fuel loaded in the core at a
17 site whose seismic qualities we're still uncertain about. And to
18 me this implies that the NRC does not worry about what an earth-
19 quake might do to that facility in terms of the radioactive
20 material, radioactive fuel that's stored there.

21 Now, that is the thrust of this third part of this
22 question. Why is it not appropriate to be concerned about radio-
23 active material stored in the core?

24 Now, keep in mind this is not an evidentiary session.
25 I'm not looking for dose calculations and detailed probability

1 assessments. I just want to understand the outlook of the NRC
2 here in saying well, you can't run the reactor because it might
3 be on a fault, but we're not going to worry about what that fault
4 does to the fuel.

5 So if you could kind of address that in some manner
6 that would put it in context, we would appreciate it.

7 MR. GOLDBERG: I don't think I would necessarily agree
8 with your term "unconcerned." I think that the staff believes
9 that the plant in its present cold shutdown condition does not
10 present a radiological risk to the health and safety of the public.
11 If it did, it would certainly be incumbent on us to take certain
12 additional protective measures to see that that safety was
13 assured.

14 MR. LINENBERGER: Excuse me. Go ahead.

15 MR. GOLDBERG: I'd like to continue.

16 The staff has over the course of the past several years
17 performed certain analyses of the fuel in the reactor vessel and
18 the fuel in the spent fuel pool to ascertain what the radiological
19 risk would be in the event of an accident; and perhaps Mr. Rooney,
20 although he did not himself perform those analysis, could describe
21 their results as best as he's able. That might give you a little
22 more comfort.

23 MR. LINENBERGER: Well, okay. I'm not looking for a
24 highly technical discussion at this point; this is not the place
25 for it. But I just want to understand what kinds of things the

1 staff might have been worried about, what kinds of things they have
2 done in the face of that worry, and what kinds of conclusions they
3 might have drawn so far.

4 MR. GOLDBERG: I'd like Mr. Rooney to address that
5 question so far as he is able.

6 MR. LINENBERGER: Fine.

7 MR. ROONEY: Just briefly, we did think about possibili-
8 ties to envelope the worst situations that could occur, and we
9 satisfied ourselves with respect, I guess thinking primarily --
10 well, considering the area, for example, of cooling, spent fuel
11 cooling needs, and satisfied ourselves that even for the BWR fuel
12 that we had, that we were dealing with here, that it could sustain
13 complete loss of cooling water, given the time that it had since
14 it had been removed from the core.

15 We're looking at something -- of course, it's been about
16 four years since it's been irradiated, with some room to spare.
17 We looked at the consequences of an accident in which there was
18 a release, and doing this very conservatively we did some calcula-
19 tions looking at a situation quite recently after shutdown -- in
20 fact, I think it was 72 hours -- and determined that the resulting
21 releases would be within regs for that situation.

22 So as far as cooling needs being threatened by a seismic
23 situation or as far as a release being triggered by a seismic
24 situation, we considered those cases and did calculations we felt
25 that bounded them. We also considered possible criticality

1 situations and satisfied ourselves with the fuel that we had
2 there that we did not have a problem.

3 Let me clarify. The release situation we looked at was
4 a fuel handling accident inside containment in which one-fourth
5 of the core was broken up by dropping a cask on the core. The
6 calculation was done 72 hours after shutdown. The doses were
7 calculated at the exclusion area and found to be appropriately
8 below the part 100 limits, and at the site boundary were found to
9 be much less than the part 20 doses for the year.

10 (Pause.)

11 MS. BROWN: Chairman Lazo, could I ask a question?

12 CHAIRMAN LAZO: Of the Licensing Board?

13 MS. BROWN: No. Of the staff, if that's possible.

14 CHAIRMAN LAZO: Let's hear your question.

15 MS. BROWN: What would happen if there was a complete
16 loss of coolant in the vessel?

17 CHAIRMAN LAZO: Mr. Rooney, are you prepared to respond
18 to that question?

19 MR. GOLDBERG: May we have a moment?

20 CHAIRMAN LAZO: Surely.

21 (Pause.)

22 MR. ROONEY: I think the situation -- are you expressing
23 concern about releases or about cooling?

24 MS. BROWN: Well, let's take cooling first.

25 MR. ROONEY: Okay.

1 MS. BROWN: Assuming that there is no more cooling
2 material in the core, there is no water available.

3 CHAIRMAN LAZO: Could you use the microphone, please?

4 MS. BROWN: I'm sorry. If it's possible, we would like
5 to know both. If we could start with the event that there is no
6 coolant left in the vessel, what would happen then?

7 MR. NORTON: Excuse me. We have someone here with the
8 technical expertise to answer that question, and we'd appreciate
9 the opportunity to do so.

10 MR. ROONEY: Yes. I think this might be appropriate if
11 PG&E can speak to it. I think we can say broadly, though, that
12 we did look at the situation as far as cooling, and as I said,
13 the cooling needs of BWR fuel after it's been out of the core
14 for the period of time we're talking about, it does not need
15 water cooling any longer; and so we have no concern on the cooling
16 situation.

17 MS. BROWN: It's my understanding you're saying there is
18 nothing in the core at this time that needs --

19 CHAIRMAN LAZO: I'm sorry. Most of us cannot hear you.

20 MS. BROWN: I'm sorry.

21 MR. LINENBERGER: Pull the microphones up to you, please,
22 ma'am.

23 MS. BROWN: It's my understanding then that what's being
24 said is that there is no need for any cooling water in the core
25 at this time. Is that what you're saying?

1 CHAIRMAN LAZO: Well, there seem to be two different
2 questions here. We're talking about cooling in the spent fuel
3 pool --

4 MS. BROWN: Right.

5 CHAIRMAN LAZO: And, of course, water covering the
6 core itself.

7 MS. BROWN: Right. I'm talking about the core itself
8 at this time.

9 Are you saying --

10 MR. ROONEY: I'm saying the calculation was done for
11 what was in the fuel pool, and I don't have information right now.
12 We didn't do that in the reactor vessel. I would expect that
13 just looking at those numbers that there would be some room to
14 spare there also. We don't have a concern on that situation.

15 I do think that the geometry of the Humboldt Bay vessel
16 is such that the passage for water loss from it is a very small
17 line at the bottom of the vessel. However, I think essentially
18 that we don't have a concern for cooling needs.

19 MS. BROWN: If we then could go back to the spent fuel
20 pools, you indicated apparently that there is no need for water
21 in those pools, is that correct?

22 MR. ROONEY: No. I said we did a calculation that
23 showed if it happened -- I wouldn't want anybody to think we're
24 saying that they don't need water in the pools and drain them
25 off. We assumed that happened, and we found that for the age of the

1 fuel, the time since it had been removed from the core, there was
2 no further need -- actually what we calculated was the cladding
3 would not reach the melting temperature, and the cladding would
4 not be destroyed. And so we found the situation acceptable for
5 the accident situation.

6 MS. BROWN: How long could the spent fuel pool go without
7 coolant water?

8 CHAIRMAN LAZO: Well, I think he said you wouldn't need
9 it, that simply in air with convection currents the fuel would
10 not melt.

11 MR. ROONEY: That's correct, yes.

12 MS. BROWN: Thank you.

13 (Pause.)

14 MR. NORTON: Excuse me, Mr. Chairman.

15 CHAIRMAN LAZO: Mr. Norton.

16 MR. NORTON: We do have the superintendent here, Mr.
17 Weeks; and when I said we have someone with the expertise to answer
18 the question, I didn't mean to in any way impinge upon Mr. Rooney's
19 expertise; but as we all know, people have different areas of
20 expertise within this field, and Mr. Weeks could answer that
21 question specifically. And as long as it has been raised by the
22 intervener, if she's going to be able to ask questions, we'd at
23 least like the opportunity to answer them.

24 CHAIRMAN LAZO: Yes, I think you should proceed.

25 MR. NORTON: Mr. Weeks.

1 CHAIRMAN LAZO: Would you identify yourself for the
2 Court Reporter, please?

3 MR. WEEKS: My name is Ed Weeks, and I am plant super-
4 intendent at Humboldt Bay Power Plant.

5 The fuel that's stored in the reactor vessel and the
6 fuel that is stored in the spent fuel pool is of such an age --
7 when I talk of age, I'm talking about the time since we've run
8 at power operation -- that there is not enough decay heat remaining
9 in the fuel to require cooling water. Just air circulating around
10 the fuel is sufficient to prevent the fuel from heating up and
11 melting and vaporizing.

12 There are no short-lived radioactive gases remaining
13 in the fuel. There are no iodines. There are no short-lived noble
14 gases. The only noble gas remaining would be Krypton-85, and
15 that is only in trace quantities, much less quantities than exist
16 at Three Mile Island, for example. It would be a similar kind of
17 problem that they have today with the Krypton-85 in their contain-
18 ment.

19 To postulate some mechanism for releasing that small
20 amount of Krypton-85 is very difficult for me, since there is not
21 enough decay heat to melt the fuel or the cladding. So in my
22 opinion and the opinion of my staff, we could tolerate complete
23 loss of cooling water in the reactor vessel and in the spent fuel
24 pool with no accident consequences at all.

25 The worst problem would probably be some contamination

1 on the outside of the fuel that would become airborne as the fuel
2 dried, but that would be a minor problem that we could handle
3 very easily.

4 Does that answer your question?

5 MS. BROWN: Yes.

6 CHAIRMAN LAZO: Mr. Goldberg, does that complete the
7 staff's presentation?

8 MR. GOLDBERG: On those three matters, Mr. Chairman.
9 I should also add with respect to the latter item that the NRC
10 Office of Inspection and Enforcement is continuing to inspect the
11 facility on a periodic basis, and the staff is well aware of those
12 activities that are being conducted and will continue to monitor
13 the plant as long as it remains in its present status.

14 CHAIRMAN LAZO: Thank you, sir.

15 Mrs. Brown, for the joint interveners what do you have
16 to say?

17 MS. BROWN: You have asked us to address primarily the
18 public health and safety issues that we fear.

19 CHAIRMAN LAZO: You are, of course, free to comment on
20 any other matter that has been raised by the other two parties
21 here today.

22 MS. BROWN: Hopefully, my presentation will incorporate
23 those kinds of comments as we go on.

24 Our first concern is the fact that the NRC staff, the
25 USGS, and the State of California Department of Mines and Geology

1 have real questions or concerns about the siting of this facility,
2 and that immediately raises whether continued risk to the populace
3 in this area is warranted. And I'm going to ask one of the
4 interveners who also happens to be a professional in the area
5 of geology to make a short slide presentation on our behalf; and
6 I would appreciate it if you could bear with him in that presenta-
7 tion.

8 This will raise some of the questions and comments that
9 I would like to make about the Woodward-Clyde presentation. This
10 is Dr. Adam Honea who will be making the presentation.

11 CHAIRMAN LAZO: Excuse me.

12 MS. BROWN: Dr. Adam Honea.

13 CHAIRMAN LAZO: Honea. You are one of the original
14 interveners, aren't you, sir?

15 MR. HONEA: Yes.

16 CHAIRMAN LAZO: Yes. Please proceed.

17 MR. HONEA: What I thought I would do is present to you
18 what I perceive as the geologic hazards --

19 MR. SCHINK: You're going to have to use the microphone.

20 MR. HONEA: Okay. What I wanted to do was present to
21 you what I perceived as the hazards at the time of the closing
22 of the plant and how I perceive those hazards now with the passage
23 of the last several years.

24 When I came to the faculty at Humboldt State in 1975,
25 I asked for information in the area, and one person I contacted

1 was Tom Collins who worked for the Forestry Service here. And
2 he had been looking at small faulting in the area of the Humboldt
3 Bay plant, took me to that faulting, and I was going to show a
4 couple slides of that faulting and what information we had at the
5 time the plant was ordered not to reopen by the NRC.

6 And this I think is important, first of all because
7 we did have quite a bit of information at that time. There had
8 been studies since 1972 by Earth Science Associates in behalf of
9 PG&E and the United States Geologic Survey had done studies; and
10 so I'm going to present what I collected at that time.

11 This is a photograph taken from a private airplane. This
12 is the plant site. And the next few slides will be directly in
13 this area. One place in particular is a ravine that exposes small
14 fractures and faults that were of particular concern to us. This
15 is because the trace as the United States Geologic Survey perceived
16 it and Earth Science Associates in 1976 of the Bay Entrance Fault
17 was somewhere in this area. In fact, Robert Morris, who gave
18 a status report to the NRC, said that his interpretation was that
19 it was several thousand feet from the plant site, and that it
20 was tilted or dipping back under the plant site in this area.

21 The concern I had at that time was that if you go up
22 to this ravine where erosion has exposed the rocks, you'll see
23 the following things.

24 This next slide will be in this area. Okay. This is
25 this ravine. There is also a quarry, and within this quarry you

1 can see some linear features. These are where water has eroded
2 along some fractures. There are also some fractures that are
3 exposed within this ravine.

4 This is another closeup of this ravine, and now I'll
5 be down in the ravine. You should keep in mind that the Bay
6 Entrance Fault is located somewhere roughly in here and passes the
7 plant.

8 Now, the type of features you see in that ravine are
9 fractures. This is a fault. This piece of wood is along this
10 fault. This is about 39 centimeters of offset. There's a gravel
11 layer, and then it's been offset along a vertical fracture.

12 There are a number of these fractures. When Tom Collins
13 and myself asked Earth Science Associates why they had not noted
14 these in their report, they said that they had interpreted them
15 as landslide features and that they felt that they weren't really
16 significant to have included.

17 It turns out that all these features have the bayward
18 side, in other words the downslope side, up and this isn't typical
19 of landslides. We would expect if it was slipping down the hill
20 that those sides would be getting lower rather than higher. And
21 so Tom and I spent some time looking at these fractures, and we
22 found that some of these fractures were truncated and others
23 went on up to the surface. This is more indicative of faulting
24 than landsliding.

25 Another thing was many of the fractures showed large

1 offset near the base and then progressively smaller offset as
2 you near the surface. This again is more like recurrent faulting
3 than it is landslide features. So we had real questions if these
4 small fractures were associated with the faulting in the area, the
5 large faulting.

6 To give you a feeling for the proximity to the plant,
7 this is just the other side. The previous slide was on this
8 side of the ravine. These fractures appear in this area over
9 here, and you can see the plant directly behind it. In fact, at
10 this point we're 1.1 miles away.

11 Now, the real significance of being so close to the
12 plant is our position geometrically. Excuse the quality of this,
13 but I had no idea I was going to give a presentation today, so I
14 at lunch break ran to my office, grabbed this.

15 This is a model that I was presented in 1975, not this
16 drawing but this model, for the type of faulting we see in this
17 area. And this again, there were workers in this area. For
18 instance, Dr. John Young who is in the Department of Geology at
19 Humboldt State University believed that he had seen this pattern
20 for a number of years. That would mean that in the early '70s
21 he was recognizing this pattern.

22 And what it was was one in which there were major
23 faults that came up and cut through warped or flexed layers, and
24 associated with these faults were a series of small fractures or
25 shear fractures. In fact, that diagram that was not used this

1 morning would be ideally what we would expect to see in this
2 area. Also, we would see other small fractures.

3 What I thought the significance of this model was was
4 that the Bay Entrance Fault or Little Salmon system which dipped
5 under the plant with the plant somewhat in this position --
6 actually the layers appear warped differently at the plant than
7 this; this is just a cartoon drawing more or less -- that there was
8 a problem that those small fractures that Tom Collins and myself
9 were seeing in the ravine were possibly the secondary fractures
10 associated with the main fault. And this was presented to the NRC.
11 This was also in concurrence with people like Ken Lajoie of the
12 United States Geologic Survey. He presented in an oral presenta-
13 tion at Humboldt State a very similar diagram; that is, major
14 reverse faults coming up, warping layers, as the regional picture.

15 This was part of our concern for the possibility of
16 secondary fracturing at the Humboldt Bay plant. One of the things
17 that I think caused complications in actually perceiving this
18 pattern at the plant earlier was that generally as this upper
19 plate moves upward along the fault -- and again, geometrically the
20 plant would be up here -- you tend to get a lot of landsliding in
21 this leading edge, because with the fault movement this leading
22 edge actually comes out in the front and would cave off, so you
23 tend to get debris in the front. And it admittedly makes it hard
24 to tell.

25 So I would like to review, if I can go back to a slide,

1 what in 1976 I perceived as the situation here. One was that there
2 was major faulting, perhaps the Little Salmon, the Bay Entrance
3 Fault being one and the same or two faults, but a major fault
4 that dipped under the plant; that the small, secondary faulting
5 or fracturing that we saw here was associated with this faulting;
6 and that there was a potential in this whole upper plate of that
7 type of pattern.

8 We also had found this same type of faulting in the Table
9 Bluff area. We had seen offsets in the bedrock which assured us
10 that it was not landsliding in Table Bluff. There was very
11 similar fracture patterns, but even more like those up there in
12 the quarry.

13 The Earth Science Associates interpreted these as land-
14 slide features. We did not have another area at that time to say
15 well, this looks more like tectonic features than landslide
16 features; and so this area did not get as intensive coverage as
17 this one did at the time when we'd do field trips with the NRC
18 and the USGS and PG&E consultants.

19 However, since the closedown we have an exposure that
20 was presented this morning in Trinidad which shows a pattern
21 very similar to the one that's posted behind you, and that's
22 nearly identical to the pattern we see in this quarry.

23 Today's the first day I saw the log trench from the
24 McKinleyville airport. It's exactly what we would have expected,
25 a series of these sheer fractures, small faults associated with

1 larger, reverse faults. And so a pattern that we felt was there
2 I have seen be more and more confirmed throughout the years since
3 the closure of the plant.

4 And so what I'm saying in terms of these major faults,
5 the secondary faulting, that was critical at the time, and I feel
6 that that's even more confirmed at this point.

7 By 1976, Terra Corporation, and this was the work of
8 Dr. Stewart Smith who's at Washington University, had demonstrated
9 that there was a plate at about 18 kilometers below the plant.
10 We discussed this again with the USCS, other consultants, and the
11 NRC.

12 Stu Smith felt that the plant would need to be designed
13 for a 6 magnitude, 6.1 magnitude earthquake directly below it at
14 18 kilometers on this plate. In those discussions there was
15 quite a diverse opinion, and the range was more between 6 and 7.5.
16 Such people as Dr. Ben Page, Dr. George Thompson, Dr. Maxwell,
17 other people felt that perhaps that was unreasonably low for the
18 magnitude earthquake.

19 So in '76 we thought what would happen is we would
20 proceed on and define a better approximation, because there was
21 a real diverse opinion; and we didn't feel that it would take that
22 long to do that.

23 So we had a plate under the plant at 18 kilometers
24 capable of producing earthquakes, magnitude 6 to 7.5 depending
25 on, you know, who you talked to. We had major faults that we knew

1 were dipping back under the plant. We had expression of secondary
2 surface features. We also knew of an existence of a lineament
3 coming up this valley and projecting to what was the North Spit
4 Fault. We had information that there was fault activity along
5 Table Bluff to the south of the plant.

6 Now, based on this, at that time I felt there was a real
7 hazard. I felt that the Bay Entrance Fault was definitely capable.
8 Part of the contention there was the age of these sediments, and
9 I agree totally with the ages that were presented this morning,
10 that this ranges between a few tens of thousands of years to
11 several hundred thousand years. But we did have information by
12 Way Miller, Kennedy and Lajoie in 1976 that the closure had
13 dated these with a maximum of no more than 280,000 years.

14 Earth Science Associates said there was an offset of
15 480 feet out here, which definitely makes it capable, if you're
16 talking about something less than 500,000 years with that much
17 offset. It was only a couple thousand feet from the plant.

18 At the time of the closure the United States Geologic
19 Survey released offshore data showing that there was fault disrup-
20 tion of the ocean floor, which even more confirmed that this fault
21 was active and capable. Since that time there has been more off-
22 shore data, in part in response to the oil well leasing that is
23 now proposed offshore of Humboldt. In the 1979 Bureau of Land
24 Management map it shows active faulting offshore from the Bay
25 Entrance and also from Table Bluff.

1 So what I have seen since 1976, the pattern that we were
2 perceiving, that Robert Morris presents in his status report to
3 the NRC, what many of us at the time the PG&E consultants weren't
4 in agreement, but what I have seen proceeding that is not a new
5 model coming up but confirmation of that model. And I perceived
6 this as a hazard at the time, and consequently, since I've seen
7 more confirmation of the model that the plant was closed on, I
8 feel that there still exists a real hazard.

9 And I can't really talk about what was presented earlier
10 about the hazard to the core or to the spent fuel rods, because
11 that's outside my area of expertise. But there is a hazard that
12 I'd like to speak to, and that's one that was recognized at Three
13 Mile Island, and that was just the stress and anxiety of the
14 community.

15 A study out of the Psychology Department at the Uni-
16 versity of Pittsburgh shows that stress and anxiety was a real
17 problem in the Three Mile Island community.

18 And I think the studies have proceeded now for a number
19 of years; in fact, unusually long for a geologic investigation.
20 That is, I know that Woodward and Clyde has done larger investiga-
21 tions in approximately half the time. I can be corrected if that's
22 not correct, but, for instance, the Auburn Dam investigation.
23 This investigation started really vigorously in 1972, and what
24 I was hearing this morning is that we're just starting it; but
25 that's like eight years, and I think that's an unreasonably long

1 time for such an investigation. Other investigations have been
2 completed in a much shorter time. And I think such long delays
3 causes anxiety in a community that wonders is it safe, isn't it
4 safe, and will it reopen.

5 I'll turn over this unless there are questions from any-
6 one.

7 MS. BROWN: I would just like to ask one question.

8 Adam, as far as you could tell from the presentation
9 today -- and I know you haven't had the opportunity to review any
10 of the data that's been collected -- do you see any change in the
11 information that was available in 1977, other than confirmation
12 of the fact that the problem exists?

13 MR. HONEA: Well, let me say this. The way the study
14 was presented today was what a lot of us couldn't understand why
15 wasn't that done all along, since '72. So I have no complaints
16 about the technique presented today; that is, the techniques that
17 Mr. Cluff presented I feel were very applicable.

18 The problem I have is on the time scale at this point
19 and on scheduling; that is, it's not like Woodward and Clyde just
20 walked in brand-new to a project. This project had, gosh, you
21 know, five years of intensive, intensive study before they came
22 on to the scene; and it seems like the scheduling is off to me;
23 that is, that we're not at the beginning of a project. We knew
24 quite a bit back on 1976. The NRC felt it did. Its consultants
25 felt they did. I feel that other geologists did.

1 And so from what I saw this morning it was a confirmation
2 of that, and perhaps, you know, some of the work was much more
3 appropriate. For instance, we wanted to put trenches where they
4 finally put trenches back in '76, you know.

5 MS. BROWN: As far as you know, are they discovering
6 anything that you did not already know in 1977 or suspect?

7 MR. HONEA: You know, I don't know what their data is.
8 I mean, I didn't know any of this data, but it's what I would have
9 expected from what I saw this morning; but we only saw a glimpse
10 this morning. But it's what I would have expected from the model
11 that I felt that people were entertaining in 1976.

12 MS. BROWN: Okay. The other comment that I would like
13 to make on the data that Woodward-Clyde presented today was the
14 fact that it interested me, and I hope the Board noticed this,
15 that the Nicaragua study where they were helping Managua rebuild
16 a city took Woodward-Clyde two and a half years. The Wasatch
17 study that involved 180 miles, 370 kilometers, evaluating both
18 sides of a fault line, took five years. The Auburn Dam, which
19 was a tremendous project, tremendous number of manpower, tremendous
20 number of man-hours, took five years.

21 And I also would like the Board to take notice that
22 we're talking here -- at least reference has been made by PG&E's
23 counsel and Woodward-Clyde that we're only in phase one, with
24 no indication of how many more phases we have left to proceed on.

25 My information indicates that there is still a potential

1 radioactive air release as a result of the storage of materials
2 at the plant. I also have information that indicates that if
3 there is a major breach of the entire vessel that you are looking
4 at materials, radioactive materials, eventually going into the
5 tablewater or out into the bay. That is going to affect a major
6 industry around this area, and that is the fishing industry.

7 Next and probably very, very important is the fact
8 that this area is what is considered one of the most beautiful
9 scenic and recreational areas of the world. The impact of this
10 plant and the impact that the public is aware that there is a
11 question as to its seismic siting appropriateness is affecting
12 the influx of tourists, the question of whether they want to
13 attend school here. And it does have an emotional effect on the
14 community. It's already been alluded to in your Three Mile Island
15 studies.

16 One of the other interveners who is a council repre-
17 sentative from the city of Arcata would like to give you a brief
18 idea as to how concerned his community is. He is also an inter-
19 vener, and his name is Wesley Chesbro; and I would ask him to make
20 his statement at this time.

21 CHAIRMAN LAZO: Before doing that, the Board does want
22 to thank Dr. Honea for his presentation.

23 Very well, Mr. Chesbro.

24 MR. CHESBRO: I have some material I'd like to submit
25 for the record.

1 CHAIRMAN LAZO: Do you have copies for all of the parties?

2 MR. CHESBRO: Well, I have four copies of the complete
3 package. I could give one to you.

4 MS. BROWN: I can make copies available.

5 CHAIRMAN LAZO: That's fine. Why don't you be sure that
6 licensees have one and the staff has one.

7 MR. CHESBRO: Well, what I would like to do is read from
8 my original, and then I'll give it to him. It's the attachments
9 that I don't have many copies of.

10 MS. BROWN: I should make it clear that Mr. Chesbro is
11 appearing not only on behalf of himself as an individual intervener;
12 he's also been asked by the city of Arcata to speak for the city
13 of Arcata in this matter.

14 CHAIRMAN LAZO: Well, I'm not just sure what procedure
15 we're getting into now. Is this to be a technical presentation?

16 MR. CHESBRO: It's an expression of concern about the
17 technical data that has been presented. It's to illustrate that
18 there is substantial local public concern about this information.

19 CHAIRMAN LAZO: Well, Mrs. Brown, could you not present
20 this as attorney for the interveners? I really don't want to open
21 this proceeding up to limited appearances.

22 MS. BROWN: As I indicated, I'm not asking that he be
23 allowed to speak as a member of the public. I'm asking him to
24 be allowed to speak as an intervener.

25 CHAIRMAN LAZO: Well, he's represented by counsel in this

1 proceeding.

2 MS. BROWN: Unfortunately, counsel across this table
3 does not live in Humboldt County, and I cannot speak for the
4 psychological impact that is occurring on the people that live
5 here. I cannot speak to the effect that the plant has had on
6 business in this area, but I know for a fact it has had an effect.

7 CHAIRMAN LAZO: Well, you've made that --

8 MS. BROWN: And what I would ask is that an expert on
9 those issues be allowed to speak on how it's affecting the public
10 health and safety in this area.

11 (Pause.)

12 MR. CHESBRO: Mr. Chairman?

13 (Pause.)

14 MR. CHESBRO: Mr. Chairman, I might mention that in the
15 notice that was sent out, I as an intervener didn't note anywhere
16 that there was a restriction that I had to be exclusively repre-
17 sented by counsel as an intervener. I had the impression that
18 I was a party to this proceeding as an individual and would have
19 the right to comment on the case.

20 CHAIRMAN LAZO: Well, our rules of practice do require,
21 Mr. Chesbro, that parties be represented by counsel unless it
22 is a pro se intervener who is not himself or herself a lawyer.
23 If an intervener or an intervening group simply does not have
24 counsel, we do, of course, permit a spokesperson to direct the
25 examination and make the presentation. But as long as you're

1 represented by counsel, we really should have your counsel speak
2 for you.

3 I think we are willing to make an exception here today,
4 and we're anxious to hear your presentation; but this will be a
5 single exception.

6 MR. CHESBRO: Thank you very much.

7 MS. BROWN: Thank you very much.

8 MR. NORTON: Excuse me, Mr. Lazo. May we be heard for
9 a moment?

10 CHAIRMAN LAZO: I beg your pardon.

11 MR. NORTON: May we address the Board?

12 CHAIRMAN LAZO: Yes, you may.

13 MR. NORTON: The representations made by counsel that
14 Mr. Chesbro, I guess is the name, is an expert on psychological
15 impacts of nuclear power plants on the populace, may we have a
16 little foundation from counsel as to the expertise of Mr. Chesbro,
17 as long as that allegation is being made by his counsel?

18 MS. BROWN: Chairman Lazo, I don't think I claimed that
19 he was an expert on the psychological impact of nuclear siting.
20 I did say that he as a representative of the community can at
21 least give the Board an idea of what kind of impact the city of
22 Arcata for whom he has been authorized to speak has experienced
23 as a result of the siting of this plant. And that is what I am
24 asking him to speak to and the basis for his presentation.

25 MR. NORTON: Then, Mr. Chairman, I take it that Ms. Brown,

1 who is apparently entering into discourse with me, although I'm
2 trying to conduct inquiries to the Board, I take it Ms. Brown is
3 responding to my request of the Board to establish the expertise
4 of this witness that she is willing to stipulate he is not an
5 expert and is just giving his personal opinion.

6 CHAIRMAN LAZO: I think that's understood.

7 MS. BROWN: He's giving his personal opinion both as
8 an individual and as a designated representative from the city of
9 Arcata.

10 CHAIRMAN LAZO: Agreed?

11 MR. NORTON: Sure.

12 CHAIRMAN LAZO: You're welcome, Mr. Chesbro.

13 MR. CHESBRO: Thank you very much. I'll try to make
14 this brief.

15 I would like to apologize for the formality of it. I
16 understand this is not a formal hearing, but I put it in writing
17 because it is an official representation of city policy of Arcata.

18 CHAIRMAN LAZO: We appreciate that.

19 MR. CHESBRO: As indicated in Attachment A, I was
20 originally entered into this case in the summer of 1976 as an
21 individual City Council member, and I had no sanction at that time
22 of the City Council to represent the official city policy. I was
23 expressing my own concern as one elected official for the public
24 health and safety of my community.

25 That has now changed, and I would like to request that

1 the Board recognize my presentation as being on behalf of official
2 city policy. This request is made by the Arcata City Council and
3 is enclosed as Attachment B, as a result of the passage on April 8,
4 1980 of Proposition B, the Arcata Safe Energy measure. A copy
5 of the text of that proposition is provided as Attachment C.

6 The vote in favor of Proposition B was 60.3 percent
7 with just 34.9 percent voting against. And I have also included
8 as an attachment those election results. The vote was not
9 unanimous, and there was organized opposition to the measure with
10 the "No on B" campaign being financed primarily by the utility
11 involved here. In all, the vast majority of the financing of
12 the campaign -- and I've included some figures here -- did come
13 from the utility.

14 Under the circumstances, a vote of over 60 percent in
15 favor passing in 11 out of the city's 13 precincts should be
16 considered a fairly strong statement of concern on the part of
17 Arcata's residents about the safety of the plant.

18 In addition to approving Proposition B, the voters
19 elected three Arcata City Council members who had endorsed that
20 measure, measure B, and who also support the permanent closure
21 of the plant. And the City Council vote to authorize me to
22 represent them today on this matter was unanimous.

23 The portion of Proposition B which is most relevant to
24 today's proceedings is the second part which says, "Be it further
25 resolved that the city of Arcata supports complete independence

1 from nuclear power, including the permanent closure of the Humboldt
2 Bay nuclear power plant."

3 There were a number of concerns which prompted Proposition
4 B and brought about its successful passage. First and foremost of
5 these is concern over the seismic activity in this area, which
6 you've heard evidence on today; and the fact that the plant was
7 not built to withstand the potential earthquakes at the site.

8 The people of Arcata well remember the earthquake of
9 June 7, 1975 and several lesser quakes since that time. The
10 people of Arcata are concerned that a quake of much greater magni-
11 tude is a great possibility and that a major release of radio-
12 activity could result.

13 Humboldt County is served by a very limited number of
14 transportation routes. You probably didn't have to drive in for
15 this hearing, but if you had you'd know what the problem is. Only
16 three evacuation routes exist for all practical purposes for auto-
17 mobiles: Highway 101 to the south, Highway 101 to the north, and
18 Highway 299 heading east. There's a typo there; it says "west."
19 Heading east.

20 (Laughter.)

21 All three have extensive stretches of narrow, two-lane
22 highway which would be in extremely congested conditions were
23 an evacuation necessary even in the best of highway conditions.
24 But the best of highway conditions are not anywhere near being
25 guaranteed. Every winter in Humboldt County each of those highways

1 is shut for some period of time just as a result of weather
2 conditions.

3 This last winter Highway 101 to the south was closed
4 for several weeks 75 miles south of Eureka with no reasonable
5 alternative route as a result of a massive earthslide that was
6 caused by heavy ground saturation with rainwater.

7 Weather conditions are a serious enough threat to
8 evacuation threats, but we would have to ask the question: what
9 would a major earthquake do to these roads? We are concerned that
10 such a quake would cause major road closures and trap the population
11 of our community in a seriously contaminated area with no avenue
12 of escape from the potential death and illness that would result
13 from a serious nuclear accident.

14 Even with the plant inoperative there remains over
15 30,000 gallons of waste which could spill onto the land, into
16 Humboldt Bay and into the air. This represents a serious threat
17 not only to the health and safety and the sense of well-being of
18 our community, but also to the economy.

19 The following economic hardships would be likely to occur
20 as a result of a serious accident at the plant. First of all,
21 serious damage would be done to our seafood and shellfish industries
22 as a result of radioactive pollution inside the bay and inside the
23 ocean. Secondly, the number of students attending Humboldt State
24 University in Arcata would almost surely drop drastically. Many
25 students attend the university because of its natural resources and

1 ecology emphasis, as well as because of the pristine environment
2 which we enjoy here.

3 The presence of serious radioactive contamination would
4 be a sufficient deterrent for a great number of students. HSU
5 supplies the main source of revenue for Arcata's retail and service
6 economy, and a substantial reduction in the enrollment would be
7 devastating to our community.

8 The third point is that tourists from throughout the
9 world are attracted to Humboldt County for the same reasons that
10 the students are attracted to Humboldt State. The image of
11 environmental quality which they seek would all but be destroyed
12 by a major accident at the Humboldt Bay plant. Tourism, again,
13 is a mainstay of our economy.

14 The fourth point is that much of the new investment
15 capital for business expansion and diversification in Humboldt
16 County is coming from urban residents who wish to move their homes
17 and businesses out of the urban areas to a region with a high over-
18 all quality of life. This type of movement would all but disappear
19 if the area became known for its radioactive contamination.

20 All of these economic problems come into much clearer
21 focus when one considers the state of the existing economy in
22 Humboldt County. We have an unemployment rate which is almost
23 always double the national average, and many times in several
24 years past it has approached 20 percent.

25 The lumber industry is declining because there are

1 fewer trees available, and no one can afford to build a house
2 nowadays. The salmon fishing industry has been drastically cur-
3 tailed by federal regulations, and fewer tourists can afford the
4 gasoline to reach the redwoods.

5 Our economy cannot afford further erosion from any
6 source. The economic disaster of a nuclear accident would turn
7 Arcata into a near ghost town. And I think that is a psychological
8 factor in itself.

9 On the other hand, permanent closure of the plant would
10 create jobs. The other major provision of Proposition B called
11 for "enactment of conscientious energy conservation measures and
12 the accelerated development and active promotion of safe and
13 economic alternative renewable energy resources for our community,"
14 as well as replacing the Humboldt Bay nuclear power plant with --
15 I quote again -- "safe, clean and efficient generating sources
16 more compatible with the resources and health and safety of the
17 north coast, such as conservation, solar power, and generation
18 from wood waste."

19 Permanent closure of the Humboldt Bay plant would free
20 PG&E's ratepayers from continuing to pay for the maintenance work
21 as well as these expensive seismic studies and the other costs
22 of keeping the facility in limbo. These freed financial resources
23 could be channeled into replacing the energy which came from the
24 plant.

25 There are many alternative ways to address the energy

1 problem on the north coast, and Arcata's safe energy measure lists
2 just a few of them. The city is now developing a comprehensive
3 program for conservation, weatherization, solarization, and
4 research into development and planning standards for the sake of
5 energy conservation.

6 This effort is being carried out by a new city board
7 which has been, ironically, named the Arcata Energy Committee with
8 the acronym AEC for short. In addition, several private firms
9 have jointly formed the Humboldt Bay Power Company and are working
10 with state and local agencies to develop an electrical generation
11 plant combining and combusting wastes from our forest industry and
12 our domestic waste in Humboldt County to replace some of the energy
13 which would not be generated from the Humboldt Bay plant.

14 All of these activities are, even in their infancy,
15 stimulating our local economy. They have much greater potential,
16 and if PG&E were to direct greater attention and financial resources
17 to them rather than attempting to reopen this antiquated and
18 unsafe nuclear unit, they would be stimulating our economy as well
19 as solving our energy problems.

20 In summary and conclusion, I would like to state loudly
21 and clearly that it is the official policy of the city of Arcata
22 to support permanent closure of the Humboldt Bay Nuclear Power
23 Plant. The plant was not designed for the potential and probable
24 future seismic activities in this area, and we do not believe that
25 PG&E has been able to effectively demonstrate that the plant can

1 meet your own standards for seismic safety.

2 It is our understanding that under current siting require-
3 ments, seismic evidence would completely prohibit the plant from
4 locating at this site, regardless of what safety systems or con-
5 struction occurred.

6 The health and safety, property rights, psychological
7 and economic well-being of Arcata's citizens are at stake in these
8 proceedings, and we urge the NRC to stop giving in to PG&E's
9 continuous requests for delays and proceed instead with an order
10 to permanently close the Humboldt Bay Nuclear Power Plant.

11 Thank you.

12 CHAIRMAN LAZO: Thank you, Councilman.

13 (Pause.)

14 MR. SCHINK: Ms. Brown, could we go back to a point
15 which you made before Mr. Chesbro spoke?

16 MS. BROWN: Yes.

17 MR. SCHINK: You said that you had information that
18 there was remaining a danger of airborne releases of radioactivity.
19 Are you at liberty to explain the source of your information?

20 MS. BROWN: Not completely. I can expand on what I was
21 told, if you want me to do that.

22 MR. SCHINK: Yes. At least give us some idea of what
23 the source of this information is or the basis for it.

24 MS. BROWN: Okay. It is my understanding that if there
25 is an earthquake along the fault bed I believe PG&E's Woodward-Clyde

1 has admitted is active now -- that's the Bay Entrance Fault -- you
2 could see a seismic potential of somewhere minimally of seven and
3 arguably much higher than that, and in turn, a ground acceleration
4 that could very well breach the containment vessel.

5 If that happens and if there is loss of coolant, you're
6 looking at, as was referred to today, a drying of materials which
7 would in turn be dealing with radioactive material going into the
8 air. The winds are predominantly here from the northwest, though
9 there was a recent balloon study that showed the winds went just
10 about everywhere.

11 You're looking at that being carried. You're certainly
12 looking at a panic. If there is an earthquake and you are dealing
13 with a panic and your evacuation roads are all basically destroyed --
14 they can't even deal with the heavy rains during the winter --
15 you're looking at a Dunkirk, and I wouldn't wish that on these
16 people.

17 There's tremendous fear as a result of a number of things
18 that have been going on, primarily now the activity after Three
19 Mile Island, and the realization that there is a potential for
20 a serious problem. And you now have people that are more aware
21 and in many senses more sensitive to the situation of this siting.

22 Given the potential for the earthquake, the potential
23 for any radioactive release, you're going to have people that
24 are going to want to leave and no way for them to leave. And I
25 feel sorry for the people that have to deal with that panic.

1 MR. SCHINK: Well, you're suggesting then that in the
2 event of an earthquake the containment structure will go, the
3 reactor vessel will go, and radioactivity will be released generat-
4 ing a panic. That seems to contradict what we've heard from the
5 staff and the applicant.

6 Could we go back and ask the staff to comment on that
7 hypothesis?

8 MS. BROWN: I have no problem. I think that even today
9 we heard from either the staff or PG&E that yes, there was some
10 possibility -- I think it was Mr. Weeks -- that there was some
11 possibility that there would be minor releases of the radioactive
12 material as it dried.

13 Is that not the case?

14 MR. NORTON: Mr. Lazo, it seems to me that -- I find
15 it incredible that someone sits there and says that the only
16 problem is psychological fear, and let me scare you to death and
17 instill that fear in you. And that's exactly what the interveners
18 are doing. They're sitting here saying the only problem you're
19 going to have if we wait to get the information to make a decision
20 is the people are going to be afraid; now let me scare them.

21 The testimony of both the staff and the applicant is
22 that there is no danger, or if there were a total loss of coolant,
23 there would be no danger. I think the record is very clear.

24 CHAIRMAN LAZO: Well, we had asked the interveners,
25 joint interveners to comment on their perceived prejudice to their

1 health and safety of a delay, and this is how we got into this
2 matter. I think we are drifting away from our proposed agenda.

3 We've been around once --

4 MR. GOLDBERG: Mr. Chairman?

5 CHAIRMAN LAZO: Yes.

6 MR. GOLDBERG: I'd just like to follow up on this line
7 of questioning. The staff obviously has an interest in assuring
8 the public health and safety. I would say that at least on this
9 given matter I'm in agreement with counsel for the licensee, and
10 I would strongly urge the interveners to bring any information they
11 may have to the attention to the staff that we may evaluate it.

12 I am always unsettled when, you know, we leave a proceed-
13 ing and there are conflicting statements, because I think they do
14 tend to unnecessarily alarm people and perhaps have an adverse
15 effect on the psychological well-being of the community. So I
16 would say that we would be more than willing to make our review
17 of any information we receive public and perform it in a timely
18 manner.

19 MS. BROWN: Well, our whole problem and the reason we're
20 here is that nothing seems to be done with this plant in a timely
21 manner. We didn't move to reopen this plant. We're simply opposing
22 that.

23 And I understand in accordance with your procedures that
24 once an application is made, it is incumbent upon the applicant to
25 go forward with that application for amendment. And all I am seeing

1 is both a waste of time for the Board, for the staff, and in large
2 part for the interveners and the community, because PG&E is obvi-
3 ously still not ready to proceed.

4 I have no trouble if you deny their application at this
5 time and let them reopen at a time when they can proceed. But
6 I do worry because holding the plant, as Mr. Chesbro said, in limbo
7 is satisfying nothing and is causing concern in the community. And
8 I'm not trying to exaggerate or instill fear. I'm trying to repre-
9 sent the input I've had from the community that is already there.

10 They're the ones that experience the closure of their
11 roads every year, not the counsel from San Francisco. They're the
12 ones that experience the isolation, and they're the ones that are
13 experiencing the fear.

14 And I think what I would like to see come out of at
15 least this hearing is either evidence that we're going to be pro-
16 ceeding or evidence that we're not.

17 CHAIRMAN LAZO: Well, counselor, that's why we're here.

18 MR. CHESBRO: Mr. Chairman, there was also, I think,
19 included in my statement -- I'd just like for a moment to go back
20 to the fact that the uncertainty also holds back and restrains the
21 development of alternative energy sources for the community. I
22 think that's very important, because there is an uncertainty as to
23 what our energy supply is going to be in this area, of no decision
24 and just holding it in limbo.

25 And I think if the plant were permanently shut down, it

1 would be clear that PG&E and the community would have to proceed
2 with alternative sources of energy. We're pushing in that direction
3 anyway, but I think the emphasis would come from a final decision.

4 MR. SCHINK: I'm considering at least the possibility
5 that we should try to move forward with considerable dispatch on
6 resolving this disagreement in fact between the interveners, on
7 the one hand, and the staff and the applicant on the other as to
8 whether there is a real danger to the population in this area
9 posed by the potential radioactive release from this plant in its
10 present condition.

11 It seems to me that this is a disagreement in fact which
12 might be resolved by an evidentiary hearing, and if the interveners
13 are correct, why, then, there is a much more obvious demand for
14 prompt action on everybody's part than there would be if in fact
15 the interveners proved to be incorrect.

16 MR. NORTON: May we respond to that, please?

17 CHAIRMAN LAZO: Surely.

18 MR. NORTON: I would agree with you if indeed there was
19 a disagreement in fact, but I don't think there is. I think there's
20 only one fact, and I haven't heard any facts to the contrary.

21 MR. SCHINK: You have heard a disagreement.

22 MR. NORTON: Yes, but not in fact, only supposition;
23 and that's the scare tactic that bothers me. If there were someone
24 here citing some facts other than someone here citing some supposi-
25 tion to scare people, I would be concerned; but the fact of the

1 matter is that competent testimony, the only testimony, is that
2 there is no danger -- not only the competent but the only testimony.

3 CHAIRMAN LAZO: Well, I think --

4 MS. BROWN: I'm sorry. There was no qualifying of experts,
5 so I don't know what any of the background of people that testified
6 or made statements today was. But Dr. Honea can provide perhaps
7 more information and facts as to what formed the basis for my
8 disagreement.

9 MR. NORTON: I don't think a geologist is one to be
10 testifying about radioactive releases. He can certainly testify
11 about geology, and that's not what we're talking about. We're
12 talking about if the fuel were exposed that is presently there.

13 MR. HONEA: That's not what I was going to testify about.
14 I was going to give one of the sources for the information.

15 MR. SCHINK: If I may return to my statement, I would
16 reiterate that I believe we have a disagreement over the facts,
17 if you prefer; and I would assume that the applicant would be happy
18 to see that disagreement resolved on the record. And it seems to
19 me that the community might also be happy to see that disagreement
20 resolved.

21 CHAIRMAN LAZO: It's getting on toward 4:00. Let's take
22 a 15-minute recess, please.

23 (Brief recess.)

24 CHAIRMAN LAZO: Would the prehearing conference come to
25 order, please?

1 MR. LINENBERGER: Mr. Brand -- and do I have the name
2 correctly now, B-r-a-n-d? Thank you.

3 You have sat here very patiently through a lot of give
4 and take today, and we appreciate that patience and forbearance
5 on your part. It was with some calculated forethought on our part
6 that we held back some of our questions to you until we had had
7 an opportunity to hear some of the things that we have heard. But
8 now just a few questions to you, sir.

9 First off, are you in a position to just make a summary
10 statement as to PG&E's management interest in the restart of the
11 Humboldt facility; and if you are in such a position would you
12 make such a summary statement?

13 MR. BRAND: Yes, I am. Let me preface that by saying
14 that we, PG&E, together with our consultants are pleased to be
15 here in Eureka today and to be discussing the matter before this
16 prehearing conference board.

17 Our geologic and seismic investigatory program is very
18 expansive and, as you have heard today, is an evolving program.
19 We think it is an impressive one and will hopefully lead to a
20 positive conclusion.

21 We have a most sizable investment here in Eureka in our
22 generating station, particularly our nuclear unit. We are most
23 interested in seeing that unit returned to service. We are pre-
24 pared to do that only when the necessary investigations have gone
25 forward to show to those concerned that it is a safe generating

1 station and that we are committed to maintain it in that fashion.

2 We believe that it has been operated thus far in that
3 fashion and are eager to return it to that state.

4 (Pause.)

5 That would be the end of any lead-in I might say, anti-
6 cipating another question or two from you.

7 MR. LINENBERGER: Incidentally, do I understand correctly
8 that your position is Vice President for Engineering?

9 MR. BRAND: Yes, sir.

10 MR. LINENBERGER: Now, is that a position in which you
11 have direct line authority with respect to the Humboldt Bay
12 activity?

13 MR. BRAND: With respect to the design adequacy of that
14 facility, that is correct.

15 MR. LINENBERGER: Design adequacy.

16 MR. BRAND: Yes, sir.

17 MR. LINENBERGER: In your position as Vice President of
18 Engineering would you have no line responsibility for the plant
19 if and when it returned to operation?

20 MR. BRAND: With regard to the operation of the unit, no,
21 I would not have a direct line responsibility for that.

22 MR. LINENBERGER: Right. Now, you were looking to
23 Woodward-Clyde Consultants to provide you with information that
24 will put you in a position to defend the adequacy of the site and
25 the plant design in the face of seismic and geologic considerations.

1 For reasons which I think Mr. Cluff has talked about
2 earlier, Woodward-Clyde has so far not been able to deliver to you
3 the kind of package that would let you do that to this point in
4 time.

5 The information that the Board has so far is that
6 Woodward-Clyde anticipates being in such a position perhaps by
7 October of this year, but with the caveat indeed that one knows
8 not what further investigations might turn up, and so 1 October
9 cannot be a firm, fixed date at this time, as we understand it.

10 Is that also your understanding?

11 MR. BRAND: Obviously we have been in frequent communica-
12 tion with Woodward-Clyde through the course of their entire
13 investigation. We have not seen the completed report as yet.
14 We are not aware of the analyses that will be included in that
15 report. However, to date we know of no negative findings that
16 would preclude our moving forward in the hearing process. And
17 as we see the report's progress to date, we are still expectant
18 to see the report from Woodward-Clyde in September, and presuming
19 that their final analysis is as we have been led to believe it
20 may be tending, yes, we'll be coming back to this Board and asking
21 for the hearing process to continue.

22 MR. LINENBERGER: All right, sir. Now, the facts of
23 business life being what they are or what I perceive them to be,
24 I would presume that PG&E management is engaged in some sort of
25 cost versus earnings potential evaluation or tradeoff comparison

1 here with respect to Humboldt Bay, and by that I mean in rather
2 crude terms that if the Woodward-Clyde report that you receive in
3 September says gee, there's still nothing negative, but there's
4 still a lot left that we now know should be further investigated,
5 and we need five more years to do it, it would appear to me that
6 that might raise some questions of rather agonizing appraisal on
7 the part of PG&E management. If they said ten more years to do
8 it, I think the appraisal might not be so agonizing, but the
9 answer might be a little more obvious. If they said one more
10 year to do it, well, I don't know.

11 Now, you see where I'm leading you here, and believe me,
12 I'm not trying to get into management's business per se at this
13 point; but are you in a position to comment about, well, just
14 how far might you be willing to let this kind of situation ride on
15 before business prudence calls a halt?

16 And I don't expect a precise answer there, just kind of
17 what your thinking is in this.

18 MR. BRAND: Thank you, because I cannot supply you with
19 a precise answer. Of course, over the years we have continued
20 to do a series of cost-benefit analyses, should we call them that,
21 and to date they have strongly suggested our moving forward with
22 our Humboldt facility.

23 The results of the Woodward-Clyde report will really be
24 addressing the subject of the potential for resolving the technical
25 questions. We expect that the report will suggest that there is

1 that potential. To date we have no information from Woodward-Clyde
2 to suggest a very long, protracted continuation of the field
3 investigatory program.

4 In terms of how long we might continue to deliberate
5 that, I would not be able to speculate today. I would certainly
6 say with regard to the energy supplies that now exist in
7 California and their continued depletion, together with the
8 continued spiral in the OPEC price of oil, as the oil price goes
9 up, there is certainly additional support to our moving forward
10 with the continuation of the program. At the same time, that
11 does not mean that we would not be able to make finally the business
12 judgment decision appropriate if Woodward-Clyde or anyone else
13 presented to us that there would be little potential of ever
14 resolving the technical situation.

15 MR. LINENBERGER: From a slightly different side of the
16 problem, I have the impression that the current status of things
17 with respect to Humboldt Bay at this point in time right now is
18 not very much or has not been very much influenced by the aftermath
19 of the Three Mile Island event.

20 And first things first, it would be logical that you
21 would want to resolve the question of site suitability and
22 facility design suitability, if you will. On the other hand, you
23 must be well aware that many utilities not having the problem that
24 Humboldt Bay currently has on the seismology issue, many utilities
25 do have many problems stemming from Three Mile Island.

1 So where I'm going here is, to what extent have you
2 looked at what kind of impact Three Mile Island is going to have
3 on your readiness to go back into operation, separate and apart
4 from the seismology-geology questions?

5 MR. BRAND: We, of course, are actively involved in
6 applying those lessons learned from TMI to a backfit of our Diablo
7 Canyon facility. Many of those lessons, shall we say, would have
8 a direct application here at Humboldt in terms of many of the,
9 shall we say, administrative changes that are moving forward within
10 our organization. Those would be directly applicable to Humboldt
11 as well, such as focusing of responsibility for the operation of
12 the unit.

13 With regard to Humboldt site specific issues coming out
14 of TMI, we obviously have deferred that subject in large measure
15 until we see the direction coming out of our geologic and seismic
16 investigations.

17 I would say that we have this spring commissioned a
18 consultant study to be looking at the Humboldt situation and
19 addressing the subject of the types of changes that would be
20 necessary in this plant as a result of TMI.

21 The results of that initial work will be to us late this
22 year, I expect.

23 MR. LINENBERGER: So if I understand you correctly,
24 you're kind of concurrently carrying on an investigation of the
25 TMI-2 impact on the Humboldt Bay facility.

1 MR. BRAND: Yes, but certainly not in any order of
2 magnitude comparable with that that we're giving attention to the
3 geologic and seismic issues.

4 MR. LINENBERGER: Well, lesser order of magnitude, now,
5 does that statement reflect that in the judgment of PG&E manage-
6 ment the TMI lessons learned impact is not likely to be of very
7 great magnitude, that it's something you'll be able to accommodate
8 to?

9 I don't mean that you're de-emphasizing it; I mean it's
10 of lesser import or impact in terms of time, in terms of costs
11 to accommodate?

12 MR. BRAND: No, not at all. What I am saying is that
13 we have only this year begun to apply the lessons learned to TMI.
14 We're still moderately early in that investigation and don't intend
15 to complete any design modifications coming out of the TMI backfit
16 until we see our way reasonably to a successful conclusion of the
17 geologic and seismic matters.

18 MR. LINENBERGER: Well, for the moment then let's assume
19 that the Woodward-Clyde package that's handed you in September
20 contains everything you need to see your way through to a success-
21 ful conclusion of the seismology and geology questions. Do you
22 then see a significant additional delay coming along while you
23 address yourself to and retrofit, change or whatever the Humboldt
24 Bay facility because of TMI matters?

25 MR. BRAND: I would not want to answer that directly,

1 because our course forward on the Humboldt facility can take any
2 one of a number of different routes. I would say that before we
3 move forward with any specific design, we need to get a good deal
4 more information coming out of our geologic work that can be
5 factored into this design consideration, such as magnitude of
6 safety, SSE, that would have a direct application to any subsequent
7 design.

8 Presuming that we request to move forward with hearings
9 on the geologic work, we would intensify, I think I would be
10 fair in characterizing, our design activity to see where -- so
11 that hopefully after we have resolved the geologic concerns, we
12 can address directly and be in a position of addressing directly
13 the remaining concerns, TMI or what have you, to move forward with
14 initial operation of the unit, or continued operation.

15 MR. LINENBERGER: I'm sure you're well aware that one
16 of the more interesting and in some cases troublesome aftermaths
17 of TMI concerns changes in NRC policy with respect to emergency
18 planning and evacuation and related matters.

19 Is that an area that you are currently giving thought
20 to with respect to Humboldt Bay?

21 MR. BRAND: Of course we're giving thought to that. At
22 the same time, the whole area of emergency planning coming out of
23 the TMI experience is a moving target. While we're following that
24 and we're in an activity of addressing that immediately to our
25 Diablo Canyon facility. We will be addressing that to Humboldt

1 at a later time.

2 We believe that our present emergency planning is ade-
3 quate for our Humboldt facility as it exists in its safe shutdown
4 condition.

5 (Pause.)

6 MR. LINENBERGER: Have you looked at the question of --
7 you personally -- looked at the question of whether the Woodward-
8 Clyde activity is being pursued at an adequate manpower level for
9 your purposes? There are some investigations that ten men will
10 bring to an end no sooner than one man can; there are some investi-
11 gations for which ten men will bring to an end ten times quicker
12 than one man can.

13 Is this kind of appraisal something that you have looked
14 at?

15 MR. BRAND: I personally have not looked at that, to
16 give you a --

17 MR. LINENBERGER: Do you think your management has?

18 MR. BRAND: Oh, yes, our management has. At the same
19 time, I personally have some compassion with the difficulty caused
20 by a program like this in the field. I've been personally involved
21 in these types of programs in the past, and I can understand why
22 they become protracted. Certainly our corporate management is
23 following this program closely and has directed Woodward-Clyde
24 to complete the program in a logical and reasonable series of
25 activities.

1 I don't know what more I can say on the subject.

2 MR. LINENBERGER: Well, I'll offer you the opportunity
3 to say one more thing. Do you consider that the level of effort
4 on the part of Woodward-Clyde is a prudent one in the context of
5 the technical problems that are being faced, or are you free to
6 speak to whether there might be funding constraints that are
7 preventing the effort from moving as expeditiously as it might,
8 the Woodward-Clyde effort?

9 MR. BRAND: There are no funding restraints, at least
10 from our standpoint or suggesting to Woodward-Clyde that they
11 move more slowly. No, there aren't at all. We have continued to
12 recommend to Woodward-Clyde that they complete this program as
13 expeditiously as they can, and at the same time the investigation
14 is theirs; we wish it to be an objective one and one not directed
15 by PG&E. And we wish that they have the information that they
16 need so that they can in all assuredness make their recommendations
17 to us at the appropriate time.

18 These programs are very hard to schedule. At the same
19 time I would say in this area there has been a great deal of field
20 investigation on property owned by others than PG&E, and I would
21 say that we would have excellent response from those local property
22 owners here who have cooperated with us and have been patient with
23 us as we're working in their property to resolve this situation.

24 CHAIRMAN LAZO: Mr. Brand, I'd just like to ask a follow-
25 up question to Mr. Linenberger's question to you regarding the

1 level of effort of the Woodward-Clyde investigation, and I think
2 you stated that you personally had not looked at it.

3 As I am sure you are aware, the Licensing Board had
4 directed the licensee to make regular status reports on geologic
5 and seismologic investigations, their first order of June 7, 1979
6 and a subsequent order of June 19th.

7 Since that time we have received progress reports which
8 simply are copies of reports which have been sent by Woodward and
9 Clyde to Mr. Frank Brady of your staff. There's been developing,
10 in my opinion, an indication that there may be some delay in
11 this work.

12 The first report that really was very helpful was the
13 one of September 17th, 1979 which reported on the two months of
14 July and August. And at that time we were advised that the scope
15 of the work had been prepared and that the intensive investigations
16 were to begin in September.

17 The next report of November 19, 1979 reports on the
18 progress during September and October 1979, but states that some
19 activities are behind schedule; for example, the dating of the
20 Hookton formation has been postponed. That was to have been
21 completed by December.

22 January 21, 1980, reporting on progress during November
23 and December notes that the effort on field studies had been
24 reduced. The studies postponed were the studies of the Hydesville
25 area, the age dating of the Hookton formation, new borings south

1 of Fields Landing, work on assessing fault formation and propaga-
2 tion, and installation of free field strong motion accelerometers
3 at the site -- all postponed.

4 Again, in March of 1980, reporting on progress for
5 January and February, it appeared that this had been a busy period,
6 but again the schedule had slipped. Items postponed again were
7 the age dating of the Hookton formation, installation of the free
8 field strong motion accelerometers, identification of faults at
9 the North Spit of Humboldt Bay and in the Elk River Valley, and
10 the deep drilling south of Fields Landing, and again, studies of
11 fault formation and propagation.

12 The last report we received is dated May 19, 1980, and
13 it notes that the age dating of the Hookton formation and the deep
14 drilling south of Fields Landing is scheduled to begin during the
15 next reporting period, May-June.

16 But I don't know whether it was a wet winter or spring
17 or whether the work is progressing at as fast a rate as it might
18 be.

19 MR. BRAND: You've raised a number of subjects. Would
20 you allow us a moment before I respond?

21 CHAIRMAN LAZO: Surely.

22 MR. BRAND: Mr. Chairman, may I put our consultant on
23 the hot seat to respond to this?

24 CHAIRMAN LAZO: Surely.

25 MR. NORTON: I think in addition to Mr. Cluff responding,

1 we ought to have the Project Manager for Woodward-Clyde Consultants
2 respond to the question also. As to the details that you have
3 pointed out, for example, the age dating of the Hookton formation,
4 I happen to know the answer to that one myself.

5 CHAIRMAN LAZO: Why don't you take a moment and just
6 talk about it? I see --

7 MS. BROWN: I have an additional question --

8 CHAIRMAN LAZO: Ms. Brown, yes.

9 MS. BROWN: -- That would fit right in here.

10 Would it be possible for Woodward-Clyde to provide us
11 with an analysis of the men that were available and what they did --
12 certainly, at least from the period, the reporting period, up to
13 the present date. In other words, how many men they actually had
14 in the field, how many hours you spent?

15 CHAIRMAN LAZO: Well, let's get a response to the
16 Board's question.

17 CHAIRMAN LAZO: Dr. Cluff, would you introduce --

18 MR. CLUFF: Yes. This is Dr. Patwardhan who is the
19 Project Manager working directly with me.

20 CHAIRMAN LAZO: I'm sorry. The acoustics are so bad.
21 Spell --

22 MR. CLUFF: Okay. Dr. Ashok, A-s-h-o-k -- that's his
23 first name -- Patwardhan is his last name, P-a-t-w-a-r-d-h-a-n.

24 CHAIRMAN LAZO: And his title or position?

25 MR. CLUFF: His position is an associate, senior

1 associate with Woodward-Clyde and Project Manager of the Humboldt
2 Bay power project.

3 CHAIRMAN LAZO: Thank you, Doctor.

4 MR. CLUFF: I'm the director of the project.

5 You've asked a lot of questions. Let me, I think, focus
6 conceptually one or two, and Dr. Patwardhan might respond to some
7 of the others also.

8 As we mentioned earlier or as I mentioned earlier, the
9 program is an evolutionary one in which we feel and strongly
10 recommended to PG&E be one of a stepwise, efficient operation to
11 gather the information in a manner that was not wasteful in terms
12 of man effort or resources in money and so forth and tied to the
13 field operations.

14 And let me just pick drilling as one aspect. One could
15 drill many tens of thousands of feet of borings without having a
16 proper target to shoot for and show a tremendous amount of borings
17 without very useful results being obtained. And so it's one of
18 continually assessing the program to make sure that when we do
19 pick a drilling site or a trenching site that it is appropriate
20 and will achieve maximum information; and so often we do defer or
21 delay, depending upon what we're finding in some other aspects of
22 the project -- and we haven't chosen to go into all of the details
23 in our report in the ones that you have received.

24 And I'm sure that's not a complete answer for all of the
25 aspects that you see there, but I know that has been a direct one

1 that I personally participated in in making some judgments about
2 the ongoing work.

3 Dr. Patwardhan might want to comment on some of those
4 directly.

5 MR. PATWARDHAN: I think conceptually I don't have
6 anything new to add over and above what Lloyd has said. By way
7 of detail, let me point out that the primary purpose of many of
8 these borings was threefold: a) to get a better idea of the loca-
9 tion and geometry of some of the faults in the site vicinity; b)
10 understanding and correlating stratigraphic and other relationships
11 with respect to the various strata that one might encounter; and
12 c) provide information that helps us either improve the overall
13 regional tectonic picture or improve the calibration model that
14 Lloyd talked about.

15 The planning for these borings as to their location,
16 their proposed depth, or even the need for them is interlinked with
17 the results as they may come out from other investigations. So it
18 is not an independent process. For instance, if the information
19 that one is seeking regarding the geometry of the faults in the
20 plant site becomes available from other data that have been develop-
21 ed, then drilling these borings does not add substantially to our
22 knowledge.

23 If the information available from other sources, such as
24 geophysics, does not suggest the possible presence of faults which
25 we would have further drilled to get more information on, then the

1 question of drilling would only be of marginal interest.

2 So basically the issue is one of optimizing the benefits
3 that could accrue from carrying out any specific activity. I
4 may point out that the program as outlined included a number of
5 items that may be considered, depending upon the outcome of whatever
6 preceded that. It was not intended that every item listed there
7 was necessary or would have to be carried out; and in that regard
8 you may see that certain items -- as I said, I don't have the list
9 in front of me -- but many of these items were either postponed
10 or not carried out in view of the determination that the informa-
11 tion that they would have provided was generally available from
12 whatever was done preceding that.

13 CHAIRMAN LAZO: Dr. Patwardhan, thank you.

14 I suppose part of the problem has been -- well, apart
15 from the fact that I know virtually nothing about geologic and
16 seismologic investigations -- is the title of the documents or
17 the indication that they are indeed progress reports. And I think
18 that's part of the reason why we determined to have this hearing
19 conference.

20 It appeared from the early spring reports that it was
21 difficult to tell whether indeed progress was being made. And
22 then we hear from the NRC staff that because of budget restraints
23 they're probably not going to be able to do anything on the studies
24 until the end of the fiscal year. The interveners tell us two
25 things: one, that it's unsafe to leave that plant sitting there

1 on what they allege to be a fault underneath it; at the same
2 time, counsel for the interveners indicates that they're prepared
3 to wait until next summer or late summer to have a hearing. I
4 don't know how we're going to resolve all these problems, but
5 it's clear that you or Woodward-Clyde is unable to say we'll have
6 everything we need to know in hand by a fixed date. You've been
7 unable to tell us that.

8 MR. CLUFF: Could I respond to that? I want to make
9 sure -- we've talked about this, but I want to re-emphasize the
10 point on the subtle difference but nevertheless a very important
11 difference between the potential for resolving the technical issues
12 and absolutely resolving the technical issues.

13 And our assignment all along in our discussions with the
14 USGS and NRC has been very clearly understood in writing and in
15 discussions that that was what our independent task was about,
16 was to look at that potential.

17 Now, our --

18 CHAIRMAN LAZO: You can't make any promises.

19 MR. CLUFF: No. And our agreement with PG&E was that
20 any time during that process if we discovered -- we outlined a
21 very comprehensive program, as Ashok said. It contained a lot of
22 things that as we get down near the end of it may or may not be
23 required. So we tried to think of everything under the sun that
24 we thought might be done, and some things are more important than
25 others.

1 It was our agreement with PG&E that any time during
2 the process -- and we would have project meetings to look at the
3 results -- if we found information that clearly indicated to us
4 caused a negative impact in the potential for resolution of the
5 technical problems, we were to notify them within hours. There's
6 no sense in continuing. And, of course, the fact that we haven't
7 done that clearly indicates that we have yet to find anything that
8 in our judgment has come up with that answer.

9 I'm not promising or prejudging what the end product
10 is by saying that. I'm just saying that that's a fact. We haven't
11 found that.

12 (Pause.)

13 May I just add an additional thought that I meant to
14 include earlier? The general level of effort or our staff assigned
15 to this project has fluctuated to some extent, and Dr. Patwardhan
16 could be more exact about this. But I think our general level
17 of involvement has ranged between about, oh, 15 to as many as 30
18 professionals working on this project throughout its duration.

19 CHAIRMAN LAZO: Thank you, sir.

20 MR. LINENBERGER: Would you say those numbers again, the
21 range?

22 MR. CLUFF: Somewhere from a low of between 10 and 15
23 to a high of about 30.

24 MR. LINENBERGER: Thank you.

25 CHAIRMAN LAZO: Well, then, I think it's time to put

1 counsel for all of the parties on the spot, the fix that you've
2 got us into.

3 What do you propose that we can do to expedite this
4 matter?

5 Let me ask you, Ms. Brown. You have proposed a time
6 schedule for the proceedings, and we've had a lot of talk since
7 that time. What is it that you now would ask the Licensing Board
8 to do to assist you in representing your clients?

9 MS. BROWN: I would like an order from the Board allowing
10 us to begin formal discovery as soon as possible, from today's
11 date if necessary. I would be directing that discovery primarily
12 to PG&E because they're the ones with the information on the
13 seismic and geologic studies that have been conducted. I would
14 not be directing it toward the staff; they haven't had the
15 opportunity to review the material. They don't have it in their
16 possession either, nor apparently do they have the time to even
17 consider it until October.

18 But I hate to waste the months between now and October
19 doing nothing, which is what we have been doing on this particular
20 application for a long period of time. Thereafter I would like
21 to see a continuation of formal discovery until such time as
22 either we felt that we were able to provide answers to the Board
23 or the staff had finished their investigation; and I'm hoping that
24 investigation would conclude before estimates I heard rumors of,
25 between 18 and 30 months.

1 And then I hope that we would proceed to hearing, and
2 I would like to see it happen sometime next year; and that,
3 hopefully, is giving everyone ample time to prepare. It would
4 be giving us ample time to prepare.

5 CHAIRMAN LAZO: Ms. Brown, we're in great sympathy with
6 your need to begin some discovery, whether it's formal or whether
7 parties can get together and utilize informal procedures. One of
8 the early problems is that licensees nor staff have really respond-
9 ed to the contentions that have been filed by the joint inter-
10 veners; and if discovery is to be limited --

11 Our rules are very broad and liberal discovery rules,
12 but there may be problems in terms of discovery relating to matters
13 that are just outside the scope of the issues of the hearing. And
14 unless we have some issues defined in terms of specific contentions,
15 we well could get involved in motions to compel and objections
16 because we haven't yet defined the issues in the proceeding.

17 MS. BROWN: Which I would hate to see happen. That's
18 why my motion or my proposed schedule indicated that it would be
19 informal discovery during the period of June until October 1st,
20 and thereafter formal contentions would be framed, and then formal
21 discovery opened after that period of time.

22 I'm still willing to abide by that, but I would request
23 that we not be told by PG&E if we do make an informal request for
24 information that they don't have it in final report status. We're
25 looking for not only their final report, but also for the

1 documentation that backs up that final report.

2 CHAIRMAN LAZO: Yes.

3 MS. BROWN: And we'd be limiting our initial discovery
4 solely on the issues of the seismic and geological work that
5 Woodward-Clyde has done, which is a fairly limited area.

6 CHAIRMAN LAZO: And then you would file what, amended
7 contentions?

8 MS. BROWN: If need be, yes.

9 CHAIRMAN LAZO: If need be.

10 Well, licensee counsel, what do you say to that?

11 MR. NORTON: I unfortunately think it's another cart-
12 before-the-horse proposition. We don't have the data either. We
13 don't have the report. They want to discover it from us. We don't
14 have it. Woodward-Clyde is in the process of putting it together.

15 There behind you is a trench log, and they're going to
16 reduce those kinds of raw data to hopefully -- and I should say
17 it a little stronger than that -- absolutely to understandable
18 form.

19 CHAIRMAN LAZO: Mr. Norton, most lawyers object because
20 the other party wants them to do some of their computations for
21 them, and here they're willing to accept raw data and make their
22 own --

23 MR. NORTON: Let me finish. They're going to interfere
24 with them getting the job done. These people are trying to compile
25 the data. These are geologists and technical people who are

1 trying to compile the data in an understandable, intelligible
2 format for PG&E to reach a decision on.

3 We may -- I don't believe it's going to happen -- but we
4 may reach a decision it's all over, withdraw our request based
5 on their report, in which case there's no need for any discovery
6 whatsoever. I don't think that's going to happen, but you don't
7 start discovery before you have a litigable issue, and you really
8 don't here until that report is in and a decision is made. Then
9 they can discover. And they've got plenty of time to do it, be-
10 cause the staff's going to start its review when they receive that
11 report; and they certainly can do their discovery while the staff
12 is doing its review.

13 They can talk to all the technical people they want.
14 They can look at all the backup data they want. Then can look
15 at all the log trenches they want. But why do it now while those
16 technical people are putting together the report? By way of
17 analogy, it would be as if you allowed them discovery while the
18 staff was putting its SER together and had a date like October 1
19 to get its SER out, and you allowed them to keep pulling the people
20 off the project and the data out of their hands so that they
21 couldn't write the SER. And that's basically the kind of situation
22 you're in here.

23 MS. BROWN: I think --

24 MR. NORTON: Excuse me, Mrs. Brown.

25 MS. BROWN: No. I thought you were finished. Please

1 go ahead.

2 MR. NORTON: It's not a situation where -- in fact, you
3 have a proceeding, but we have a motion to hold it in abeyance,
4 and if indeed it is held in abeyance, the hearing proceeding, I
5 don't see any vehicle for discovery. But worse than that, I don't
6 see anything to discover until the report is done.

7 There is plenty of time after that. She's talking about
8 a hearing, and her proposed schedule starts a hearing in August
9 of 1981. We completed all the discovery on the seismic issues
10 in Diablo Canyon, which believe me were far, far, far more involved
11 than these in terms of people, and documents, and paperwork and
12 years of study, probably an order of magnitude greater than this,
13 completed all that discovery, the interveners did, in something
14 like 60 days; and she wants a year and four months. I thought we
15 were the ones taking a lot of time. It doesn't need a lot of time.

16 MS. BROWN: Can I respond now?

17 CHAIRMAN LAZO: Yes.

18 MS. BROWN: The first thing we are asked to believe is
19 that the Licensing Board that's sitting before us now has already
20 made the decision to grant the extension to October 1st, 1980,
21 which I'm not sure that you have decided.

22 Secondly, the schedule that was proposed is one that
23 we're more than willing to cut down in time. We had already heard
24 from staff informally in Washington that it would be taking them
25 18 to 30 months to prepare their report; and we figured that by

1 cutting it this short we were still doing the staff a disservice.

2 Fine. If PG&E is ready to proceed and we can open dis-
3 covery as soon as possible, we'll be willing to proceed as soon as
4 possible. I'm not going to certainly limit the interveners to
5 what PG&E is going to turn around and call us delaying, because
6 that is not our position in the least.

7 If staff is willing to proceed faster, interveners are
8 ready. Interveners have been ready.

9 MR. NORTON: Mr. Lazo, may I make one last point?

10 There are two things that bother me a great deal about
11 where I find my client at this moment. We're being asked to hurry
12 up and force people to make a decision without the right informa-
13 tion, and that just kind of blows my mind in our present setting.
14 We've just recovered from TMI a year and a half ago, and I find
15 interveners who are supposedly concerned about safety wanting us
16 to rush to hearing without the information. I don't understand
17 that.

18 I would think they would want all the data that can be
19 gathered to be brought in this proceeding. That's the first thing
20 I don't understand. They want to come right now without the data
21 having been compiled.

22 The second thing I don't understand is this theory that
23 we're somehow stalling. Why are we stalling? What's our motive?
24 We're not stalling. We want the plant licensed. But we don't
25 want to go into a hearing without the data we need to get it

1 licensed. It's absurd for us to rush to the door without any
2 information, and we want to proceed in an orderly fashion, but
3 we have nothing to gain by "stalling." We want that plant
4 licensed. We want it operating.

5 I feel like I'm being accused of a crime that I couldn't
6 possibly have committed, and I just -- the whole tenor of the
7 questions and the remarks of interveners are that we have some
8 ulterior motive for not wanting to get to hearing, and that just
9 isn't so. And I can't imagine in my wildest dreams why it would
10 be so.

11 CHAIRMAN LAZO: Well, one of the things that the
12 Commission has tried to do in the past years when they reconstituted
13 their rules of practice was to bring the parties together at a
14 very early stage of the proceeding. We've had lots of construction
15 permit proceedings, for example, where the interveners have been
16 identified and have become full parties to the proceeding almost
17 immediately after the application has been docketed, rather than
18 waiting until the last moment and then finding that it's the
19 applicant that wants to move ahead, and there's not time to complete
20 discovery by the interveners.

21 Here I think it's quite clear that the parties do
22 understand the basic issue. The issue has been identified. It
23 hasn't yet been accepted as a contention in controversy because
24 the parties have just never taken that next step to do that.
25 There may be other issues that should be placed into controversy

1 because there's been a perfectly adequate pleading of those issues.

2 There's no reason why after those issues have been
3 accepted as contentions that the interveners shouldn't have the
4 right to discovery, whether it's on information that may become
5 your final position or simply information that's in your possession.

6 MR. NORTON: Okay. And I agree with that in theory,
7 but you have to look at the practicalities of the situation. We
8 have consultants who are trying to get this report out so we can
9 proceed. To take the deposition of a gentleman like Mr. Cluff
10 today who hasn't got the -- in fact, the trench, the facility
11 that's being done now, that's being photographed and logged this
12 very moment, materials that are being age dated in some other
13 state by some other laboratory and the data isn't in -- to take
14 his deposition today and pin him down is a waste of time because --

15 CHAIRMAN LAZO: They're not going to waste their money
16 on a useless act.

17 MR. NORTON: Well, that's my point, and that's what
18 discovery is at this point in time. It's a useless act until it's
19 all brought together. Come October 1st or actually in September
20 when the report is submitted, at that point it makes sense. At
21 that point opinions are reached and data can be cited upon which
22 those opinions are based. Today that's not so.

23 MS. BROWN: Are we going to get the report October 1st?

24 MR. NORTON: We are going to get the report in September
25 is my understanding. We have a firm commitment, and that's why we

1 used the date October 1st.

2 MS. BROWN: When in September?

3 CHAIRMAN LAZO: That's the first I've heard of that.

4 MS. BROWN: My whole problem is that --

5 CHAIRMAN LAZO: I want Mr. Norton to hear this.

6 (Pause.)

7 CHAIRMAN BROWN: Ms. Brown.

8 MS. BROWN: My whole problem is I have been informed
9 by my geologic consultants that it will take anywhere from two
10 to three and a half months for this report to be written. That
11 means they're probably in the process of writing the report right
12 now.

13 Is that correct?

14 MR. NORTON: Are you asking the Board?

15 CHAIRMAN LAZO: Let us just go back a moment. I heard
16 somebody say that a report has been promised by September. Is
17 that --

18 MR. NORTON: October 1, that's correct. Obviously we
19 would receive it at the end of September.

20 CHAIRMAN LAZO: So the Woodson-Clyde report --

21 MR. NORTON: Woodward-Clyde, that's correct.

22 CHAIRMAN LAZO: I'm sorry. The Woodward-Clyde report
23 is expected by October 1.

24 MR. NORTON: It's been promised by October 1.

25 And, incidentally, there is again an implication that

1 people are being kept in the dark. In early December of 1979,
2 which hasn't been all that distant in the past -- I guess it's now
3 six months -- we were all set for a field trip up here. Woodward-
4 Clyde was going to show the NRC staff, and the interveners were
5 going to come along, as far as I know, certainly an announced
6 meeting, open meeting, as this is an open hearing, for a field
7 trip up here.

8 At the last minute the staff had to cancel out. I think
9 it was money; I'm not sure. It could have been time commitment,
10 resource commitment elsewhere. But again, they were going to show
11 people trenches and show them the work that was going on. It's
12 not a question of trying to hide things. Right now it's a question
13 of trying to get the work done. And you can't be engaged in
14 discovery of giving up your data and having your people deposed
15 while you're trying to get that report out. And I don't see where
16 they gain any time by starting now as opposed to October 1 with
17 formal discovery. I don't see how they gain anything if they're
18 talking about an August hearing. It just doesn't seem necessary.
19 All it does is slow us down.

20 CHAIRMAN LAZO: Ms. Brown, what do you gain by --

21 MS. BROWN: Two reasons. The trenches that a lot of
22 the data has already been done on have already been refilled.
23 There are still some trenches open. We would like to have our
24 consultants take a look at those trenches. We would like to see
25 the data on the other trenches to make a decision whether we have

1 to go back and retrench and make those arrangements. There are
2 a lot of things that have to be taken into consideration.

3 Interveners, if we are allowed to, I think can take an
4 active and very positive part in developing an analysis that we
5 could present to this Board as soon as possible, along with the
6 Woodward-Clyde. But right now we're being prevented. The trenches
7 are being refilled, and we do not have the asset resources in back
8 of us right now to go back and reduplicate a lot of the work that
9 Woodward-Clyde has done. That's known.

10 But by not allowing us to at least begin now -- there's
11 a major trench open now at the site on the question of the Bay
12 Entrance Fault. We would like to have an opportunity to take a
13 look at that trench. And unless there is some kind of indication
14 that our experts can go in to look at it now, it's going to be
15 refilled, too.

16 (Pause.)

17 MR. NORTON: Excuse me, Mr. Chairman. Perhaps we could
18 help you with a comment based on Mrs. Brown's last remark.

19 I don't perceive that as traditional discovery in terms
20 of produce all the documents you've got here and produce so and
21 so for a deposition and so on. If they've got somebody they want
22 to go down into a trench that's open and that's being worked on,
23 we have no objection to that whatsoever. As a matter of fact, we
24 would love an order from this Board ordering the staff and inter-
25 veners to come and look at those trenches that are open because

1 we can't get them out there. And we'd love you to order them to
2 come out and look at them.

3 MS. BROWN: I'm somewhat confused. We've never received
4 an informal invitation to go out and --

5 MR. NORTON: We're talking about the staff.

6 MS. BROWN: Oh, you're not going to invite the inter-
7 veners.

8 MR. NORTON: No. You're perfectly welcome to come with
9 the staff. You know, there's no question about that.

10 MS. BROWN: With the staff. That's our problem. The
11 staff indicated they're not going to be proceed until October 1st.
12 We have been ready to proceed, and basically a lot of information
13 is being literally covered up. And that's a pun.

14 MR. NORTON: Oh, come on. There has never been a
15 request by the intervener to see any trench until this very moment,
16 never, ever, orally or in writing or in any other fashion, ever.
17 And I resent --

18 MS. BROWN: We asked informally for more detailed
19 progress reports, and we got no response to that letter. The
20 informal requests that we've made, primarily to Mr. Locke, have
21 not really been responded to other than the two or three-page
22 reports that Woodward-Clyde has submitted.

23 MR. NORTON: Incidentally, the geologists that are up
24 here in the field, as I understand it, one of the lead geologists
25 is from Humboldt State, is one of the students over there. I

1 assume these people talk. I assume they know that the McKinleyville
2 trench was dug. As I understand it, it was in the papers, a
3 big flap about the new airport building being built on it. These
4 are not secret trenches that are being dug in the middle of the
5 night.

6 MS. BROWN: I'm not implying they are.

7 MR. SCHINK: Is it my understanding then that if the
8 interveners were to request access to the trenches, they could
9 have them even if the staff were not present?

10 MR. NORTON: Absolutely.

11 MR. SCHINK: Would it slow your work if they were to
12 ask you for the trench logs such as we see behind us as they
13 became available, just a copy of those?

14 MR. NORTON: That I don't know. I suspect it would.
15 Yes, both our consultants are saying yes, it would. I mean, be-
16 cause they're in the process of analyzing that data and putting
17 this report together. And their offices are in San Francisco and --

18 MR. SCHINK: But a copy of those logs could be turned
19 over, couldn't they, without interfering with your work?

20 MR. NORTON: Is that any problem?

21 MR. CLUFF: Sure. A copy.

22 MS. BROWN: I'm not asking for the original documents
23 and the original samples of soil. What we'd like to see is
24 copies of the data; that would be more than enough.

25 MR. SCHINK: Well, it sounds as if the applicant then

1 is willing to grant you access to the trenches and make available
2 copies of the trench logs so that you could verify the logs on
3 a spot check basis or completely if you have the manpower.

4 MR. NORTON: And the access to the trenches, of course,
5 is --

6 MR. SCHINK: It would be limited but --

7 MR. NORTON: We would limit it to access with our
8 people. We don't want a Geology 202 class down in the trench for
9 a week.

10 MR. SCHINK: Would that meet the needs of the interveners?

11 MS. BROWN: How are we going to be going about getting
12 these informal arrangements, getting PG&E notified that our
13 geologist and perhaps another intervener is going to be going down
14 into the trench, or is going to be at the site, or is going to be
15 at trenches off the site?

16 How do we get access? Are you going to prepare a formal
17 order that this is our right, or is this going to be done
18 informally between the parties?

19 CHAIRMAN LAZO: It all depends on how accommodating
20 licensee wants to be.

21 MR. NORTON: I assume we can do it informally. If we
22 can't, then I guess she can always apply for a formal order.

23 MS. BROWN: Given that, I would appreciate that a formal
24 order could issue from the Board so that that clarifies most of the
25 matters for both parties.

1 MR. LINENBERGER: Well, just as an ignorant technical
2 type here, I sense more interest in an arm's length formal
3 negotiations than interest in downright day-to-day cooperation,
4 pick up the phone, what's going on today, is it of any interest
5 to us, how about one of our guys coming over, would it bother
6 you if we asked for a copy of some data, and so forth.

7 I don't see why we have to have formal orders --

8 MS. BROWN: I have no problem with that. I would prefer
9 to work that way.

10 MR. LINENBERGER: Well, I thought I heard you say you
11 would prefer a formal order.

12 MS. BROWN: Well, that was only after Mr. Norton indi-
13 cated he assumed that that would be all right, and if it wasn't
14 all right, then we would have to go to the Board for an order.
15 And I suddenly see less cooperation than I'd like to see from
16 counsel.

17 MR. LINENBERGER: You know, there are all sorts of
18 ways of pulling this Board into this area of --

19 CHAIRMAN LAZO: Into the trenches?

20 (Laughter.)

21 MS. BROWN: Would it be possible --

22 MR. LINENBERGER: Let me just finish my statement, please.
23 There are all sorts of ways of getting us involved, but I promise
24 you that it may not always turn out to be in your best interest
25 to get us involved. It may not -- particularly in terms of time.

1 MS. BROWN: Exactly, exactly.

2 MR. LINENBERGER: And so I have to personally -- I won't
3 speak for the Board here, just for myself. For gosh sakes, see
4 if you can't work something out informally.

5 MS. BROWN: I have a proposal then. Would it be
6 possible for Mr. Honea to contact a designated representative from
7 Woodward-Clyde and make arrangements directly with the consultant
8 as to what he wants to see, when he has an opportunity to see it,
9 and what person at Woodward-Clyde would be available at any one
10 particular day for him to review the documents?

11 MR. NORTON: It's possible. If Mr. Honea wants to
12 make connections with Mr. Cluff, he is perfectly free to do so.
13 And Mr. Cluff has been instructed by us as we sit here to cooperate.
14 He wants to go down into the trench to show it to him. However,
15 if Mr. Cluff has any questions, he will obviously contact us; and
16 if we have any questions, we'll contact the Board. I don't
17 anticipate that we will have as long as the requests are reasonable
18 in terms of time, place and so on.

19 MS. BROWN: I promise no midnight meetings in the
20 trenches.

21 MR. NORTON: Certainly not with me.

22 (Laughter.)

23 MS. BROWN: That's probably true.

24 I'm assuming that this offer would include Mr. Honea
25 being able to bring other geologists or even attorneys to review

1 the trenches or the data.

2 CHAIRMAN LAZO: Well, you say other geologists --

3 MS. BROWN: I'm talking about would I be allowed to
4 accompany Mr. Honea, would another geologist at Mr. Honea's
5 request be allowed to accompany him on these prearranged days
6 and meetings?

7 MR. NORTON: Again, that depends on the circumstances.
8 If somebody's working on a trench and they're down there photo-
9 graphing and measuring and the things they do in trenches, and
10 he wants to bring 30 people through the trench, the answer is
11 probably no.

12 CHAIRMAN LAZO: I think we're getting beyond the point
13 where this is very fruitful. Can't we agree that everyone is going
14 to act in a reasonable manner?

15 MS. BROWN: I will act in a reasonable manner. So will
16 Mr. Honea. Though I don't hear assurances from --

17 CHAIRMAN LAZO: Well, do we have an understanding as
18 far as --

19 MR. NORTON: As I understand it, there is only one
20 trench open; that's the one at the site at the moment. And
21 that's limited obviously; there are not going to be large groups
22 of people permitted access to the site and wandering around in
23 the trenches. If Mr. Honea wants to go out and see the trench,
24 no problem. He can contact Mr. Cluff, and they will make arrange-
25 ments to do so.

1 MR. SCHINK: Well, it appeared to me that the inter-
2 veners are asking for something like three people to enter the
3 trench.

4 MS. BROWN: Exactly.

5 MR. NORTON: Well, it's a nuclear site. If I take it
6 it's Ms. Brown and Mr. Honea, or Dr. Honea, and someone else --
7 I don't know who the someone else is -- but assuming it's the same
8 type of people that Dr. Honea and Ms. Brown are, fine.

9 MR. SCHINK: So you have no trouble with three people?

10 MR. NORTON: As far as I know, there's plenty of room
11 in that trench for three people.

12 MS. BROWN: Just to clarify one other item, I'm also
13 assuming that this does involve copying of trench documents. You
14 have no problems with that either?

15 MR. CLUFF: I think we have to be clear about the data
16 that's shown on various trench logs. If we have our trench
17 logs that are near the final stages of preparation and interpreta-
18 tion, then we have no trouble with that. But anyone who's been
19 involved in logging trenches of the detail that we get engaged
20 in, there's no way that I would allow anybody to have access to
21 a trench log that we prepared yesterday, because it's going
22 through an evolutionary process to get the information down, and
23 it may be misrepresented. And so I don't see how we could have
24 complete access to --

25 MR. NORTON: They can have the trench logs that are

1 completed as they're completed.

2 MR. CLUFF: Yes.

3 MS. BROWN: Fine.

4 MR. NORTON: No problem with that. As they've completed
5 and are satisfied that they have a finished trench log and it's
6 their finished product, we'll make copies of it and send it to the
7 interveners.

8 MS. BROWN: Okay. Can Mr. Honea also obtain those
9 completed trench logs also informally by contacting Dr. Cluff at
10 Woodward-Clyde?

11 MR. NORTON: No. As far as documents go, I think we
12 will do that through the attorneys and provide them. I mean,
13 they'll be provided, but I think we want a record of them, not
14 an informal passing on.

15 MR. PATWARDHAN: Just by way of clarification, I think
16 on this project, as on any nuclear project, we're all bound by
17 quality assurance requirements, so in terms of making documents
18 available, it will be appropriate to make those documents available,
19 only those documents available that have been processed through
20 the quality assurance process.

21 CHAIRMAN LAZO: And that's what you're referring to as
22 a completed log.

23 MR. PATWARDHAN: Right. As a completed log. For
24 instance, any log or any raw information that one person takes
25 is subject to review and the other steps of the quality assurance

1 process. Every completed log could be made available.

2 MR. NORTON: These will be provided by Woodward-Clyde
3 to PG&E. As they're completed, we will pass them on with a
4 transmittal letter copying the Board and NRC staff, and we'll
5 probably pass the logs on to the staff as well as the intervener at
6 the same time, and the staff can put them in their file until
7 they can get to them.

8 MR. SCHINK: Those would presumably be completed before
9 October 1st since they'll be required for the final report.

10 MR. NORTON: I'll presume that. I'm operating under that
11 assumption.

12 MS. BROWN: Dr. Honea has asked if he can address you
13 just for a short period of time.

14 CHAIRMAN LAZO: I'm sorry, Ms. Brown.

15 MS. BROWN: May Dr. Honea address you just for a short
16 period of time?

17 CHAIRMAN LAZO: Yes, surely.

18 MR. HONEA: Yes. I think what I want to look at is
19 information that's valuable as we go along and do it informally,
20 not to have final things that I can say well, wait, you said this.
21 And what the problem is with all the delays, I haven't been able
22 to keep abreast of it since literally 1977. Before there I was
23 abreast of everything that was happening. I knew where trenches
24 were going, why they were going, what was happening. But since
25 then all that we get is delays, and so it's like, you know, there's

1 now almost three years of activity that I have no idea what
2 actually has gone on.

3 Sure, I know where they are trenching because you can
4 see them from the road and what have you out as far as what's
5 going on, I need to have a better feeling for what they're finding
6 and what's going on. That's a long, sort of dry period when
7 you're abreast with a project.

8 CHAIRMAN LAZO: Well, then, are you asking for completed
9 trench logs going back to some particular date?

10 MR. HONEA: Well, no. You know, the completed logs that
11 they have for this period of study since material was available.
12 I mean, material just hasn't been available because all we get
13 is an outline that they're going to drill holes or they're going
14 to do trenches, but we don't get any results. And so we can't
15 evaluate even if the delays are justified or if they have already
16 found, you know, important findings.

17 CHAIRMAN LAZO: Well, tell your counsel what it is you
18 want. I think we've had an agreement that counsel ought to be
19 able to work this out among themselves. They're not going to open
20 up any old trenches.

21 MR. HONEA: Right.

22 CHAIRMAN LAZO: I can assure you of that.

23 MR. HONEA: Sure.

24 MR. LINENBERGER: Well, I'd like, Mr. Honea, for you to
25 be -- perhaps not draw any improper inferences from our silence on

1 another point. You said you were unable to tell whether delays
2 were justified.

3 Now, I would expect Mr. Norton to address this, but
4 this particular Board member would feel a little concerned if
5 you were making judgments about the expedience or lack of same
6 with which Woodward and Clyde is doing their job as to whether
7 delays are justified or what schedule they used to do things.

8 I say that I would suggest you stick to the facts and
9 not pass judgments on the management decisions of Woodward-Clyde
10 here. I think that gets into an area that comes under an different
11 set of circumstances.

12 MR. HONEA: That wasn't what I intended. What I meant
13 was I assumed that when they say we need more time to study the
14 issues, that there's no negative things that have come up, I'd
15 like to be evaluating the data to see if I feel that there has been
16 negative things that have come up, you know.

17 It's just an evaluation. I didn't mean to go in and say
18 how they should be doing it or anything like that. I didn't mean
19 that.

20 (Pause.)

21 CHAIRMAN LAZO: Well, it does appear that we've made
22 some progress. Just as a matter of housecleaning, let's be sure
23 what it is we've agreed upon.

24 I think unless there are any further comments, the
25 Board is in a position to rule on the motion to hold the proceeding

1 in abeyance until October 1, and I gather that there is a consensus
2 that that is what we should do at this point. The Woodward-Clyde
3 report has been promised by October 1. The interveners, joint
4 interveners have been assured of some cooperation in terms of
5 getting the information that they need between now and then as
6 far as visitations to open trenches are concerned and completed
7 trench logs that have been prepared in connection with the prepara-
8 tion of this report.

9 Are there any other matters that we can attend to while
10 we're here or any open motions that have not been ruled upon?

11 MS. BROWN: Is it possible to take some step today and
12 delineate when we're actually going to be framing contentions and
13 proceeding to formal discovery and hearing?

14 CHAIRMAN LAZO: At the time that Collins et al. and
15 Six Rivers filed their original petition, there were what appear
16 to be some contentions attached to that document. They're inter-
17 woven with portions relating to interests of the various members.
18 They're not well-written, although the original petition board
19 did find at least one contention there which was acceptable.

20 We would be willing to provide a time period in which
21 you could file amended contentions, if that would suit your
22 purpose, and then give each of the other parties an opportunity
23 to respond to those.

24 MR. NORTON: Mr. Chairman?

25 CHAIRMAN LAZO: Yes, sir.

1 MR. NORTON: I share your feelings regarding the so-
2 called contentions that are present, but doesn't it make sense --
3 maybe it doesn't; maybe the interveners don't need to see the
4 facts before they draw their contentions -- but doesn't it make
5 sense that they see the report of October 1?

6 I would hope they would go into this with an open mind,
7 and maybe their contentions would disappear when they see the
8 report.

9 MS. BROWN: I didn't presume that you intended for us
10 to frame our contentions before the October data was in.

11 CHAIRMAN LAZO: No. I was just trying to find a date.
12 Well, why don't we do that? Set a date some certain period of
13 time, reasonable time, after which -- after the report has been
14 received, by which time the joint interveners would file an amended
15 set of contentions.

16 MS. BROWN: And with a period of time thereafter for
17 staff and PG&E to respond to those contentions?

18 CHAIRMAN LAZO: These would be set by the rules.

19 MS. BROWN: That's fine.

20 CHAIRMAN LAZO: Thirty days after the report's received
21 or whatever is -- you feel comfortable with.

22 MS. BROWN: I'd like 45 days after the report is received,
23 we'll be willing to do that.

24 CHAIRMAN LAZO: All right. We'll incorporate that in
25 our order then.

1 MR. GOLDBERG: Mr. Chairman?

2 (Pause.)

3 MR. GOLDBERG: Mr. Chairman?

4 CHAIRMAN LAZO: Yes, sir.

5 MR. GOLDBERG: The staff certainly will do what it can
6 to --

7 CHAIRMAN LAZO: Oh, you'll be in a new fiscal year by
8 then.

9 (Laughter.)

10 MR. GOLDBERG: I wish I shared your optimism. I just
11 would like to say without really belaboring the point, it's quite
12 possible that we will have to seek some relief from that reply
13 period, depending on the nature and scope of the contentions,
14 if I'm unable to get the technical assistance I need.

15 I don't want to disturb your record right now, but we
16 are still operating under some constraints, at least in the fore-
17 seeable future; and I don't know how that's going to be altered
18 by the character of the document that we receive from PG&E, but
19 that's still a consideration we labor under.

20 CHAIRMAN LAZO: Well, that's fair, and thank you for
21 bringing it to our attention.

22 Well, unless there are any other matters that we can
23 profitably devote our time to tonight -- it's getting on towards
24 6:00.

25 We would like to thank you for all coming and for your

1 patience. We also wish to express our thanks to the custodians
2 of this building for making it available to us.

3 One more call. Any other matters?

4 Hearing no response, the prehearing conference is
5 adjourned. Again, thank you very much.

6 (Thereupon, at 5:40 p.m., the conference was adjourned.)
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

in the matter of: PACIFIC GAS AND ELECTRIC COMPANY
HUMBOLDT BAY POWER PLANT UNIT NO. 3
Date of Proceeding: June 3, 1980


Docket Number: 50-133

Place of Proceeding: Eureka, California

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

Sharon Connelly

Official Reporter (Typed)


Official Reporter (Signature)