

*Reg.*  
**REGULATORY DOCKET FILE COPY**

**UNITED STATES ATOMIC ENERGY COMMISSION**

**IN THE MATTER OF:**

THE TOLEDO EDISON COMPANY

and

Docket No. 50-346

THE CLEVELAND ELECTRIC  
ILLUMINATING COMPANY

(Davis-Besse Nuclear Power Station)

**RETURN TO REGULATORY CENTRAL FILES  
ROOM 016**

Room 418 New Federal Building  
Toledo, Ohio


Place -

Thursday, May 4, 1972

Date -

Pages

309 - 504



THIS DOCUMENT CONTAINS

POOR QUALITY PAGES

**REGULATORY DOCKET FILE COPY**

Telephone:  
(Code 202) 547-6222



ACE - FEDERAL REPORTERS, INC.

*Official Reporters*

415 Second Street, N.E.  
Washington, D. C. 20002

NATIONWIDE COVERAGE

8002 260 774

2631

T

UNITED STATES OF AMERICA  
ATOMIC ENERGY COMMISSION

-----  
In the Matter of:

THE TOLEDO EDISON COMPANY

and

Docket No. 50-346

THE CLEVELAND ELECTRIC  
ILLUMINATING COMPANY  
(Davis-Besse Nuclear Power Station)

Room 116  
New Federal Office Building  
214 Summit  
Toledo, Ohio

Thursday, 4 May 1972

Pursuant to notice, the above-entitled matter was  
convened at 9:30 a.m.

BEFORE:

MR. JEROME GARFINKEL, Chairman.

MR. JOHN R. LYMAN, Member.

MR. EMMETT A. LUEBKE, Member

APPEARANCES:

(As heretofore noted.)

C O N T E N T S

	<u>WITNESS:</u>	<u>DIRECT</u>	<u>CROSS</u>	<u>REDIRECT</u>	<u>RECROSS</u>
1					
2	Frederick R. Miller		311	341	343
3	Reed S. Reynolds		345	437	438
4	Charles Hordendorf		330		
5			360		
6	Argil L. Coalston	375	403		
7			413		
8	Thaddeus Kostanski		415	419	420
9				421	422
10	Lowell E. Roe	430			
11	Joseph J. Dinunno	439	443		
12	Frederick R. Miller	444			
13	Albert <u>Schwengen</u>	451			
14	Owen Davies	462	471		
15			475		
16			486		
17	William D. Jackson	490	493		
18					
19	<u>EXHIBIT:</u>	<u>FOR IDENTIFICATION</u>		<u>IN EVIDENCE</u>	
20	Intervenor's 2	317			
21	Intervenor's 3	317			
22	Intervenor's 4	317		327	
23	Intervenor's 5	317			
24	Intervenor's 6	317			
25	Intervenor's 7	317		320	
26	Applicants' 4	435		433	
27	Reg. Staff's 1	452 (reflected)			
28					
29					
30					
31					
32					

P R O C E E D I N G S

1  
2 CHAIRMAN GARFINKEL: The proceeding is now open.  
3 Let the hearing come to order.

4 It is 9:30 a.m., and we are meeting today at  
5 Room 412 at the New Federal Office Building here in Toledo,  
6 Ohio.

7 He left last evening with Mr. Kalur about to  
8 begin his cross-examination of the witnesses of the  
9 Applicant who testified yesterday, with the exception of  
10 Mr. Poe.

11 Mr. Kalur, will you begin your cross-examination.

12 MR. KALUR: I call Mr. Miller to the stand.

13 CHAIRMAN GARFINKEL: Mr. Miller, will you take  
14 your seat.

15 You are still under oath, Mr. Miller.

## CROSS-EXAMINATION

16 BY MR. KALUR:

17 Q Mr. Miller, your professional qualifications  
18 are that of a nuclear fuel engineer; is that correct?

19 A That's right.

20 Q Will you tell me what recouping training you  
21 have had?

22 A I have attended the management development  
23 courses at the Toledo Edison Company. I have had experience  
24 in Administrative Assistance Division of the Company, in  
25

1 which I worked on computer programs for various accounting  
2 systems within our company.

3 I have not had any college training in accounting  
4 other than the management development courses at the Toledo  
5 Edison Company.

6 Q Do you regularly prepare financial statements  
7 and reports such as are included in your testimony for any  
8 other purpose at Toledo Edison?

9 A I have and do regularly prepare economic  
10 evaluations of alternate plans. I have prepared them for --  
11 in my present job, an evaluating job, for nuclear fuel.  
12 I have prepared them in my previous assignments in the systems  
13 planning in the Toledo Edison Company.

14 Q Who did you work with in preparing these figures  
15 that are contained in your testimony?

16 A I have worked with our systems -- our present  
17 systems planning group.

18 Q Who does that include?

19 A Gordon?

20 Q Who does that include?

21 A Mr. Jim Sullivan, Mr. Mark Kack, who is the  
22 Chief Planning Engineer for the Toledo Edison Company. I  
23 worked with Mr. Ed Kossarak, who is our controller; Mr.  
24 Don Nicholson, who is our secretary-treasurer.

25 Q Who helped you prepare the savings equipment

value figure contained on page 16-B of \$73,146,000?

A. Mr. John Rollase, from Bechtel.

Q. Did he supply the figure, or did he supply the information, or both?

A. He supplied the information, and I, because Bechtel is only responsible for the gear part of this project, the transmission line part --

Q. I just asked you if he supplied it.

A. Not all of it.

Q. The information he supplied you, was it written or oral?

A. Written, and partially oral.

Q. Do you have the written portion of that with you?

A. Yes.

Q. Would you produce a copy of it.

CHARLES GARDNER: Let the record show that the witness is furnishing Mr. Kalus with a copy of the underlying data supporting the cost figures.

A. I have other figures here too. That is not all of it.

Q. Would you show me on this sheet of paper that you have handed me where it gives the average time.

CHARLES GARDNER: Mr. Kalus, if we are going into that document, I think we should mark that document for identification.

1 MR. KALUR: I will do that as soon as he  
2 identifies it -- as long as it corresponds to the question I  
3 asked.

4 CHAIRMAN GARDINER: We can mark that without you  
5 doing that. I think we should mark it.

6 MR. KALUR: I have no objection. I am not sure it  
7 is the document I have asked for yet.

8 THE WITNESS: That's right. What document did  
9 you ask for?

10 MR. KALUR: The document which shows how the  
11 salvage value is determined.

12 This was received over the phone orally from  
13 Mr. Holtz.

14 Here are the figures. It includes -- This is  
15 the total amount (indicating) up to 12-31-72, that we would  
16 have paid for. In addition, there is transmission equipment  
17 that we would have received that would be salvageable, that  
18 I received from Mr. George Huber, of \$508,000; and then  
19 after --

20 Q Who is George Huber?

21 A He is our transmission engineer. He is --

22 Q All right, that's all I asked.

23 A All right. We have figured on the remaining  
24 balance that we would take delivery after 12-31, of  
25 \$32,100,000 and that figure is developed right here

(indicating).

Q Will you hand me the total papers you are going to hand me this date with volume

A All right.

Q Let's leave the explanation for later.

A One moment.

Let's see which ones you have there now.

CHAIRMAN CHRISTENSEN: Mr. Miller, do you need some more time? We can take a five-minute recess.

THE WITNESS: I am trying to find one piece of paper. I can't find one piece of paper.

CHAIRMAN CHRISTENSEN: We will take a five-minute recess until he locates the information.

(Short recess.)

(END OF PAGE)



CHAIRMAN GARBINKEL: May we be back on the record.

Mr. Miller, have you furnished Mr. Kaluz with the information he requested?

MR. MILLER: Yes, here is the information on the transmission line construction. This is the information on the material that would be received during the review period. This is the information on the material that would be -- that was received over the show, that would be received after the review period. This is the information on how the totals were put together to come up with the 75 million.

And this was the information on how the material up through 12/31, how the total value of the salvageable material up through 11/31, '52 was prepared.

Q All of these documents deal with salvage value?

A Yes.

CHAIRMAN GARBINKEL: On the record show that Mr. Miller turned over a series of documents to Mr. Kaluz, in connection with his testimony dealing with salvage values.

MR. KALUZ: Why don't you mark each document --

MR. CHASCOFF: So the documents have captions, Mr. Miller?

MR. MILLER: They are just my notes and notes I received from others.

MR. CHASCOFF: There are no titles that can be

related to exhibit numbers?

MR. MILLER: No.

MR. KALIN: May don't we just number 'em consecutively then?

CHAIRMAN GARFINKLE: Have you introduced any exhibits yet?

MR. KALIN: You start going 1, 2, 3, 4, 5, and identification, until it is offered in evidence and you enter it in evidence.

(The documents referred to were marked  
Interviewers' Exhibits Nos. 3 through 7,  
inclusive, for identification.)

CHAIRMAN GARFINKLE: Off the record for a second.  
(Discussion off the record.)

CHAIRMAN GARFINKLE: See the record show that  
Mr. Kalin is showing the documents furnished by Mr. Miller  
to Mr. Kalin at this time.

MR. REPORTER: Let the record show that Mr. Kalin  
is showing the documents to Mr. Charnoff.

Q Mr. Miller, are you familiar with any of the  
contracts that have been entered into, either with a  
general contractor or subcontractor for the Davis-Besse  
project?

A Not in specific details, no.

Q Have you seen any of them?

1 A Yes.

2 Q Isn't it a fact that all those contracts, except  
3 the main one with Bechtel contain arrangements that if  
4 in the event of an act of the government the project  
5 construction is halted those contracts shall be null and  
6 void?

7 A No.

8 Q Have you ever seen that contract provision in  
9 any of those contracts?

10 A No.

11 Q Could they be in there and you don't know about it?

12 A To my knowledge the contracts have cancelled a  
13 provisions --

14 Q That's not my question. Could they be in there  
15 and you not know about it?

16 A There is a possibility.

17 Q Is there anything in those papers you have handed  
18 me that is written from John Hollett of Bechtel?

19 A Yes.

20 Q Will you tell me which papers those are? Will  
21 you identify them? There are exhibit numbers on here.

22 A The first part of this paper is from Joan Hollett.

23 CHAIRMAN GASTINKEL: What exhibit is that?

24 MR. HOLTER: Exhibit 7.

25 CHAIRMAN GASTINKEL: Marked for identification.

Q That's the only one from Mr. Hollett?

A In that group, yes.

Q Is that the only one written dealing with salvage value from Mr. Hollett?

A Yes.

Q Now my question has to do with Intervenor's CHAIRMAN GARFINKEL: If you are going into depth with the questions then you should offer it into evidence. Otherwise -- if you are going into the substance of this document I think it should be received in evidence so anybody will be able to follow it subsequently.

MR. KALUR: I will offer it in evidence.

MR. CHARNOFF: Which document is being offered?

MR. KALUR: Intervenor's Exhibit 7.

CHAIRMAN GARFINKEL: Will you describe it.

MR. CHARNOFF: Will you describe it, please.

MR. KALUR: This is a document with the name John Hollett's written in pencil on the left and it seems to be titled "Cost of Construction with Delay Period Total," A-c-c-u-m period. I assume that is "accumulated."

CHAIRMAN GARFINKEL: Any objection to its going into evidence?

MR. CHARNOFF: No, sir.

MR. KALUR: No, sir.

CHAIRMAN GARFINKEL: Okay. It is received in

evidence Exhibit 7

1. The evidence referred to was that of

2. the witness who testified that he

3. saw the defendant on the night of the

4. murder. He stated that he saw the

5. defendant walking towards the

6. scene of the crime at approximately

7. 10:00 p.m. on the night of the

8. murder. The witness further stated

9. that he saw the defendant

10. carrying a rifle which he

11. identified as the same rifle

12. which was found at the scene of the

13. murder.

14. The evidence further showed that the

15. defendant was seen walking away from

16. the scene of the crime at approximately

17. 10:30 p.m. on the night of the

18. murder.

19. The evidence also showed that the

20. defendant was seen walking away from

21. the scene of the crime at approximately

22. 11:00 p.m. on the night of the

23. murder.

24. The evidence further showed that the

25. defendant was seen walking away from

26. the scene of the crime at approximately

27. 11:30 p.m. on the night of the

28. murder.

29. The evidence also showed that the

30. defendant was seen walking away from

31. the scene of the crime at approximately

32. 12:00 a.m. on the night of the

33. murder.

34. The evidence further showed that the

35. defendant was seen walking away from

36. the scene of the crime at approximately

37. 12:30 a.m. on the night of the

38. murder.

39. The evidence also showed that the

40. defendant was seen walking away from

41. the scene of the crime at approximately

42. 1:00 a.m. on the night of the

43. murder.

44. The evidence further showed that the

45. defendant was seen walking away from

46. the scene of the crime at approximately

47. 1:30 a.m. on the night of the

48. murder.

1 A Under "Equipment Payments."

2 Q Under "Equipment Payments" I see the figure  
3 25,180, under "April 1, 1977." What does that figure  
4 designate?

5 A That's the accumulated equipment payments as of  
6 that date, cash.

7 Q Equipment payments for what?

8 A All the equipment at the site contracted for by  
9 Colorado Edison Company.

10 Q Does that include the equipment on the site or is it going  
11 to be delivered?

12 A That's what we don't know, but what we have  
13 received.

14 Q My question is, is that equipment on the site  
15 or is it to be delivered?

16 A It is to be delivered, and some is on the  
17 site.

18 Q Both.

19 A It is both, yes.

20 Q Is there a salvage value anywhere on this  
21 document with respect to that figure of 25,180?

22 A No.

23 Q Where do you see the first salvage value figure  
24 under the designation "Equipment Payments"?

25 A These figures show the accumulated payments for

equipment during the -- this period of time right here

(indicating). During -- and we have read from this table --

Q -- What period of time? Would you designate that?

A -- We are using the equipment payments which are part of this from 1/1/77 to 12 -- or 12/31, which includes the -- these payments come in one month later than the 1/1/77 --

CHAIRMAN CHASSOFF: Now we are talking about 1/1/77?

MR. MILLER: 1/1/77, correct, 1/1/77.

A -- Correct? These payments are for equipment and progress payments on equipment that will be shipped, delivered or we will be paying for it during the review period. These payments would continue whether or not we were to have a delay in construction or not. So we --

Q -- There are no other entries covered on page, aren't there, April and May, 1977?

A -- That's right.

Q -- Will you show us under "Equipment Payments" where you have indicated there are salvage figures, where those salvage figures are in the monthly period you have just indicated?

A -- All right. If we were to take these payments right here --

Q -- Tell us what payments you are talking about.

MR. CHASSOFF: Browse up, Mr. Miller. Don't say, "right here," "this period."

MR. MILLER: Okay.

MR. CHARNOFF: Define it in terms of lines of dollar amounts so the record will show.

Q All right; what months are you talking about?

A We are taking the equipment payments covering June, July, August, September, October, November and December. This equipment will either be purchased prior to or during this period of time. There would be no liquidation so it would all be salvaged.

Q Could you state in those the salvage figures and?

MR. CHARNOFF: I think he has just told you that all of the equipment cost would be treated as salvage, Mr. Miller.

MR. MILLER: Then we can indicate that. Let's let him indicate it.

CHAIRMAN GARDINER: Let Char. If, please, this is cross-examination, and Mr. Valby has a right to get the specific answer from the witness.

MR. CHARNOFF: He answered the question.

CHAIRMAN GARDINER: Well, I don't think he answered his question directly.

Q (Continued) Show me the figures for salvage value.

A This figure that I just told you.

Q Read the figure, please.



1 A \$2,500,000 for equipment payments in June.

2 Q All right. Read the next figure.

3 A \$1,174,000 for equipment payments in July.

4 Two million -- or 1,884,000 for equipment payments in  
5 August.

6 1,447,600 for equipment payments in September.

7 1,410,000 for equipment payments in October. 1,310,000 for  
8 equipment payments in November. And 1,600,000 for equipment  
9 payments in December.

10 Q Where are your facts and figures as to what  
11 equipment we are talking about?

12 A Mr. John Hollatt can provide that information,  
13 from Sechnel.

14 Q You couldn't?

15 A No.

16 Q Are these figures from John Hollatt on this  
17 page? Is there anything on here that are your figures?

18 A The writing on the right-hand side is my figures,  
19 they came from John Hollatt over a telephone call.

20 Q So John Hollatt supplied to you the figures  
21 with respect to salvage value for these monthly periods,  
22 isn't that correct?

23 A For this seven months' period, yes.

24 Q And the fact is that you of your personal  
25 knowledge don't know what the salvage value figures are

except what Mr. Hollatt told you, isn't that true?

A That is correct.

MR. WALUR: Mr. Chairman, in view of this I would like to have the testimony on page 26b stricken from the record.

CHAIRMAN BRADFORD: Overruled.

Q Can you give us a total on these salvage figures that you have run across here?

A I would need one of those other sheets because my totals are on the other sheet.

Q All right.

A \$12,965,000.

Q That's salvageable -- that's your figure for salvageable material between June and the end of December, of '72, is that right?

A That's right.

Q And this figure is on Intervenor's Exhibit No. 4, is that right?

A That is correct.

MR. WALUR: This document is entitled "Cost of Abandonment."

Q What is this figure underneath "Salvageable Material," headed up "Field Lab and Mat," I-a-t, what does that include?

A That is field, labor and material, is the

33,773,000 that would be spent if we continued construction during that same period of time; and that is, I believe, shown on one of those tables in our testimony. It was not shown, but it was the subject of the --

Q If we add together the total cost of the project, to 6/1/77, we have got 91,008,000, is that correct?

A Correct.

Q And we have got salvageable material that you are going to use into the job between June and December that could be salvaged at 12,268,000?

A Correct.

Q And you have figured --

A Labor and materials.

Q -- Labor and materials, 33,773,000 in the next six months' period?

A That's correct.

Q For a total of \$137,760,000 if the project should be abandoned on 12/31?

A That is the total expenditure up to that time.

CHAIRMAN GARFINKEL: Mr. Nash, are you going to offer that into evidence?

MR. NASH: Yes.

CHAIRMAN GARFINKEL: Why don't you just offer it now, and you can reproduce that document.

MR. NASH: We will offer into evidence

Interveners' No. 4.

CHAIRMAN GARFINKEL: Any objection?

MR. WALSH: No objection.

MR. SHAPIRO: No objection.

CHAIRMAN GARFINKEL: It is received into evidence.

The document is read to you received Interveners' Exhibit No. 4 in evidence.

BY MR. WALSH:

Q MR. WILSON, didn't it come out that Toledo Edison Company has involved some advertising money in advertising the safety of nuclear power?

A Yes. I read it in the newspapers.

Q You wouldn't know how much that is?

MR. SHAPIRO: Is that relevant, Mr. Chairman?

A No.

MR. WALSH: I am going to file it in.

CHAIRMAN GARFINKEL: This is cross-examination. I will give a little more leeway to cross-examination, subject to objection.

Q Do you know if the Toledo Edison claim at the present time to build any other nuclear reactors?

A No claim as of a claim that I am aware of.

Q Do you have anywhere in your figures the savings to Toledo Edison and ultimately the consumer if the Toledo

These plans should be abandoned, with respect to the  
possibility of advertising of nuclear facilities?

MR. CHAMBERLAIN: I am sorry, I could not hear the  
last question correctly.

CHAIRMAN GARDNER: Will you please read the  
question again.

MR. CHAMBERLAIN: The question was whether or not it  
was possible to advertise.

CHAIRMAN GARDNER: Yes, sir. The witness  
answered it.

MR. CHAMBERLAIN: I could not hear the question  
repeated at the end of the testimony. Is it possible  
that you if there is need for it?

CHAIRMAN GARDNER: Yes. The question may be  
repeated and the answer too.

Revised text: I repeat the question.

MR. CHAMBERLAIN: I understand the answer. I don't  
understand the question.

MR. CHAMBERLAIN: Your witness is a very good of your  
witness.

CHAIRMAN GARDNER: Mr. Chamberlain, I would  
appreciate it if you would make that part of the  
record.

MR. CHAMBERLAIN: I would like to see the record on

1 leave anybody with the implication that we do understand that  
2 kind of question.

3 CHAIRMAN CAMPBELL: That is not the issue, Mr.  
4 Charnoff. The issue is, the witness appears to understand  
5 the question very well. He answered it.

6 MR. SPOUR: Mr. Chairman, I would like a few  
7 minutes to look through these documents.

8 CHAIRMAN CAMPBELL: Do you want a ten-minute  
9 recess?

10 MR. SPOUR: Yes, please.

11 CHAIRMAN CAMPBELL: You may have a ten-minute  
12 recess.

13 Now, just on the record. One thing.

14 I am the type of judge & presiding officer who  
15 does not like to see the defendant talk to his  
16 witness or to the witness on the stand. That is normally  
17 part of the client's operation, while cross-examination is  
18 taking place.

19 So, Mr. Charnoff, if you will refrain from  
20 discussing the testimony with Mr. Miller at this time while  
21 cross-examination is taking place.

22 That's correct.

23 (END OF PAGE)

CHAIRMAN GARDINER: May we be on the record.

Mr. Kaler: Will you continue your report

as submitted.

BY MR. GARDINER:

Q Mr. Miller, the figure in your case of \$75,000,000 is that the salvage value of the equipment that is on the site if no construction were undertaken on it, is that right?

A Yes.

Q What does that figure represent in the salvage equipment?

A That figure represents equipment that may have to be moved elsewhere. It also represents equipment that has not been delivered, but it is not far from the point toward being completed that the abandonment cost would be equal to the cost of the equipment; so we have just decided we would take delivery of the equipment and use it in some other plant.

Q Well, what date do you find -- would you attribute that \$75,000,000 figure to?

A The equipment payments would continue for --

Q Just give me a date. That's all I want, is a date.

A I am just trying to --

Q Can't give me a reason, just a date.

A All right. Approximately June of '71.







1 like it

2 MR. HUNTER: A good as you can do it here.

3 MR. CHARNOFF: May be we get the letter from

4 name.

5 CHAIRMAN GASTWEL: Yes, you say.

6 (Discussion of the record.)

7 MR. HUNTER: I will say that the record is

8 Mr. Secretary.

9 (Discussion of the record.)

10 MR. HUNTER:

11 ( ) Is there anyone in your judicial territory  
12 discussion of the record, how would you have the situation  
13 in your jurisdiction of the record, how would you have  
14 considered as of June 10

15 A No.

16 MR. CHARNOFF: The issue of accommodation as of  
17 June 10 is not an issue in this hearing, Mr. Chairman. The  
18 issue in this hearing is

19 CHAIRMAN GASTWEL: This is a re-examination.

20 MR. CHARNOFF: That's right but the issue is  
21 suspension now, with the possibility of accommodation as of  
22 December 31.

23 MR. HUNTER: I will withdraw the question if you

24 like.

25 MR. CHARNOFF: You are so accommodating, Mr. Hunter.

MR. KAUFER: Let me rephrase it.

Will there be any dispute here with respect to the fact that the evidence is that the witness is the same person as the person who was interviewed by the FBI in New York, New York, in 1964?

MR. KAUFER:

... would you agree that the witness is the same person as the person who was interviewed by the FBI in New York, New York, in 1964?

THE COURT: Yes.

... would you agree that the witness is the same person as the person who was interviewed by the FBI in New York, New York, in 1964?

MR. KAUFER: ... would you agree that the witness is the same person as the person who was interviewed by the FBI in New York, New York, in 1964?

THE COURT: Yes.

MR. KAUFER: ... would you agree that the witness is the same person as the person who was interviewed by the FBI in New York, New York, in 1964?

THE COURT: Yes.

... would you agree that the witness is the same person as the person who was interviewed by the FBI in New York, New York, in 1964?

MR. KAUFER: ... would you agree that the witness is the same person as the person who was interviewed by the FBI in New York, New York, in 1964?

1 present facts on the record; it is not a divorce law case  
 2 or a tort case that Mr. Kaluz may have experience with, where  
 3 the name of the game is to trap witnesses. The name of the  
 4 game here is to present a full and complete record, and we  
 5 ought to establish once and for all that that is the purpose  
 6 of this administrative proceeding.

7 CHAIRMAN CAMPBELL: As you understand my  
 8 rulings, I don't think Mr. Kaluz has to answer to you. This  
 9 I govern and this Board governs the conduct of this adminis-  
 10 trative proceeding. We have to develop fully a full  
 11 record, but we will do it in the way the Board deems  
 12 appropriate.

13 Mr. Kaluz, please continue with your cross-  
 14 examination.

15 BY MR. MILLER:

16 Q Mr. Miller, if the Board were to order a  
 17 suspension of the construction permit outside of its  
 18 contractual commitments, Toledo Edison would not have to  
 19 spend any money for building, is that true?

20 THE WITNESS: Do I answer yes or no, or can I --  
 21 I don't understand your question.

22 CHAIRMAN CAMPBELL: Yes, please. Is it a  
 23 question now between the witness and Mr. Kaluz.

24 If you don't understand the question, please so  
 25 indicate. You don't have to answer any question you don't

1 understand.

2 THE WITNESS: Okay.

3 Q If construction were ordered to cease on June 1  
4 by an order of this Board outside of the contractual  
5 commitments that Toledo Edison has already entered into  
6 for the supplying of equipment, its expenses at the job  
7 site would cease, would they not?

8 A No.

9 Q Why would they not cease?

10 A We would have to maintain the site. We have  
11 given the monthly cost of maintaining the site. We have  
12 given in our testimony yesterday the one-time cost to  
13 reball the site and to rehabilitate it as we regained our  
14 construction permit.

15 Q What about the laborers, about 700 laborers.  
16 you wouldn't be paying them, would you?

17 A Not all of them.

18 Q Well, how many would you be paying?

19 A In the testimony yesterday Mr. Bollett indicated  
20 there would be about 75 people on the site.

21 Q The rest, minus 700 plus would not be paid;  
22 isn't that true?

23 A Right.

24 Q And that money would be a saving to Toledo  
25 Edison, would it not?

1 A During the seven months' period?

2 Q Yes.

3 A Right.

4 May I correct that.

5 It would be a listing to the plant, not  
6 Toledo Edison alone, but Cleveland and Toledo.

7 Q All right, that's understood.

8 In any of those documents the data supplied to  
9 me is there an exact listing of salvage value, naming of  
10 specific item, and a specific salvage value for it?

11 A No.

12 Q Will you tell me how the \$15,000,000 figure was  
13 arrived at?

14 A The \$15,000,000 figure was arrived at by  
15 totaling all of the equipment that was delivered to the  
16 site up through 12-31-72, that Bechtel considered salvage-  
17 able -- specifically Mr. John Hollett from Bechtel.

18 Q Mr. Hollett did not supply you with a list  
19 though of what items he deemed to be salvageable, is that  
20 correct?

21 A Yes, he did. This is one of the documents I  
22 gave you this morning, and it lists --

23 CHAIRMAN GARFINKEL: Will you refer to the  
24 exhibit number.

25 THE WITNESS: Yes. Exhibit 2, and 3.

1 CHAIRMAN CARPENTER: Which are both not received  
2 in evidence but marked for identification, am I correct, Mr.  
3 Miller?

4 A. YES, MR. CARPENTER: Please. I think we have introduced  
5 14 and 17.

6 Q Can you identify the word in the top of  
7 Introductory Exhibit 17?

8 A All right. The Exhibit No. 2 is "Inventory  
9 Equipment Commissions for Delivery Scheduled Between  
10 10-1-72."

11 Q And what about Exhibit 3, what is the title of  
12 that?

13 A It is "Present Equipment Commissions for Delivery  
14 Scheduled Between 10-1-72 and 12-31-72."

15 Q I see that there are two columns headed up on  
16 Exhibit 3 which have the heading "9-1-72" and "10-1-72."  
17 Would you tell me where in Exhibit 3 there are contents that  
18 we are talking about salvage value?

19 A The salvage value for each individual piece of  
20 equipment is the payments shown here in thousands of dollars.

21 Q For the 9-1-72 -- Is that correct?

22 A That's correct.

23 Q The figure is \$13,000?

24 A \$1,300,000. It is in thousands of dollars.

25 Q Mr. Miller, on page 26-A of your written testimony--

1 This is your testimony, is it not, on 28-A?

2           Q       The lower part of it, on Item C -- the lower  
3 two paragraphs, is mine, yes.

4           Q       Do you know whose secretary is under "D"?

5           A       Mr. Roe.

6           MR. KILBURN: Mr. Chairman, we certainly have  
7 the document -- this document is dated 1954, and it is  
8 primarily responsible for the suggestion. It would be like  
9 a motion to strike the entire testimony.

10           CHAIRMAN GARFINKEL: Your motion is denied.

11           If you need to cross-examine a specific witness,  
12 or to have him as part of your case, I will treat any  
13 witness that you call -- any witness of the Applicant that  
14 you call as part of your case as an adverse witness, which  
15 permits you to use leading questions throughout.

16           So you are still free in your case in chief.  
17 You haven't presented your case in chief yet. So therefore  
18 I don't see any basis for the motion to strike.

19           MR. KILBURN: My basis is, Mr. Chairman, that  
20 we are constantly changing who wrote what sections of this  
21 document and who is primarily responsible. It is impossible  
22 for us to prepare adequate cross-examination.

23           CHAIRMAN GARFINKEL: Well, we identify the  
24 person. You know who that person is with respect to the  
25 cross-examination or direct examination. You had that





1 I won't approach him. I will simply ask him a  
2 question.

3 CHAIRMAN GASPINELL: By all means.

4 REDIRECT EXAMINATION

5 BY MR. SHARNOFF:

6 Q Mr. Miller, a question was asked of you by Mr.  
7 Kaiser with regard to the question of whether suspension at  
8 this time would result in savings to Toledo Edison or  
9 Cleveland Electric, or both, during this NEPA review period  
10 with respect to roughly 625 workers who would be -- who  
11 would lose employment during the period if there was such  
12 a suspension.

13 The question I would like to ask you is whether  
14 that would result in a savings or a reduction in expenditures  
15 to the companies involved.

16 A Yes, it would result in a reduction in our expenditures  
17 during the seven months' period.

18 Q Would it ultimately result in a savings to the  
19 company, or increase costs to the plant?

20 A Increase costs to the plant.

21 MR. SHARNOFF: I have no further questions.

22 MR. KAISER: I have one question.

23 CHAIRMAN GASPINELL: Before you ask your  
24 question, I think you may want Mr. Miller back with respect,  
25 once you get the contract information that Mr. --

1 MR. CHARNOFF: We have the contract right here.

2 CHAIRMAN GASPINKEL: So therefore I will let  
3 you ask the question that you want to ask, and I think we  
4 should not let him off if you have further questions regard-  
5 ing the contract.

6 I would rather take a five- or -- rather five-  
7 minute recess and finish the cross-examination of Mr. Miller  
8 in the ordinary.

9 MR. CHARNOFF: Now I have one comment to make  
10 while we are on the record.

11 Do we have the full contract here?

12 I believe we have it. We will check. But I  
13 would point out that certain cost data in that contract is  
14 proprietary.

15 CHAIRMAN GASPINKEL: Well, then, I have no  
16 hesitation of putting it in camera.

17 MR. CHARNOFF: We want it in camera in these  
18 proceedings. I just want to point that out.

19 CHAIRMAN GASPINKEL: All right.

20 MR. CHARNOFF: May I have a moment to check with  
21 Mr. Roe to see whether we have the final contract here.

22 CHAIRMAN GASPINKEL: Off the record.

23 (Discussion off the record.)

24 CHAIRMAN GASPINKEL: On the record.

25 MR. KALUR: Will you raised his answer to the

1 last question.

2 (Record read as requested.)

3 RE-CROSS-EXAMINATION

4 BY MR. KALUZ:

5 Q Mr. Miller, your testimony that this would be an  
6 increased cost to the plant is based on an assumption that  
7 would not be an abandonment of the project after the full  
8 NEPA review, is that correct?

9 A Yes.

10 MR. KALUZ: Nothing further.

11 CHAIRMAN GARFINKEL: Mr. Nelson?

12 MR. NELSON: No questions.

13 CHAIRMAN GARFINKEL: Mr. Charnoff?

14 MR. CHARNOFF: I think Mr. Miller has done very  
15 well.

16 CHAIRMAN GARFINKEL: You are excused subject to  
17 recall on the question of the contract.

18 (Witness temporarily excused.)

19 CHAIRMAN GARFINKEL: You understand, Mr. Kaluz,  
20 you did not introduce into evidence Exhibits 2, 3, 5, and  
21 6.

22 MR. KALUZ: I understand that.

23 I introduced two items in evidence.

24 CHAIRMAN GARFINKEL: Are you going to return  
25 those documents back to --



4-1

CHRISTINE CARPENTIER: You are still under oath,

Mr. Reynolds.

CONFIDENTIAL

BY MR. KAUF:

Q Mr. Reynolds, will you tell me how far back for time  
what is your recollection in the written section?

A The written section.

Beginning on page 27, through page 31  
and the associated exhibits following page 31.

CHRISTINE CARPENTIER: You mean all those exhibits  
that go from page 33, 34, through --

MR. REYNOLDS: Yes, sir.

CHRISTINE CARPENTIER: -- through page 37?

MR. REYNOLDS: Yes, sir. -- Actually, the exhibits on  
page 34 and 35 apply to an earlier portion of the testimony  
which I was involved in the preparation of, if there is any  
question about that.

Q So on I correct the testimony on page 27 you  
were involved in the compiling of that?

A Yes, from numeral A -- or pardon me, letter A,  
on page 27.

Q If you know who is responsible for the material  
under the VT

A On which page, please?

Q Page 27.



4-1  
A I don't understand that.

MR. CHARNOFF: That doesn't sound like the transcription of the question.

CHAIRMAN GARFINKEL: I think it would be best to restate it.

MR. KALOR: Let me rephrase it.

Q Is there a relationship between advertising and the reaction of a demand for electrical power, in your opinion?

A I have attempted multiple regression analyses of this particular item you are talking about and I have found no significant results on a statewide basis, considering inter-company differences in promotional expenditures per customer.

Q And would it be a fair statement then that you found no correlation between advertising and the demand for electrical power?

A This is a true statement, yes, sir.

Q How much did the Toledo Edison Company spend last year for advertising?

A I do not know. This is not my area.

CHAIRMAN GARFINKEL: Mr. Kalor, I am having a little difficulty right now understanding the relevancy of the particular question in connection with respect to the plant. The fact -- let's assume there was no nuclear plant



4-4 that's in issue here, and you still have advertising and you still have the -- the demand is increasing. You are going to have the demand there even if you have to have a fresh program involving also. Is this related specifically to the nuclear plant?

MR. KALUR: Mr. Chairman, they have given us charts on what they believe to be the continuing electrical capacity, obviously far below, under the requirements of H-2(b) by showing how the consumer would be hurt by stopping the construction at Davis-Besse.

CHAIRMAN GARPINKEL: That's only on the basis that they need a plant, they have to generate this electricity.

MR. KALUR: The point is if they did not advertise there would be a certain correlation with the decline in need for the electrical power.

MR. CHARNOFF: That is not what the testimony shows, Mr. Chairman.

MR. KALUR: I am not pursuing it any further.

CHAIRMAN GARPINKEL: Just a moment.

MR. CHARNOFF: Mr. Chairman, we have no objection to that question and answer remaining in the record.

CHAIRMAN GARPINKEL: That is not the question. I want Mr. Kalur to know as a Board member what my concern is. I understand the concern and I think it is relevant to

cross-examination, based on his answer.

MR. KAUFER: Mr. Chairman, since he has answered it this way I am not going to pursue by questioning on it. He doesn't know.

Q Will you tell us who does have the figures on how much they expended on advertising last year?

A Offhand I don't know the name of the person who would have the dollar amount that was expended in advertising last year.

Q Well, who would know who would know?

A I suppose our controller would have that figure.

MR. KAUFER: No further questions.

CHAIRMAN GARFINKEL: Yes.

Mr. Haisch may have some questions.

MR. HAISCH: No questions.

CHAIRMAN GARFINKEL: Any redirect?

MR. CHARNOFF: Not at all. He did extremely well.

CHAIRMAN GARFINKEL: Okay.

Off the record.

(Discussion off the record.)

CHAIRMAN GARFINKEL: May we be on the record now.

Mr. Kaler, any other witnesses?

MR. KAUFER: We will call Mr. Herdendorf.

CHAIRMAN GARFINKEL: Is Mr. Herdendorf here?

MR. CHARNOFF: Dr. Herdendorf.



A-7

1 A Yes, I have.

2 Q Do you have that report with you?

3 A I am not sure I understand what report you  
4 are referring to.

5 Q Did you write a report for the State of Ohio?

6 A Yes. A number of reports for the State of Ohio.

7 Q Do they concern the same subject matter that the  
8 report that has been placed in evidence as your testimony does?

9 A I have written a report to the State of Ohio  
10 that specifically deals with dredging, within the area of  
11 the Lewis-Besse plant.

12 Q Have you ever written any type of report concerning  
13 any other reports -- any other reports concerning the  
14 anticipated dredging activities at Locust Point?

15 A No. There has only been one report. There  
16 have been a number of editorial issues of that, within a  
17 short period of time; a month's period. But they are  
18 essentially the same report.

19 Q Were they all written for The Toledo Edison  
20 Company?

21 A Correct.

22 Q Looking through your qualifications and your  
23 list of publications I notice item No. 4 is Sand Beach,  
24 Ottawa County, Ohio shore control study. Would you happen  
25 to have that with you?

1 A No. I do not have a copy of that with me.

2 Q Well, what about Item 15, "Report of short damage  
3 caused by the high water storm"?

4 A Not a no. I am familiar with those, I probably  
5 can brief you on any information you would like to have.

6 Q Can you get them for us?

7 A Yes. They are in Columbus. They can be  
8 produced within a day, probably.

9 MR. CHARNOFF: Are these documents in published  
10 literature, Dr. Henderson?

11 DR. HENDERSON: No, they are open file reports  
12 for the State of Ohio and as such they were never really  
13 published as an open circulation.

14 Q Now, I am correct in stating that the report that  
15 you have prepared, and the one that is in evidence now,  
16 was one prepared for Toledo Edison in support of their  
17 application for a corps of engineers permit, is that  
18 correct?

19 A That's correct.

20 Q And so the statement at the end of your report  
21 that you recommend issuance of the permit is with respect  
22 to the permit to be issued under Series III, Section 403,  
23 is that correct?

24 A If that is the correct notation of the corps of  
25 engineers, correct.

26 Q Do you know when the application for the corps

4-9

1 permit was filed by Toledo Edison?

2 A Not the precise date. I believe it was in April.

3 Q Do you know if they filed an application prior  
4 to April?

5 A Yes, I believe they did.

6 Q All right. And was that one refused?

7 A By my direct knowledge I have never seen a  
8 refusal of it, but my understanding is that it was -- the  
9 company was asked to modify it.

10 Q The fact is one earlier application was submitted,  
11 it was not acted favorably on and a new application has  
12 been submitted. Is that true?

13 A I believe that is true. To the best of my  
14 knowledge I think that is.

15 Q And the reason the first one wasn't accepted was  
16 because of environmental reasons, isn't that true?

17 A I have no way of knowing. I have not talked to  
18 the corps about it.

19 Q Do you know if the corps has published a NEPA  
20 impact statement on the proposed dredging?

21 A No, I do not.

22 Q Can you quantify for me, or identify the type  
23 of damage that will occur from the sediment dumping as a  
24 result of the dredging?

25 A Well, you can anticipate a number of the effects

4-10

of the dredging. The dumping of the material in the open lake you are referring to?

Q Yes.

A This material is likely to cause some turbidity. I don't anticipate it to be great because it is basically sand, which settles very rapidly and doesn't cause turbidity problems in a lake.

Q You have a degree in limnology, is that right?

A That's right.

Q Would you define for us the scope of limnology?

A Limnology is the study of fresh water streams and lakes. Basically it is the biological and physical and chemical processes associated with rivers and lakes.

Q Is it a true statement in the field of limnology that the dredging and depositing of sediment material is probably the worst development that can occur to a fresh water ecosystem?

A As far as in the study of limnology?

Q Yes. Would that be an accepted tenet of it?

A It is difficult to say. As far as talking about formal education in limnology I have never had a course that dealt with dredging or even remotely stringed on it.

Q Well, you wouldn't say that dredging material in a deposit of water, in a fresh water ecosystem would be beneficial, would you?

4-11

1 A If you are asking me if dredging can cause  
2 environmental damage I will have to answer yes.

3 Q And it uniformly causes some damage, does it not?

4 A There is some environmental effect, yes.

5 Q You are employed by the Lake Erie Area Research,  
6 is that correct?

7 A I am director of that center.

8 Q Is that set up by Ohio State?

9 A Yes, that is a unit within the --

10 Q Do you have any knowledge as to who funds that?

11 A Yes. It is funded by a number of agencies.  
12 Federal, state, private.

13 Q Do you have any knowledge as to who the private  
14 contributors are?

15 A The only private contributor at this point is the --  
16 for who I prepared this report.

17 Q That would be Toledo Edison Company?

18 A That's right.

19 Q Is it not true that whenever you disturb a beach  
20 area that acts as a barrier such as Locust Point does, that  
21 that area that has been dredged is permanently damaged as  
22 to its stability?

23 A In this case I would think that would be a  
24 very minimal disruption.

25 Q But that is true, there is some permanent damage



4-12

1 as to stability, isn't there?

2 A I would say not in this case. I would like to  
3 explain that answer, too.

4 Q I will give you a chance.

5 A I think I would like a chance right now.

6 CHAIRMAN GARTENKEL: Go ahead, please explain it.

7 A (Continued) Because of an answer I would like  
8 to explain it. That this is a very shallow dredging an  
9 average 1.8 feet below bottom. Basically the material will  
10 be sand. This is a material which is a loose material which  
11 moves to and fro. Replacing of this material then will  
12 essentially establish the bottom of the lake like it was  
13 before. It is not like you are taking out a firm bedrock  
14 foundation. This material will be replaced and will go  
15 back in the condition that it was taken out. So I don't  
16 think it will be.

17 Q So you say it is a 1.8 feet average, but the  
18 dredging will be deeper than that in some places?

19 A It will be 3.6 on a maximum.

20 Q What was the original depth that was expected?

21 A I don't know, I was not involved in that.

22 Q It was more than 3 feet, wasn't it?

23 A I think it was, because they were planning on  
24 putting the intake line there, the company was.

25 Q This area, the Lost Point area, is the area in

1 front of the Davis-Besse station, isn't that true?

2 A That's correct.

3 Q Can you give us any of your conclusions on what  
4 the effect on Navarre Marsh would be if the debris in the  
5 Locust Point, Sand Beach area, was sufficient to allow  
6 water from the lake to enter?

7 A Yes, I can't speak for that particular area, but  
8 in 1956 there were breaches in a number of areas due to the  
9 high water storm. There were breaches in the dikes, these  
10 were repaired in Ottawa area. And the Navarre Marsh, I  
11 don't know of any lasting damage.

12 Q It wouldn't be good for a marsh area to have lake  
13 water going in, would it?

14 A No, it would disturb your mixing, and your amount  
15 of nutrients and this type of thing. But during marsh  
16 management they do allow water in and out from the lake,  
17 for flushing.

18 Q That is a controlled activity, is it not?

19 A A controlled activity. But I am just referring  
20 that this type of lake encroachment is not an irreparable  
21 damage.

22 Q When I read your report I was not entirely clear  
23 on your conclusions as to what supplies the sand for the  
24 beach. You seem to indicate there was a westward drift  
25 of the sand, but there was also a splitting of the two

1 drifts. Would you explain to me how the sand is supplied  
2 to the beach?

3 A Yes. To explain that, Locust Point is a head-  
4 land area, and as such sand normally will move away from a  
5 headland area, and in two directions east and west. The  
6 westerly movement I was specifically talking of was  
7 movement toward the Sand Beach area. The other movement  
8 was toward the east, toward the area of Port Clinton.  
9 Normally you would expect in this type of situation that you  
10 would eventually deplete the sand and that you wouldn't  
11 have any beach there at all because of movement of sand in  
12 both of those directions. So you have to account for the  
13 sand in some way, and the most plausible explanation is  
14 that it moves in from an off-shore source. And we did find  
15 through our studies a major sand deposit lying off shore,  
16 between the Locust Point area and the Reef area. Actually  
17 the Reef area itself is embodied by a number of sand areas.  
18 So storm activity carries this sand into the Locust Point  
19 area, and wave action, and ice shelf during the wintertime,  
20 carries material into the beach to constantly replenish  
21 the material that is moving away in both directions. And  
22 our study has shown that the beach over a 20-year period  
23 now has remained fairly stable, there hasn't been any  
24 great changes. And this is the best explanation we have  
25 of why it does have stability and it is still moving out.

1 Q Is the Sand Beach area the area to the west of  
2 the Locust Point?

3 A Yes.

4 Q And there are a number of summer homes with  
5 permanent residents close to the water there, is that  
6 correct?

7 A That's correct.

8 Q Is it your opinion that the leaving of dredge  
9 material in the water would not for the period in which  
10 it is in the water interdict, or cut off the westward sand  
11 flow to the Sand Beach area?

12 A No, because I believe the dredging is right  
13 about the point of divergence, and being so close to the  
14 point of divergence your sand is moving either east or  
15 west from that point, and this is why I don't feel that there  
16 will be any detriment, particularly because the main source  
17 material is moving at right angle into the shoreline  
18 from off shore.

19 Q Have you done any studies on the effect of  
20 radionuclide buildup in fish?

21 A No, not at all.

22 MR. KALUR: No further questions.

23 CHAIRMAN GARFINKEL: Mr. Malsch.

24 MR. MALSCH: Yes.

25 CHAIRMAN GARFINKEL: You may cross-examine.

1 of the page of what appears to be a 3-foot contour?

2 A That's correct.

3 Q Does the channel end at the 3-foot contour?

4 A It goes slightly beyond to the 3.6 foot contour.

5 Q Do you know what the draft of the barge is going  
6 to be?

7 A Less than 5 feet. Might I explain that? The  
8 apparent discrepancy.

9 Q Is it greater than 4 feet?

10 A The lake is averaging right now 3 feet above  
11 the datum used on this chart, so that means right now  
12 with that 3-foot contour we would have about 6 feet of water  
13 and this is anticipated to run on through the fall, about  
14 2 feet above datum.

15 Q So you expect the water levels to be about  
16 2 feet above the 3 feet slope during the period August  
17 through October?

18 A At least 2 feet, yes, and probably running a  
19 little higher.

20 Q And what will happen to the spoils in the water  
21 after you dredge them? Are they going to be piled up  
22 on both sides?

23 A No, it is piled on one side, and it will form  
24 much like a dike that you would find in the controlled  
25 marsh areas. And material will just be left alongside the

## CROSS-EXAMINATION

1  
2 BY MR. NELSON:

3 Q Professor Hardendorf, when is the dredging  
4 going to be done?

5 A It will be done during a period sixty days prior  
6 to delivery of the barges, which is anticipated to be in  
7 September. It will be basically during the month of August.  
8 August, I would say, is the primary month.

9 Q What is the period during which you are going  
10 to be closing up the channel?

11 A It will then be in the latter part of  
12 September through probably October, rather, to complete it.

13 Q So you are opening up the channel in August and  
14 you are closing it back up around September?

15 A That's correct.

16 Q Would the lake bottom then be restored around  
17 October?

18 A Yes. The plans call for complete restoration  
19 by that time, by forty days after delivery.

20 Q And what form of dredging will be employed?

21 A I don't believe that final decision has been  
22 made, but it will not be as a hydraulic type, it will be a  
23 drag line or a bucket type probably from a barge.

24 Q Figure 4 of your testimony, referring to Figure 4  
25 of your testimony, there is an identification in the middle

1 channel until the barge has left and then it will be  
2 immediately replaced back into the opening.

3 Q The underlying material, clay material, will  
4 that be placed on top?

5 A Yes. I recommended that the clay be placed  
6 alongside the channel, that the sand be placed back up on  
7 the, towards the Beach area.

8 Q So you are placing the clay in the water and the  
9 sand on the Beach area?

10 A There will be some mixture which you won't be  
11 able to separate out, because it is not that distinct a  
12 separation in there, but basically the material on the  
13 beach will be sand, probably exclusively, and the material  
14 in the water will be a mixture of sand and hard clay.

15 Q Where do you expect to put the earth that will  
16 be removed from the shore area?

17 A That's all sand, and that will be in the same  
18 pile as the off-shore sand.

19 Q Will a drag line be used in excavating the  
20 shore area?

21 A I can't answer that question.

22 (END OF PAGE)  
23  
24  
25

1 Q Referring to page 9 of your testimony, you state  
2 on page 9 that "I anticipate that introduction of dissolved  
3 pollutants into the water caused by the dredging operation  
4 will be negligible."

5 A That's correct.

6 Q Can you quantify in any way the amount you  
7 actually expect to be produced?

8 A This statement is based upon the character of  
9 material, which is ancient material that was deposited long  
10 before man's advent on the scene. So the material is  
11 basically cleaner material than our recently deposited bottom  
12 material that you find in a harbor.

13 and I do have some chemical analyses that were  
14 taken not in that precise area but within a few miles of  
15 there, during my work, which indicates that this material is  
16 low in materials that would be considered pollutant,  
17 detrimental pollutant.

18 Q What did you mean here by dissolved pollutants?  
19 What elements or compounds would you be talking about?

20 A Those are a broad mention -- anything that would  
21 be deleterious to the environment.

22 Q For example, what could that be?

23 A This could be phosphate, for example, which might  
24 be considered, overfertilization of the material. Or any  
25 toxic material such as heavy metal, pesticides, such things.



1 Most of these elements, compounds, were not in abundance.

2 Q How about mercury, is that possible?

3 A Yes, we have some analyses on mercury in that  
4 general vicinity which show levels less than a half a part  
5 per million.

6 Q How far away from this area were those samples  
7 taken?

8 A I would say a few miles from the site.

9 Q Has there been any analyses of the nature of  
10 the sediments in the actual area where the dredging will be  
11 conducted?

12 A Mainly the size grain analysis, the type of  
13 materials. This would be the -- what is sand, silt, and  
14 clay. Mechanical analysis rather than chemical.

15 Q These samples you referred to, sediment samples,  
16 in your experience has samples of this sort varied from  
17 place to place and site to site, along the lake?

18 A Yes. As far as the -- well, in this very area,  
19 mechanically as far as grain size they vary considerably.  
20 You go from the shoreline with sand up to clay material, then  
21 out to a glacial material, and out to a bedrock area.

22 Q How about variability up and down the shoreline?

23 A That can vary quite drastically too. Some areas  
24 you will have sandy shores, clay banks, bedrock shores.  
25 In local areas you have limited variability, within a few

1 miles.

2 Q Then in view of the fact that you have taken  
3 those samples at the location -- Was that your testimony?

4 A No, that wasn't.

5 I have <sup>Not taken</sup> ~~taken~~ those samples for chemical analyses  
6 at the site, but we have taken samples for size grain  
7 analysis, whether sand, silt, clay, that type of thing.

8 Q But no chemical analysis?

9 A That's correct.

10 Q But you have conducted analyses, chemical  
11 analyses in other nearby areas?

12 A Yes.

13 Q What is the basis for your belief that the  
14 analyses conducted in the other areas would be applicable to  
15 this area?

16 A Well, there is variability, as I say, in the  
17 types of sediments but the chemical analysis of that particular  
18 type of sediment -- take clay, for example. Clay from all  
19 areas of the lake is basically the same. There is not a wide  
20 variation of the ancient glacial chemical content. The wide  
21 variation --

22 Q Do you think it is possible that any of the tidal  
23 effects would cause any of the dredge material to float into  
24 the river?

25 A Tidal effects?

1 Q Wind tides.

2 A It is rather unlikely.

3 Q Why?

4 A You are about over a mile away, and our  
5 experience has been in sand material that it settles much  
6 more rapidly than that, within a few hundred feet really  
7 at the site, and turbidity just would not carry it that far.

8 Q How about the clay material?

9 A Well, our experience in dredging in the Maumee  
10 River has shown that really in a few hundred yards we can't  
11 determine background clay, suspension contents, background  
12 of the river, with relation to a dredge, for example.

13 Q In your opinion at the time the dredging is being  
14 conducted do you think it may affect the spawning of any  
15 important species of fish?

16 A No, I don't believe so. It is not the right  
17 time of the year, for many of the species, being in the fall,  
18 and also it is not causing any considerable -- the area is  
19 only about 1.5 acres of bottom. And the habitat is not the  
20 right type. It is a rather high-energy wave activity  
21 habitat, which is not particularly good for spawning because  
22 the wave activity would disturb the eggs and this type of  
23 thing and would not be conducive to the spawning.

24 Q Have you yourself done any surveys as to the  
25 nature of the fish or other aquatic organisms that may be

1 found in the area where the dredging activities are to be  
2 conducted?

3 A I have collected samples which have been  
4 analyzed for benthic organism content, and presently I am  
5 director -- a director of the Center. There are people that  
6 work for the Center that have conducted such research.

7 Q How about fish and species of that sort?

8 A Yes.

9 Q Have they conducted surveys to determine what  
10 they might be?

11 A Some of the people that work for the Center  
12 that is under my control have, yes.

13 Q I think you testified on page 12 that the area  
14 is not a particularly good habitat for benthic organisms.

15 A That's correct.

16 Q Have you visited the beach around near where the  
17 dredging will be conducted?

18 A Yes.

19 Q Are there any shells or anything of that sort  
20 littered along the beach?

21 A Very abundant.

22 Q Do those shells indicate to you the existence of  
23 any benthic organisms in the area?

24 A We have direct sampling in the area which  
25 indicates that the number of benthic organisms run only about

10 percent, of that found offshore in the deeper areas.

That is why I said relatively the area is not a good habitat. But as far as those shell areas go I have a theory that those are material that is carried from the offshore reef areas. The sand is carried in to the shore. This is the way the shells are carried in to the shore from the offshore deposits.

I can't substantiate that, but it is my belief.

Q How do you intend to restore the beach area once the work is done?

A I would say that the clay material which is placed on the bottom will return roughly to its original contour, and the sand will be distributed over the area probably with a dragline or similar device, and graded down in this manner to the approximate contour. There will be fathogram recordings made of the bottom for a survey when construction there is completed to determine if this is completed as planned.

Q Is the beach area stabilized by rickrack at the present?

A Riprap

Riprap

Q Riprap yes.

A Not at the site where the channel goes through, but I anticipate or expect about -- would estimate that about 500 feet farther east there is some rip rap

1 protection of the shoreline.

2 MR. MAIBCH: I have no further questions.

3 CHAIRMAN GARFINKEL: Mr. Charnoff, do you have  
4 any redirect?  
5

6 Then I will let you continue recross again, but  
7 I want to have Mr. Charnoff's redirect.

8 Or do you want to continue and let Mr. Kalur  
9 have -- continue with his cross if he has any further  
10 questions, and then redirect?

11 MR. CHARNOFF: Mr. Kalur's cross of Dr.  
12 Herdendorf?

13 CHAIRMAN GARFINKEL: Again based on the cross-  
14 examination here --

15 MR. CHARNOFF: I would be glad to defer to Mr.  
16 Kalur.

17 CHAIRMAN GARFINKEL: Do you have any further  
18 in view of the cross?

19 MR. KALUR: I have no further cross-examination.

20 CHAIRMAN GARFINKEL: Mr. Charnoff, do you have  
21 any redirect?

22 MR. CHARNOFF: No, sir.

23 CHAIRMAN GARFINKEL: Wait. The Board may have  
24 some questions here.

25 MR. LYMAN: You mentioned a site within a mile  
or a mile and a half of the plant you found a small

1 concentration of mercury in the water. Do you have any  
2 reason to believe that this mercury might have resulted from  
3 the plant construction?

4 THE WITNESS: No, I didn't mean to infer that,  
5 sir. I meant that the mercury we did discover is a typical  
6 background level we found in many of the sediments throughout  
7 the lake which is running less than a part per million --  
8 except in the Detroit River mouth it is running quite high,  
9 about four parts.

10 This 's typical background levels.

11 MR. LYMAN: Does Lake Erie freeze in the winter?

12 THE WITNESS: Yes, it does.

13 MR. LYMAN: How thick does the ice get?

14 THE WITNESS: Several feet in the western basin.

15 MR. LYMAN: Like three feet?

16 THE WITNESS: I haven't any direct measurements,  
17 but myself, know from fishing, it has been over a foot and a  
18 half.

19 MR. LYMAN: Then some of the sediments that are  
20 being dredged are also influenced in the winter by ice that  
21 may be sitting on top of it?

22 THE WITNESS: Oh, yes, the ice piles up in many  
23 windrows, and this intersects the bottom in areas that are  
24 quite deep, maybe over ten feet deep. The ice can pile up  
25 on the reef areas and scrape the bottom.

1 MR. LYMAN: Could this explain then why the benthic  
2 organisms are relatively less abundant there?

3 THE WITNESS: Yes, it could be a possible  
4 explanation.

5 MR. LYMAN: That's all.

6 CHAIRMAN GARFINKEL: Wait.

7 MR. LUEBKE: I have no questions.

8 CHAIRMAN GARFINKEL: I have one or two questions.  
9 The testimony you gave today, that's your  
10 testimony; am I correct?

11 THE WITNESS: Yes.

12 CHAIRMAN GARFINKEL: Okay.

13 Were you told by anybody from the Applicants'  
14 desk how to testify?

15 THE WITNESS: Not at all.

16 CHAIRMAN GARFINKEL: This is your free and  
17 complete testimony?

18 THE WITNESS: Yes, sir.

19 CHAIRMAN GARFINKEL: I have no further questions.

20 Does anybody want to recross on the basis of what  
21 the Board has asked?

22 Mr. Kalur?

23 MR. KALUR: No, sir.

24 CHAIRMAN GARFINKEL: Mr. Charnoff?

25 MR. CHARNOFF: No, sir.



1 CHAIRMAN GARFINKEL: Mr. Malsch?

2 MR. MALSCH: No, sir.

3 CHAIRMAN GARFINKEL: You are excused.

4 (Witness excused.)

5 CHAIRMAN GARFINKEL: Any more cross-examination?

6 MR. KALUR: I have a couple of questions I would  
7 like to address to Mr. -- the controller for Toledo.

8 MR. CHARNOFF: We can call him. He is on call,  
9 right across the street.

10 Is this with regard to advertising?

11 MR. KALUR: Yes.

12 MR. CHARNOFF: Because we can ask Mr. Kostanski  
13 to come, if we may take a ten-minute recess.

14 CHAIRMAN GARFINKEL: I think it is appropriate.  
15 I think we will go to 12:30 today. And then we will take a  
16 luncheon break.

17 (Short recess.)

18 (END OF PAGE)

19  
20  
21  
22  
23  
24  
25

6-1  
1 CHAIRMAN GARFINKEL: May this hearing come to  
2 order, please.

3 Based on an informal discussion off the record  
4 and in order to save time, the counsel for the parties have  
5 agreed to permit Mr. Malsch to put on as much as possible  
6 of his case in chief, for the remaining hour between now  
7 and 12:30 when we will recess for lunch.

8 Mr. Malsch?

9 MR. ESSY: Mr. Chairman, my name is Douglas Essy.  
10 I am with the Federal Power Commission.

11 CHAIRMAN GARFINKEL: Will you take a seat over  
12 here, please.

13 MR. ESSY: I am not going to be the witness, I  
14 will be eliciting testimony from one of our staff.

15 CHAIRMAN GARFINKEL: Please call him.

16 MR. ESSY: At this time I would like to call  
17 Mr. Tealston to the stand, please.

18 CHAIRMAN GARFINKEL: Will you state who you are  
19 again, please.

20 MR. ESSY: Douglas Essy, staff attorney for  
21 the Federal Power Commission.

22 CHAIRMAN GARFINKEL: The Federal Power Commission  
23 is not a party to this case, Mr. Malsch.

24 MR. MALSCH: That's correct, but he has entered  
25 an appearance on behalf of the staff for the purpose of

6-2

1 conducting the direct examination of Mr. Toalston.

2 MR. KALUR: I will have to show an objection to  
3 this, on, first, the ground they are not a party; second, on  
4 the same ground we made as to the regulatory staff participation  
5 as a party. This is an adversary proceeding.

6 CHAIRMAN GARFINKEL: The part dealing with the  
7 participation of the regulatory staff I take it is  
8 a continuing objection?

9 MR. KALUR: That's right.

10 CHAIRMAN GARFINKEL: But it is overruled.

11 I am more concerned procedurally in permitting  
12 an attorney from another agency to cross -- to examine, in  
13 a case in chief, unless he is specifically authorized by  
14 the Commission to represent the Commission.

15 Mr. Malsch, is he authorized specifically to  
16 represent the Commission?

17 MR. MALSCH: Well, he is authorized by the  
18 staff to represent the staff. I am not sure the full  
19 Commission is aware of Mr. Essy's participation.

20 MR. CHARNOFF: Well, the Commission is not a  
21 party herein. As I understood it the appearance was made  
22 by Mr. Malsch on the first day and he indicated Mr. Essy  
23 was here to assist in the presentation of his testimony.  
24 The Federal Power Commission is not offered on behalf of the  
25 FPC as a party, it is entered on the part of the regulatory

6-3 1 staff. And as a matter of convenience to Mr. Malsch he is sim-  
2 ply enlisting the aid of Mr. Essy.

3 CHAIRMAN GARFINKEL: I will treat that as  
4 permissible for this hearing. Whatever comments come out --  
5 whatever testimony comes out of the examination by Mr. Essy  
6 will be the testimony of the regulatory staff.

7 Is that correct, Mr. Malsch?

8 MR. MALSCH: That's correct.

9 CHAIRMAN GARFINKEL: Okay.

10 MR. ESSY: May I have Mr. Toolston sworn in,  
11 please.

12 Whereupon,

13 ARGIL L. TOOLSTON

14 was called as a witness and, having been duly sworn, was  
15 examined and testified as follows:

16 CHAIRMAN GARFINKEL: Please be seated.

17 MR. ESSY: Mr. Chairman, we have not prepared  
18 a written treatise of Mr. Toolston's qualifications, so I  
19 would like to briefly run through them if I may.

20 CHAIRMAN GARFINKEL: Surely.

21 DIRECT EXAMINATION

22 BY MR. ESSY:

23 Q Please state your name, Mr. Toolston.

24 A Argil L. Toolston.

25 Q And your address?

1 A 6160 Westchester Park Drive, College Park,  
2 Maryland.

3 Q And by whom are you presently employed?

4 A With the Federal Power Commission.

5 Q And how long have you been so employed, sir?

6 A Since May 10, 1971.

7 Q And do you work for a particular division within  
8 the Federal Power Commission?

9 A Yes. I work in the Bureau of Power, and the  
10 Division of Coordination and Reliability.

11 Q What are the duties of that division, please?

12 A Its principal duties are to review reliabilities  
13 throughout the United States, based principally on reliability  
14 records.

15 Q Could you please speak a little bit louder?

16 A I will try.

17 Q And what are your duties within that division,  
18 please?

19 A I am assigned to specific areas to review.

20 Q Would you state the goal of the division that you  
21 work for?

22 A The goal is to promote coordination and  
23 reliability among the various electric utilities.

24 Q Mr. Toalston, what is your education, please?

25 A I am a graduate electrical engineer, I have a

1 Bachelor of Science degree from Ohio State University.

2 I graduated in 1951.

3 Q Are you a member of any honorary societies?

4 A Yes.

5 Beta Kappa Nu.

6 Q What are you prepared to testify on today, please?

7 A I am prepared to discuss the impact that a delay  
8 in the Davis-Besse nuclear project may have on the  
9 expected reliability of the power supply in the summer of  
10 1975.

11 Q Are you speaking in terms of commercial operation?

12 A Yes. Commercial operation if Davis-Besse is  
13 delayed beyond June of '75, in particular.

14 Q Why do you feel that you are qualified to  
15 testify on this?

16 A I have had over twenty years' experience with the  
17 electric utility industry.

18 Q Would you please describe that?

19 A Yes. Before going with the Federal Power  
20 Commission I was employed by a consulting firm by the name of  
21 Commonwealth Associates, located in Jackson, Michigan.  
22 My first year there I was in steam plant design. The next  
23 four years in substation design. The year after that in  
24 the technical section. And the remaining fourteen years in  
25 systems studies.

1           In the systems studies we did many studies on  
2 transmission, distribution, generation, and energy  
3 control centers.

4           Q     Then your employment with the Commonwealth  
5 Associates was your previous employment to being employed  
6 at the Federal Power Commission, is that correct?

7           A     Yes. I went to the Federal Power Commission  
8 directly after leaving Commonwealth Associates.

9           Q     What particular qualifications do you have on the  
10 subject of reliability?

11          A     I have had special expertise in reliability. We  
12 have done a number of reliability studies involving prob-  
13 ability mathematics. I have written computer programs  
14 applying probability mathematics to reliability projects.  
15 And I have even written a technical paper on using probability  
16 techniques.

17          Q     Have you had occasion within that subject to  
18 study a particular pool of electrical systems?

19          A     Yes. One of the studies that we did was for the  
20 Wisconsin pool.

21          Q     What professional qualifications do you possess,  
22 Mr. Tealston?

23          A     I am a registered engineer, a registered electrical  
24 engineer in both Ohio and Michigan.

25          Q     Are you a member of any associations?

1           A     Yes. I am a member of IEEE, that's the Institute  
2 of Electronics and Electrical Engineers.

3           Q     Do you hold any positions within that association?

4           A     I am classified as a senior grade member.

5           Q     Have you any papers that have been published?

6           A     Yes. Several technical papers in the IEEE  
7 transactions.

8           Q     Mr. Tolston, as we were going to be conversing  
9 with terms that may or may not be familiar to some of the  
10 individuals present, I would like to go into some of those  
11 terms. And, first of all, as we are mainly going to be  
12 discussing reliability of electrical systems, would you  
13 please address yourself to that term?

14          A     Reliability in particular regarding power supply  
15 is what we are going to be discussing, and reliability  
16 pertains to the ability of the electrical system to supply  
17 the electrical requirements at all times. The more of the  
18 time they can supply it the more reliable it is.

19 Reliability depends on many different things. The load  
20 variation of the electrical systems, the sizes of  
21 generators in the electrical systems; but particularly with  
22 respect to the size of the system.

23                 Forced outage rates for the generator.

24                 Also important is the strength of the transmission  
25 line interconnections within the system. And, above all,



1 reserves, generation reserves is important.

2 Q What do you mean by "reserves," now? Pardon me,  
3 were you going to --

4 A Yes, I was going to say generation reserves are  
5 both important as -- as to the amount of the reserves and  
6 also to the location of the reserves.

7 Q What do you mean by "reserves"?

8 A "Reserves" is the difference between generation  
9 capability and the load requirements.

10 Q What do you mean by "load," now?

11 A "Load" is the electrical requirements of the  
12 system's customers. It varies from minute to minute, but  
13 the thing that we are primarily interested with is the hourly  
14 average load, or the integrated hourly load, and more  
15 specifically we are interested in that peak load that occurs,  
16 and in this particular case the critical period appears to  
17 be the summer of 1975, so we are interested in that  
18 particular peak.

19 Q In answering my previous question you mentioned  
20 "generation." Will you define what that means in terms of  
21 capability?

22 A Yes. "Generation capability" is the theoretical  
23 maximum output that the system can put out. We have different  
24 terms, we use "demonstrated capability" as meaning the  
25 maximum that is actually demonstrated by a test. We use

1 the term "seasonal" to indicate that the maximum may be  
2 derated due to seasonal conditions, such as water  
3 temperatures, and air temperatures.

4 Q Are there various types of reserves?

5 A Yes. There is -- you might say -- well, we talk  
6 generally of three different types of reserves. Let me  
7 start with spinning reserves, and then operating reserves,  
8 and finally installed reserves.

9 Now, "spinning reserves" pertain to the extra  
10 generation that is actually running at the time, and "operating  
11 reserves" include the spinning reserves and also a certain  
12 amount of what we call "quick-start generation," generation  
13 that is not actually spinning, but could be started very  
14 rapidly. "Installed reserves" include the operating  
15 reserves and also generation that may take some time to  
16 start, it may be a day or so.

17 Q In your studies did you center on any one  
18 particular type of reserve?

19 A In this case the installed reserves is most  
20 important because we are looking at a long time in the  
21 future and the fact that it takes a day or two to start  
22 is not particularly significant.

23 Q Well, how do you rate reserves then, in terms  
24 of significance to reliability?

25 A Well, there's two things that are important, of

1 course: The amount of the reserves is important, and also  
2 the location of the reserves.

3 Q You have studied the Davis-Besse project in terms  
4 of reserves, have you not?

5 A Yes.

6 Q And what were your findings?

7 A Our findings are that if the Davis-Besse commercial  
8 operation is delayed beyond the summer of 1975, specifically  
9 June of '75, that we can expect some lower reserves, and,  
10 therefore, probably a decrease in expected reliability.

11 MR. RALUR: Objection. Show a request that that  
12 be stricken. The AEC regulatory staff through the FPC is  
13 now attempting to carry the proof burden put on the  
14 permittee.

15 MR. CHARNOFF: Not so, Mr. Chairman.

16 CHAIRMAN GARFINKEL: Objection overruled.

17 Continue with the examination.

18 Q Prior to delving into your study then in detail,  
19 Mr. Toalston, I would like to inquire as to the basis for  
20 that study. I will simply ask you: Upon what did you  
21 base your study?

22 A It was based on generation, projected generation,  
23 projected load, which, in turn, give projected reserves.

24 CHAIRMAN GARFINKEL: Mr. Eszy, one question I  
25 have that occurs to me. You are using the period 1975.

1 I am not so sure I know the relevancy. Is that when the  
2 plant is now scheduled to go into operation?

3 MR. CHARNOFF: The plant is now scheduled for  
4 commercial operation in December, 1974. The period of concern,  
5 of course, is the peak of winter '74-'75, and the summer of  
6 '75. As I understand it Mr. Postler is basically testifying  
7 to the summer of '75.

8 MR. ESSY: Does that clear it up?

9 CHAIRMAN GARFINKEL: Okay. I wanted to get  
10 the relevancy of that period.

11 MR. ESSY: You have two peak periods in an  
12 electrical system, one occurring during the summer, one  
13 occurring during the winter.

14 CHAIRMAN GARFINKEL: Fine.

15 Q Did you glean your figures for this study from  
16 any particular reports?

17 A Yes. We rely on reports that are filed with the  
18 Federal Power Commission by the electric utilities, and by  
19 the regional reliability council. In particular in this  
20 study we used the Federal Power Commission Report Form  
21 No. 12, which is an annual report, and Federal Power Commission  
22 Form No. 123, which is a monthly report, and therefore,  
23 gives us more up-to-date information.

24 Q Who files these reports, please?

25 A These are all electric utilities.

1 Q And what is delineated within those reports?

2 A They show the actual load conditions that are  
3 occurring, the actual generation capabilities, and they also  
4 project these values for the future.

5 Q Now, you mentioned the regional reliability  
6 council. Could you explain what that is, please?

7 A Yes. A regional reliability council is a group of  
8 electric utilities and pools of electric utilities. There  
9 are nine regional reliability councils in the United States  
10 and that covers the entire United States.

11 Q Is there one in which we are particularly  
12 concerned?

13 A Yes. We are particularly concerned with ECAR, which  
14 stands for East Central Area Reliability Coordination.

15 Q I believe yesterday as Applicants' Exhibit No. 3 --  
16 or identified as Exhibit No. 3, I don't recall if it was  
17 introduced.

18 CHAIRMAN GARFINKEL: Yes. It was received.

19 Q (Continued) As Applicant Exhibit No. 3, the  
20 ECAR document for April, 1972 came in the record. Did you  
21 utilize that document in your study?

22 A Yes. This was one of the principal documents,  
23 the one that is due April, '72.

24 Q And what do the regional reliability councils  
25 report to the Federal Power Commission?

1           A     They give long-range plans starting today up  
2 through for ten years in the future. Particularly the part  
3 we are interested in today is the projections of loads and  
4 generation capabilities, also to the lesser extent the  
5 projections of transmission capabilities.

6           Q     Do these regional reliability councils have a  
7 goal?

8           A     Yes. They are to encourage coordination among the  
9 electric utilities in the interest of obtaining good  
10 reliability at the overall lowest cost.

11          Q     Are these reports filed -- now, when I am  
12 speaking of "reports" I am referring to both Forms 12,  
13 12E, and the regional reliability council reports. Are they  
14 filed pursuant to Federal Power Commission regulations?

15          A     Yes.

16          Q     How do you know that their values are authentic?

17          A     In the case of Form 12 it is attested to and  
18 notarized; and 12E is simply an updating, a more recent  
19 issue of the Form 12, which, of course, we can check against  
20 the Form 12. The regional reliability reports we can check  
21 their authenticity by comparing them to the Form 12's, and  
22 noting that generally they do -- they are quite close to  
23 the values given in the Form 12s.

24          Q     Your study then, if I asked previously -- I  
25 don't recall, I think I did -- centered mainly around the

1 regional reliability report of April '72 from the ECAR  
2 system?

3 A Yes.

4 Q Referring now to the subject of reliability and,  
5 of course, reserves, you mentioned earlier that, I believe,  
6 in essence, reserves were equal to generation capability  
7 minus load. Now, when you refer to "generation capabilities"  
8 are you speaking prospectively?

9 A Yes. We are more interested at this time in the  
10 projected capability rather than the actual that is  
11 transpiring today. In other words, we are concerned with the  
12 summer of 1975, so we are talking about projected capability  
13 rather than actual.

14 Q Do you expect the actual to be less?

15 A Yes, very definitely I do expect it to be less.  
16 The actual -- the expected must provide for a number of  
17 contingencies, which will reduce the actual. And some of  
18 these are -- well, one of the important ones, of course,  
19 is the slippage, the scheduled additions are delayed and  
20 the generation is not there when you are expecting it to  
21 be; one of the contingencies is the slippage. Another one,  
22 we must provide for maintaining generation, so, again, the  
23 actual will probably be less than the expected. I mentioned  
24 "seasonal" deratings before. There are also equipment  
25 deratings, because the equipment may not be quite up to par

1 when the time comes.

2 One of the important things is forced outages,  
3 outages which are not foreseen but which do happen. There  
4 are also possibilities, as we see it right now, of fuel  
5 limitations, for instance the shortage of gas may restrict  
6 the operation of certain generators, or in the case of  
7 coal-fired plants the pollution aspects may restrict the  
8 operation of some of these generators. So all these things  
9 will make the actual capability less than the projected  
10 theoretical.

11 Q Well, then, how do you compute the amount of  
12 extra generation that is needed to provide for these  
13 contingencies?

14 A There is no way to compute it exactly, of course,  
15 because all these things are a matter of probability.

16 Q So it's not an arbitrary figure, though?

17 A No, it is not arbitrary. It is based on  
18 experience, and, of course, we could apply probability  
19 mathematics to determine what is the realistic value.

20 Q What, in your opinion, is the normal amount of  
21 reserves needed?

22 A It varies depending on the conditions in the  
23 system and so forth. I would say 15 to 20 percent is  
24 a good reliable figure.

25 Q Could you elaborate on that and why it varies?



1           A     Yes. 15 percent for instance might be adequate  
2 for a system that has small generating units with respect  
3 to its overall size, and these generating units have low  
4 outage rates. Electric utilities with real good interconnecti  
5 All these means that you could get by with lower reserves.

6           The higher reserve would apply to utilities or  
7 pools which have very large generating units with respect to  
8 their total capability, generating units with high forced  
9 outage rates, or if they had weak interconnections this would  
10 mean they would have to have more reserves.

11           Q     What amount would you say is needed for the  
12 applicant's system?

13           A     I believe some place in the middle, around 20  
14 percent.

15           Q     Are you speaking there to the applicants themselves  
16 or to their interconnected pool?

17           A     I am speaking in this particular case of  
18 CAPCO, which includes -- or of which the applicant forms  
19 a part of its pool.

20           CHAIRMAN GAFFINKEL: Will you spell out what  
21 CAPCO is, for the record?

22           MR. TOLLSTON: Yes. It stands for Central  
23 Area Power Coordination Group. And the applicants are  
24 within this pool.

25           Q     Why do you give the figure for CAPCO?

1           A     Because this pool operates as a group and this  
2 is the figure we feel is important in this case.

3           Q     If this 20 percent extra generation is employed,  
4 Mr. Tolston, will that assure the CMPCO Group being able  
5 to supply its summer 1978 peak load?

6           A     No, there can't be an assurance that they will  
7 even be able to supply it with a 20 percent reserve. With  
8 that figure we would expect a high degree of reliability.

9           Q     What if the figure drops below that?

10          A     The reliability would decrease accordingly.

11          Q     Why?

12          A     Because there would not be enough excess  
13 generation to supply for all these contingencies that I have  
14 mentioned previously.

15          Q     What might the consequences be if they couldn't  
16 maintain the 20 percent reserve?

17          A     Well, it could be minor or it could be major.  
18 If they could not obtain enough emergency power from the  
19 surrounding areas they may have to actually go into a load-  
20 interruption program, or a load curtailment.

21                CHAIRMAN SARGENT: Let me ask you a question  
22 in this connection: What would you say would be the  
23 critical reserve where there is a serious repercussion you can  
24 expect? Do you have any idea?

25                MR. TOLSTON: No. Because as the reserve decreases

1 there is more things that will cause a repercussion, and  
2 whether this would be critical depends on the entire situation  
3 at the time.

4 CHAIRMAN GARPINKEL: I see.

5 Q You mentioned interruption of load, if I am not  
6 mistaken, Mr. Tolston. What effects -- or why would that  
7 be so bad?

8 A Well, in some cases it is not too bad. Some  
9 customers are merely inconvenienced and, of course, irritated,  
10 but other customers depend on this electricity for their  
11 product; for instance, for those that require refrigeration  
12 for their product, or heat for their project -- product,  
13 they could suffer economic loss. And still other customers  
14 depend on this electricity for their well-being. So it  
15 could result in bodily injury, or even death in some cases.

16 Q I presume that latter is referring to hospitals?

17 A Well, particularly if the hospital doesn't have  
18 a backup supply.

19 Q Well, can a system interrupt load to those people  
20 who don't really need it?

21 A No, this is the unfortunate thing about  
22 interrupting load. If you could just interrupt it to those  
23 people that don't need it this wouldn't be so bad. But  
24 these people are all in on the same feeder, those that  
25 need it very badly and those that don't, so when you interrupt

1 a feeder you interrupt all kinds of people, both those  
2 that don't need it and those that depend on it quite critically

3 Q Mr. Toalston, let's at this point, I think, let's  
4 get into the figures of your study. First of all, in  
5 evaluating the reliability of the CAPCO Group is it sufficient  
6 to merely look at the CAPCO reserve picture?

7 A No, we feel that it is important to look at a  
8 wide area, not only CAPCO but ECAR, of which CAPCO forms a  
9 part, and we feel it is even important to look beyond ECAR  
10 to some of the pools that surround it.

11 Q Can you tell us why?

12 A Because if the reserve situation is critical  
13 throughout the area that's worse than if the reserve  
14 situation is only critical in certain parts of the area.

15 Q Do you have the figures of your study with you?

16 A Yes.

17 Q If you would then would you please begin  
18 with the areas surrounding ECAR?

19 A Yes.

20 CHAIRMAN GARFINKEL: Is the information he is  
21 going to speak about, is that -- I am not going to stop  
22 this examination, but I just want to know do we have  
23 anything like that in the testimony yet?

24 MR. ESSY: You have, further down the line, you  
25 have the ECAR document, from which we will be addressing

1 ourselves. Or from which Mr. Toalston will. But this  
2 initial part, no we don't.

3 A (Continued) Looking at the surrounding areas  
4 around ECAR, and starting with New England, in the  
5 summer of 1975 they are expecting a reserve percentage of  
6 37.9 percent.

7 Right below New England, in the New York pool  
8 they are expecting a reserve percentage of 30.4 The MLC  
9 area, or the Mid-Area Coordination Group -- Mid-Atlantic  
10 Area Coordination Group -- is expecting a reserve percentage  
11 of 30.8 percent.

12 VACARS, the Virginia-Carolina Group, reserve  
13 percentage of 23.7.

14 The TVA, Tennessee Valley Authority, 30.7  
15 percent.

16 The Illinois-Missouri pool, percentage of  
17 17.6 percent.

18 Commonwealth Edison, 12.7 percent.

19 And the Western Upper Michigan System --  
20 the Wisconsin-Upper Michigan System -- is 18.1 percent.

21 Q Am I correct in assuming that the areas closest  
22 to the Toledo area tend to have the least reserve margin?

23 A Yes. We did observe this, at both Commonwealth  
24 Edison and the Illinois-Missouri pool have a reserve  
25 margin under 20 percent; whereas the New England Group,

1 for instance, which is quite remote, has a predicted reserve  
2 margin of 17.9 percent.

3 Q What about the reserve situation within ECAR  
4 then?

5 A I have those figures here too.

6 Q Are those figures delineated in Exhibit 2, by  
7 the way, Mr. Tolston?

8 A Not the particular figures that I am giving.  
9 Some of them are. I will take that back.

10 CHAIRMAN GARFINKEL: Is there any way to put  
11 that -- the information he has got with him, and place that  
12 into evidence? I don't want to stop the examination, but  
13 I think we should have the document for reference, to look  
14 at.

15 MR. ESSY: Well, the ECAR document is in  
16 evidence, Mr. Chairman. And this is what we are referring  
17 to now.

18 Were you referring to the previous set of figures?

19 CHAIRMAN GARFINKEL: No, no, just what you  
20 are going to now.

21 MR. ESSY: Well, that is in evidence except  
22 that he has extrapolated a reserve figure.

23 CHAIRMAN GARFINKEL: I just wanted to be sure.

24 Q Could you depict the reserve situation for ECAR,  
25 please?

A Yes. The total ECAR area is -- again, for the

1 summer of '75 now -- is expecting a reserve percentage  
2 of 21.5 percent. They also have a breakdown within  
3 ECAR which I think is important. I would like to start  
4 with the Allegheny Power Systems. They are expecting  
5 40.1 percent. The American Electric Power, 31.6 percent.  
6 CAPCO, 17.0 percent. Cincinnati Gas and Electric, 15.5  
7 percent. Columbus-Southern Ohio, 14.2 percent. The Dayton  
8 Power and Light, 22.9 percent. Kentucky-Indiana pool,  
9 15.5 percent. Louisville Gas and Electric, 21.6 percent.  
10 The Michigan pool, 15.9 percent. Northern Indiana Public  
11 Service Company, 22.9 percent. The Ohio Valley Electric  
12 Corporation, 2.1 percent. And Southern Indiana Gas and  
13 Electric Company, 11.9 percent. That covers the ECAR pool.

14 Q Well, again it appears that the higher reserves  
15 are remote from Toledo. Is that correct?

16 A Yes. We have observed that here again. The  
17 Allegheny Power Systems, projected again, have reserve  
18 percentage of 40.1 percent. The Michigan pool has a  
19 projected value of 15.9 percent.

20 CHAIRMAN GARFINKEL: Mr. Tolston, do you have a  
21 figure specifically for Toledo Edison?

22 MR. TOLSTON: Yes.

23 MR. ESSY: We are getting into that, Mr. Chairman.

24 CHAIRMAN GARFINKEL: Go ahead. Okay, fine.

25 Q What about CAPCO now?

1 A I have CAPCO figures also.

2 MR. KALUR: How about Southern California?

3 MR. TOALSTON: I don't have --

4 MR. BSSY: That's a little bit removed.

5 MR. TOALSTON: I don't have Southern California.

6 A (Continued) I have already mentioned the total  
7 CAPCO Group as having a reserve of 17 percent. This, of  
8 course, is based on Davis-Besse being in commercial operation  
9 by the summer of 1975.

10 If it is delayed so that it is not in commercial  
11 operation at that time this reserve percentage would drop  
12 to 9.6 percent.

13 Now, I have also got the individual companies  
14 within CAPCO, and I will go into that now, if you would like.

15 Q Please. Are you going to do that both with and  
16 without Davis-Besse?

17 A Yes. First, assuming that Davis-Besse is in  
18 operation, and starting with Cleveland Electric Illuminating,  
19 the percentage is 21.3 percent.

20 The Duquesne Light, or Duquesne Power, 11.4  
21 percent.

22 Ohio Edison, 7.4 percent.

23 Toledo Edison, 7.7 percent.

24 Now, without Davis-Besse, Cleveland Electric  
25 Illuminating decreases to 9.4 percent. Duquesne remains



1 the same because Davis-Besse is not a part of their capacity.  
2 Ohio Edison remains the same because Davis-Besse is not a part  
3 of their capacity. But Toledo Edison drops to a minus 24.7  
4 percent.

5 Q You base these figures on the figures provided  
6 for load and generation capability encompassed in Exhibit 3  
7 of the applicant, did you not? In the ECAR regional  
8 reliability council reports?

9 A The total ECAR figure is obtained from the regional  
10 report. The individual companies have been obtained from  
11 the FPC Form 12 Reports.

12 Q That minus 24.7 percent reserve for the  
13 Toledo Edison Company, could you indicate what that means?

14 A It means that they must obtain power from some  
15 place or somehow, that there will actually be less  
16 generation than load, which means if they can't obtain this  
17 power that they would have to interrupt load.

18 Q Do you have figures just for Toledo Edison?

19 A You are talking about capacity?

20 Q I am talking about capacity and load figures.

21 A Yes.

22 Again with Davis-Besse Toledo Edison is  
23 expecting a capacity of 1,523 megawatts; and a load of  
24 1,414, which gives a megawatt value of 109.

25 Maybe I ought to give CEI here also, since they are

1 Q Please do, thank you.

2 A Cleveland Electric Illuminating.

3 With Davis-Besse, they are assuming a -- they  
4 are projecting a capacity of 4,210 megawatts, with a peak  
5 load of 3,470, which gives a megawatt reserve of 740.

6 Now, without Davis-Besse the Toledo Edison  
7 capacity would be reduced from 1,523 megawatts to 1,055  
8 megawatts. This load still, it would be 1,414, which gives  
9 them a negative megawatts of 349; for the reserves.

10 The Cleveland Electric Illuminating without  
11 Davis-Besse is expecting a capacity reduced from 4,210 to  
12 3,796. The same load at 3,470, gives a reserve of 326  
13 megawatts.

14 Q Mr. Toalston, what steps could be taken to help  
15 relieve the impact of low reserves?

16 A Well, there's a number of remedial steps, or  
17 supplementary steps I think --

18 CHAIRMAN GARFINKEL: I think the questioning  
19 here now should start to be limited to Cleveland Electric  
20 and Toledo Edison, rather than go general.

21 MR. ESSY: We have. I planned to do it this way.

22 CHAIRMAN GARFINKEL: Is this question now  
23 related just to Toledo Edison?

24 MR. ESSY: Well, assuming that we are looking  
25 at the minus 24.7 percent reserve, or whatever that figure

1 was. Yes; that's what we are going into now.

2 CHAIRMAN CARPINKEL: Okay.

3 MR. TOLSTON: May I say something?

4 CHAIRMAN CARPINKEL: Surely, go ahead.

5 MR. TOLSTON: These are general observations  
6 which would apply to Toledo Edison and every other company  
7 within the United States you might say.

8 CHAIRMAN CARPINKEL: All right.

9 MR. TOLSTON: Steps that can be taken, one is  
10 prepare for this trouble, if you might expect that the  
11 reserves are going to be low. There are various ways  
12 you can do this. First of all, you ought to train your oper-  
13 ators so they know what to do when and if this happens.  
14 You can also train the public so that they will be  
15 responsive to you if you request a reduction in load at the  
16 time. You can develop programs ahead of time for load  
17 shedding, and for voltage reduction, which would tend to  
18 help the situation. You ought to get your equipment into  
19 top working order, so that when it occurs it will be the  
20 best that is available.

21 It is possible that these companies might be  
22 able to accelerate their maintenance, in other words,  
23 maintenance that may have been scheduled for this critical  
24 period may be able to be advanced and done ahead of time.

25 There is also a possible option that they could

1 purchase some power.

2 Another possible option, that they could install  
3 gas turbines in time to meet this critical situation.

4 Q You expect they will be able to purchase power?

5 A It is possible; it is not definite.

6 Q Well, why isn't it definite?

7 A Well, for two reasons: as we discussed before,  
8 much of this excess reserve is rather remote from the people  
9 that are concerned here. And also we can expect the same  
10 type of problems to occur to the surrounding areas that are  
11 facing these particular companies right now. Namely, they  
12 can also expect slippage of generation, which would decrease  
13 their expected reserves to something less than what they  
14 expect.

15 MR. ESSY: I have some questions here that  
16 may go against your pleasure of staying within Toledo.

17 CHAIRMAN GARFINKEL: Go ahead and ask the  
18 questions.

19 MR. ESSY: I will quickly try to --

20 CHAIRMAN GARFINKEL: I am just trying to limit  
21 the direct examination as much as possible.

22 MR. ESSY: I shouldn't have too much more.

23 CHAIRMAN GARFINKEL: All right. go ahead.

24 Q Again, Mr. Toalston, could you address yourself  
25 to the problems of reserve margins being the larger of

1 which are more remote from Toledo, and what significance  
2 that attaches to these figures in terms of supplemental  
3 power sources?

4 A When the reserves are remote and an emergency  
5 situation occurs these companies are all interconnected,  
6 and when an emergency first occurs the power rushes in from  
7 all of the interconnected companies. And if the load-shedding  
8 for instance, is not rapid enough, there is indeed a  
9 shortage of reserves throughout, this could cause a widespread  
10 interruption, similar to the northeast blackout in 1965.

11 Q Your other supplemental source suggestion was  
12 gas turbines, was it not? Gas combustion units?

13 A I mentioned gas turbines might be a possibility,  
14 yes, as a supplement.

15 Q Why do you use the term "possibility"?

16 A I don't believe there is any assurance that these  
17 companies will be able to get the gas turbines in time.

18 Q Well, okay, assume they can be acquired, are  
19 there any shortcomings?

20 A Yes, there are also shortcomings that are  
21 inherent in gas turbines. For one thing, they are designed  
22 for short-time operation, and when we are trying to  
23 supplement a nuclear unit in this case it means they may  
24 have to operate quite a few hours and it would go into a  
25 lot of maintenance, extra maintenance, therefore decreasing

1 the reliability.

2 Q Could you give a figure of hours' use, for gas  
3 turbines, say vis-à-vis a nuclear power plant?

4 A It varies depending on the load and the system  
5 and the generation at the time. But we generally think of  
6 gas turbines as operating maybe 10 percent of the time or  
7 less, whereas nuclear units we expect to operate maybe  
8 75 percent of the time.

9 Q Are there any other shortcomings to gas turbines  
10 in operation?

11 A Yes. Gas turbines have higher outage rates.  
12 For instance, statistics show that outage rates of gas  
13 turbines exceed 22 percent, whereas for nuclear units it is  
14 something over 10 percent.

15 CHAIRMAN GARFINKEL: What is an "outage rate,"  
16 for my benefit?

17 MR. ESSY: I am sorry, Mr. Chairman.

18 MR. TOALSTON: An "outage rate" is the  
19 expected -- well, really, it is a statistical figure that  
20 is derived based on the time that the unit is in operation  
21 versus how much it is out. So if you say 22 percent it means  
22 that 22 percent of the time it was wanted you couldn't get it.

23 CHAIRMAN GARFINKEL: Thank you. That clarifies  
24 it for me.

25 Q In terms of expense could you address yourself to it?

1 A With gas turbines?

2 Q Yes.

3 A Yes. Due to the shortage of gas that is facing  
4 us, gas turbines probably could not be expected to operate  
5 on natural gas, and as a result they would have to go to  
6 oil, and, in turn, they would have to go to a low-sulfur  
7 oil, and low-sulfur oil is quite expensive.

8 Q Are there any other factors that might be  
9 extant in this expense item for gas turbines? I am relating  
10 this perhaps to the nature of gas turbines being peak  
11 rather than base loads.

12 A Yes. That's another thing, is that since these  
13 gas turbines are designed for short-term operation, and  
14 in a sense we are trying to supplement nuclear power in this  
15 case, it might have to operate more hours, this would  
16 mean that there would be more maintenance expense involved  
17 also.

18 Q Well, could you estimate the cost of gas turbine  
19 operation as compared to nuclear?

20 CHAIRMAN GARFINKEL: I think I would like to  
21 limit that specifically to the Davis-Besse plant.

22 MR. ESSY: Fine. Within that framework.

23 A Yes, I think this would apply to both the  
24 Davis-Besse and for other places.

25 I would estimate a figure, that the operation of

1 the gas turbine would be approximately five times the  
2 operation of the nuclear unit.

3 Q Let's qualify that. Does that mean that the  
4 customers will be billed at a factor of five times?

5 A No, no, not that. But since the gas turbine  
6 operation is only a small part of the total system operation,  
7 the impact on the customers themselves would not be five  
8 times.

9 Q In your opinion, Mr. Toalston, are there any other  
10 viable supplemental sources of power upon which these  
11 applicants could call to help relieve the situation in  
12 the summer of 1975?

13 A Other than the possibilities that we have  
14 mentioned of being able to purchase power, being able to  
15 possibly install gas turbines, due to the time limit here  
16 I don't believe there is any other -- I was going to say  
17 feasible alternatives -- I don't believe there are any other  
18 alternatives.

19 CHAIRMAN GARFINKEL: Mr. Toalston, just for the  
20 record, would it be -- in your opinion would it be  
21 impossible to build, within the time frame, a new fossil  
22 plant?

23 MR. TOALSTON: Yes, in my opinion time would not  
24 allow for a new fossil plant.

25 CHAIRMAN GARFINKEL: Thank you.



1 Q What is your overall opinion of the effects of  
2 a delay in the construction of the Davis-Besse project, Mr.  
3 Toalston?

4 A If there is a delay in the construction --

5 MR. KALUR: Objection unless it is restricted  
6 to the electrical.

7 MR. ESSY: I didn't hear that.

8 MR. KALUR: Objection unless you are going to  
9 limit the question. It is pretty broad right now.

10 CHAIRMAN GARFINKEL: Do you want to repeat the  
11 question to this Board, Mr. Reporter.

12 (The question was read.)

13 MR. ESSY: I will rephrase that, Mr. Chairman.

14 CHAIRMAN GARFINKEL: Please.

15 Q Mr. Toalston, in terms of reliability, what is  
16 your opinion of any effect that a delay in the construction  
17 of the Davis-Besse project would have?

18 A If the delay in the construction of the Davis-Besse  
19 nuclear plant actually results in a delay in the commercial  
20 operation of that plant, I would expect that in the summer  
21 of 1975 that CAPCO and particularly Toledo Edison would have  
22 sub-par reserves, and could expect a decrease in overall  
23 reliability.

24 MR. ESSY: Thank you, Mr. Toalston. That  
25 concludes my direct examination, Mr. Chairman.

1 CHAIRMAN GARFINKEL: Mr. Charnoff, we still have  
2 about ten minutes. Do you have any cross? I think  
3 probably we can dispense with your cross, unless you have a  
4 good amount of cross-examination.

5 MR. CHARNOFF: I'm hurt.

6 CROSS-EXAMINATION

7 BY MR. CHARNOFF:

8 Q Mr. Coalston, have you examined the situation  
9 with respect to the winter peak of '74-'75?

10 MR. BSBY: Would you like that question repeated?

11 MR. COALSTON: I believe, I didn't understand it.

12 Q (Continued) Have you examined the winter peak of  
13 '74-'75 projections to determine the impact of a delay  
14 of the Davis-Besse plant?

15 A I have looked at them very briefly but I haven't  
16 examined them in detail at all, because this did not seem  
17 to be the critical period as far as I could see.

18 Q Have you seen the testimony presented by the  
19 applicants with respect to that period of time, on pages --

20 CHAIRMAN GARFINKEL: Mr. Charnoff, when you  
21 get to those pages, and cite them in the record, just show  
22 them to the witness so he clearly sees and understands what  
23 is in those pages.

24 MR. CHARNOFF: I will be handing the witness  
25 the somewhat scissors-ed document, so that we are sure we are

1 giving him only that which is in evidence.

2 MR. ESSY: Will you refer to the pages.

3 MR. CHARNOFF: I surely will. In just a second.

4 The references I would make, gentlemen, and Mr.  
5 Toalston, is to the projection on page 36, a table on page 37,  
6 which shows CAPCO reserves for December, '74, and June,  
7 1975.

8 Q Do you have a copy of this document, Mr. Toalston?

9 A I believe my document is dated differently  
10 than yours. It is pretty similar.

11 CHAIRMAN GARFINKEL: I would also like the  
12 record to show that the pages referred to in the testimony  
13 have not been scissored out.

14 Q Let me show you my copy, Mr. Toalston. Page 37  
15 as I said, has the table, CAPCO reserve percentages with and  
16 without maintenance, in December, 1974 and 1975.

17 Page 39, Table I, has a CAPCO peak load week  
18 presentation for December, '74, and June, 1975.

19 Table II on page <sup>39</sup> shows the data for Toledo  
20 Edison, and Table III for Cleveland Electric Illuminating  
21 Company on page 40.

22 I wonder if you would examine the data with  
23 respect to the 1974 material, Mr. Toalston, and tell me  
24 whether -- appreciating that you haven't made the same  
25 detailed study -- whether those are basically consistent

1 type of presentations and quantifications of the situation  
2 as you would expect them to be based upon your examination  
3 of the June and July, the summer peak of 1975, period.

4 You might take a moment to look at that, if you  
5 wish.

6 A I am not prepared to defend these figures,  
7 because our data was based on a regional report which was  
8 made more recently, I believe, than what these figures are  
9 based on.

10 Q Very well.

11 A However -- do you want me to go on?

12 Q Yes, go ahead.

13 MR. KALNER: I object to him going any further.  
14 I think he has answered the question.

15 Q I am really inquiring whether they are consistent,  
16 in effect, with the trends that you understood when you  
17 looked at the summer of 1975 period.

18 CHAIRMAN GARFINKEL: May I ask you this question --  
19 I am sorry to interrupt, but I think I want to tie up  
20 what you are doing.

21 MR. CHARNOFF: You are not scissoring my  
22 question?

23 CHAIRMAN GARFINKEL: No, I am not doing that.

24 The figures that are contained on the pages  
25 shown to you by Mr. Charnoff, if they were accurate -- if we

1 are taking that period of time, from your expertise, would  
2 you consider those figures within the ballpark?

3 MR. CHARNOFF: I thank you, Mr. Chairman.

4 MR. TOALSTON: There are a number of pages here,  
5 I think I would have to look at each page separately.

6 CHAIRMAN GARFINKEL: Go ahead.

7 MR. CHARNOFF: Could you do that, Mr. Toalston?  
8 Can you look at each page?

9 CHAIRMAN GARFINKEL: Do you need five minutes?  
10 Would that be enough, or do you need more than that?

11 MR. TOALSTON: If I could just take time to look  
12 right now.

13 MR. CHARNOFF: I think if Mr. Toalston would  
14 address himself to each page separately.

15 CHAIRMAN GARFINKEL: What about each page  
16 separately? Don't worry about the time, we want the  
17 answer here.

18 MR. TOALSTON: If I look at each page separately  
19 I think I could say whether they are ballpark figures.

20 MR. KALUR: Could we have a definition of  
21 "ballpark figure"?

22 CHAIRMAN GARFINKEL: Seeming reliable, within  
23 the general area of reasonableness.

24 (Discussion off the record.)

25 MR. TOALSTON: Would you read back the pages I am

1 supposed to look at . 37?

2 MR. CHARNOFF: I think the first table concerned  
3 is on page 37.

4 MR. TOALSTON: Okay.

5 A Starting on page 37, the part is captioned,  
6 "CAPCO Service Reserve for December, 1974," shows with  
7 Davis-Besse, 21.9 percent. I think based on the more  
8 recent figures this reserve is a little bit higher; maybe  
9 in the order of 26 or 27 percent. These are not exact  
10 figures, just my recollection now.

11 CHAIRMAN GARFINKEL: When you say "26," that's  
12 with Davis?

13 MR. TOALSTON: With Davis-Besse.

14 CHAIRMAN GARFINKEL: Okay. What about without  
15 Davis-Besse?

16 MR. TOALSTON: Well, of course the 7 percent  
17 reduction looks reasonable, so that this would also be  
18 in that same order of --

19 CHAIRMAN GARFINKEL: Okay.

20 MR. TOALSTON: I never tried to check it with  
21 maintenance, so since we do not have maintenance figures  
22 supplied in these reports --

23 CHAIRMAN GARFINKEL: So that part you can't  
24 answer?

25 MR. TOALSTON: That part I cannot say really one

1 way or the other.

2 Q Mr. Toalston, is periodic maintenance a factor  
3 in giving higher or lesser degrees of assurance with regard  
4 to reliability of service?

5 A Maintenance would --

6 MR. TOALSTON: Would you read that back?

7 Q Let me ask it this way: If maintenance is not  
8 performed regularly would that lessen the reliability of  
9 the availability of the capacity?

10 A It would lessen the reliability of the capacity,  
11 yes. I don't think it would lessen the reliability of the  
12 availability. I am not sure what that means.

13 Q But it would lessen the reliability of the  
14 capacity?

15 A Yes.

16 Q And, therefore, maintenance is a desirable  
17 practice?

18 A Maintenance is very definitely not only desirable  
19 but necessary.

20 Q And in talking about reliability, therefore,  
21 wouldn't one want to include in his considerations of the  
22 situation with maintenance --

23 A Yes.

24 Q As a form of practice?

25 A You must consider maintenance. However, --

1 Q So that if one is looking at reliability one  
2 ought to look primarily at a situation where maintenance  
3 is performed as distinguished from situations where  
4 maintenance is precluded from being performed?

5 A Yes, one should look at maintenance performed.

6 Q Thank you. Why don't you proceed to the next  
7 page.

8 CHAIRMAN GARFINKEL: Are you now looking at  
9 page 38, Mr. Toalston?

10 MR. TOALSTON: Page 38, Table I.

11 A It says, "CAPCO Peak Load Week."

12 (END OF PAGE)

13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25



1 This under December, 1974, this table appears  
2 to be simply a derivation of what we discussed on the previous  
3 sheet.

4 My same comments would apply, that during the  
5 winter peak of 1974 I would expect these reserves to be a  
6 little higher based on the more recent figures.

7 CHAIRMAN GARFINKEL: But let me ask you this:  
8 With respect to the figures contained therein would you  
9 consider from your expertise that they are reasonable type  
10 figures?

11 THE WITNESS: Yes.

12 CHAIRMAN GARFINKEL: For that period.

13 THE WITNESS: They are not wild.

14 CHAIRMAN GARFINKEL: Okay.

15 MR. KALUR: I object to the speculative nature,  
16 continuing to go through this. The witness has said he  
17 hasn't made a study of these, and you are asking him simply  
18 to speculate on how things come in and how they figure.

19 CHAIRMAN GARFINKEL: I think the background of  
20 this individual indicates that he is an expert in the  
21 electrical engineering field. Consequently I think, as an  
22 expert, I am allowed to ask hypothetical questions based on  
23 evidence in the record. That's an axiom of legal process,  
24 and I am talking about information in the record. And he is  
25 qualified as an expert to testify on that.

1 So your objection is overruled.

2 A (Continued) Table 3 on page 39 pertains to the  
3 Toledo Edison Company in particular. Again under December,  
4 1974, I would say that these reserves are in the ballpark.

5 CHAIRMAN GARFINKEL: Mr. Charroff.

6 MR. CHARNOFF: I have no further questions.

7 CHAIRMAN GARFINKEL: Do you have any redirect  
8 at this time or do you want to wait for the rest of the  
9 cross-examination?

10 MR. ESSY: I have no redirect, Mr. Chairman.

11 MR. KALUR: I only have two on cross.

12 CHAIRMAN GARFINKEL: All right.

13 CROSS-EXAMINATION

14 BY MR. KALUR:

15 Q Mr. Toalston, I think you described to us four  
16 methods by which an electrical utility could cut down its  
17 electrical demand when it knew it had a very slim margin of  
18 reserves, did you not?

19 A I don't believe there were four methods of  
20 cutting down the demand, no.

21 Q Didn't you indicate there were methods that could  
22 be used when they have a load problem, a reserve problem?

23 A Yes, but this did not cut down the demand,  
24 except for maybe one or two of those methods.

25 Q What does it do? What do those alternatives you

1 are talking about do?

2 A It gets the system operators ready for this  
3 contingency so that they know how to react when it happens.

4 Q Have you done anything, studying, with respect to  
5 how a utility faced with low reserves can expect to cut  
6 demand several years from now by decreasing advertising?

7 A No.

8 Q What about regressive rate structures? Have you  
9 done any study on that -- if that policy were reversed what  
10 it would do to cut down the need for electrical power several  
11 years hence?

12 A I am not in the Rate Division.

13 MR. KALUR: That's all I have.

14 CHAIRMAN GARFINKEL: Any redirect by --

15 MR. ESSY: None, Mr. Chairman.

16 CHAIRMAN GARFINKEL: Any further cross by you,  
17 Mr. Charnoff?

18 MR. CHARNOFF: No.

19 CHAIRMAN GARFINKEL: You are excused.

20 (Witness excused.)

21 CHAIRMAN GARFINKEL: And you are free to go home  
22 if you desire.

23 We are recessed until 1:30.

24 And I assume you will have the documents that he--

25 MR. CHARNOFF: We will have the contract and we

4  
1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

will have our advertising executive.

CHAIRMAN GARTENKEL: Very well.

We are recessed until 1:30.

(Whereupon, at 12:40 o'clock p.m., the hearing was recessed until 1:30 o'clock p.m.)

---

## AFTERNOON SESSION

1:35 p.m.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CHAIRMAN GARFINKEL: The hearing now resumes.  
Everybody come to order.

At this point, Mr. Kalur, you have cross-examination with respect to advertising and some other matters, especially with the contract.

Will you commence your cross-examination, and which witness do you want now?

MR. KALUR: Well, I would like Mr. Kostanski.

## CROSS-EXAMINATION

BY MR. KALUR:

Q Mr. Kostanski?

A Kostanski.

Q You are the controller of Toledo Edison?

A Yes, sir, I am.

Q Are you familiar with the annual corporate budget?

A Yes, I am.

Q Will you tell me how much Toledo Edison spent on advertising in 1971.

A If you will allow me a second here, sir, I will -- if I can find it amongst all my papers.

In 1971 Toledo Edison spent \$650,000 on advertising.

Q Are you aware of a program -- either a joint

1 program by Toledo Edison and CEI, or one by Toledo Edison  
2 alone, to publicize nuclear power?

3 A No, sir.

4 Q Do you have estimated costs for the next four-  
5 year period for advertising for Toledo Edison, on a yearly  
6 basis?

7 A No, I do not.

8 Q Do you have any reason to believe that this  
9 \$650,000 figure for 1971 will decrease over the next four  
10 years?

11 A No, I don't.

12 CHAIRMAN GARFINKEL: Let me ask a question, just  
13 to continue: Do you have any projection figures, irrespective  
14 of actual cost, that the company has prepared, summaries?

15 THE WITNESS: We do have forecast figures, yes.  
16 I do not have them with me.

17 CHAIRMAN GARFINKEL: Is there anybody here who  
18 can testify with respect to the forecast figures?

19 MR. CHARNOFF: May I have a moment?

20 CHAIRMAN GARFINKEL: Surely.

21 MR. KALUR: May I continue?

22 CHAIRMAN GARFINKEL: Yes, go ahead. Continue.

23 BY MR. KALUR:

24 Q As the controller can you form any opinion with  
25 respect to an ending of advertising expenditures, how that

7-3  
1 might be related to the demand for electrical power by the  
2 Toledo Edison Company?

3 A Well, yes. Our advertising programs, as I  
4 understand them, are really designed -- it is really designed  
5 in order to improve our load factor. By that I mean it's  
6 intended to utilize our equipment to the greatest extent.

7 For instance, we have been experiencing, and we  
8 anticipate in the future a summer peak. Therefore the  
9 capacity in the wintertime is available; so we have been  
10 advertising electric space heating. Other items -- well, as  
11 an example, private outdoor lighting is another good example  
12 of improving the load factor.

13 What you are attempting to do is utilize your  
14 equipment when it is available.

15 Q The purpose of advertising is increased consumption  
16 of electrical power; isn't it?

17 A The purpose of it is to improve the load factor,  
18 and what you will accomplish by improving the load factor  
19 is improving your entire cost picture. As long as you have  
20 the equipment available, then it is in your best interest  
21 to utilize that equipment, so that in the overall we are able  
22 to serve our customers at a lower cost.

23 Q Do you have any figures with respect to what  
24 part advertising plays in your total load demand?

25 A I don't believe that it would contribute to the

1 total peak. Our advertising, as I say, is designed in order  
2 to improve the load factor.

3 Q Can you give us any figures on the advertising?  
4 If it was to be discontinued today, what that would mean with  
5 respect to demand for electrical power in 1974?

6 A No.

7 MR. KALUR: No further questions.

8 CHAIRMAN GARFINKEL: Mr. Malsch, do you have  
9 any cross-examination?

10 MR. MALSCH: No questions.

11 CHAIRMAN GARFINKEL: Mr. Charnoff?

12 MR. CHARNOFF: Yes. I think I do.

13 REDIRECT EXAMINATION

14 BY MR. CHARNOFF:

15 Q Mr. Kostanski, there is a little complication.  
16 You testified with respect to improving the load factor.  
17 Could you distinguish between the load factor and peak  
18 demand?

19 The question really is, is the advertising intend-  
20 ed to increase the peak load demand, or is the advertising  
21 intended to smooth out the valleys between the peaks?

22 A It is designed to smooth out the valleys between  
23 the peaks. It is not intended to increase the peaks.

24 Q So you would not expect that a curtailment of the  
25 advertising programs would reduce the projected peak demands



1 in 1974 and 1975?

2 A No, sir.

3 MR. CHARNOFF: Thank you.

4 CHAIRMAN GARFINKEL: Mr. Kalur.

5 RE-CROSS-EXAMINATION

6 BY MR. KALUR:

7 Q You must know that advertising -- the result of  
8 advertising is unpredictable; isn't that true?

9 A It's not measurable.

10 Q And it could be true also, couldn't it, that  
11 continued advertising could cause one of these peaks to go  
12 right through your load expectations?

13 A I don't believe it would.

14 MR. KALUR: Nothing further.

15 CHAIRMAN GARFINKEL: Mr. Malsch?

16 MR. MALSCH: No questions.

17 MR. CHARNOFF: May I have a --

18 CHAIRMAN GARFINKEL: Wait, I am not finished.  
19 I want to make sure.

20 Does the Board have any questions?

21 The Board doesn't have any questions.

22 MR. CHARNOFF: May I ask another question in  
23 reply to ---

24 CHAIRMAN GARFINKEL: Yes, go ahead.

25 MR. CHARNOFF: I don't know how many turns we keep

1 going around the cycle.

2 CHAIRMAN GARFINKEL: As long as you elicit  
3 information.

4 FURTHER REDIRECT EXAMINATION

5 BY MR. CHARNOFF:

6 Q Mr. Kalur asked you questions with regard to  
7 advertising making the demands go right through the peak  
8 forecast. Is the advertising program selectively designed to  
9 add demand of the character that is addressed to the offpeak  
10 uses of electricity?

11 A The one example -- yes. And the one example that  
12 I have given is, for instance, private outdoor lighting.  
13 This is usage in the night hours, and we are not experiencing  
14 any peak situation in night hours; so this is an example.

15 Q When is the peak, Mr. Kostanski?

16 A The peak in the -- we have been experiencing a  
17 peak in the summer hours and the peak is generally, oh, in  
18 the morning.

19 Q In the summer hours, is that peak significantly  
20 contributed to by the demand for air conditioning?

21 A Yes.

22 Q In 1972 is Toledo Edison Company doing any  
23 advertising to encourage air conditioning?

24 A No. And in fact in 1971 we have not had any  
25 expenditures for air conditioning.

1 MR. CHARNOFF: Thank you.

2 CHAIRMAN GARFINKEL: Mr. Kalur?

3 FURTHER RECROSS-EXAMINATION

4 BY MR. KALUR:

5 Q Mr. Kostanski, does the Toledo Edison Company  
6 employ a regressive rate structure?

7 MR. CHARNOFF: I thought Mr. Kalur's follow-on  
8 questioning, Mr. Chairman, is in a sense limited by the prior  
9 questioning.

10 CHAIRMAN GARFINKEL: I will allow it just to get  
11 the information in the record. And I hope this is the last  
12 of the back and forth on direct and cross.

13 MR. CHARNOFF: I have to insist though that I  
14 have the last chance.

15 CHAIRMAN GARFINKEL: Okay, but if he goes too  
16 far.

17 MR. CHARNOFF: But it certainly should be  
18 recognized it is beyond the scope of the prior --

19 MR. KALUR: The cross was beyond the scope of the  
20 direct?

21 CHAIRMAN GARFINKEL: I am allowing you to cross-  
22 examine and ask these questions. Go ahead.

23 THE WITNESS: Will you repeat the question.

24 (Question read.)

25 A By that --

1 Q Do industrial customers pay less the more they  
2 use?

3 A Yes. That is the general pattern of our --

4 MR. KALUR: You have answered --

5 A -- rate structure.

6 MR. KALUR: -- the question.

7 That's all I have.

8 CHAIRMAN GARFINKEL: You are excused.

9 Oh, I am sorry. Mr. Charnoff may have some more.

10 MR. CHARNOFF: I have no questions.

11 CHAIRMAN GARFINKEL: You are excused.

12 (Witness excused.)

13 MR. CHARNOFF: Mr. Chairman, we have with us the  
14 Babcock & Wilcox equipment contract, which I am perfectly  
15 happy to make available to Mr. Kalur for his review. I will  
16 appreciate it, at the request of Babcock & Wilcox, which  
17 considers considerable elements of the contract to be  
18 proprietary to it, if we could have a protective order which  
19 would limit the availability of this document to Mr. Kalur  
20 for his purpose in this hearing, and to be used depending  
21 upon the nature of the inquiries, and perhaps after Mr.  
22 Kalur would examine it he could tell us and we could  
23 determine whether the specific area of inquiry would have to  
24 be in an in-camera session or not.

25 Clearly elements such as the price and other

1 provisions in this contract are proprietary to the Babcock &  
2 Wilcox Company to protect their competitive position. We are  
3 perfectly willing to have full use of the document made  
4 during the course of the hearing provided there is suitable  
5 protection for the proprietary interest of the vendor.

6 CHAIRMAN GARFINKEL: This is the way I want to  
7 proceed with that. With your cooperation you will turn the  
8 documents over to Mr. Kalur to look at, for his personal use  
9 at this hearing, just to look at. Prior to going back on the  
10 record we will have an informal meeting of counsel up at the  
11 bench. Then we will see where we are going. It may not be  
12 necessary for any protective order.

13 So on that basis let's see what Mr. Kalur has to  
14 say.

15 Is that all right?

16 MR. CHARNOFF: I would like to modify it a little  
17 bit, as you stated it. We will make it available to Mr.  
18 Kalur for his review for the purposes of this hearing.

19 CHAIRMAN GARFINKEL: That's all.

20 MR. CHARNOFF: In that sense at this point that  
21 is a sufficient protective order. But I wish that to be  
22 understood a protective order. I am not personally concerned  
23 about Mr. Kalur, but I am doing this at the request of the  
24 Wilcox & Babcock Company.

25 CHAIRMAN GARFINKEL: As far as I am concerned,

1 that document is not being turned over to Mr. Kalur for his  
2 personal possession, to be taken out of the room or anything  
3 else.

4 MR. CHARNOFF: Or even for discussion of the  
5 contents therein with other people for other purposes, at this  
6 time?

7 CHAIRMAN GARFINKEL: I don't see any possibility  
8 of that. He only has just these people here. Are you object-  
9 ing to Mr. Kalur discussing it with the people at his desk?

10 MR. KALUR: I think I have the right to.

11 MR. CHARNOFF: I would like to limit it to  
12 counsel, sir, at this time, and Mr. Kalur is a very able  
13 counsel and therefore he probably has good recall, and I  
14 will tell you very respectfully I have no concern with Mr.  
15 Kalur disclosing this, but I do want the record to protect  
16 the Wilcox & Babcock Company from the standpoint of any  
17 information recall from this contract, even if the document  
18 is returned to us today.

19 This is consistent with the way proprietary  
20 documents are handled.

21 CHAIRMAN GARFINKEL: I have no question about  
22 that. The question I am concerned about is Mr. Kalur looking  
23 at the document and not being able to consult right now for  
24 the purpose of this hearing with his colleagues.

25 MR. CHARNOFF: I would like to take a step at a

11  
1 time. Let me first show it to Mr. Kalur and let him tell us  
2 which elements of that contract he would like to show to  
3 his clients.

4 The reason for that is that Mr. Kalur is a  
5 member of the bar and therefore has certain obligations in  
6 effect as soon as he receives a document of this sort. And  
7 with all due respect to his clients they are not members of  
8 the bar, and that is not to say members of the bar are any  
9 more respectful of other people's rights than other people  
10 are. But the fact is that your directions are more binding,  
11 if you will, on Mr. Kalur than they are on his clients.

12 So I would appreciate it if we could start it a  
13 step at a time and if Mr. Kalur needs to discuss any section  
14 of the contract with his clients, then he could discuss that  
15 with us and with you at the bench. That would be helpful.

16 CHAIRMAN GARFINKEL: All right, let's do it that  
17 way first.

18 MR. KALUR: There is no objection to that  
19 procedure.

20 CHAIRMAN GARFINKEL: Fine.

21 MR. KALUR: I would like ten minutes to review it.

22 CHAIRMAN GARFINKEL: Surely.

23 (Short recess.)

24 MR. CHARNOFF: Excuse me. May I have Mr.  
25 Kostanski excused?

2

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CHAIRMAN GARFINKEL: Any objection?

Mr. Malsch?

MR. MALSCH: Pardon?

CHAIRMAN GARFINKEL: Mr. Charnoff wants Mr.  
Kostanski excused. Do you have any objection?

MR. MALSCH: No objection.

CHAIRMAN GARFINKEL: Mr. Kalur?

MR. KALUR: No.

CHAIRMAN GARFINKEL: Okay, he is excused.

(Witness excused.)



1 CHAIRMAN GARFINKEL: May we be on the record.

2 Mr. Kalur, concerning the document that was  
3 furnished to you by Mr. Charnoff dealing with the contract,  
4 do you have any questions regarding that?

5 MR. KALUR: I do not.

6 CHAIRMAN GARFINKEL: Have you returned that  
7 document to Mr. Charnoff?

8 MR. KALUR: Yes, I have.

9 MR. CHARNOFF: Yes, we have received it.

10 CHAIRMAN GARFINKEL: Do you have any further  
11 cross-examination?

12 MR. KALUR: No, I do not.

13 CHAIRMAN GARFINKEL: Okay, we are finished with  
14 cross-examination of the Applicants' witnesses.

15 Does the Applicant have any further direct case,  
16 or does he rest his case in chief?

17 MR. CHARNOFF: Let me pause for a moment on  
18 that, Mr. Chairman.

19 Before I do that, let me indicate for the record  
20 Mr. Silberg has distributed to the parties duplicate copies  
21 of Exhibits <sup>2</sup>~~1~~ through 7 that were identified this morning by  
22 the Interveners, and marked I guess as Interveners' Exhibits  
23 <sup>2</sup>~~1~~ through 7.

24 CHAIRMAN GARFINKEL: The Board has received  
25 copies of those documents.

1 Mr. Malsch has received copies of those documents.

2 MR. CHARNOFF: And I understand that Exhibits 2  
3 and 3 that have been introduced into evidence, Applicants'  
4 Exhibits 2 and 3, the ECAP documents, have similarly been  
5 made available.

6 CHAIRMAN GARFINKEL: That's right.

7 MR. CHARNOFF: Mr. Chairman, we have certain  
8 further examination of witnesses that I could have handled  
9 on rebuttal, to follow the later testimony or to clarify  
10 certain of the information of yesterday, but we can put much  
11 of that on right now if you would like.

12 CHAIRMAN GARFINKEL: Let me put it this way:  
13 If you have rebuttal testimony, it is going to be limited to  
14 the case presented by both Mr. Malsch and Mr. Kalur, and no  
15 further.

16 MR. CHARNOFF: Very well.

17 CHAIRMAN GARFINKEL: So therefore if you think  
18 it is appropriate now, do it. It is your decision.

19 MR. CHARNOFF: Yes. We have certain further  
20 examination I would like to put on now, partly reflecting  
21 questions outstanding of yesterday.

22 CHAIRMAN GARFINKEL: Does that include different  
23 witnesses?

24 MR. CHARNOFF: In one respect only, sir.

25 CHAIRMAN GARFINKEL: Is it merely adding

1 testimony that was previously furnished, or is it in the form  
2 of really cross-examination, or new additional direct testimony?

3 MR. CHARNOFF: Well, let me give you an example.  
4 Yesterday a question was asked with regard to a report by  
5 Dr. Ayres, and as to why certain information was not presented  
6 in certain formal application information to the Atomic Energy  
7 Commission, and we said we would put that on today.

8 CHAIRMAN GARTINKEL: Fine. That's okay.

9 MR. CHARNOFF: For that purpose I would like to  
10 call Mr. Lowell Roe again, please.

11 Mr. Roe, would you step up to the stand, please.

12 MR. CHAIRMAN GARTINKEL: You are still under oath,  
13 Mr. Roe.

14 THE WITNESS: Yes, sir.

15 DIRECT EXAMINATION

16 BY MR. CHARNOFF:

17 Q On page 267 of the transcript of yesterday  
18 certain questions were asked of Mr. Roe with regard to the  
19 limnology report by Dr. Ayres, and the testimony indicated  
20 that applicable portions of Dr. Ayres's report were included  
21 in the Environmental Report. And the question was asked,  
22 "Could you tell us what sections were left out?"

23 And Mr. Roe said he would have to get certain  
24 information from the office with respect to that.

25 Could you please identify the areas of Dr. Ayres's

1 report that was left out, and tell us whether this is the  
2 first time that this kind of information is being revealed.  
3 and --

4 CHAIRMAN GARTINKEL: Mr. Charnoff, ask one  
5 question at a time.

6 MR. CHARNOFF: All right.

7 Q (Continued) Could you tell us what portions of  
8 Dr. Ayres's report were left out of the Environmental Report?

9 A Yes, of the report as submitted to us, page 25 of  
10 Part 1 of the report concerns the probability of tornado  
11 damage. This section was not included in the PSAR, Preliminary  
12 Safety Analysis Report, as tornado frequency calculations had  
13 also been made by our meteorologist, the research corporation,  
14 and were included in the Meteorology Section 2-B of the PSAR.

15 Q Is that the extent of the deletion?

16 A Excuse me.

17 Also on Part 1 of the report was the size and  
18 structure of the thermal plume. This section was also not  
19 included in our PSAR as Dr. Ayres had used leading plumes to  
20 develop his plume model equation. These floating plumes  
21 produced little or no mixing with the surrounding water at  
22 the point of discharge.

23 After we received Dr. Ayres's report we decided  
24 to use a relatively high velocity heated water discharge  
25 into the lake. This would produce rapid mixing with the

1 adjacent lake water, and as a result reduce the plume  
2 temperature faster than by the floating plume method. Dr.  
3 D. W. Pritchard from Johns Hopkins University had developed  
4 the mathematical models for thermal plumes where high velocity  
5 discharges had been used and we retained him to analyze this  
6 type of discharge.

7           In July 1970, a decision was made by the Appli-  
8 cants to install a cooling tower at Davis-Besse. This decision  
9 made sections of Dr. Ayres's Limnology Report that pertained  
10 to the heated water discharge and the intake and discharge  
11 canal dikes extending into the water irrelevant. At this same  
12 time, the ABC regulatory staff directed us to use a probable  
13 maximum meteorological event along with Platzman's method of  
14 analyzing wind tides on Lake Erie to calculate the probable  
15 maximum high and extreme low lake levels. As a result, Dr.  
16 Ayres's sections, "Maximum Variations in Lake Erie Water  
17 Level" (pages 13-21 of Part I) and "The Maximum Wind-Wave"  
18 (pages 22-24 of Part I), were removed from Section 2D of the  
19 PSAR with Amendment No. 8. The results of the new water level  
20 calculations were inserted in Section 3.4.1.2 of the PSAR.

21           Part IV of Dr. Ayres's Limnology Report was  
22 received by us in July 1970, which was too late to be included  
23 in the PSAR before the full meeting of the Advisory Committee  
24 on Reactor Safeguards (ACRS) reviewed the Davis-Besse  
25 application in August 1970.

1 Additional sections of Dr. Ayres's Limnology  
2 Report were deleted when we prepared the Davis-Besse  
3 Environmental Report in June and July 1970. All references  
4 in Part I to use of lake water for condenser cooling were  
5 removed due to our cooling tower decision. The details on  
6 each of the current pole runs given in Part II were deleted  
7 and only the summary of this data was retained in the  
8 Environmental Report. Also, all references to the heated  
9 water plume were deleted from Part II. Sections of Part III  
10 Limnology Report pertaining to Big Rock and Enrico-Fermi  
11 Nuclear Power Stations were also removed for use in the Davis-  
12 Besse Environmental Report as they were not pertinent.

13 Q Mr. Roe, were you present? Did you attend all  
14 of the sessions of the Atomic Energy Commission hearing about  
15 a year and a half ago at the end of 1970 and early 1971, on  
16 the construction permit issue in the Davis-Besse proceeding?

17 A Yes, sir, I did.

18 Q Was Dr. Owen Davies present at this hearing?

19 A Yes, sir, he was.

20 Q Did Dr. Owen Davies ask the same question at this  
21 hearing?

22 A Yes.

23 MR. KALUR: Objection.

24 CHAIRMAN GARFINKEL: Let it go in for what it is  
25 worth.

1 A (Continued) Yes, he did.

2 Q Did Toledo Edison respond to that question at  
3 that public hearing?

4 A Yes, we did.

5 Q Is it in the transcript of that public hearing?

6 A Yes, it is. It was in Exhibit 15, to this  
7 transcript, and I would read --

8 Q Were copies of the deleted sections made available  
9 to Dr. Davies?

10 A Yes, sir, they were sent to him.

11 Q Mr. Roe, were you present at the Ohio State Water  
12 Board hearings last July?

13 A Yes, sir, I was.

14 Q When you were seeking a water quality certifica-  
15 tion?

16 A Yes, sir, I was.

17 Q Did Dr. Owen Davies raise the same questions at  
18 that hearing?

19 A Yes, he did.

20 Q Did you give him the same answer again?

21 A Yes.

22 MR. CHARNOFF: Thank you.

23 That's all I have, Mr. Roe.

24 CHAIRMAN GARFINKEL: Let me ask you one question.

25 Are you asking us, as the Board, to take official notice of

1 the testimony in those hearings, and what is in the PSAR?

2 I have a problem because you do refer to the  
3 PSAR, and the question is, the PSAR technically speaking is  
4 not a part of this record unless you are asking us to take  
5 official notice.

6 MR. CHARNOFF: I will reply to that question in  
7 a moment.

8 CHAIRMAN GARFINKEL: Surely.

9 MR. CHARNOFF: I would like to introduce as  
10 Applicants' Exhibit No. 4 the copy of the question and answer  
11 which appears on pages LA31-1, and -31-2, in Exhibit No. 15  
12 to the Davis-Besse Atomic Energy Commission construction  
13 permit hearing.

14 I would like to have that marked as Applicants'  
15 Exhibit No. 4.

16 CHAIRMAN GARFINKEL: Mark that, Mr. Reporter.

17 (The document referred to was marked  
18 Applicants' Exhibit No. 4 for identifi-  
19 cation.)

20 BY MR. CHARNOFF:

21 Q Mr. Roe, is that a true and correct copy?

22 A Yes, it is.

23 Q Of what appears in Exhibit 15?

24 A Yes.

25 MR. CHARNOFF: Mr. Chairman, the reason I brought



1 this out is simply because I don't think it is dispositive of  
2 issues in this particular proceeding but I want the public  
3 record to show once and for all what we go through with public  
4 proceedings and hearings on Atomic Energy licensing plants,  
5 following hearings, following hearings, and issues repeated  
6 ad nauseam. This kind of thing is silly and is detrimental to  
7 the public interest.

8 Thank you, Mr. Roe.

9 CHAIRMAN GARFINKEL: Wait. Wait a minute.

10 Are you offering that into evidence?

11 MR. CHARNOFF: I just marked it and want it in  
12 the record as such. I will offer it into evidence; yes, sir.

13 CHAIRMAN GARFINKEL: Thank you.

14 Mr. Kalur, do you have any objection to that  
15 going into evidence?

16 MR. KALUR: Yes, I will object. I don't think  
17 it is relevant to these proceedings.

18 CHAIRMAN GARFINKEL: I want to get Mr. Malsch's  
19 statements and I will rule.

20 Do you have any objection?

21 MR. MALSCH: I have no objection. As I recall,  
22 the issue was formally raised by Mr. Kalur.

23 CHAIRMAN GARFINKEL: Objection is overruled.  
24 It will be received into evidence as Applicants' Exhibit No. 4.  
25 (The document referred to, heretofore marked Applicants' Exhibit No. 4, was received in evidence.)

1 MR. CHARNOFF: Does anybody have cross-examination  
2 of Mr. Roe on that?

3 CHAIRMAN GARFINKEL: This is what I am waiting  
4 to hear.

5 Mr. Malsch?

6 MR. MALSCH: No questions.

7 CHAIRMAN GARFINKEL: Mr. Kalur?

8 MR. KALUR: No questions.

9 CHAIRMAN GARFINKEL: You are excused.

10 (Witness excused.)

11 MR. CHARNOFF: I would like to call Mr. Reynolds.

12 CHAIRMAN GARFINKEL: Mr. Reynolds, you are still  
13 under oath.

14 MR. REYNOLDS: Yes, sir.

15 REDIRECT EXAMINATION

16 BY MR. CHARNOFF:

17 Q Mr. Reynolds, are you familiar with the concept  
18 or the theory that a reversal of rate structures might reduce  
19 the usage or demands for power?

20 A Yes, sir, I am. <sup>It has</sup> ~~It has~~ been around for a few  
21 years now. It grew out of a legitimate concern over the use  
22 of electric power primarily in households. It was thought  
23 that the usage could be reduced if we had a rate structure  
24 that would penalize large users, or we would have an increasing  
25 rate per kilowatt hour as opposed to the current situation

1 where we have a decreasing rate per kilowatt hour.

2 Q What in your judgment would be the probable  
3 result of the implementation of such a rate structure, or  
4 reversal of the present rate structure?

5 A The probable results would be a very slight if  
6 any reduction in the rate of growth in kilowatt-hour sales  
7 to households.

8 Q Why do you say that?

9 A The reason for this is that simply the demand  
10 for residential electric power is a derived demand. The  
11 primary demand is the demand for household appliances, and  
12 the demand for household appliances is income elastic, we would  
13 say, so that the dominant determinant of the level of usage  
14 of electric power in the household is household income.

15 I have found through my studies that the impact  
16 of varying rates is very slight.

17 MR. CHARNOFF: Thank you.

18 I have no further questions of Mr. Reynolds. If  
19 any of the other counsel want to cross-examine him they may.

20 CHAIRMAN GARFINKEL: Mr. Malsch?

21 MR. MALSCH: No questions.

22 CHAIRMAN GARFINKEL: Mr. Kalur?

23 RE-CROSS-EXAMINATION

24 BY MR. KALUR:

25 Q Toledo Edison advertising program seeks to

1 increase the number of appliances purchased, doesn't it?

2 A. I don't know of any appliances we are advertising  
3 now aside from outdoor lighting, which is sort of a safety  
4 device for people primarily in rural areas -- unless you are  
5 referring to residential electric heating as an appliance.

6 Q. Do you have any knowledge about the Cleveland  
7 Electric advertising program?

8 A. I can't speak for them.

9 MR. KALUR: Nothing else.

10 CHAIRMAN GARFINKEL: Any further questions?

11 MR. CHARNOFF: No, sir.

12 I would like to have Mr. Reynolds excused. He  
13 teaches at night at the university locally here, and if he may  
14 be excused I will appreciate it.

15 CHAIRMAN GARFINKEL: Hearing that there are no  
16 objections, you are excused, Mr. Reynolds. You are completely  
17 excused and you may leave if you so desire.

18 MR. CHARNOFF: I would like to call Mr. Joseph  
19 Dimunno.

20 Whereupon,

21 JOSEPH J. DIMUNNO

22 was called as a witness and, being first duly sworn, was  
23 examined and testified as follows:

24 DIRECT EXAMINATION

25 BY MR. CHARNOFF:

1 Q Mr. Dinunno, have you prepared a statement of  
2 your educational and professional qualifications?

3 A Yes, sir.

4 MR. CHARNOFF: Mr. Silberg is going to distribute  
5 copies of that statement.

6 Will you give a copy to Mr. Dinunno, please,  
7 Mr. Silberg.

8 I would ask that counsel and the Board's members  
9 examine that document and if there is no objection I would  
10 propose that it be introduced into evidence as Mr. Dinunno's  
11 statement of his qualifications.

12 Let me ask Mr. Dinunno:

13 Q Do you adopt this as a statement of your  
14 professional qualifications?

15 A Yes, sir, I do.

16 CHAIRMAN GARFINKEL: Any objections?

17 MR. KALUR: No.

18 MR. MALSCH: No, sir.

19 CHAIRMAN GARFINKEL: The qualifications of Mr.  
20 Dinunno is received in evidence as if read.

21 (END OF PAGE)  
22  
23  
24  
25

JOSEPH J. DINUNNO  
TECHNICAL DIRECTOR  
ENVIRONMENTAL SAFEGUARDS DIVISION

EDUCATION

Pennsylvania State University, B.S., Electrical Engineering, 1942  
University of Maryland, M.S., Electrical Engineering, 1954  
Oak Ridge School of Reactor Technology, 1956-57

EXPERIENCE

NUS CORPORATION, 1972 - Present

U.S. Atomic Energy Commission, 1959-1972

Director, Division of Environmental Affairs

Special Assistant (Environmental Affairs) to General Manager

A.E.C. Overseas Scientific Representative, Paris Office

Assistant Director, Division of Reactor Standards (Regulatory)

Chief, Special Projects Branch, Division of Reactor Licensing

U.S. Navy, Civilian Engineer

Naval Reactors Branch, AEC/Bureau of Ships, 1956-1959

Project Officer, Nuclear Plant, Cruiser, U.S.S. Long Beach

Reactor Control Specialist, Advanced Developments

U.S. Naval Ordnance Laboratory, 1946 - 1956

Electronics Specialist, R&D

Electrical Section, Bureau of Ships, 1942-1945

Shipboard Power Generation & Distribution Systems

Coordinates and supervises assessments of environmental implications of power plant siting and operation. Long time association with public protection aspects of nuclear facility siting. A major contributor to existing rules and procedures governing the siting and safety review of nuclear facilities. Background includes both regulatory and R&D experience. Environmental and nuclear safety background superimposed upon years of practical experience in the engineering field.

At U.S.A.E.C., participated in the development of siting criteria and in the development of review guides, coordinated safety research requirements with the reactor development division. More recent activities have involved the development of procedures required in fulfillment of NEPA and the review of environmental impact statements for AEC projects, such as the LMFBR, the internal coordination of environmental research with programmatic needs and environmental interface activities with Federal and State agencies, with utility, industry and with many national and local environmental organizations concerned about the environment.

1 BY MR. CHARNOFF:

2 Q Mr. Dinunno, I see among other things that when  
3 you were employed by the Atomic Energy Commission over the  
4 last thirteen years -- Let me establish for the members of  
5 the public who are present here: Are you now employed by  
6 the Atomic Energy Commission?

7 A No, I am not.

8 Q Who is your current employer?

9 A I am with the NUC Corporation.

10 Q Were you formally employed by the Atomic Energy  
11 Commission?

12 A Yes, I have been.

13 Q I noticed in your list of qualifications that  
14 you were director of the Division of Environmental Affairs  
15 and prior to that you were special assistant of Environmental  
16 Affairs to the general manager; is that correct?

17 A That's correct.

18 Q In those positions did you have oversight and  
19 responsibility with respect to the Atomic Energy Commission's  
20 environmental research programs?

21 A Well, the job I had to do was to attempt to  
22 pull together the need in the environmental area with respect  
23 to the atomic energy matters and that research was being  
24 done, to advise the general manager with respect to the  
25 adequacy of his R&D program.

Q Yesterday there was some testimony by Mr. Roe

1 on cross-examination by Mr. Kalur, with respect to certain  
 2 studies with regard to radiation effect on lower forms of  
 3 Could you please describe the kinds of studies that the  
 4 Atomic Energy Commission has conducted in terms of the scope  
 5 and extent of these studies with regard to radiation effects  
 6 on man and on lower forms of life, if that term is appropriate  
 7 for aquatic life and birds.

8 A Well, environmental effects programs have been  
 9 going on under the federal sponsorship for many, many years.  
 10 These date back at least twenty-five years

11 I am aware of the fact, for example, that in  
 12 that period of time the federal government, within the Atomic  
 13 Energy Commission itself, has spent something in the order of  
 14 a billion dollars on environmental effects programs. The  
 15 annual budget as of right now is running something in the  
 16 order of \$70 million a year.

17 CHAIRMAN GARFINKEL: When you say annual budget,  
 18 the annual budget of what?

19 THE WITNESS: For environmental effects studies.

20 CHAIRMAN GARFINKEL: By the federal government?

21 THE WITNESS: By the Atomic Energy Commission  
 22 itself.

23 A (Continued) Now while the major thrust to those  
 24 programs has been toward the effect on man, because it has  
 25 been found that he is the most radiosensitive, a large number



1 of these studies have been directed to the nonhuman forms of  
2 both plant and animal life, including birds.

3 MR. CHARNOFF: Thank you.

4 Under the Chairman's direction we won't get into  
5 the results of those studies.

6 Q But I gather that the thrust of your testimony,  
7 Mr. Dinunno, is that there is a substantial amount of informa-  
8 tion that has been accumulated with respect to radiation effect  
9 on man, birds, lower forms of aquatic life, et cetera.

10 A There are hundreds of studies that have been  
11 done, and these things have been documented, and a study of  
12 the literature will show a very vast store of knowledge.

13 MR. CHARNOFF: Thank you.

14 I have no further questions of Mr. Dinunno.

15 CHAIRMAN GARFINKEL: Any cross-examination, Mr.  
16 Malsch?

17 MR. MALSCH: No questions.

18 CHAIRMAN GARFINKEL: Mr. Kalur?

19 CROSS-EXAMINATION

20 BY MR. KALUR:

21 Q Mr. Dinunno, you don't know of any Atomic Energy  
22 Commission studies of the Navarre Marsh area with reference  
23 to the wildlife?

24 A There are a number of studies on marsh areas.

25 Q No, my question is, Do you know of any about

1 that particular marsh?

2 A On the Navarre Marsh? Excuse me, I didn't hear  
3 your question.

4 The answer is no.

5 MR. KALUR: No other questions.

6 CHAIRMAN GARFINKEL: No further questions of  
7 the witness?

8 He is excused and he may leave if he so desires.

9 MR. CHARNOFF: He does desire.

10 (Witness excused.)

11 MR. CHARNOFF: Mr. Silberg would like to ask a  
12 few questions of Mr. Miller to clarify some of the questions  
13 that were left outstanding yesterday by the Board and other  
14 members of the hearing.

15 Mr. Miller.

16 CHAIRMAN GARFINKEL: Mr. Miller, you are still  
17 under oath.

18 DIRECT EXAMINATION

19 BY MR. SILBERG:

20 Q Mr. Miller, on page 135 of the transcript yester-  
21 day you indicated that you would provide the cost of transmis-  
22 sion associated with the Davis-Besse plant. Would you please  
23 state those costs at this time.

24 A Yes.

25 The total budgeted cost for the transmission

1 lines, the three lines, is \$10,250,000.

2 Q Thank you.

3 Now, Mr. Miller, you also testified yesterday  
4 that the total irretrievable cash expenditures during the  
5 NERA review period, which is shown on page 26 of the prepared  
6 testimony, totaled \$33,773,000. On page 26c of that  
7 testimony, the total additional abandonment cost as of  
8 December 31, 1972, assuming that construction is allowed to  
9 continue until that time, is shown as exceeding the  
10 abandonment cost, as of December 31, 1972, assuming a suspen-  
11 sion on June 1, 1972, and that excess is shown as  
12 \$28,639,000.

13 Q Could you explain why these two numbers are  
14 different?

15 A The figures shown on page 26 are the cash --  
16 the construction -- excuse me -- the construction costs  
17 that are irretrievable during the review period.

18 The figures shown on page 26c, of \$28,639,000,  
19 is the difference between the abandonment cost to the Toledo  
20 Edison Company, if construction were to be suspended on  
21 June 1, and we would abandon the project on December 31,  
22 between the cost of continuing construction through  
23 December 31, and then be ordered to abandon the project at  
24 that time.

25 Q The difference in these two figures is the

1 cancellation charges for the contracts that would be outstanding  
2 at 12-31-72.

3 Q Would the cancellation charges be greater were  
4 construction to continue after -- from June 1, 1972, to  
5 December 31, 1972? Or smaller?

6 A They would be lower.

7 MR. SILBERG: Thank you.

8 CHAIRMAN GARFINKEL: Mr. Malsch, any questions?

9 MR. MALSCH: No, no questions.

10 CHAIRMAN GARFINKEL: Mr. Kalur?

11 MR. KALUR: No.

12 CHAIRMAN GARFINKEL: You are excused, Mr. Miller.

13 MR. CHERNOFF: Mr. Chairman, we have no further  
14 direct testimony.

15 CHAIRMAN GARFINKEL: Mr. Malsch, will you put  
16 on your case in chief now.

17 MR. MALSCH: Yes, Mr. Chairman.

18 MR. KALUR: Does that mean the Applicants are  
19 resting?

20 CHAIRMAN GARFINKEL: They are resting their  
21 case, right, subject to rebuttal of course.

22 MR. MALSCH: First, Mr. Chairman, I would like to  
23 offer into evidence the document entitled "Preliminary Report  
24 on Environmental Considerations Related to Suspension of  
25 Construction Activities Under Construction Permit No. CFP-80

1 for Davis-Besse Nuclear Plant," Docket No. 50-346, by the  
2 U. S. Atomic Energy Commission, Division of Radiological and  
3 Environmental Protection, dated May 2, 1972.

4 I am offering into evidence the document with  
5 the exception of the information under Roman II entitled  
6 "Site and Plant Description."

7 The document is sponsored in evidence by George  
8 Knighton, a branch chief of the Division of Radiological and  
9 Environmental Protection; Robert West, also with the same  
10 division; Harold Glauber, with the same division; and Dr.  
11 David Edgington and Dr. Norman Frigerio, both of Argonne  
12 National Laboratory.

13 In view of prior rulings by the Board concerning  
14 the scope of issues in the proceeding, the parties agreed  
15 I could make this offer in the absence of the individuals I  
16 have just identified as sponsors.

17 CHAIRMAN CAMPANELLE: That's correct.

18 MR. LYMAN: Does that just comprise pages 1 and 2,  
19 or is there more to it?

20 MR. MALSCH: "1" and "2" is summary. "Site  
21 and Plant Description" are on pages 3, 4, and 5.

22 CHAIRMAN CAMPANELLE: You are introducing this  
23 document with regard to the environmental effects of  
24 operations of the nuclear plant, am I correct?

25 MR. MALSCH: That's correct.

1           The document deals exclusively with the  
2 environmental effect of operation, with the exception of the  
3 last portion under Roman IV, which is a brief paragraph  
4 dealing with the benefits of operation.

5           In either case they deal with operation of the  
6 facility.

7           CHAIRMAN GARFINKEL: Does any party other than  
8 Mr. Malsch want to make a statement with respect to this  
9 offer?

10           MR. CHARNOFF: I understand why it is offered,  
11 and I would simply express the Applicants' regret that this  
12 material is not being permitted to be entered into evidence,  
13 but we understand the Chairman's rulings in that regard.

14           CHAIRMAN GARFINKEL: Mr. Kalur?

15           MR. KALUR: We have the same comment.

16           CHAIRMAN GARFINKEL: I want to make a further  
17 comment, because I think it is going to be applicable not  
18 only to Mr. Malsch but applicable to Mr. Kalur.

19           Environmental considerations in connection with  
20 the operation of a nuclear plant really relate to reasons,  
21 or findings as they will pertain to the ultimate decision of  
22 the NEPA review.

23           We believe that it is inappropriate, speculative,  
24 and unwarranted to be received into this record.

25           We have permitted the Applicant, the Regulatory

1 Staff, and the Intervenor to introduce evidence with respect  
2 to all alternatives. Alternatives are the decision  
3 apparatus of the NEPA review.

4 We firmly believe that implied in this decision  
5 of allowing all alternative decisions, or alternatives to the  
6 plant to be introduced, implies automatically that all the  
7 various decisions with respect to environment, safety, and  
8 health, are included, whether they be adverse or favorable  
9 to the decision-making function.

10 We are assuming all these findings, because  
11 those findings have to relate to the decision. Therefore,  
12 there is absolutely no need to go into these considerations,  
13 since they are automatically implied in the decisions which  
14 are the alternatives, or which includes abandonment. It's  
15 automatically assumed.

16 Radioactivity, what is the purpose of going into  
17 radioactivity, if it isn't to relate to something in connec-  
18 tion to the plant, whether it be abandonment, modification,  
19 and what have you. And we have considered all the  
20 alternatives in our decision. And that implies adverse  
21 decision, or favorable decision, with respect to radio-  
22 activity with respect to environment, including land, air,  
23 and sea.

24 It is for that reason that primarily this Board  
25 found no need to go into them. All you would be doing is

1 bringing out the construction permit situation. You would  
2 be going in here getting another crack and bringing out  
3 these factors when the final NEPA review comes out. And  
4 thirdly, you would bring up this factor again when it comes  
5 out to the operational stage.

6 So therefore we are not saying it's not relevant,  
7 but we think that is secondary evidence to what we consider  
8 the primary issue, the decision.

9 On that basis we have excluded all relevant --  
10 all issues concerning operation, and all issues concerning  
11 health, safety, and environment, for this particular type  
12 proceeding.

13 It doesn't mean it won't be considered some place  
14 else.

15 This statement is applicable to any offer of  
16 proof that Mr. Kalur may want to introduce; so I find no  
17 need to reiterate this statement when Mr. Kalur presents his  
18 case.

19 With that, Mr. Malsch, you may continue with  
20 your direct case.

21 MR. MALSCH: Well, I should like to have the  
22 document identified, with the deletions identified, marked  
23 for identification as an offer of proof. Just have it  
24 marked for identification.

25 CHAIRMAN GARFINKEL: Please do that.



1 That would be Regulatory Staff Exhibit what?

2 MR. MALSCH: Exhibit 1.

3 CHAIRMAN GARFINKEL: Off the record.

4 (The document referred to was marked  
5 Regulatory Staff Exhibit No. 1 for identi-  
6 fication, and was rejected.)

7 CHAIRMAN GARFINKEL: I am receiving the Regulatory  
8 Staff Exhibit 1 marked for identification as an offer of  
9 proof, but not received in evidence.

10 MR. MALSCH: Mr. Chairman, I might indicate for  
11 the record that the copies I handed to the reporter have  
12 lines drawn through Section II, "Site and Plant Description,"  
13 which I included in my offer.

14 CHAIRMAN GARFINKEL: Let me ask you, you also  
15 excluded the summaries on pages 1 and 2?

16 MR. MALSCH: No, I haven't excluded the  
17 summaries.

18 CHAIRMAN GARFINKEL: But I rejected that.

19 MR. CHARNOFF: I wonder if it would be helpful  
20 for the record, if Mr. Malsch would explain -- I understand  
21 the reasons -- why he has deleted Section II from this offer  
22 of proof.

23 CHAIRMAN GARFINKEL: Please do.

24 MR. MALSCH: The reason why is that Section II  
25 contains descriptive material of the site and plant --

1 Description, under the Board's rulings, would be relevant;  
2 however, in view of the state of the record thus far it  
3 appears to be essentially cumulative evidence, and I saw no  
4 reason to have the five sponsoring witnesses stay around  
5 just for the introduction into the record of essentially  
6 cumulative evidence.

7 CHAIRMAN GARFINKEL: That's accepted.

8 Mr. Malsch.

9 MR. MALSCH: I would next like to call Mr.  
10 Albert Swintzer to the stand, please.

11 Whereupon,

12 ALBERT SWINTZER

13 was called as a witness and, being first duly sworn, was  
14 examined and testified as follows:

15 DIRECT EXAMINATION

16 BY MR. MALSCH:

17 Q Mr. Swintzer, could you please give us your full  
18 name, your present employer, and your present position with  
19 that employer.

20 A My name is Albert Swintzer. I am presently  
21 employed by the Atomic Energy Commission Regulatory Staff;  
22 and my present position is Chief, Pressurized Water Reactor  
23 Branch No. 4, Directorate of Licensing.

24 Q Mr. Swintzer, have you ever attended college  
25 or university? And if you have, what if any degrees did you

1 obtain?

2 A. Yes, I attended the Michigan Technological  
3 University. I received a degree, a Bachelor's degree,  
4 in Electrical Engineering, in 1951.

5 Q. When did you first join the Atomic Energy  
6 Commission, Mr. Swinamer?

7 A. I joined the Atomic Energy Commission on  
8 October, of 1967.

9 Q. Since joining the Atomic Energy Commission,  
10 what positions have you held and what responsibilities and  
11 duties did those positions involve?

12 A. My initial position was that of reactor  
13 engineer in the Instrument Power Technology Branch. My  
14 duties in that position included health and safety reviews of  
15 instrumentation, and control systems, for the <sup>Prairie</sup> ~~Berry~~ Island  
16 Nuclear Reactor and for the SNAP 3 DR Space Reactor.

17 Then in November, 1967, I was assigned to the  
18 Reactor Projects Branch No. 3, where as a project leader I  
19 coordinated the health and safety evaluations covering all  
20 aspects of the Arkansas Nuclear Unit 1, construction permit  
21 application; the initial stages of the TVA <sup>Sequoyah</sup> ~~Sequoyah~~ Nuclear  
22 Station construction permit, and the Duke Power Company,  
23 Ocoee Nuclear Station Unit 1, operating license review.

24 In July of 1971 I was appointed to my present  
25 position as chief of the Pressurized Water Reactor Branch

1 No. 4.

2 The duties of this position include responsi-  
3 bility for the coordination of the health and safety  
4 evaluations on power reactor construction permits, and  
5 operating license applications performed by project leaders  
6 under my supervision.

7 Q Is the Davis-Besse plant currently assigned to  
8 your branch?

9 A Yes, the Davis-Besse plant has been assigned  
10 to my branch since February of this year.

11 Q Mr. Swintzer, have you ever visited the Davis-  
12 Besse site?

13 A Yes, I visited this site on two occasions.  
14 The first occasion was April 24, of this year, and then  
15 again on May 2.

16 Q How long during each visit did you spend on  
17 site?

18 A On the April 24 visit I was there from approxi-  
19 mately 10:30 in the morning until about 3:00 in the afternoon.  
20 On May 2 the visit was a late afternoon visit from approxi-  
21 mately 4:30 to 6:00 o'clock.

22 Q In connection with your official duties as an  
23 Atomic Energy Commission employee, have you had occasion in  
24 the past to visit the sites of other nuclear power plants  
25 under construction?

1           A       Yes, I have visited several nuclear plants  
2 under construction, approximately six.

3           Q       This is not the first time you have visited a  
4 construction site; is that true?

5           A       Yes, sir, that's correct.

6           Q       Mr. Swintzer, on either or both visits to the  
7 Davis-Besse site, did you have occasion to observe the areas  
8 near the marsh and the dikes?

9           A       Yes.

10          Q       Would you describe for us, please, your observa-  
11 tions.

12          A       On the 24th we toured the entire area around the  
13 marshes and the dikes. On May 2 we covered a portion of this  
14 area. My observations on these occasions were that the  
15 dike system around the marsh appears to be essentially  
16 complete. The wildlife appears to be abundant in the marsh  
17 area. By that I mean that I observed several species of duck,  
18 heron, gulls, and other waterbirds, as well as several land  
19 animals, including rabbits, muskrat, a turtle, and -- there  
20 was one other animal -- a woodchuck. I saw a couple of  
21 woodchucks.

22                   We also observed a large number of carp on the  
23 first visit, on April 24. It is difficult to tell how many,  
24 but there were perhaps several thousand at the various  
25 locations around the marsh, near the dike area.

1                   On the second occasion I did not tour the whole  
2 area but there was a marked absence of carp. The only area  
3 that we observed the carp was at the end of the drainage  
4 ditch, both inside the drainage ditch and on the outside of  
5 the dike which closes off the drainage ditch.

6                   The carp ranged in size from, oh, about 10 to  
7 20 inches.

8                   The marsh itself, I observed a number of muskrat  
9 nests in the area, also a number of blinds that people could  
10 sit in, in the center of the marsh. There appeared to be  
11 ample vegetation growth to provide nesting facilities for  
12 the birds, and we did see -- I did see a large number of  
13 ducks on the -- in the marsh area, on the water.

14                   A portion of the marsh I observed has been iso-  
15 lated by a dike system, and my understanding is that it is  
16 intended for an experimental area for wildlife studies.  
17 This area of the marsh appeared to be recently diked off.

18                   The dike system, by my observation, appears  
19 to isolate the marsh area from water runoff that might occur  
20 from the construction activities on the site. The whole  
21 area seems to have a high earthen dike system, and also any  
22 water runoff from the construction site itself was collected  
23 by a system of drains, and was introduced into the drainage  
24 ditch.

25                   Q       Did you notice any construction noise or noise

1 apparently from construction activities while you were  
2 visiting the marsh areas?

3 A Visiting the marsh areas, no. I might add that  
4 there was construction activity at the site, construction  
5 site itself, on both occasions, such noises as crane  
6 operation, trucks moving in and out of the site, and some  
7 activity in the quarry. However, down in the marsh area  
8 itself, as we toured the dike areas I could not hear this  
9 construction noise.

10 Q Did you also have occasion during either one or  
11 both visits to observe the area around the intake canal  
12 at the beach area?

13 A Yes, I visited these areas on both occasions.  
14 As I indicated earlier the beach area does appear to have  
15 a high natural ridge or dike extending the entire distance  
16 of the marsh area between the lake and the marsh. And there  
17 did appear to be evidences of some additional raising of this  
18 area to maintain some minimum elevation.

19 I also had an occasion to observe the lake  
20 itself where the car was stopped and we got out and looked  
21 at the beach area. The beach is littered with a large  
22 number of shells, clam shells and other types, some wood,  
23 driftwood debris. The water itself was dark in color;  
24 however, the beach appeared to be sandy and clean. I saw no  
25 evidence of scum on the beach.

1 As far as the intake canal is concerned it  
2 appeared to be dry except for runoff water and also possibly  
3 aquifer water.

4 The intake canal, as I observed it, was divided  
5 into two portions by a dike and a roadway. On the plant side  
6 of this dike the canal appeared to be dry. On the lake side  
7 of the dike there was some water in, but not up to lake  
8 level. I would presume that that was runoff water.

9 The birdlife along the shore and along the  
10 northern boundary of the property appeared to be abundant.

11 I observed most of the species that I observed  
12 in the swamp, in the marsh area, along the shore area, with  
13 the exception that there was an increase in the number of  
14 gulls, perhaps because of the proximity of the lake.

15 Q How about the area around the settling pond and  
16 drainage ditch? Did you observe those areas also?

17 A I observed that area on April 24. The water  
18 pumped from the construction area excavations goes to the  
19 settling pond and I observed the outlet of the settling pond.  
20 The water drains into a narrow channel to the drainage ditch  
21 from this region. I also observed a pipe downstream of the  
22 settling pond where the runoff water from the construction  
23 area enters this ditch.

24 The water then continues on down into the wide  
25 portion of the existing drainage ditch, which is approximately



1 150 feet wide.

2 Q Did you notice any fish in the drainage ditch  
3 on either or both occasions?

4 A Yes. As I indicated earlier, on the first  
5 occasion there was an abundance of carp. On the second  
6 occasion only a few carp at the end of the drainage ditch  
7 itself, and into the -- on the Toussaint River side.

8 Q Did you also observe the area around the  
9 borrow pit and quarry?

10 A Yes, I observed this from a distance. It  
11 appeared to be typical of construction sites. One pit was  
12 observed as being used as a dump site for construction  
13 solid waste materials.

14 Also in the vicinity of the borrow pits there was  
15 a substantial pile of crushed rock near the Route 2 boundary  
16 of the site.

17 Q Did you also view the area, on-site area, near  
18 the transmission lines and railroad spur?

19 A Yes, on both occasions.

20 The transmission lines and the rail spur were  
21 only viewed from the site location. The on-site rail spur  
22 appeared to be essentially completed.

23 On the May 2 visit I did observe there were some  
24 additional ties being laid to bring the spur into the  
25 buildings proper, but other than that it appeared to be

1 completed.

2 The transmission towers or superstructure for  
3 the electrical switch station had been started and a number  
4 of these structures were in place.

5 I also observed some transmission towers leading  
6 away from the site, new towers.

7 Q How about the area around the cooling tower and  
8 underground pipings? Did you observe these areas also?

9 A Again these areas were observed on both occasions.  
10 On the first occasion the cooling tower was completed up to  
11 slightly beyond the base ring. I would estimate the height  
12 was approximately 40 feet. The slip forms were in place, and  
13 there were two cranes in place, and it looked like work was  
14 in progress.

15 On the second occasion the height had increased  
16 to somewhere between ~~60~~<sup>80</sup> and 90 feet, by observation, and  
17 again it looked like work was continuing in progress.

18 The tower at this elevation, and at this rate of  
19 progress, apparently will soon become a prominent landmark  
20 at the Davis-Besse site.

21 Q Did you also observe the areas around the reactor  
22 building and other related structures?

23 A Yes, this was observed on April 24, and briefly  
24 the reactor building concrete is up approximately to the  
25 dome level. The dome was not in place.

1 The inside <sup>Steel</sup> ~~field~~ containment vessel was up just  
2 above the <sup>Polar</sup> ~~puller~~ crane. The supports for the puller crane  
3 were in process of being put in place. The containment  
4 reactor cavity concrete work was under way. I observed  
5 placing of rebar.

6 Other below-grade structures, construction,  
7 appeared to be nearly complete. I observed some equipment  
8 in place. I observed four gas <sup>decay holdup</sup> tanks that were  
9 set in place. The intake structure, as I already mentioned,  
10 appeared to be at its final grade.

11 The turbine building and the office building,  
12 steel work, is very far along -- substantially complete. I  
13 would judge.

14 On the second visit I did notice that the turbine  
15 building crane was starting to be erected. I would judge  
16 about half of it had been lifted into place.

17 As far as the area around the reactor, I would  
18 characterize this as being roadways that are very dusty with  
19 gray silt; and the concrete trucks, other vehicles moving  
20 along were creating dust.

21 Q Did you notice any dust in any of the marsh  
22 areas?

23 A No, I did not.

24 MR. MALSON: Thank you.

25 I have no further questions.

1 CHAIRMAN GARFINKEL: Mr. Charnoff, do you want to  
2 cross-examine?

3 MR. CHARNOFF: No.

4 CHAIRMAN GARFINKEL: Mr. Kalur?

5 MR. KALUR: No.

6 CHAIRMAN GARFINKEL: Mr. Witness, you are excused.  
7 You may go home if you so desire.

8 THE WITNESS: Thank you.

9 (Witness excused.)

10 CHAIRMAN GARFINKEL: Is that your case in chief?

11 MR. MALSCH: That's my case in chief.

12 CHAIRMAN GARFINKEL: Mr. Kalur, will you present  
13 your case in chief.

14 MR. KALUR: Before putting on my oral testimony,  
15 I should like to make a proffer of evidence. I can do that,  
16 reading to the court reporter in open court, or --

17 CHAIRMAN GARFINKEL: How long do you think it  
18 will take to read it?

19 MR. KALUR: Well, just a minute or two.

20 CHAIRMAN GARFINKEL: Please read it right in.

21 MR. KALUR: All right.

22 Because of the Board's ruling excluding evidence  
23 with respect to plant operations, and environmental effects,  
24 we are offering in evidence the following proof offer.

25 MR. CHARNOFF: You are offering into evidence?

1 MR. KALUR: We are offering -- Strike the  
2 evidence.

3 CHAIRMAN GARFINKEL: Into the record.

4 MR. KALUR: Into the record. Not in evidence.  
5 We are making an offer of proof.

6 Had we been allowed to put on this testimony,  
7 Dr. Eugene Perrin would have given testimony regarding the  
8 environmental effects of the failure of the Emergency Core  
9 Cooling System. He would have also given testimony regarding  
10 the anticipated radiological effects upon the wildlife in  
11 and around the proposed Davis-Besse plant.

12 We would have called second, Dr. Charles W.  
13 Huver. Dr. Huver would have given testimony regarding  
14 tridium concentrations in the western Lake Erie basin, both  
15 present and anticipated, and would have related this testimony  
16 to possible harm to wildlife and human beings.

17 He would further have testified concerning  
18 radionuclide concentration reports in migratory birds at  
19 the Hanford, Washington, facility and relate those results  
20 to the proposed operation of the Davis-Besse Nuclear Power  
21 Station.

22 A third witness would have been Dr. Tony J.  
23 Peterle. Dr. Peterle would have testified with respect to  
24 radionuclide concentrations in the Navarre Marsh area  
25 and in wildlife, and would have testified concerning his

1 ongoing study of the topic under the guidance of the Bureau  
2 of Sports, Fisheries and Wildlife.

3 CHAIRMAN GARFINKEL: Is that your offer of proof?

4 MR. KALUR: Yes.

5 CHAIRMAN GARFINKEL: Mr. Kalur, while I appreciate  
6 your offer of proof as part of the record, let me  
7 state though very clearly that you are still free to present  
8 any evidence of alternative systems other than, or the same  
9 as that was offered by the Applicant and the Regulatory  
10 Staff.

11 That means you are free to introduce evidence  
12 that continued construction during this period would have an  
13 adverse effect on the present systems that's in effect, that  
14 they would foreclose any alternative. We are not stopping  
15 you in doing that. That has no relationship to what the  
16 environment decides. We are assuming and we can assume for  
17 the record any adverse environmental findings.

18 Consequently, based on such findings you are  
19 free to introduce any alternatives that you want, and we  
20 will stay here and listen to the alternatives, other than  
21 what has come out in the record, or the ones that you want  
22 to bring out. So I want the record to indicate what we are  
23 clearly permitting in this case.

24 With that you may present your case in chief.

25 MR. KALUR: May I make a short statement in

1 reply to your statement so our position is clear on the  
2 record.

3 CHAIRMAN GARFINKEL: Sure.

4 MR. KALUR: We believe that on the contrary  
5 while we might be free to put forth evidence on alternatives,  
6 we believe those alternatives could not be realistically  
7 considered by this Board without identification and  
8 quantifying the potential environmental radioactive harms  
9 due to this plant from operation -- coming from this plant  
10 due to operations.

11 CHAIRMAN GARFINKEL: You may continue with your  
12 case in chief, unless of course someone, Mr. Malsch wants  
13 to comment on my statement.

14 MR. MALSCH: No comments.

15 CHAIRMAN GARFINKEL: Mr. Charnoff?

16 MR. CHARNOFF: No comments.

17 MR. KALUR: We will call Dr. Owen Davies.

18 Whereupon,

19 OWEN DAVIES

20 was called as a witness and, having been duly sworn, was  
21 examined and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. KALUR:

24 Q For the record will you state your name and home  
25 address.

1           A       My name is Dr. Owen Davies. My residence is  
2 13436 Harlon Avenue, Lakewood, Ohio, Zip Code 44107.

3           Q       Mr. Davies, will you tell us your qualifications  
4 with respect to the field of ornithology.

5           A       I want to make it clear in this statement I am  
6 going to restrict myself entirely to those qualifications.

7                   I have been a member of the National Audubon  
8 Society from 1941 to the present time. I have been a  
9 regular contributor to the regional reports of the Audubon  
10 Field Notes from 1958 to the present.

11                   I have been a member of the American Ornithologists  
12 Union from 1962 to the present.

13                   My nomination to the American Ornithologists  
14 Union was sponsored by Dr. George Lowry, of Louisiana State  
15 University.

16                   I have been a member of the Laboratory of  
17 Ornithology of Cornell University from 1964 to the present;  
18 and this was on special invitation of Dr. O. S. Pettingill,  
19 director of the laboratory.

20                   Prior to that time I served as acting head of  
21 the Department of Ornithology for the Cleveland Museum of  
22 Natural History, during the period 1950 to 1951.

23                   Because of my location of residence in western  
24 Cuyahoga County in the immediate vicinity of the Lake Erie  
25 edge, I have been especially privileged to have the



1 opportunity to study bird migration patterns as they relate  
2 to both the translake migration and around-the-lake migration--  
3 in other words, restricted migration routes.

4 In addition to this I have had the opportunity  
5 to observe the trans-Gulf migration at selected marvelous  
6 points along the entire Gulf Coast of the United States.

7 In addition to this I have had a chance to make  
8 extensive measurements and observations of the fall  
9 migration, the birdlife from the upper peninsula of Michigan,  
10 particularly the eastern portion of the upper peninsula of  
11 Michigan.

12 In addition to this I am extremely interested  
13 in the field of migration, and have contributed reports to  
14 surveys of migration conducted by the Fish and Wildlife  
15 Service, and also to certain workers in the field who have  
16 been tagging birds so that they could be observed in the  
17 life.

18 I think that gives you a fair indication of it.

19 CHAIRMAN GARFINKEL: Dr. Davies, let me ask you  
20 a question. In terms of your educational background in this  
21 field, do you have any educational training in this field  
22 at all?

23 THE WITNESS: I have some educational training  
24 in this field.

25 CHAIRMAN GARFINKEL: Will you tell us about

1 that.

2 THE WITNESS: To the extent that at the under-  
3 graduate level in Western Reserve University I have college  
4 credit in a beginning zoology course, a beginning botany  
5 course, and in ecology.

6 CHAIRMAN GARNINKEL: Fine.

7 BY MR. KALOR:

8 Q Dr. Davies, are you familiar with the Ottawa  
9 Wildlife Refuge area and the Mogee Marsh area?

10 A Yes, sir.

11 (END OF PAGE)

12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

2A-1

1 Q Would you describe for us the marsh unit of the  
2 Ottawa Wildlife Refuge with respect to its availability as  
3 a bird habitat.

4 A With regard to the Navarre Marsh proper, I have  
5 somewhat limited experience. At the present time, however,  
6 I have observed the habitat that is there, I find it to  
7 be extremely marvelous as far as the untouched portions  
8 of the marsh are concerned. The portion of the marsh between  
9 the beach and the first dike appears to be in tremendous  
10 shape and beautiful condition. It is far superior in my  
11 opinion to the Darby Marsh unit, which is similar, general  
12 location. It is not by comparison to the McGee Marsh area  
13 as typical a location to anticipate to see tremendous  
14 concentrations of birds because they are not restricted to  
15 an area right at the beach edge. If you recall by comparison  
16 of the McGee Marsh there is a tremendous deciduous type  
17 woodland area right behind the beach area which is fairly  
18 extensive in size; and behind that is an extensive marsh  
19 habitat which would not be extremely suitable for  
20 transient land birds themselves.

21 In other words, what I think I am saying is that  
22 the extreme concentrations that one might anticipate at  
23 McGee of transient land birds, on the ground and in the trees,  
24 are probably superior because the extent of the habitat is  
25 improved. However, there is nothing, in everything I can  
see there, to indicate that there should be tremendous

8A-2

1 differences in the species or in the composition of the  
2 birds to be involved there. Both of them are tremendous  
3 areas as far as migration stopover points for transient  
4 water fowl. I think we are familiar with the fact that this  
5 whole marsh area in this section of the state is one of the  
6 pivotal areas with regard to stopover and feeding areas  
7 for a considerable portion of the population of the water  
8 fowl in the entire flyway.

9 Q Yesterday you heard testimony of an individual  
10 from the Detroit Edison Company regarding bird kills at  
11 their Monroe plant, did you not?

12 A Yes, sir, I did.

13 Q Would you comment for us on the circumstance  
14 that was testified to that they had not seen bird kills in  
15 the Monroe area?

16 A In order to explain your -- to answer your  
17 question, Mr. Kalur, I think I have to step back and get a  
18 little bit of preliminary information before I come to the  
19 exact point that I wish to stress with regard to that. I  
20 will try to make this as brief and as precise and as much to  
21 the point as possible.

22 On the Lake Erie edge we find two situations.  
23 We have a barrier to bird migration as well as an avenue for  
24 bird migration. And this in many respects depends upon the  
25 species composition of the bird involved in the different

8A-3

flyways and the different migration routes in the immediate vicinity of the lake edge.

There are some species which when migrating during the daytime and come to a body of water the size of any of the Great Lakes will not under normal conditions fly on across the lake but will fly along the edge or in the immediate vicinity thereto, maybe over the water, yes, but parallel to the edge rather than going out against the main direction of the flow if they were continuing in the same direction they were proceeding.

There are other birds, especially in the night migrants which will tend to continue on across a body of water of this type, without particular regard to the fact that the lake is there, they may be influenced to land, depending upon the weather conditions that they encounter at the time that they reach a barrier of this type. In other words, they are very prone not to fly across Lake Erie into a bucking wind situation in which they are flying against the wind. This is one of the reasons that the lake -- the edges of the Great Lakes can be tremendous concentration points for migrants.

However, depending upon the exact weather conditions the birds may be on the other side of the lake from you rather than on your side. That is the distinct advantage of studies made in the upper peninsula of

8A-4

1 Michigan because you have a Lake Superior edge and a Lake  
2 Michigan edge not separated by tremendous distances and,  
3 therefore, you can sample on the same day the concentrations  
4 of birds on a north edge of a lake and on a south edge of  
5 a lake.

6 Now, with regard to the bird migration, I want to  
7 stress at this point bird migration along the edge of the  
8 lake. This tends to occur under the following situation:  
9 One, the birds are migrating north generally with a  
10 trailing southerly direction wind, or with a southwesterly  
11 direction wind. When they reach the vicinity of the lake they  
12 will tend to go parallel to this lake edge and often tend  
13 to use the wind to aid them in their travels, so that they  
14 are spending the least amount of effort in this. The  
15 species that do this predominantly are such things as  
16 crows, jays, blackbirds, robins, meadowlarks, some of the  
17 finches, woodpeckers, even some of the shore birds like  
18 killdeers.

19 In general you will see these in migration during  
20 the daytime, especially before a cold front passage in  
21 the area, and it seems almost as if the birds are trying to  
22 stay in front of the passage of the cold front.

23 On the other hand we have -- let me add two more  
24 groups to that. Hawks would be inclined to do this same  
25 thing. And I would say that bluebirds -- and I have not

SA-5

1 indicated them previously -- would do the same.

2 There are places along the Great Lakes where  
3 one anticipates having corridors of bird migration passing  
4 from one side of the lake to the other. This does not mean  
5 that anywhere along the lake you cannot have evidences of bird  
6 migration across the lake during the night period. However,  
7 what I am saying is that you will find areas along this  
8 lake where the concentrations will be much higher than those  
9 at other portions of the lake.

10 This type of study has been very carefully documented  
11 by Mr. Perkins and if this is of value in particular I will  
12 come back to this later.

13 With regard to the western end of Lake Erie there  
14 are two predominant bird migration paths. There is a path  
15 across the lake which includes the island-hopping mechanism  
16 area as described by Troutman. It includes more than  
17 that too, it includes the McGee, Ottawa Navarre area, and  
18 it is described by Perkins officially as the west end flyway  
19 for Lake Erie.

20 On the other hand, there is a second migration  
21 route in the western portion of the lake. I would like to  
22 give an exact description of the names of the locations  
23 that are involved in that, if you will pardon me for  
24 just a minute.

25 CHAIRMAN GARPINKEL: Mr. Davies, let me ask you

SA-6

1 something: The original question here was really in relation  
2 to the testimony of the Detroit Edison --

3 DR. DAVIES: I am almost to that point.

4 CHAIRMAN GARFINKEL: Okay, get to that as  
5 soon as possible.

6 A (Continued) I thought you had to have that  
7 background information to interpret properly what I am  
8 going to say.

9  
10 Very briefly, without even describing this there  
11 is another migration path in that portion of the lake,  
12 which goes around the west end of the lake, it includes  
13 the Monroe area as a major portion thereto. This, however,  
14 is predominantly restricted to day-migrant birds. We  
15 would anticipate on the basis of every study that has been  
16 made on the TV aerial kill, on crane kills, on building  
17 kills, that they are predominantly night-migrant birds that  
18 are involved in these kills. And since the main migration  
19 path, in through the Monroe area, involves day-migrant  
20 birds. And generally they will not be moving under  
21 extremely adverse weather conditions where they would not  
22 have sight of these obstructions, then you would not  
23 anticipate on the basis of everything you know with regard  
24 to the flyways in the western end of the lake to have an  
25 extremely appreciable kill at the Monroe area.

26 CHAIRMAN GARFINKEL: So what you are saying here,



8A-7

1 based on your testimony, is to the effect that the situation  
2 as raised by the Detroit Edison witness is not --

3 DR. DAVIES: Is not comparable to the  
4 Davis-Besse site.

5 CHAIRMAN GARFINKEL: Is not comparable to the  
6 Davis-Besse site. That is your testimony.

7 DR. DAVIES: That is my testimony, yes, sir.

8 MR. ZALSER: Thank you, Mr. Chairman.

9 Q Based on your knowledge of ornithology, Dr.  
10 Davies, do you have an opinion as to the effect on birds that  
11 the completed cooling tower, the transmission lines  
12 leaving the plant, and the reactor building will have upon  
13 bird migration?

14 A I will anticipate that during certain --

15 Q Do you have an opinion, first?

16 A Yes, I do have an opinion.

17 Q Will you tell us what that opinion is?

18 A My opinion is that these obstructions in a major  
19 migratory path for night migrants should be of the kind  
20 that you would anticipate that under adverse weather  
21 conditions you should anticipate that there will be bird  
22 kills at these structures.

23 I would indicate also that these will not be  
24 extremely heavy kills on every migration pattern, and every  
25 migration season. This is not the history of this type

8A-3

1 affair.

2 The small kills that may be occurring often are  
3 not recognized as such because the people who are looking  
4 for them are not there at daybreak or before to observe  
5 whether there are any dead birds or any stunned birds in the  
6 vicinity.

7 Q Now, I believe in the testimony of Toledo  
8 Edison there are references to lighting of the cooling tower  
9 pursuant to FAA regulations. Will that have any effect on  
10 the birds passing through the area?

11 A Every indication from kills at such an affair  
12 indicates that the birds in general are attracted to the  
13 lighted areas, that they mill around in the vicinity of  
14 these lights until they either collide with a guy wire that  
15 is nearby that is not lighted, with another bird, with  
16 some obstruction in the immediate vicinity. You do not  
17 absolutely have to have a light to do this but you are likely  
18 to have higher kills in the presence of the light than in  
19 the absence. I am not making any comments with regard  
20 to any of the FAA regulations.

21 Q What type of weather conditions would you believe  
22 would be more detrimental to bird life at the site?

23 A With regard to a lighted tower of this type,  
24 you anticipate bird kills under the conditions where you  
25 have a fairly thick and fairly deep -- or high, cloud cover,

8A-9

1 If you have mist or if you have murkiness, or if you have  
2 obscured vision conditions of the kind which would normally  
3 force birds of this type to be flying at somewhat lower  
4 elevations than they might otherwise be, and in addition  
5 to this and the background of experiments that have been  
6 conducted if you have a favoring wind so that there is  
7 an appreciable migration under those conditions into  
8 the area then you would anticipate the major kills. I am  
9 not at all sure that these weather conditions have existed  
10 during the time in which any of these towers and buildings  
11 have been to the height where they might be considered  
12 as a hazard, to the present.

13 MR. KALUP: Those are all the questions I have on  
14 direct.

15 CHAIRMAN CARPINKEL: I will start with Mr.  
16 Charnoff for cross-examination.

17 CROSS-EXAMINATION

18 BY MR. CHARNOFF:

19 Q Dr. Davies, you indicated you were at one point  
20 employed as the acting head of a museum in Cleveland, is  
21 that correct?

22 A No, I did not indicate that. I think that the  
23 record would show that I indicated I was acting head of the  
24 department of ornithology at the Cleveland Museum.

25 Q And what is your current employment?

1 A I do not understand that current employment is  
2 critical to this evaluation of the qualifications of the  
3 witness. At the present time, however, for the record, I  
4 would indicate that I am physical sciences consultant to the  
5 Ohio Audubon Council.

6 (END OF PAGE)  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

476  
9-1

1 Q Is that full-time employment, sir?

2 CHAIRMAN GARFINKEL: Let's take a five-minute  
3 break.

4 (Short recess.)

5 CHAIRMAN GARFINKEL: On the record.

6 Mr. Charnoff, continue with your cross-examination.

7 MR. CHARNOFF: I have no further cross-examination  
8 of Dr. Davies.

9 CHAIRMAN GARFINKEL: Mr. Malsch.

10 CROSS-EXAMINATION

11 BY MR. MALSCH:

12 Q Dr. Davies, we have been referring to you as  
13 "Dr." You are not a medical doctor, are you?

14 A No, sir.

15 Q Based on your experience would you expect to  
16 have a significant number of bird kills during daytime  
17 during good weather conditions?

18 A No, sir.

19 Q How about during the nighttime during good  
20 weather conditions?

21 A It will depend upon what you are referring to as  
22 "good weather conditions."

23 Q Well, by "good weather conditions" I am referring  
24 to an absence of thick or deep cloud cover in the area.

25 A Are you saying with a trailing wind or with a

9-2

1 bucking wind?

2 Q Either one.

3 A Are you saying at the boundary of the lake or  
4 otherwise?

5 Q I am referring to the area around the structures  
6 where the birds might impact.

7 A I think this would have to be answered on the  
8 basis of individual cases. You want to take, for example,  
9 Davis-Besse?

10 Q Yes.

11 A I would anticipate that if you have the  
12 following situation, no cloud cover, no north direction wind,  
13 that under most conditions you are very unlikely to see  
14 tremendous concentrations of land birds at low elevations  
15 in migrations there. They will generally, if they are  
16 moving, go on across Lake Erie, they will not stop on this  
17 side. I would say under those conditions that you would  
18 not anticipate seeing tremendous bird kills at Davis-Besse  
19 site.

20 Q Under what weather conditions would you expect  
21 to see significant number of bird kills?

22 A It would have to depend upon the month of the  
23 year. Let's assume that this is during the middle of the  
24 migratory period, and just for simplification let's say  
25 spring migration. And let's assume that we have a south  
direction wind that starts the birds migrating into this

9-3

1 general area, and then let us assume that about the time the  
2 birds get to this location they no longer have a south  
3 direction wind but encounter a north direction wind, high  
4 thick and low dense cloud covers, so that the birds are  
5 forced fairly low, maybe a bit of mist or rain, and an  
6 obstruction in the line of flight that is lighted will  
7 produce the biggest kill, though it is not necessary that  
8 the thing be lighted.

9 CHAIRMAN GARFINKEL: Let me ask you one  
10 question, Dr. Davies.

11 DR. DAVIES: Surely.

12 CHAIRMAN GARFINKEL: What are the chances of  
13 the conditions you are raising, occurring?

14 DR. DAVIES: The chances of occurring will be  
15 encountered of the order of probably three to four times  
16 during a spring migration if you assume it to be a fairly  
17 normal migration with regard to weather patterns. Last year  
18 was not. And I am talking about the weather patterns must  
19 be during the peak of the migration period to have a  
20 tremendous kill.

21 CHAIRMAN GARFINKEL: Let me ask you just one  
22 question so that I have it. I am sure Dr. Lyman is going to  
23 ask some questions.

24 DR. DAVIES: Any questions you want to ask.

25 CHAIRMAN GARFINKEL: What normally is the peak

474  
9-4

1 period for migrations?

2 DR. DAVIES: In this area the peak period for land  
3 bird migration would normally be in the period -- say approxi-  
4 mately middle April to, oh, conceivably late May.

5 CHAIRMAN GARFINKEL: Okay.

6 DR. DAVIES: Depending upon the particular  
7 season involved. It can be either toward the early end  
8 or toward the late end, depending on whether spring is fast  
9 or not.

10 CHAIRMAN GARFINKEL: I am sorry I interrupted  
11 Mr. Malsch. Go ahead, continue.

12 MR. MALSCH: I have no further questions.

13 CHAIRMAN GARFINKEL: Mr. Charnoff, any further  
14 questions?

15 MR. CHARNOFF: No.

16 CHAIRMAN GARFINKEL: Mr. Kalur?

17 MR. KALUR: No redirect.

18 CHAIRMAN GARFINKEL: Dr. Lyman.

19 DR. LYMAN: Dr. Davies, are you familiar with  
20 the scavengers that would live near the lake and eat  
21 dead birds?

22 DR. DAVIES: There are a considerable number of  
23 them that could be encountered. Which would be most critical  
24 in a given area I don't know that I could predict. Gulls  
25 would be one example. Horned owls would be another example.



450  
9-5

1 Both of these are in the vicinity of this particular site.  
2 If we were for instance in a place like Monroe, Michigan,  
3 we might have to consider Norway rats or something of that  
4 kind. And in various and sundry places there are still others.  
5 If you were in the south you would be involved with a  
6 number of scavengers that would be in larger abundance,  
7 for instance vultures, than you would have in this particular  
8 site.

9 DR. LYMAN: Do these things eat the bird's  
10 feathers and all?

11 DR. DAVIES: The owls will often gulp the  
12 whole affair leaving no trace whatsoever. Even some of the  
13 mammals will take some of the small birds as just essentially  
14 a bite and leave no trace whatsoever of them. If you were  
15 encountered with the problem of ants eating them you would  
16 generally not see them disappear immediately. Although  
17 that is one of the problems with museums for use of bird  
18 specimens, almost any bird that is brought in will show  
19 evidence of ant attack and is not in condition for  
20 display purposes.

21 DR. LYMAN: Are any of these species you  
22 have identified in the flyways near the site, are any of  
23 these what you would put in the category of endangered  
24 species?

25 DR. DAVIES: The ones that I have described in  
the immediate vicinity of the flyway I would say

481  
9-6

1 there are endangered species involved in the things that I  
2 have described at the present time. And those I would say,  
3 of the ones I have mentioned to the present, are some of  
4 the species of hawks. I would also indicate that there  
5 is a problem with regard to water fowl also, which are in the  
6 site area, in that it is, appears to be a problem of suitable  
7 habitat, not necessarily just here, but in the nesting  
8 grounds as well as in the wintering grounds. And so in a  
9 respect we are not dealing, say, with something which is  
10 in a critical state, except with regard to <sup>peregrine</sup> falcons  
11 and the hawks, and some that are blue-list species like the  
12 red-shouldered hawk, and the osprey, and coopers and sharp-shin.  
13 The one species that is in the immediate area here, which I  
14 would consider very close to be in the endangered category  
15 is the bald eagle. They are not in the category of birds  
16 which are going to be doing a tremendous amount of migrations,  
17 but there are nesting sites in the immediate vicinity of  
18 the Lake Erie marshes. I think if my recollection is correct  
19 that last year there were eight known nests of bald eagles  
20 in the State of Ohio, all of which were in this immediate  
21 area, in the state.

22 DR. LYMAN: And there was a reference in previous  
23 testimony to bird kills at the Perry Monument. Are you  
24 familiar with that situation?

25 DR. DAVIES: I am familiar to just a slight

9-7

1 extent with this. Dr. Troutman of Ohio State has done some  
2 extensive work in that field, and he has observed examples  
3 of this kill of birds flying into Perry's Monument on Putnam  
4 Bay in South Bass Island. As just an example, on May 12,  
5 1956 he noted seventy birds of twenty-three different  
6 species killed in a short time, and on May 24, 1954 one  
7 hundred birds killed in fifteen minutes by impacting the  
8 tower itself.

9  
10 DR. LYMAN: Were there eagles or ~~hawk~~ peregrine falcons  
11 among these?

12 DR. DAVIES: To the best of my knowledge there  
13 were not. They would not normally be involved in flights  
14 at night under the conditions in which the impacts with  
15 the lighted tower would be involved.

16 The hawks in general and eagles are day birds  
17 in general, they fly during the day and they would do any  
18 migrating they would be doing during the day. And day migrants  
19 in general are not susceptible to this type of an affair.

20 DR. LYMAN: Are you at all familiar with bird  
21 population dynamics?

22 DR. DAVIES: Are you talking now with regard  
23 to such things as breeding bird censuses, or winter censuses,  
24 or roadside censuses?

25 DR. LYMAN: Rates of propagation and life span  
26 and so on.

473  
9-3  
1 DR. DAVIES: To a certain extent, yes. You may  
2 have some questions that you want to ask of me that I may not  
3 know the answers to, and if not I will say so.

4 DR. LYMAN: I wondered if you felt qualified  
5 to comment on the reproduction rate of any given species  
6 of bird?

7 DR. DAVIES: You name the species that is  
8 involved and then I will tell you.

9 DR. LYMAN: Let's talk about crows, you mentioned  
10 crows.

11 DR. DAVIES: Okay. Crows are in no problem  
12 whatsoever with regard to population at the present time.  
13 They are very well holding their own. As far as a life  
14 span is concerned I can't give it to you, but they are becoming  
15 extremely diversified, they are even going into the cities  
16 at the present time nesting in towns and feeding on  
17 pigeon eggs.

18 DR. LYMAN: Are they becoming more abundant?

19 DR. DAVIES: I would indicate from everything  
20 I can see, at least in the areas that I am familiar with I  
21 would say the crow population is tending to build up, yes.

22 DR. LYMAN: Let's pick a species of bird that  
23 seems to have a stable population. How about robins?

24 DR. DAVIES: I would hesitate to use a robin  
25 as an example, because there are a beautiful example of

684  
9-9

1 problem-area birds with regards to pesticides, so I would  
2 prefer to take something else that is not dependent on  
3 a food chain that would immediately go up to that.

4 Let's take examining -- how about a woodpecker, a  
5 flicker?

6 DR. LYMAN: How many times in a year does a  
7 flicker nest and how many nestlings does it produce?

8 DR. DAVIES: The normal number of nestlings in  
9 most of the woodpeckers would run, depending upon the hatch,  
10 in the vicinity of two to four. There are certainly  
11 cases in which you would have exceptions beyond that. You  
12 would anticipate that depending upon the nestling success  
13 that you could have possibly two nestlings during a season;  
14 although in a particular case such as this this will depend  
15 to a certain extent upon the pressures existent upon the  
16 habitat in which the bird is located.

17 DR. LYMAN: But you might say then that each  
18 pair of birds might produce five young birds in an average  
19 year?

20 DR. DAVIES: This -- well, just for purposes of  
21 illustration we might say so. And the majority of  
22 these will not survive to any appreciable extent beyond one  
23 year, if that much. In general there is a rate of bird  
24 mortality which very closely approximates the numbers that  
25 are present at the beginning of a given year. In the fall

9-10

1 migration you will have larger numbers than you would have  
2 during the spring, and nevertheless there are an increased  
3 number of inexperienced birds, and very often they will  
4 encounter more problems than the adults themselves during  
5 migration periods.

6 DR. LYMAN: It's the inexperienced birds then  
7 that tend to have the impacts?

8 DR. DAVIES: No, I am not saying that at all.  
9 There is an indication that some of the inexperienced birds  
10 often end up in the wrong directions in migration, for  
11 reasons that are not very clearly known at the present time.

12 DR. LYMAN: But you have indicated though that  
13 the average life span of a bird --

14 DR. DAVIES: Of a migratory, land bird, is  
15 generally very short.

16 DR. LYMAN: Of the order of a year or less?

17 DR. DAVIES: Maybe we should say two years or  
18 less, maybe, rather than just one or less. There is a range,  
19 certainly.

20 DR. LYMAN: Well, I think by the example you  
21 gave of the flicker that unless the flicker population is  
22 increasing --

23 DR. DAVIES: I would not say that it was.

24 DR. LYMAN: Five flickers have to die between  
25 one nesting season and the next for every pair of flickers  
to keep this population constant?

9-11

1 DR. DAVIES: This is about what the situation is.

2 DR. LYMAN: And it seems to average out at only  
3 slightly over a year of average life span?

4 DR. DAVIES: In this particular case I agree  
5 with you.

6 DR. LYMAN: Thank you.

7 DR. DAVIES: You are quite welcome.

8 CHAIRMAN GARFINKEL: I have no questions.

9 Mr. Malsch.

10 You are free to treat it as cross-examination,  
11 any statements made, or any questions asked by the Board.

12 MR. MALSCH: I have no questions.

13 CHAIRMAN GARFINKEL: Mr. Charoff.

14 MR. CHARNOFF: Just one or two questions, Dr.  
15 Davies.

16 CROSS-EXAMINATION

17 BY MR. CHARNOFF:

18 Q You testified that Troutman had some data with  
19 regard to the Perry Monument and you referred to 1956 and  
20 1954. Are you familiar with whether or not the Perry  
21 Monument has bright searchlights on it, floodlights? Do  
22 they use floodlights at the Perry Monument?

23 A I am sorry, I am not extremely familiar with the  
24 situation of the lighting on Perry's Monument, I have never  
25 been there at night.

9-12

1 Q And you have no personal knowledge of whether  
2 it is floodlighted or not?

3 A I can't answer that question.

4 Q Therefore, you don't know whether if they have  
5 floodlights since the period of concern you talked about, they  
6 now turn it off during the heavy migration period and now  
7 encounter a different experience than the two examples you  
8 cited?

9 A I would be surprised if the lighting was turned  
10 off completely, because this would certainly be a danger to  
11 air travel.

12 Q Just the floodlights, not the navigation lights,  
13 do you know whether they turn off the floodlights?

14 A I do not, sir.

15 MR. CHARNOFF: Thank you. I have no further  
16 questions.

17 CHAIRMAN GARFINKEL: Mr. Kalur.

18 MR. KALUR: I have no redirect.

19 CHAIRMAN GARFINKEL: You are excused, Dr. Davies.

20 Further witnesses?

21 MR. KALUR: I would like to ask the regulatory  
22 staff if Mr. L. Manning Putzing is here pursuant to our oral  
23 request and written request to Mr. Malsch the other day.

24 MR. MALSCH: No, he is not.

25 MR. KALUR: I would like to proffer into



9-13

1 evidence the fact that had Mr. Nutzing appeared he would have  
2 been questioned on the effect of the AEC's commitment of  
3 substantial resources during the NEPA review period on the  
4 final environmental decision made after a full NEPA review  
5 period. But the AEC has chosen not to have Mr. Nutzing  
6 present here.

7 CHAIRMAN GARPINKEL: I would like to ask a few  
8 questions on that.

9 With respect to Mr. Malsch. Did Mr. Kalur  
10 comply with the regulations in making his request?

11 MR. MALSCH: I have not seen the letter. My  
12 understanding is that a letter was forwarded to my office  
13 asking if I would bring Mr. Nutzing up with me to the hearing.  
14 For the record let me say that Mr. Nutzing is the Commission's  
15 director of regulations, and is the chief officer, if you  
16 will, over the regulatory staff.

17 CHAIRMAN GARPINKEL: And isn't it true under the  
18 regulations, under Part II, that the rules specifically  
19 bar making a -- requesting even by subpoena, a particular  
20 employee of the AEC by name?

21 MR. MALSCH: Well, the rules do provide that no  
22 subpoena may generally be issued for any named AEC employee.  
23 My understanding was that Mr. Kalur wasn't making any  
24 formal motion to the Board.

25 CHAIRMAN GARPINKEL: You weren't making --

9-14

1 MR. KALUR: I didn't subpoena him. But I did  
2 make a request and the rules do provide for my making a  
3 request.

4 CHAIRMAN GARFINKEL: Okay. Just request.  
5 Very well.

6 MR. KALUR: And the request hasn't been  
7 honored.

8 CHAIRMAN GARFINKEL: Is that your case in chief?

9 MR. KALUR: Since the Board has ruled out the  
10 rest of my case, that's it, yes.

11 CHAIRMAN GARFINKEL: Mr. Charnoff, you have the  
12 right to put in rebuttal evidence if you so desire.

13 MR. CHARNOFF: I so desire.

14 Now?

15 CHAIRMAN GARFINKEL: Let's do it now. Let me  
16 ask you: How much time is your rebuttal case going to take?

17 MR. CHARNOFF: Probably about fifteen minutes.

18 CHAIRMAN GARFINKEL: Okay. On that basis we  
19 will go through the whole case.

20 MR. CHARNOFF: May I have a one-minute recess?

21 CHAIRMAN GARFINKEL: Yes, sir.

22 (Short recess.)

23 CHAIRMAN GARFINKEL: On the record.

24 MR. CHARNOFF: I would like to call -- I don't  
25 know whether to call him a doctor or a professor. I get

1 confused. I would like to call William F. Jackson.

2 And ask him to be sworn, please.

3 Whenceupon,

4 WILLIAM F. JACKSON

5 was called as a witness and, having been duly sworn, was  
6 examined and testified as follows:

7 CHAIRMAN CARPENTER: Please be seated.

8 DIRECT EXAMINATION

9 BY MR. CHARNOFF:

10 Q Did you say you don't care? Because one of the  
11 Board members preferred the title "Professor" to "Dr."

12 A Call me Bill.

13 Q I surely do want to get the favor of the Board  
14 member.

15 Dr. Jackson, will you please recite for the record  
16 your educational experience?

17 A My undergraduate degree, Master's degree in  
18 zoology was at the University of Wisconsin. My Doctoral  
19 degree is at Johns Hopkins University. All of them are  
20 in the areas of ecology with an emphasis particularly in  
21 mammalogy and ornithology.

22 Q Could you recite your other experience besides  
23 your educational experience, namely what has been your profession-  
24 al experience?

25 A I have been involved as a commissioned officer

9-16

1 in the Public Health Service with responsibilities in the  
2 area of vector control. I have been on a variety of  
3 research expeditions dealing with ecological investigations  
4 in the Tropics. Since 1955 I have been a staff member  
5 at Bowling Green University. I am currently professor  
6 of biology and director of environmental studies at the  
7 university. I have conducted a variety of research in the  
8 areas of mammalogy, ornithology, ecology, population  
9 regulation.

10 I am a member of a variety of societies, the  
11 American Ornithologists' Union, a Fellow and a past  
12 vice-president of the Ohio Academy of Science. I am a  
13 member of Mammalogists, Behaviorists, the American  
14 Association for the Advancement of Science, and other  
15 appropriate professional organizations.

16 Q At the university, Dr. Jackson, have you taught  
17 any courses in ornithology?

18 A Yes, I have taught ornithology for a number of  
19 years although I am not currently teaching a course. I  
20 am also a convener of the Bi-Annual Bird Control Conference  
21 at Bowling Green which is an internationally-established  
22 conference. It has been running for about a decade.

23 Q Have you published a number of papers,  
24 Professor Jackson?

25 A Yes. Perhaps the one closest related to this

9-17

1 arena was the result of a study of crow populations in and  
2 about the Toledo Airport. These crows were affecting  
3 navigation landing problems. We did a fairly major study  
4 involving radar tracking of movements, and made recommendations  
5 to the airport authorities for the alleviation of the problem.

6 I have also been involved in an a cooperative  
7 study of the red-wing blackbird populations in the Lake  
8 Erie area over a number of years, looking at their basic  
9 biology, movement patterns and so forth.

10 Q Dr. Jackson, yesterday in the course of some of the  
11 questioning by Mr. Kalur a remark was made about serious  
12 bird kills at the Commodore Perry Monument, as was done  
13 today in the examination by the Board of Dr. Davies.  
14 First will you tell me whether the monument has a floodlight  
15 on it.

16 A The monument normally is flood lighted at night.

17 Q And do they make changes in the floodlights  
18 or lighting conditions during bird migration seasons?

19 A Yes. The practice has been, in the last decade  
20 or so the practice has been during peak bird migratory  
21 seasons to turn the floodlights off.

22 Q And when they turn them off do they still leave  
23 on the navigation lights?

24 A Yes.

25 Q And can you tell me whether there has been any

9-18

1 change in the bird mortality caused by the Perry Monument  
2 once they adopted the practice of turning off the  
3 floodlighting during the bird migratory season?

4 A Yes. There has been a very striking decrease  
5 in the bird kill, and this was the kind of experimentation  
6 that was going on when I came to Ohio about fifteen years  
7 ago, and it was about this time that they instituted  
8 this program. Generally on an average kind of night during  
9 migratory season they may experience a half a dozen or so  
10 birds killed.

11 Under conditions where there is very low ceiling,  
12 where weather conditions are very adverse, and the lights  
13 are not on, the kill may go up to several dozens, perhaps  
14 fifty, sixty birds.

15 Q Roughly how many times a year might that have  
16 occurred?

17 A I have not examined the meteorological data,  
18 and I do not have a day-by-day statistical series, but I  
19 would estimate it might occur several times.

20 Q So your general impression is that the  
21 experience certainly with the Perry Monument is that  
22 navigational lighting poses far less a hazard to birds,  
23 or tends to reduce the hazard as compared to the  
24 combination of navigation, lighting and floodlighting?

25 A The floodlighting certainly has been the problem

9-19  
1 not only at Perry Monument but at installations elsewhere  
2 in the country where bird kills have been significant.

3 Q Dr. Jackson, there has been some talk about  
4 predators coming along and eating dead birds at the  
5 Davis-Besse site. There was testimony yesterday that the  
6 reactor building has been up to its full height for more  
7 than a year, that the top of that has a boom extending still  
8 higher, and the meteorological tower is a very high  
9 structure, has been up for about three years, and that there  
10 has been no noticeable -- no noticed or observed deaths  
11 through collision or impact with the structures. Do you  
12 think -- what do you think the probability is that  
13 predator animals would have consumed all of the dead birds,  
14 or so much of them that they would not have been noted in  
15 the vicinity of these structures?

16 A I think it is rather unlikely. I think we  
17 have to look at predators in several categories. There  
18 would be mammals which really would be more scavengers than  
19 they would be predators, raccoons, and skunks, rats; these  
20 certainly would leave tell-tale traces, partially-devoured  
21 carcasses, this sort of thing, which a reasonable observer  
22 would have noticed.

23 There will be scavengers in an avian form,  
24 the gulls, which would be daytime feeders, and would come  
25 in at times, I would assume personnel would be there, and

9-20

1 would be noted.

2           Such birds as the hawks or owls would generally  
3 be feeding on living targets, birds that perhaps were  
4 disabled and could not effectively fly. And the owls would  
5 be night feeders and hawks would be daytime feeders.

6           Quite often the disabled birds result from  
7 banging into high wires, breaking a wing, rather than  
8 bashing their heads and having a fatal injury when they  
9 hit a very solid structure. So I would anticipate the  
10 number of damaged but still living birds, thus birds subject  
11 to ready predation by hawks or owls, would be slight.  
12 Consequently I would conclude that if dead birds were not  
13 found upon reasonable examination of the premises that kills  
14 of any magnitude are very unlikely.

15           Q     Now, there was some discussion here with Dr.  
16 Davies in regard to endangered species such as falcons  
17 and bald eagles, and I believe he testified they were  
18 day migrants rather than night migrants.

19           Is it your judgment that difficulties at all  
20 with birds migrating and impacting with tall structures is  
21 a day or night phenomenon?

22           A     It is certainly a nighttime phenomenon.

23           Q     So that the birds concerned are day migrants, and  
24 this concern with those birds would not be particularly  
25 relevant?



9-21

1 A That's correct. And certainly experience with  
2 bird hazards elsewhere in the country does not indicate  
3 these daytime migrants as being in any great involvement.

4 Q Are you familiar with the structure design and  
5 height that is going to be erected at the Davis-Besse site?

6 A In a general way, yes.

7 Q It is going to include FAA type navigational  
8 lights, is that correct?

9 A That's my understanding.

10 Q Is it your understanding too that it will not be  
11 floodlighted?

12 A That is my understanding.

13 Q Will you give me your opinion then, Dr. Jackson,  
14 with respect to the likelihood of any real significant  
15 adverse impact of that structure on the migrating birds  
16 in the area?

17 A I would not consider the structure to have a  
18 significantly adverse effect. I think there could be some  
19 conditions occurring rarely, when the ceiling was low, when  
20 wind circulation was of a certain pattern, rain or fog, in  
21 which some numbers of birds could be killed by collision.  
22 But I think this would be a relatively infrequent phenomenon.

23 Q Putting it in some perspective, Dr. Jackson,  
24 to other types of mortality-causing events that birds  
25 encounter, would you consider this to be a significant  
increment to the kinds of events that might cause bird

9-22 1 mortality?

2 A No, I don't think so. If we are talking about  
3 even several hundreds of birds being involved in a given  
4 accident, several times a year; if we compare this with  
5 population dynamics on a continental or subcontinental  
6 basis we have this kind of a perspective to look at. We  
7 are dealing with songbirds, warblers. These are primarily  
8 the birds that were intercepted at the Perry Monument,  
9 we are talking about an individual female which will lay  
10 four to five eggs, may, depending on the conditions, bring  
11 off two broods during the course of the summer. So that  
12 we are talking about three, four, perhaps more young which  
13 are surplus in the population since we only need two  
14 individuals to replace the existing pair. A pair of birds  
15 may live a year or two, in terms of the small songbirds.

16 So we have got half a dozen, eight, ten  
17 individuals which will die in one way or another, hitting a  
18 tower, being eaten by the neighborhood cat, being knocked  
19 down by somebody's S. B. gun, being hit by a car on  
20 the freeway, falling prey to a predator, being subject  
21 to a disease or a parasite, a whole host of things. And  
22 if we are looking at the millions of birds involved in  
23 the eastern flyways I don't regard the several hundreds  
24 which seem to me to maximize this kind of condition, as  
25 being a serious detriment or deduction from the

1 continental population.

2 MR. CHARNOFF: Thank you. I have no  
3 further questions of Dr. Jackson.

4 CHAIRMAN GARFINKEL: Mr. Kaluz?

5 CROSS-EXAMINATION

6 BY MR. KALUZ:

7 Q Dr. Jackson, are you familiar with a study done by  
8 Herbert L. Stoddard on bird casualties at Leona County,  
9 Florida, TV Tower?

10 A Yes, sir.

11 Q That wasn't a lighted tower, was it, except for the  
12 FAA lights?

13 A I am not familiar with the details of the arrange-  
14 ment of that tower. I know that he had on occasion some  
15 major kills, and that the impression I get from reading the  
16 description and looking at the pictures in the paper, is that  
17 one of the significant factors here was the very extensive  
18 guy wire arrangement.

19 Q Would you describe for me -- you said you are  
20 familiar in a general sort of way with the Davis-Basson  
21 buildings. Will you describe the size of the cooling  
22 tower for me?

23 A My notes on the cooling tower indicate that it  
24 will be approximately 100 feet tall.

25 Q Do you have a diameter reading?

9-24

1 A Something in the neighborhood of 280 feet.

2 Q I didn't understand your answer on the Perry  
3 Monument. You said on a bad night with the worst conditions  
4 you might have fifty or sixty birds when the lights were  
5 out, is that right?

6 A This has been the data that I have received in  
7 talking with colleagues who have been involved in studies at  
8 the monument.

9 Q And you said this might happen several times?

10 A Yes.

11 Q Is that several times in a migratory season?

12 A I am talking about several times a year.

13 Q As I understand your comments with regard to  
14 the effect of possible kills from Davis-Besse on the total  
15 bird population, it seems to be "What are a few birds more  
16 or less," is that it?

17 A No, I don't think my comments were intended to  
18 be of that crass an observation.

19 I think all components of the ecosystem are  
20 important. But --

21 Q So some loss diminishes the total, doesn't it?

22 CHAIRMAN GARFINKEL: Let the witness answer the  
23 question fully.

24 You may continue with your answer.

25 A But I think it is important to recognize that

9-25

1 there is an energy flow which takes place within any kind  
2 of an ecosystem, and that this energy flow involves  
3 excess production over survival, and that this production  
4 is taken out of the population in a host of ways. With  
5 the increasing advent of environmental management by man  
6 we have created via highways, various kinds of structures,  
7 various kinds of activities, new forces and new subtracting  
8 devices in this whole ecosystem arrangement, and we can no  
9 longer adequately talk about a balance of nature. This is  
10 really a fallacy.

11 So what I am trying to say is that yes, birds are  
12 going to be killed in what I consider to be relatively  
13 small numbers during most of the time. There may be some  
14 incidents in which larger numbers are killed. I think  
15 this is undesirable from an esthetic point of view. But  
16 I don't regard it as being a detrimental, highly detrimental  
17 sort of thing from the viewpoint of continental population  
18 dynamics.

19 MR. KALUR: Thank you, Doctor. That's all I  
20 have.

21 CHAIRMAN GARPINKEL: Dr. Lyman.

22 DR. LYMAN: You mentioned that the guy wires  
23 can be very important. What about high-voltage  
24 transmission lines, which are essentially guy wires going  
25 horizontally?

1 DR. JACKSON: Yes. I have no direct experience  
2 with this. The literature, of course, indicates that some  
3 of the larger predators, hawks and eagles, not infrequently  
4 short themselves out by trying to perch on high-voltage  
5 lines. And I am sure that if there are birds coming in low  
6 under adverse environmental conditions and they collide  
7 with wires, there are going to be some mortalities. But I  
8 have no quantitative data to compare the horizontal wire  
9 pattern with any kind of vertical guy wires.

10 DR. LYMAN: You are not aware of any case histories  
11 or published studies of kills from this source?

12 DR. JACKSON: Not of songbirds. There have been  
13 a variety of notes, and documentation, of the larger birds  
14 being electrocuted. But these are largely daytime  
15 phenomena. An osprey will come down and spread out his  
16 wings across the circuits.

17 CHAIRMAN GARFINKEL: Any further questions,  
18 Dr. Lyman?

19 DR. LYMAN: No.

20 CHAIRMAN GARFINKEL: I have no questions.

21 Any further cross-examination of the witness?

22 None. You are excused. Thank you.

23 Any further rebuttal witnesses?

24 MR. CHASNOFF: No, sir.

25 CHAIRMAN GARFINKEL: You rest your case?

9-17  
1 MR. CHARNOFF: Yes, sir.

2 CHAIRMAN GARFINKEL: Mr. Kaluz, do you rest your  
3 case?

4 MR. KALUZ: Yes.

5 CHAIRMAN GARFINKEL: Mr. Maloch, do you rest your  
6 case?

7 MR. MALSOCH: We have no further evidence at this  
8 time to present.

9 CHAIRMAN GARFINKEL: Let this record show that  
10 the record for the reception of evidence is closed.

11 Now, with respect to proposed findings, I will not  
12 change the schedule merely because we terminated one day  
13 early. As I indicated I expected three working days  
14 from the date of the reception of evidence. I will allow  
15 the submittal of proposed findings, proposed order, and a  
16 brief in support thereof, to be filed or placed in the mail  
17 by the close of business, which will be five o'clock  
18 Wednesday of next week.

19 MR. CHARNOFF: May 10th?

20 CHAIRMAN GARFINKEL: Yes.

21 May we be off the record for a second.

22 (Discussion off the record.)

23 CHAIRMAN GARFINKEL: On the record.

24 With respect to proposed findings to be submitted,  
25 will the parties submit the copies to Dr. Lyman at his

28 1 normal address, in North Carolina; and to Dr. Luebke at  
2 Santa Barbara, California; and to me in Washington, D. C.  
3 at the Atomic Energy Commission.

4 MR. CHARNOFF: Do I understand that the  
5 Wednesday you are assigning for that is Wednesday, May 10?

6 CHAIRMAN GARFINKEL: That is next Wednesday.

7 MR. CHARNOFF: I just wanted the record to show  
8 that next Wednesday is still May 10.

9 MR. KALUR: We will stipulate that it is.

10 CHAIRMAN GARFINKEL: I haven't got my calendar  
11 to take a look.

12 That's correct.

13 MR. CHARNOFF: Mr. Chairman, in connection with  
14 post-hearing pleadings, may I suggest that corrections to the  
15 transcript be filed on Friday, May 12th, two days later?

16 CHAIRMAN GARFINKEL: I have no objection to that.

17 I will issue an order at the same time initial  
18 decision is issued concerning the corrections.

19 Normally I would -- in normal situations I would  
20 have issued it before, but I think time is of the essence that  
21 I will issue it with our initial decision, corrections of the  
22 transcript.

23 Those that I believe to be obvious.

24 Those where there is no real change, I may not  
25 indicate in my order.