

VOL-13

REGULATORY DOCKET FILE COPY

UNITED STATES ATOMIC ENERGY COMMISSION

IN THE MATTER OF:

TOLEDO EDISON COMPANY
and
THE CLEVELAND ELECTRIC
ILLUMINATING COMPANY

Docket No. 50-348

(Davis-Besse Nuclear Power
Station, Unit No. 1)

RETURN TO REGULATORY CENTRAL FILES
ROOM 016



Place - Port Clinton, Ohio

Date - 3 February 1971

Pages 4504 - 1757

DUPLICATION OR COPYING OF THIS TRANSCRIPT
BY PHOTOGRAPHIC, ELECTROSTATIC OR OTHER
FACSIMILE MEANS IS PROHIBITED BY THE ORDER
OF THE COMMISSION

Telephone:
(Code 202) 547-6222

THIS DOCUMENT CONTAINS
POOR QUALITY PAGES

FEDERAL REPORTERS, INC.

Official Reporters

419 So

West

St.

NATIONAL WIDE COVERAGE

8002 260 848

T

621

14

UNITED STATES OF AMERICA
ATOMIC ENERGY COMMISSION

----- +

In the matter of: :

TOLEDO EDISON COMPANY :
and :
THE CLEVELAND ELECTRIC : Docket No. 50-346
ILLUMINATING COMPANY :
:
(Davis-Besse Nuclear Power :
Station, Unit No. 1) :
:
----- +

Trinity Methodist Church
Conference Room
Adams and Second Streets
Port Clinton, Ohio

Monday, 8 February 1971

The above-entitled matter came on for further
hearing, pursuant to notice, at 10:00 a.m.

BEFORE:

WALTER SKALLERUP, JR., Esq., Chairman,
Atomic Safety and Licensing Board.

DR. CHARLES E. WINTERS, Member.

DR. WALTER L. JORDAN, Member.

APPEARANCES:

(As heretofore noted.)

In

C O N T E N T S

	WITNESSES:	DIRECT	CROSS	REDIRECT	PECROSS
1					
2					
3	LOWELL ROE	1636			
4	WILLIAM LITTLE	1659			
5	MORTON GOLDMAN	1662			
6	ROBERT TEDESCO	1712			
7	LESTER ROGERS	1717			
8					
9	EXHIBITS:		FOR IDENTIFICATION	IN EVIDENCE	
10	Applicant's No. 5		1638		1652
11	Applicant's No. 6		1642		1652
12	Applicant's No. 7		1668		1668
13	Applicant's No. 8		1672		1672
14	Applicant's No. 9		1700		1700
15	Applicant's No. 10		1702		1702
16	Applicant's No. 11		1702		1702
17	Applicant's No. 12		1704		
18	Applicant's No. 13		1704		1704
19	Applicant's No. 14		1705		
20	Staff No. 3		1717		1717
21	Staff No. 4		1748		1748
22	Staff No. 5		1749		1749
23					
24					
25					

P R O C E E D I N G S

1
2 CHAIRMAN SKALLERUP: Will the hearing please come
3 to order?

4 First, there are a few preliminary comments I
5 would like to make.

6 Number one, the room has not been set up with a
7 public address system, so that everybody is going to have to
8 raise their voice a few more decibels in order to be heard by
9 all.

10 Number two, the room, as you can see, is somewhat
11 more confined than the Armory. And we are giving consideration
12 to establishing a no-smoking rule. If the smoke becomes
13 offensive to the Board's noses, we will establish such a
14 rule. So we are going to try the rule of reason first, and
15 see how it goes. So we urge you to slow down on smoking.

16 There are a few preliminary matters that we want
17 to put into the record.

18 Pursuant to the Board order of February 2, the
19 hearing is now being held in the Conference Room of the
20 Trinity Methodist Church, Adams and Second Streets, Port
21 Clinton, Ohio.

22 Please include that in today's transcript.

23 (The document follows:)
24
25

UNITED STATES OF AMERICA
ATOMIC ENERGY COMMISSION

In the matter of)
)
 THE TOLEDO EDISON COMPANY)
 AND THE CLEVELAND ELECTRIC) Docket No. 50-346
 ILLUMINATING COMPANY)
)
 (Davis-Besse Nuclear Power)
 Station))

SCHEDULE FOR HEARING

The hearing in the captioned matter will be contin-
ued on Monday, February 8, 1971, at 10:00 a.m., local time,
in the Conference Room of the Trinity Methodist Church, Adams
and 2nd Street, Port Clinton, Ohio.

ATOMIC SAFETY AND LICENSING BOARD
Sgd/ WALTER T. SKALLERUP, JR.,
Chairman

Dated February 2, 1971

DB/rmsl

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHAIRMAN SKALLERUP: By order dated 3 February 1971 the Board submitted to the Commission in accordance with 10 CFR 2.704(c) for referral its denial of the motion of LIFE to disqualify certain Board members.

Would you please include this in the record?

(The document follows:)

UNITED STATES OF AMERICA
ATOMIC ENERGY COMMISSION

In the matter of)
THE TOLEDO EDISON COMPANY)
and)
THE CLEVELAND ELECTRIC) Docket No. 50-346
ILLUMINATING COMPANY)
(Davis-Besse Nuclear Power)
Station))

ORDER

During the hearing session of 25 January 1971, Intervenor Living in a Finer Environment, Irwin I. Oster, and William E. Reany moved (Transcript 1026) for an order requiring Dr. Walter Harrison Jordan and Dr. Charles Ernest Winters to disqualify themselves as members of the Atomic Safety and Licensing Board which had been designated to hear this matter pursuant to the Notice of Hearing issued by the Commission on 30 October 1970. No affidavit accompanied the filing of the motion.

Inasmuch as 10 CFR 2.704(c) of the Commission's

rms
1 regulations concerning disqualification states in part, "The
2 motion shall be supported by affidavits setting forth the
3 alleged grounds for disqualification...", the Board gave the
4 Intervenor the opportunity to provide an affidavit. Subsequently
5 on 27 January, 1971 the Intervenor proffered such an affi-
6 davit. (T.1166.)

7 Comment regarding the motion was made in open hearing
8 on 25 and 27 January 1971, by AEC Staff (T. 1029-1034, and 1169-
9 1170), by the Applicant (T. 1169), and by Dr. Jordan and
10 Dr. Winters (T.1171).

11 The Board after having considered the motion, the
12 memorandum accompanying the motion, the affidavit in support
13 of the motion, and the arguments thereon, denied the Intervenor's
14 motion (T. 1171).

15 Accordingly, the motion is hereby being referred
16 to the Commission for appropriate action in accordance with
17 the provisions of 10 CFR 2.704(c) of Commission regulations.

18 Attached are copies of the Intervenor's motion, the
19 memorandum accompanying the motion, and the affidavit submitted
20 in support of the motion.

21 Walter T. Skallerup, Jr.
22 Chairman

23 Dated: February 3, 1971
24
25

1 CHAIRMAN SKALLERUP: The Board has not yet
2 completed its referral to the Appeals Board in the matter of
3 suspending action by the Director of Regulation on the
4 requested exemption from the Applicant dated 7 January 1971.

5 Since our last hearing several communications have
6 come to the Board.

7 Number one, from LIFE, summaries of the testimony
8 of witnesses appearing on behalf of LIFE, namely of Miss
9 Dorothy Good of Berkley, Michigan and Dr. John W. Gofman,
10 San Francisco, California.

11 Yesterday afternoon I received a telephone
12 communication at my home from Mrs. Lau, who informs me that
13 Mr. Lau has certain additional complications in his illness
14 and would not be able to be here today.

15 This morning I had a call from Mr. Baron, counsel
16 for the Coalition, who has some pressing obligations that
17 require him to stay in Cleveland this morning, but he hopes
18 to join us during this afternoon's session.

19 A letter was received from a lady whose name is
20 Esther Beck of Toledo, Ohio. The Board asks that this be
21 included in today's transcript and that the original be
22 sent to the Public Document Room.

23
24
25

Inl

(Letter from Esther Beck follows:)

Gentlemen:

May I express my disapproval of your discontinuance of hearings because a campus organization threatened to walk out. You thereby sacrifice majority welfare for recalcitrant immature noise-makers -- frequently with as little knowledge of nuclear dangers as I possess at 73 years of age.

I have never heard of a nuclear electric plant blowing up and damaging outside property and lives. Has it ever occurred? (In these U. S.)

On the other hand, the history of coal-fired steam power records thousands of deaths and much property damage, particularly steam railroads and steam boats.

It seems to me the welfare of the 98 percent majority is being impaired with 2 percent professional "aggressors" and wreckers.

For many years I taught high school only one-fourth mile distant from a black-cloud-belching coal fired steam plant. When the wind was right, we were immersed in smoke and gusty smoke stack emissions covered the neighborhood. Today's hot-house-plant-taxpayer-supported and humored, live-off-somebody else unambitious spongers would cry "discrimination by pollution" and protest, I presume, by at least blocking all progress (if not protest marches and throwing a few bricks or bombs) Thank God.

ln2

1 Now none of us liked the smoke but most of us were
2 glad to pay the pollution price because electric refrigerators,
3 automatic washers, mangles, irons, toasters, Hoovers, radios,
4 record players were our entertaining and labor saving bonuses --
5 rewards just around the corner, NOW UNIVERSALLY ENJOYED.

6 Everytime some crank postpones your approval or
7 enforces modifications in Davis Bessy plant. (I own no direct
8 or indirect interest in Cleveland Illuminating nor Toledo
9 Edison) my and my posterity's power bills probably increase
10 at some future date. Or maybe all of us will lose power at a
11 future crucial hour for how long no-one knows.)

12 Meanwhile we don't need all these gadgets: air
13 conditioning, electric razors and tooth brushes, humidifiers,
14 electric water heaters, lawn-mowers, TVs. They aren't
15 necessary -- certainly they have not brought contentment.

16 But the great majority demand them.

17 Please proceed, and ignore the kooks who pretend
18 college maturation endows them with superior wisdom, IF they
19 want to go home and sulk, GOOD RIDDANCE.

20 I expect you to protect us all from unreasonable
21 hazards. Sometimes Marxist-influenced half-educated youths
22 are more dangerous than bombs and pollution.

23 From a contented 73-year-old retired high school,
24 taxpaying teacher who never accepted relief.

25 /s/ Esther Beck
3115 Parkwood Avenue
Toledo, Ohio

In 1

1 CHAIRMAN SKALLERUP: Another communication from a
2 gentleman named David A. Huffman of Columbia Station, Ohio.
3 We would appreciate this being included the same way.

4 (The letter follows:)

5 February 1, 1971

6 Mr. Walter Skallerup
7 Atomic Safety & Licensing Board

8 Dear Sir,

9 I urge you to stop the construction of the
10 Davis-Besse Nuclear Power Plant near Toledo. I understand
11 that its operation may pollute Lake Erie and the surrounding
12 area with radioactivity.

13 Sincerely,

14 /s/ David A. Huffman

15 26103 Royalton Road

16 Columbia Station, Ohio 44028
17
18
19
20
21
22
23
24
25

1 CHAIRMAN SKALLERUP: Another communication addressed
2 to the Chairman of the Atomic Energy Commission dated
3 January 25, 1971, from John D. Dingell, Member of Congress,
4 from the 16th District of Michigan.

5 I am informed that this communication already was
6 included in the Public Document Room.

7 I will hand it to the Reporter for inclusion in
8 today's transcript.

9 (The letter and telegrams follow:)

10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1nl

1 CONGRESS OF THE UNITED STATES

2 HOUSE OF REPRESENTATIVES

3 Washington, D. C. 20315

4 January 25, 1971

5 Dr. Glenn T. Seaborg

6 Chairman

7 Atomic Energy Commission

8 Washington, D. C. 20545

9 Dear Dr. Seaborg:

10 Inclosed is a copy of a telegram I have received
11 with regard to Atomic Energy Commission Docket 50-346.

12 I would appreciate receiving a report responding to
13 the points raised in this telegram.

14 Please make this letter and the telegram a part of
15 the public record in this proceeding.

16 With every good wish,

17 Sincerely yours,

18 /s/ John D. Dingell

19 Member of Congress

20 Inclosure

21 (Enclosure follows:)

22 WESTERN UNION TELEGRAM

23 CONGRESSMAN DINGLE

24 HOUSE OFFICE BUILDING, WASH., D. C.

25 REFERENCE DAVIS BESSE ALC DOCKET 50-346 INTERVIEWERS

ln2

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

OUTRAGED BY REQUEST EXTENDING CONSTRUCTION EXEMPTION STOP
INTERVIEWERS CONTENTION RELATE TO STRUCTURES PROPOSED TO BE
BILLED UNDER EXEMPTION STOP CLEAR VIOLATION OF US ATOMIC ENERGY
ACT STOP CONSIDERATION OF THIS REQUEST PRIOR FORMAL LICENSING
THREATENS VALIDITY OF HEARING STOP PEOPLES RIGHTS PREJUDICED
STOP IF GRANTED PROCEEDING CANNOT BE CONDUCTED WITH FAIRNESS
STOP LIFE BOX 15 UNIVERSITY HALL BOWLING GREEN STATE UNIVERSITY

- - -

CHAIRMAN SKALLERUP: The Board would appreciate
the opportunity of consulting with counsel in order to
establish our agenda for the day.

End #1

(Bench conference.)

DB2/rms1

1 CHAIRMAN SKALLERUP: In the course of our
2 conference, several matters were discussed. One related to
3 the witnesses of LIFE and Mrs. Bleicher will have some
4 comments to make on that. Another referred to rebuttal, which
5 is going to be offered by the Atomic Energy Commission Staff.

6 Third, rebuttal to be offered by the Applicant,
7 how to accommodate Mr. Lau. A suggestion was made, and I
8 raised the suggestion recently on the phone with Mr. Lau,
9 that the Board, the recorder, counsel and appropriate witnesses
10 go to his home, so that he would be able to conduct his
11 cross-examination and not have to come in here. Mr. Lau
12 said that he was going to see his doctor at 11:30 today
13 and ~~that~~ he would know at 12:30 today whether he would be here
14 this afternoon or whether we would be able to go to his
15 home.

16 So that is how it stands with respect to Mr. Lau
17 at the moment. Mrs. Bleicher, would you comment on the
18 present posture of the case as far as LIFE's witnesses are
19 concerned.

20 MRS. BLEICHER: This morning we had scheduled one
21 witness, Miss Dorothy Gude, to appear on behalf of LIFE with
22 direct testimony. Miss Gude has informed us that she would
23 be able to appear. However, upon checking with her
24 superiors in the school system in Michigan she was informed
25 she would not be given permission to be absent from her class

1 today and therefore she will not be here today, and the
2 implication was that she should not intend to be absent at any
3 time for the hearings here and therefore we now rest
4 our direct case, except for the possible submission of further
5 exhibits.

6 CHAIRMAN SKALLERUP: And you received a communi-
7 cation from Dr. Oster?

8 MRS. BLEICHER: I received this morning, when I
9 arrived at the hearing, a written communication from Dr. Oster
10 in which he withdraws as a party to this case.

11 CHAIRMAN SKALLERUP. The Board is in receipt of
12 a document which was delivered from Dr. Oster which I believe
13 may be -- Mrs. Bleicher, let's compare this. Do you have
14 a letter from him or the statement?

15 MRS. BLEICHER: I have a statement.

16 CHAIRMAN SKALLERUP: I am in receipt of a letter
17 addressed to me, dated February 8, 1971, from Dr. Oster. I
18 will read it and ask that it be placed in the record, "Today
19 I would have very much preferred to have presented this in
20 person. Unfortunately, and quite ironically eight hours of
21 classes, two committee meetings and the re-installation of our
22 repaired X-ray machine, all scheduled for today, leave me
23 little time for anything else (even assuming a 12-hour
24 working day). As you will see from the enclosed statement,
25 there is probably not much point in my being present here-
after."

1 "However, if you should wish to have anything clari-
2 fied further, please telephone me at 419-372-2631,"

3 "I have left instructions that I should be called
4 out of class or the conference today if need be. Thank you
5 and with good wishes, I remain sincerely yours. Irwin I.
6 Oster."

7 There is a postscript. "The toll the hearings have
8 thus far taken in terms of my health is something which I am
9 only alluding to for your own information." I gather Dr.
10 Oster intended that the statement be received as a limited
11 appearance.

12 MPS. BLEICHER: I have no indication from Dr. Oster
13 of how he intended this statement to be received or whether
14 he intended it to be presented on the record or any other
15 communication about its purpose.

16 CHAIRMAN SKALLERUP: Have you received a copy of
17 Dr. Oster's statement?

18 MR. CHARNOFF: I did, Mr. Chairman. I think it is
19 the kind of statement that needs to be put on the record
20 because it suggests somewhat of a change of view by Dr.
21 Oster with respect to this case. I think it would be well to
22 have read into the record the statement by Dr. Oster. It
23 allegedly is a statement, it is headed "Statement by Irwin I.
24 Oster to be presented to the licensing board on February
25 8, 1971." Copies were given to me, and I assume to the other

1 parties. I think it would be well to put this statement
2 into the record. It endorses the recommendations of the
3 Regulatory Staff concerning the Davis-Besse plant. And I
4 think considering all of the publicity that has
5 heretofore been given to Dr. Oster's views, it would be well
6 and reasonable to put this statement into this public
7 record.

8 CHAIRMAN SKALLERUP: The Board hasn't had an
9 opportunity to read his statement, but why don't you give us
10 your comments?

11 MR. ENGELHARDT: Mr. Chairman, the Regulatory Staff
12 has received a copy of the statement by Dr. Oster. I believe
13 it would be appropriate, in view of the fact that Dr. Oster
14 is a party to this proceeding, that this statement
15 be made a part of the record as his statement, to indicate what
16 his situation is currently with regard to his continuing
17 with this case.

18 To that extent, since he is a party to this
19 proceeding, I believe that his situation and his statement is
20 somewhat different from that of a limited appearance and it
21 presumably would set the record straight as to whether he in-
22 tends to continue or why he may not elect to continue with
23 his participation as a party in this proceeding.
24
25

DB3
ln1

1 CHAIRMAN SKALLERUP: The Board will go off the
2 record for a new minutes --

3 MRS. BLEICHER. May I make one statement here?

4 CHAIRMAN SKALLERUP: Please.

5 MRS. BLEICHER: I suggest that since the letter
6 from Dr. Oster says if there is any need for further clarifica-
7 tion we call him, we could call him and ask whether he intended
8 for it to be in the record or whether he wanted this as a
9 personal communication to members of the Board.

10 MR. CHARNOFF: It was hardly personal, Mr. Chairman,
11 if it was distributed to the other parties.

12 MRS. BLEICHER: It was not, however, distributed
13 to the public.

14 CHAIRMAN SKALLERUP: But this is public business.
15 We will read the statement at this time.

16 We would appreciate the opportunity of consulting
17 with counsel.

18 (Bench conference.)

19 CHAIRMAN SKALLERUP: The Board has examined the
20 written and sworn statement of Dr. Oster and as we discussed
21 with counsel it is our view that it not be considered as
22 evidence in the case but that it be considered as a basis for
23 Dr. Oster's action in withdrawing from the case.

24 Inasmuch as the very substance of the statement,
25 plus the fact that it has been sworn to and that copies were

ln2 1 given to other parties in the proceeding it appears to us it
2 was Dr. Oster's intention that the matter be publicly dis-
3 closed.

4 Accordingly at this time it will be read into the
5 record. At the conclusion of that I would request that a
6 copy of Dr. Oster's letter and the original of his statement
7 be referred to the Public Document Room.

8 "Statement by Irwin I. Oster to be presented to
9 the U. S. Atomic Safety and Licensing Board on February 8,
10 1971.

11 "For the past two weeks I have been attempting to
12 reassess my position in regard to the Hearings on the
13 Davis-Besse Nuclear Power Plant. Although at times I had
14 considered discussing aspects of the situation with members
15 of the Regulatory Staff and/or the Commission, prudence
16 dictated otherwise lest some ulterior motive(s) should be
17 read into my decision. I realize that attempts will be made
18 to "find" reasons other than the central one which I will
19 present and I can only urge everyone concerned (as well as
20 those only mildly interested) to accept my explanation at
21 face value. It will soon become apparent that the following
22 has not been calculated to please but rather to be objective
23 and realistic. It represents the result of some very serious
24 deliberations and was not arrived at easily.

25 "I would be remiss in not pointing out that my

ln3 1 failure to be present during most of the sessions during the
2 week of January 25th was prompted not only by a very heavy load
3 of commitments to various teaching and research responsibilities
4 but by the beginnings of the above-mentioned reappraisal of
5 the situation. I will now attempt to describe my present
6 position.

7 "As some of you may remember I had become drawn into
8 the present controversy because I had thought that the utility
9 in question was engaged in an attempt to deny the potential
10 for danger inherent in the utilization of radiation and they
11 in turn believed that such concern should not necessarily be
12 expressed by a geneticist. Be that as it may, and in spite
13 of a degree of bitterness which has developed on all sides and
14 which I would sooner forget, we now find ourselves as Inter-
15 veners at the current Hearings.

16 "Needless to say, certain discrete events of the
17 past several weeks have played a significant role in influencing
18 my line of thinking; however, these should only be regarded
19 as contributory rather than direct causes. The seriousness
20 with which the AEC Regulatory Staff headed by Mr. Thomas
21 Englehardt has considered all the issues raised and the care
22 which the Board chaired by Mr. Walter Skallerup has sought
23 to hold a fair and just hearing (as exemplified by the deci-
24 sion on the applicant's request for a temporary construction
25 permit) are amongst many of the other things which have

ln4

1 impressed me. Moreover, when it became apparent that
2 Dr. Dean Parker, a long-time scientific colleague, who inci-
3 dentally also happens to work with fruit flies like myself,
4 and I would find ourselves at seemingly opposite ends of the
5 scientific spectrum, my decision to withdraw as an Intervener
6 from this Hearing and as a future witness for the Lloyd Harbor
7 Study Group began to be formed.

8 "Since views on the biological effects of ionizing
9 radiation held officially by the U. S. Atomic Energy Commission
10 and I do not differ in essentials I cannot with a clear
11 conscience see how my scientific expertise can be utilized
12 to resolve what I consider to be one of the major issues of
13 these Hearings, namely, whether the benefits to be derived
14 from the proposed plant outweigh the potential risks, no
15 matter how large or small. From a purely personal point of
16 view, my concern has never been with the quantitative aspects
17 of the situation. While I still feel that even one life is
18 sacred and has no price, it has become painfully obvious to me
19 that this evaluation must be resolved on other than purely
20 scientific grounds by society as a whole, and not by a single
21 or a group of individuals, no matter how sincere and intense
22 their feelings may be.

23 "In view of this line of reasoning it necessarily
24 follows that I should endorse the recommendations of the
25 Regulatory Staff concerning the proposed application for a

In5

1 construction permit as being entirely consistent with what
2 has transpired up to now in these Hearings. I have become
3 convinced that the present plant will be built in conformity
4 with the majority of society's current views on life and
5 living.

6 Respectfully Submitted

7 /s/ Irwin I. Oster

8 Irwin I. Oster

9 Bowling Green, Ohio

10 February 8, 1971

11 State of Ohio

12 County of Wood

February 8, 1971

13 Subscribed and sworn to before me this eighth day of
14 February, 1971.

15 Magdalena Y. Baker, Notary Public

16 Wood County, Ohio

17 My Commission Expires February 26, 1973.

18 /s/ Magdalena Y. Baker

19 Notary Public"

end 3

20

21

22

23

24

25

ln5

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

construction permit as being entirely consistent with what
has transpired up to now in these Hearings. I have become
convinced that the present plant will be built in conformity
with the majority of society's current views on life and
living.

Respectfully Submitted

/s/ Irwin I. Oster

Irwin I. Oster

Bowling Green, Ohio

February 8, 1971

State of Ohio

County of Wood

February 8, 1971

Subscribed and sworn to before me this eighth day of
February, 1971.

Magdalena Y. Baker, Notary Public

Wood County, Ohio

My Commission Expires February 26, 1973.

/s/ Magdalena Y. Baker

Notary Public"

end 3

1 CHAIRMAN SKALLERUP: Mrs. Bleicher, have you any
2 comment to make with respect to Dr. Gofman appearing as a
3 witness?

4 MRS. BLEICHER: As we indicated in our list of
5 witnesses which was presented to the Board and to the other
6 parties previously, Dr. Gofman had informed us he would
7 appear as a witness in these hearings.

8 We have received from Dr. Gofman written statements.
9 However, he has indicated to us that he will not be able to
10 appear personally. He would like his written statements
11 to be incorporated into the record. He would be available
12 for cross-examination by deposition, but he cannot come from
13 California to be here at this time.

14 CHAIRMAN SKALLERUP: Are you moving that Dr.
15 Gofman's summary be admitted in evidence?

16 MRS. BLEICHER: Yes, I am.

17 CHAIRMAN SKALLERUP: Has the Applicant any comment?

18 MR. CHARNOFF: Yes, Mr. Chairman. I am puzzled
19 by the question that was asked of Mrs. Bleicher and her
20 answer, because it was just a short while ago I understood
21 LIFE to say it rested its direct case.

22 Now on the specific question of moving that this
23 statement by Dr. Gofman be introduced into evidence,
24 the Applicant would object. We have delayed the hearings
25 from the last phase of the hearings to this phase of the

ty 2

1 hearings so that LIFE would have an opportunity to present
2 for the second time summaries of the testimony of its
3 witnesses, so that the Staff then would have an opportunity
4 to prepare its cross and rebuttal.

5 We find ourselves here at a hearing again with
6 no direct witnesses, number one.

7 Number two, these hearings require that testimony,
8 if it is offered, also be subject to cross-examination.
9 Any cross-examination not conducted here today necessarily
10 means delay. It would also require opportunity for further
11 rebuttal.

12 Again we would be talking about further delay.

13 Therefore it would be objectionable to have the
14 statements by Dr. Gofman offered as evidence in this
15 proceeding.

End #3A

16

17

18

19

20

21

22

23

24

25

1 MR. ENGELHARDT: Mr. Chairman, on behalf of the
2 Regulatory Staff, I must register our opposition to this
3 motion, if adopted by the Board, would not give the Regulatory
4 Staff any opportunity to conduct any meaningful cross-
5 examination of this witness. To require the Regulatory
6 Staff or any other party in this proceeding to seek out this
7 witness in some remote part of the country at great expense
8 and effort to conduct cross-examination in some other locale
9 seems to me entirely unreasonable in the circumstances of
10 this proceeding, and for these reasons we would be opposed
11 to the inclusion of Dr. Gofman's testimony in the transcript
12 of this proceeding.

13 CHAIRMAN SKALLERUP: The Board will go off the
14 record.

15 (Discussion off the record.)

16 CHAIRMAN SKALLERUP: Will the hearing come to
17 order?

18 Mrs. Bleicher, the Board has considered your
19 motion and the arguments that have been made on it.

20 It is our view that the statement of Dr. Gofman
21 not be received as evidence. However, inasmuch as the Board
22 believes its function is to include statements offered by
23 limited appearances as well as by witness for parties to the
24 proceeding, we will include Dr. Gofman's statement in the
25 transcript of the proceeding, this being in large part

1 because we are trying to develop as complete a case as we
2 can with respect to the challenge to Part 20. And for the
3 convenience of representatives of the Commission, we believe
4 it should be included in the transcript.

5 MR. CHARNOFF: Mr. Chairman, I would have to
6 object to the statement that you have just made on the
7 basis that, number one, I think that the concept of limited
8 appearances is to afford persons in the locality an opportunity
9 to make statements with regard to the proposed plant that
10 may or may not affect them. I don't think that these hearings
11 have been set up to be the receptacle for letters and telegrams
12 from all parts of the country or the universe, for that matter.
13 But more specifically, the way you stated that, you said
14 that in terms of the issue of Part 20 you want as complete
15 a record as possible. I think that we cannot fail to
16 distinguish between material which is introduced on an
17 evidentiary basis and limited appearances. The limited
18 appearances are not the means for introducing material into
19 the record for the purpose of producing a record as complete
20 as possible for determining an evidentiary matter.

21 Accordingly, I would object first to it being
22 introduced as a limited appearance, because I think that is
23 out of order.

24 And, secondly, I would submit to you that if it
25 is admitted as a limited appearance, it is not for the

1 purpose of making this record as complete as possible with
2 regard to the Part 20 proceeding.

3 MR. ENGELHARDT: Mr. Chairman, I must share counsel's
4 for the Applicant views with regard to this matter. I too
5 am concerned as to the use of this type of information in
6 this proceeding.

7 We have so far admitted a statement by Dr. Linus
8 Pauling, and now this statement by Dr. Gofman whose statements
9 were identified as limited appearances.

10 I don't believe, as counsel for the Applicant
11 has stated, that the intent of a limited appearance was to
12 solicit comments from a broad spectrum of the convenient
13 public, but was to be limited to those people who would be
14 more directly involved or concerned with the particular
15 application.

16 The introduction of Dr. Pauling's and Dr. Gofman's
17 statements in this record with the prefatory comments that
18 the Chairman has made with regard to at least Dr. Gofman's
19 statement could be interpreted by some as requiring the
20 Staff to present or the Applicant too to present an affirmative
21 defense -- I should say a defense -- of the allegations
22 and contentions made by Dr. Gofman and possibly Dr. Pauling
23 in these statements. This is not the way that we read the
24 Commission's rules with regard to the case that must be
25 made on the evidentiary record.

1 It would be our position that these statements
2 by Drs. Pauling and Gofman are not evidentiary in nature,
3 which the Board has certainly recognized, and they would not
4 have to be dealt with in any evidentiary way by the Staff
5 with respect to the challenge of 10 CFR Part 20. The only
6 extent to which they could be dealt with, as we see it, would
7 be in the same vein as we would deal with the limited appearances
8 that were made earlier in this proceeding, and that is in
9 some supplemental material that we may prepare later to deal
10 with any questions that they may have raised in these
11 statements.

12 We are not prepared to do that, we have not
13 prepared that sort of information with regard to these
14 statements, since we were not anticipating that this was the
15 desire of the Board, or any requirement on us.

16 So that we share the concern of the Applicant's
17 counsel as to the use to be given of statements such as
18 Dr. Pauling and Dr. Gofman, because we may find in this pro-
19 ceeding that there will be other efforts made to introduce,
20 by this back door route, statements of other individuals
21 over whom we have no control and no opportunity to test the
22 validity of their statements, but there they are, and the
23 possibility that they would be used in an influence in any
24 decision that may be made with respect to this application
25 is always, that specter is hanging over our heads.

1 So I think it should be clear that as far as we
2 are concerned at least, that our position is that we do not
3 consider these statements of Drs. Pauling and Gofman to be
4 appropriate for limited appearances, and we do not feel that
5 they should be made any part of this record that could be
6 even implied that is being subject to rebuttal by either
7 Applicant or Staff.

8 CHAIRMAN SKALLERUP: Would you separate your
9 comment? Is your position that it should not be received
10 as a limited appearance period? Or it should not be received
11 as a limited appearance for certain purposes?

12 MR. ENGELHARDT: I don't believe it should be
13 received as a limited appearance under the Commissions Rules
14 of Practice.

15 MRS. BLEICHER: Mr. Chairman, as I understand it,
16 what the Chairman is proposing to do is something sanctioned
17 by Section 2.715A of 10 CFR in which it states and I quote,
18 "A person who is not a party may in the discretion of the
19 presiding officer be permitted to make a limited appearance
20 by making oral or written statement of his position on the
21 issues within such limits and on such conditions as may be
22 fixed by the presiding officer. But there is nothing in
23 that that indicates that the person must be from the area
24 as Mr. Charnoff would have us believe. There is no geographic
25 requirement that he live within a certain number of miles.

1 And it also says that he can state his position on the
2 issues. And this is one of the issues in the proceeding, and
3 I think that the Chairman has indicated they will take it
4 on the basis of a limited appearance, not on the basis of
5 evidence for LIFE. And we have to rely on the Chairman and
6 on the Board being able to make these discriminations.

7 MR. CHARNOFF: Mr. Chairman, first of all Dr.
8 Gofman has not requested that this be introduced as a
9 limited appearance statement.

10 MRS. BLEICHER: Excuse me, Dr. Gofman has
11 asked us to do so.

12 MR. CHARNOFF: We never heard that request until
13 just this morning.

14 Secondly, I would refer the Board to Section
15 3(b)8 of Part 2, the appendix to Part 2. "Boards have con-
16 siderable discretion as to the manner in which they accommodate
17 the conduct of the hearing to local public interest and the
18 desires of local citizens to be heard.

19 "Particularly in cases where it is evident
20 that there is local concern as to the safety of the proposed
21 plant, the Board should so conduct the hearing as to give appro-
22 priate opportunity for local citizens to express their views
23 while at the same time protecting the legal interests of all
24 parties and the public interest in an orderly and efficient
25 licensing process."

rms 3

1 These hearings are not receptacles for letters from
2 all over the country from people who are perhaps interested
3 in the matters on a generic basis.

4 CHAIRMAN SKALLERUP: You ended the quote?

5 MR. CHARNOFF: Yes, sir.

6 CHAIRMAN SKALLERUP: Would you advise us when
7 you ended the quote?

8 MR. CHARNOFF: I ended it after "an orderly and
9 efficient licensing process."

10 MR. ENGELHARDT: Mr. Chairman, that is on
11 page 35 of the consolidated regulations, beginning at the
12 bottom of the first column and extending to the top of the middle
13 column.

14 CHAIRMAN SKALLERUP: Would you proceed?

15 MR. CHARNOFF: I ended my statement, sir.

16 CHAIRMAN SKALLERUP: We will take a 10-minute break.

17 (Recess.)

18 CHAIRMAN SKALLERUP: The Board has considered the
19 arguments as to whether Dr. Gofman's statement should be
20 received as a limited appearance or not. As the legal
21 member of the Board, I would like to state that I think
22 there was an unfortunate choice of language which might be
23 considered misleading. However, it is the Board's view
24 that this be admitted as a limited appearance. And we
25 reiterate that it will not be considered as evidence in the

end 5

rms 4

1 proceeding. By not admitting it as evidence, we believe
2 that we have protected the legal rights of other parties in
3 the proceeding.

4 MRS. BLEICHER: I would like to make one
5 correction on the copies that you have, Mr. Chairman. It
6 should have after the words "John W. Gofman", it should
7 say "And Arthur R. Tamplin" on your copies. We will submit
8 this to the recorder later.

9 (Dr. Gofman's statement follows:)

10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 INFERENTIAL STATEMENTS ABOUT 10 CFR PART 20

2 In the course of my some 23 years of work in this
3 area of research I have independently along with other
4 scientists continuously reviewed the Atomic Energy Sommission's
5 "Standards for Portection Against Radiation" (10 CFR Part 20)
6 with the view toward constantly offering recommendations
7 to the Atomic Energy Commission and others for revising these
8 Radiation Standards to comport with not only the most current
9 scientific information but also to revise said Standards
10 so that they adequately protect the health and welfare of
11 man and his environment as is required by the Atomic Energy
12 Act.

13 As a result of my intensive research in this area,
14 I have been convinced since 1964 that the Radiation Standards
15 in 10 CFR Part 20 currently in force have no scientific
16 basis for support. Since 1964 I have along with others
17 continued and increased my efforts of the studying of this
18 area and I currently hold the same belief and opinion as to
19 the unavailability of scientific support for the current
20 Radiation Standards. In addition, as a direct result of my
21 studies over the last five years, I am more convinced now
22 and it is my expert opinion that the Radiation Standards in
23 force do not inhibit or prevent danger to man and his
24 environment but rather contribute to the promotion of danger.

25 My research in this area has included not only a

1 constant review and interpretation of the work of others in
2 the field of radiation research but also includes numerous
3 laboratory studies done by me and my colleagues at the
4 University of California, both with respect to my professional
5 duties and with respect to Atomic Energy Commission grants.
6 These laboratory studies have included testing the effect
7 of radiation doses on living tissues and cell cultures of
8 human beings.

9 The radiation hazard has recently become appreciated
10 to be far greater both with respect to cancer and leukemia
11 risks, as well as with respect to the even larger hazard of
12 genetic disorders, including the major killing disease of
13 our society, coronary heart disease. My opinion, based
14 upon many years of research and study of mine and my colleagues,
15 is that if the average allowable permitted exposure by the
16 current Atomic Energy Commission's Radiation Standards were
17 reached by the United States population there would result:

18 A. 32,000 extra cancer plus leukemia deaths
19 annually.

20 B. 150,000 to 1-1/2 million extra genetic deaths
21 annually.

22 C. A 5 percent to a 50 percent increase in mental
23 diseases like schizophrenia, our major mental disorder.

24 My opinion is based upon the effects of the emission
25 of radiation up to allowable standards permitted by the current

1 Radiation Standards of the Atomic Energy Commission which
2 govern the emission of radiation and radioactivity from any
3 source which creates nuclear fission for peacetime uses.
4 Therefore these adverse effects can be related to any
5 given source or facility which has or will have authority
6 from the Atomic Energy Commission to emit radiation up to
7 the limit of the current Atomic Energy Commission Radiation
8 Standards in 10 CFR Part 20.

9 The Standards for the Protection Against Radiation
10 are also unscientific and illegal even if one assumes that
11 they are based upon a safe dose of radiation. This is because
12 the Radiation Standards in 10 CFR Part 20 do not take into
13 account all manner and ways which sources of radiation
14 could be taken or transmitted to man (pathways) so that
15 any monitoring system set up at a facility which emits
16 radiation could not possibly determine with any degree of
17 accuracy whether or not the assumed safe dose of radiation
18 allowable to man under the current Radiation Standards has
19 been exceeded. This is because the Radiation Standards are
20 not so constructed to trace the emissions of radiation from
21 a particular facility to man through all of the pathways.
22 The following are examples of pathways which are not at all
23 considered by the Radiation Standards:

24 (a) The Radiation Standards allow the radionuclide
25 Cs-137 (Cesium-137) to be emitted in water at a particular

1 concentration. What is not considered is the fact that fish
2 in fresh waters can concentrate this Cs-137 one thousand-fold
3 into its flesh. Therefore, while the drinking of two liters
4 of water might not result in exceeding the Radiation
5 Standards, the eating of fish flesh so affected by nuclear
6 facility can result in a gross exceeding of the Radiation
7 Standards assumed safe dose.

8 (b) The Radiation Standards allow the emission of
9 Cs-137 into air from stacks from nuclear facilities. The
10 presumption inherent in the Radiation Standards is that the
11 assumed safe dose will not be exceeded if a person breathes
12 such air. However, the Radiation Standards do not take
13 into account the fact that Cs-137 is well known to fall out
14 or precipitate on land in any down wind region. As a result
15 of the deposition of such Cs-137 upon crops and the foraging
16 of such regions by cows, for example, Cs-137 will find itself
17 in milk produced by such cows. Drinking of reasonable
18 quantities of such milk by humans in such regions or milk
19 transported from such regions to other regions, can and will
20 result in a gross exceeding of the assumed safe dose in
21 persons drinking such milk even though the Cs-137 content of
22 the air meets the so-called allowable Radiation Standards.

23 Powerful and worldwide evidence indicates, and it
24 is my opinion, that the hazards of radiation to children
25 exceeds greatly that to adults and therefore children drinking

1 such milk are even in greater danger as a result of such
2 concentrations of radionuclides into their milk supply.

3 This is synergistically complicated by the fact
4 that the Radiation Standards relate the assumed safe dose
5 to the average human adult, whereas the tolerance to radiation
6 dosages by children, fetuses and therefore pregnant women, is
7 anywhere from 10 to 100 times less than the average human
8 adult. Accordingly, even if there was an assumed safe dose
9 for adults the Radiation Standards do not take into account
10 the variety of such tolerances in other than the normal
11 average adult.

12 (c) The Standards do not take into account
13 concentrations of other radionuclides which by virtue of all
14 available pathways could reach man and give him an excessive
15 dose of radiation over and above the assumed safe dosage.
16 Other examples of such radionuclides are: Sr-89 (Strontium),
17 Sr-90, Sb-125 (Antimony) and others.

18 (d) Finally, the possible biochemical con-
19 centration processes are not even known for a variety of
20 radionuclides which are or can be emitted from nuclear
21 facilities. Accordingly, it is my opinion that the
22 Radiation Standards are scientifically deficient in that they
23 assume they take into account all available scientific
24 information, but as a matter of science and logic they do
25 not.

1 It is my opinion that the failure to take into
2 account these pathways make it possible for man to receive
3 from 100 to 1,000 times the assumed safe dose of radiation
4 set forth by the Atomic Energy Commission Radiation Standards.

5 It. The Atomic Energy Commission Radiation
6 Standards are also scientifically deficient in determining
7 whether or not man can receive the assumed safe dose of
8 radiation since available sources of radiation, other than
9 those licensed by the Atomic Energy Commission, are excluded
10 from consideration. Thus at least the following additional
11 sources of radiation which man is daily subjected to are
12 excluded from any computation of the assumed safe dose of
13 radiation. Some of these sources of radiation are:

14 (a) radiation from all medical and dental sources;

15 (b) accumulations of radioactivity in water and
16 air from sources other than a specific facility under
17 consideration;

18 (c) accumulations of radiation from all of a
19 given category of facilities which emit radiation; and

20 (d) differences in tolerance of human beings to
21 be able to react safely to any level of radiation dose.

22 It is, therefore, my opinion that it is scienti-
23 fically and logically impossible, pursuant to the current
24 radiation standards, to prevent man from receiving radiation
25 in excess of the assumed safe dose because the Radiation

1 Standards permit a given allowable dose but exclude from
2 consideration other known sources of radiation.

3 - - -

- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

1 CHAIRMAN SKALLERUP: Mr. Charnoff, are you ready
2 to proceed with rebuttal?

3 MR. CHARNOFF: Yes we are, sir. For purposes
4 of the rebuttal, I will address a number of questions to
5 Mr. Roe, Mr. Little and Dr. Goldman. And what I should like
6 to do is to address before lunch the questions to Mr. Roe
7 and Mr. Little. And I would like to ask Dr. Goldman to
8 present a copy of his written rebuttal which is in the form
9 of a series of questions and answers. And it is essentially
10 what we will ask Dr. Goldman after lunch, I would ask him
11 to present a copy of that document to Mrs. Stebbins and to
12 Mrs. Bleicher and Mr. Engelhardt, so that they may have that
13 available to them for their review.

14 MRS. BLEICHER: I think the record should perhaps
15 show that this morning in the attorney's conference
16 we discussed the matter of my request on behalf of LIFE
17 that copies of the rebuttal be made available to us so
18 that we would have an opportunity to review them for purposes
19 of developing our cross examination, and at that time
20 Mr. Charnoff did indicate to me that he had some of the
21 rebuttal prepared in written form, including Mr. Goldman's
22 testimony.

23 CHAIRMAN SKALLERUP: And that you would be
24 provided time with respect to the others to prepare?

25 MRS. BLEICHER: That is correct.

1 MR. ENGELHARDT: Mr. Chairman, while we are on
2 this subject, if it is appropriate, I would like to identify
3 the prepared testimony of the Regulatory Staff in rebuttal to
4 the direct case of the Intervenors, which we have available
5 now and which I would like to give to counsel for Intervenor
6 LIFE and will also give to counsel for the Coalition
7 when he arrives this afternoon or I can give it to Mrs.
8 Stebbins.

9 I am going to give copies of the testimony of
10 Lester Rogers, copies of a report entitled "Evaluation of
11 the Possible Causal Relationship Between Fallout Deposition
12 of Strontium-90 and Infant and Fetal Mortality Trends,"
13 which was prepared by Edith Elena Thompkins, and will form
14 a significant portion of her testimony which will be given
15 in rebuttal.

16 I would also like to give to the Intervenors a
17 copy of a document entitled "A Critical Review of Infant
18 Mortality and Nuclear Power Generation," by E. J. Sternglass,
19 which was prepared by A. K. Davis and Bernd Kahn. These
20 four individuals I have identified will be available to
21 present their testimony in person when the rebuttal testimony
22 of the staff is presented.

23 Meanwhile, I am going to ask Mr. Wallig to give
24 to Mrs. Blecher copies of these three documents that I
25 have identified. We will make available similar copies to the

1 Coalition, to the Applicant and to the Board members
2 when we have assembled a few more copies.

3 CHAIRMAN SKALLERUP: Have you any reasons for not
4 providing the Board with copies of Dr. Goldman's testimony?

5 MR. CHARNOFF: You tempt me with that question,
6 Mr. Chairman, but we would be pleased to have Dr. Goldman
7 hand it to you.

8 CHAIRMAN SKALLERUP: Mr. Charnoff, have you named
9 all of the rebuttal witnesses you intend to call in the course
10 of your rebuttal?

11 MR. CHARNOFF: Yes, sir.

12 CHAIRMAN SKALLERUP: Have you, Mr. Englehardt,
13 identified all of the witnesses you intend to call in the
14 course of your rebuttal?

15 If not, would you supplement the list of witnesses.

16 MR. ENGLEHARDT: In addition to the witnesses
17 whose testimony is basic testimony that I have already
18 distributed and identified, we will have the following
19 witnesses: Dr. Paul Tompkins, Acting Director of Criteria
20 and Standards of the Radiation Office, Environmental Pro-
21 tection Agency, Dr. Daniel Nelson, Assistant Director,
22 Ecological Science Division, Oak Ridge National Laboratory,
23 Dr. Marvin Goldman, Radiobiology Laboratory, University of
24 California at Davis, Dr. William Bibb, Medical Research
25 Branch, Division of Biology and Medicine of the Atomic Energy
Commission and Dr. Dean Parker, Professor of Biology, Univer-

rms 8

1 sity of California at Riverside, now a staff geneticist on
2 detached duty with the Biology Branch of the Division of
3 Biology and Medicine of the Atomic Energy Commission.

4 Those individuals, in addition to those previously
5 identified will constitute the individuals to be offered
6 for rebuttal testimony by the Regulatory Staff.

7 CHAIRMAN SKALLERUP: Mr. Charnoff?

8 MR. CHARNOFF: Mr. Roe, we might begin with you.

9 Whereupon,

10 LOWELL ROE

11 was called as a witness on behalf of the Applicant and,
12 having been first duly sworn, was examined and testified
13 as follows:

14 DIRECT EXAMINATION

15 MR. CHARNOFF: Mr. Roe, Applicant's Exhibit
16 No. 2 is a letter dated August 11, 1970, from the Superintendent
17 of Camp Perry addressed to you. It appears in the transcript
18 on pages 739 thru 742. Have you received more recent assur-
19 ances from the Adjutant General of the State of Ohio
20 regarding the ordnance firing from the Erie Industrial Park
21 and Mr. Camp Perry showing that such firing will be properly
22 controlled and will not present a hazard to the station?

23 WITNESS ROE: Yes.

24 MR. CHARNOFF: Do those assurances appear in a
25 letter dated January 14, 1971 from the Adjutant General,
Major General Dana L. Stewart to Mr. Howard B. Fox of the

Toledo Edison Company?

WITNESS ROE: Yes, they do.

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

rms 9

end # 5

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. CHARNOFF: Mr. Chairman, I am going to ask Mr. Churchill to distribute to the parties and to the Reporter three copies of this letter and I would appreciate having it marked as Applicant's Exhibit No. 5.

Since we read Applicant's Exhibit No. 2 into the transcript, I would like to call on Mr. Roe to read the letter to Mr. Fox dated January 14, 1971 from the Adjutant General into the transcript.

XXXX

(The document referred to was marked Applicant's Exhibit No. 5 for identification.)

MR. ROE: On the letterhead, "State of Ohio, Adjutant General's Department, Building 110, Fort Hayes, Columbus, Ohio," dated 14 January 1971. Addressed to Mr. Howard E. Fox, Toledo Edison Company.

"Dear Mr. Fox:

"This is in reply to your request for assurance concerning the use and administration of the Danger Zones established in Lake Erie in the proximity of your proposed Davis-Besse Nuclear Power Station. These danger zone regulations have been established by the Corps of Engineers, Department of the Army, as set forth in 33 CFR 204.187 as amended. The Adjutant General, State of Ohio, has been designated as the enforcing agency for Areas I and II which are contiguous to the shore at Camp Perry and the Erie

1 Industrial Park. As such, the Adjutant General is responsible
2 for the proper conduct of operations involving the use of the
3 Danger Areas. This applies to any ordnance firing from the
4 Erie Industrial Park as well as from Camp Perry.

5 "Our present firing schedule, which as you know,
6 calls for eight to ten days of firing by our 40 MM battalions
7 one time each year. This takes place generally in the months
8 of June or July. In addition, we fire small arms to include
9 .50 cal machine guns from Camp Perry almost every weekend
10 from April through November. All of our firing is made
11 doubly safe by the use of limiting stakes which assure that
12 the guns cannot be traversed beyond the authorized azimuth.

13 "The TRW Jet and Ordnance Division has entered
14 into a joint use agreement with us which permits them to
15 test their weapons on Tuesday and Thursday each week from
16 1300 to 1600 hours from the Erie Industrial Park. Their
17 firing has been done primarily for functional testing and
18 for this purpose, they must fire not more than 10° right or
19 left of true north which keeps their point of aim well within
20 the center of the impact area. At the present time, TRW is
21 not testing and in fact, do not have an active weapons
22 program at this location. They have a sublease with Cadillac
23 Gage, their successor. Any firing from the Erie Industrial
24 Park must be conducted in accordance with strict safety
25 precautions and in accordance with the same procedures in

1 force for firing from Camp Perry.

2 "Over the past few years, our firing from Camp
3 Perry into Area II has been on the decline and no increase
4 in this activity is anticipated in the foreseeable future.
5 The limited size of the impact area (Area II) precludes the
6 firing of any ordnance larger than 40 MM Automatic Weapons,
7 except for mortars which are of limited range, and we do not
8 expect that TRW or any other organization will have testing
9 requirements in the 40 MM or smaller range.

10 "We do expect to have a continuing need to keep
11 Danger Area II in the same size and configuration as presently
12 established. Any further reduction would make it useless
13 for our purpose; however, it is adequate at the present time
14 and no request for any increase is anticipated.

15 "We are fully aware of both your concern and the
16 Atomic Energy Commission's concern about the possible effect
17 that use of these Danger Areas could have on the construction
18 and operation of the Davis-Besse Station, but we feel strongly
19 that the type of usage and its very limited nature presents
20 no hazard to the station or to the general public.

21 "We will continue to keep a continuing awareness
22 of your requirements and will keep both you and the AEC
23 fully informed concerning any future proposed changes in our
24 usage should they occur.
25

1 "Sincerely yours,

2 "s/Dana L. Stewart

3 "Major General

4 "The Adjutant General."

5 MR. CHARNOFF: Thank you.

6 Now, Mr. Roe, Applicant's Exhibit No. 3, appearing
7 in the transcript on pages 742 through 745, was a letter
8 dated November 18, 1970, from Mr. Bernard Dove writing
9 on behalf of the U. S. Air Force, and addressed to Mr.
10 Howard B. Fox of Toledo Edison.

11 Has the substance of that letter been confirmed
12 in recent correspondence from the Secretary of Defense
13 affirming that the Department of Defense will exercise
14 appropriate controls over military activities in the area
15 to preclude any hazard to the Davis-Besse station?

16 MR. ROE: Yes.

17 MR. CHARNOFF: Does that confirmation appear in a
18 letter dated January 14, 1971, on the stationery of the
19 Secretary of Defense addressed to Mr. Davis, the President
20 of Toledo Edison Company, and signed by David Packard, who
21 at the time was Acting Secretary of Defense?

22 MR. ROE: Yes.

23 MR. CHARNOFF: Mr. Chairman, I am going to ask
24 Mr. Churchill to hand three copies to the Reporter and to
25 distribute copies to the Board and the other parties to the
proceeding and ask that this letter of January 14, 1971

1 from David Packard to be marked as Applicant's Exhibit No.
2 6 and received in evidence and ask Mr. Roe to read this
3 letter into the transcript.

XXX

4 (The document referred to was marked
5 Applicant's Exhibit No. 6 for identi-
6 fication.)

7 MR. ROE: The letterhead "The Secretary of Defense,
8 Washington, D. C. 20301."

9 "Dear Mr. Davis:

10 "This will confirm the procedures governing the
11 military use of the Air-to-Surface Gunnery Range located
12 within restricted air space R-5505 in Lake Erie, Ohio, as
13 described in the letter dated November 18, 1970, to your
14 Assistant, Mr. Howard B. Fox, from Mr. Bernard Dove, Chief,
15 Bases and Units Division, Directorate of Aerospace Programs,
16 Headquarters, United States Air Force. In particular, we
17 would confirm that the range is used only by Air Force
18 training flights out of Lockbourne Air Force Base, Ohio,
19 and these flight routes bypass the Davis-Besse Nuclear Power
20 Station site near Port Clinton, Ohio by eight nautical
21 miles. Air crews are instructed not to fly within a circle
22 of six nautical miles of the Davis-Besse station site. These
23 distances provide more than adequate minimum safe clearance
24 of the sites. These bypass distances could be even further
25 away, if circumstances required, without interfering with

1 the Air Force training mission.

2 "Appropriate representatives of the Department of
3 Defense are aware of the plans for construction and operation
4 of the Davis-Besse Nuclear Station, and will exercise appro-
5 priate controls over all military activities in the area to
6 assure that the health and safety of the public will not be
7 jeopardized by any such military activities.

8 "Sincerely,

9 "s/David Packard."

10 MR. CHARNOFF: Thank you.

11 Mr. Roe, addressing yourself to the capability of
12 the liquid rad waste system proposed for the Davis-Besse
13 plant and described in the PSAR, are you aware of whether there
14 is any proven technology that has a greater capability to
15 remove radioactivity from the liquid effluents from the
16 Davis-Besse plant?

17 MR. ROE: No, I do not. I would like to amplify
18 this to state that the design of the liquid radioactive
19 processing systems for the Davis-Besse station incorporate
20 the most efficient proven technology for reducing the
21 radioactive content of the processed liquid. This system
22 using degasification, filtration, ion exchange and distillation,
23 removes essentially all gaseous particulate and dissolves
24 solid impurities such that the radioactivity content of
25 processed liquid for most isotopes is many orders of magnitude

1 below the allowable limits of 10 CFR Part 20. This permits
2 operation of the station in a manner where all processed
3 liquid wastes could be released to the environment and still
4 have the radiation releases be a small fraction of the
5 allowable limits.

6 The releases of radioactivity in the liquid
7 effluents shown on the tables in response to the ABC
8 question 2.4 and 11.1 contained in Volume 4 of the PSAR
9 are based on certain assumptions, clearly stated in these
10 responses, which result in our showing the greatest quantities
11 of radioactive release that we could conceivably expect.

12 These principal assumptions are:

13 1. That the reactor is operating at an equilibrium
14 cycle for a full year with 1 percent of the fuel having
15 cladding failure, and,

16 2. That all of the processed primary system water
17 is discharged to the lake.

18 There is certainly no expectation that there
19 will ever be 1 percent failed fuel cladding, and operation
20 of this reactor would not be permitted for any extended
21 period with this amount of fuel cladding failure if it did
22 occur.

23 These facts make the radioactivity releases
24 shown in the above tables extremely pessimistic, since they
25 are for extreme conditions which would not exist in actual

1 station operation.

2 The estimates of the radioactivity released are
3 also based on the discharge of all processed primary system
4 water. However, the liquid radioactivity waste treatment
5 system is also designed so that all processed primary system
6 water can be recycled with essentially none of it being
7 released to the environment.

8 This recycling capability is the principal
9 feature of any "minimum" or "near zero" treatment system
10 for liquid waste. The principal reason for releasing any
11 of this processed water is to prevent a build-up of tritium
12 in the primary and associated systems to a level which could
13 present a safety problem to the plant operating personnel.

14 Since there is no feasible way to remove tritium
15 from the water, the only way to prevent a high concentration
16 build up over a longer period of time within the primary
17 system is to release a certain portion of processed primary
18 system water.

19 As is the case for other assumptions associated
20 with the tables showing radioactive release, the estimate
21 for the release of fission-produced tritium through the
22 fuel cladding to the primary system is conservative, in that
23 it results in a higher value than what is expected from
24 actual operation with the type of fuel cladding which will be
25 used.

1 The most prudent and responsible way to operate
2 the station and in fact the manner in which it will be
3 operated is to release only enough processed waste to
4 maintain the tritium concentrations in the primary and
5 associated systems at a sufficiently low level so as to not
6 have an in-plant safety problem.

7 This release of processed effluents necessary to
8 maintain tritium levels in the station to reasonable levels
9 would not release excessive quantities of tritium to the
10 environment, and the release of all radionuclides from this
11 type of operation will be only a small fraction permitted
12 by 10 CFR Part 20.

13 The annual dosage to the most exposed member of
14 the general public resulting from these discharges will be
15 less than 1 percent of the dosage received from natural
16 background radiation present in this general area.

End #6
17

MR. CHARNOFF: Thank you.

18

19

20

21

22

23

24

25

DB&7 ln1

1 MR. CHARNOFF: Mr. Chairman, I might note that in
2 part of the last question to Mr. Roe and the next one or two
3 questions to Mr. Roe relate to some of the testimony by
4 Dr. Sternglass on behalf of the Coalition.

5 If you will recall, we had objected to a good
6 part of that testimony as being irrelevant. And the Board
7 had ruled that we should deal with some of these matters on
8 cross and on rebuttal. This is why we are introducing some of
9 this matter. It is not for purposes of suggesting that certain
10 aspects of this are matters in controversy in this hearing.

11 MR. CHARNOFF: Mr. Roe, addressing yourself now
12 to the capability of the gaseous rad waste system, do you
13 reaffirm the commitment made in Mr. Sampson's letter of
14 November 6, 1970, to Dr. Peter Morris that Toledo Edison will
15 hold up the gaseous wastes for a 60-day period of station
16 operation, and in no event will the retention period be
17 less than 30 days.

18 MR. ROE: Yes, I do.

19 MR. CHARNOFF: Now, assuming a minimum holdup
20 period of 30 days, do you expect any cesium-137 or cesium-138
21 or strontium-90 to be released in the gaseous effluents or to
22 result from the decay of any of the isotopes in the gaseous
23 effluents?

24 MR. ROE: No.

25 MR. CHARNOFF: Mr. Roe, at our previous hearing

ln2

1 session questions were asked with respect to the feasibility
2 of evacuation of the low population zone in the unlikely
3 event that it should be necessary while snow or flood condi-
4 tions may exist.

5 Have you further testimony with regard to the
6 emergency evacuation program, taking into account the
7 possibility of snow and flood conditions?

8 MR. ROE: Yes. I would like to supplement the
9 previous testimony of Mr. Novak in regard to an emergency
10 evacuation program relating to the Davis-Besse station with
11 this additional information. We have been in contact with the
12 Department of Civil Defense of the Adjutant General's Office
13 of the State of Ohio.

14 That Department has full-time personnel who have had
15 special training and up to 12 years' experience in civil
16 defense matters, including population evacuation. They advise
17 that they have the know-how and will provide ourselves and
18 local government units with guidance in setting up an ade-
19 quate evacuation program.

20 The areas in which they will advise us include
21 the securing of training for personnel, determination and
22 evaluation of the problems involved, and developing techniques
23 and procedures for solving them, developing a warning system,
24 communication systems, methods of moving people, including
25 coping with weather conditions to be expected in the area,

ln3

1 feeding and housing, traffic control, and security for the
2 area. We have already contacted the Ottawa County Commissioner
3 the Sheriff, the Ottawa County Engineer and the Civil Defense
4 Director, Oak Harbor Fire Department, and the State Highway
5 Department and the Highway Patrol.

6 They have all indicated a complete willingness to
7 cooperate and indicated that they presently have equipment
8 which could be coordinated for an evacuation program in con-
9 nection with the Davis-Besse station.

10 The Ottawa County Engineer has stated that it is
11 feasible to evacuate the Sand Beach and Long Beach areas within
12 the low population zone under any weather conditions within a
13 two-hour period.

14 He has further stated that there is sufficient
15 equipment now available in Ottawa County to assure that this
16 be accomplished. The County has a fleet of five trucks
17 equipped with snow blades that are capable of removing snow
18 drifts over 12 feet in height. These trucks are maintained at
19 a location five miles south of the station.

20 The State Highway Department presently has a fleet
21 of five trucks equipped with snow blades that are located in
22 Oak Harbor. All trucks, both county and state, are radio-
23 equipped. Additional equipment is available within the area
24 that could also be used for snow emergencies if required.

25 All fire departments within Ottawa County have

ln4

1 boats available for emergencies, and there are two amphibious
2 vehicles presently available in the county.

3 The Coast Guard Station at Marblehead also has
4 boats mounted on trailers for emergency use. The State
5 Division of Wildlife has boats located at Crane Creek, a few
6 miles west of the station that are available for emergencies.

7 From our investigation and planning in this regard,
8 we have ascertained that a completely adequate evacuation
9 program can and will be developed and maintained and that
10 adequate equipment is now available in this area for this
11 purpose.

12 MR. CHARNOFF: Thank you, Mr. Roe.

13 DR. JORDAN: Could I ask a question, perhaps of
14 the Staff at this moment.

15 I noticed in the Federal Register of December 24,
16 1970, there were certain proposed plans or amendments to
17 Part 50 for coping with emergencies.

18 Are those amendments or rules and regulations now
19 in effect? And do they apply to the Davis-Besse station?

20 MR. ENGELHARDT: I believe that those rules are
21 effective. I will have to assure myself in talking with my
22 technical witnesses as to just what the immediate status is.

23 But I believe these proposed rules are effective
24 just as the amendments to another regulation were effective,
25 which we discussed in our previous session.

ln5

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

These, I believe, Dr. Jordan, reflect regulations regarding emergency planning which were proposed for comment, for an extended period of time, by the Commission, before they were promulgated as effective regulations.

And as is the case generally with a rule proposed for adoption by the Commission, the Commission Staff tends to apply those to the applications then pending. However, in response specifically to your question, I will have to consult possibly during the luncheon recess with the technical members of the Staff to determine how this particular emergency plan for the Davis-Besse plant complies with the intent of the new regulation.

end 7

DB*8 Inl 1

2 DR. JORDAN: That is fine. If you do that after
3 lunch, it would suit me fine.

4 MR. ENGELHARDT: While we have a moment, Mr. Chairman,
5 I heard Mr. Charnoff identify Applicant's Exhibit 5 and 6 and
6 offer them in evidence. I did not hear the Chairman rule on
7 that proposal. I just wanted to be sure I didn't miss some-
8 thing or that the record is complete.

9 CHAIRMAN SKALLERUP: I nodded my head and assented.

10 (The documents referred to,
11 heretofore marked Applicant's
12 Exhibit Nos. 5 and 6 for
13 identification, were received
14 in evidence.)

XXXXX

15 MR. CHARNOFF: Let me, in dealing with Dr. Jordan's
16 inquiry, call on Mr. Roe to take the rule that was referred
17 to by Dr. Jordan, which was I think made effective as of
18 January 22, 1971, and as to each item called for by that
19 rule, would you please show in your response, Mr. Roe, just
20 where each of these matters are discussed in the PSAR, and
21 summarize that material.

22 MR. ROE: Yes.

23 Item A called for as the organization for coping
24 with emergencies and the means for notification in the event
25 of an emergency of persons assigned to the emergency organiza-
tion.

ln2 1

2 -MR. CHARNOFF: Excuse me, Mr. Roe. This is Item
3 A of Appendix E, and II, which is the outline of what the
4 Preliminary Safety and Analysis Report should contain in the
5 way of emergency procedures.

6 Is that correct?

7 MR. ROE: That is correct.

8 MR. CHARNOFF: Thank you. Would you proceed,
9 please.

10 MR. ROE: The response to Item A as stated in the
11 PSAR, Section 12.4.1, insofar as possible the station will be
12 self-sufficient in handling emergency conditions.

13 Emergency procedures will specify the duties of
14 individuals assigned to the station during any such emergency.
15 Initiation of emergency procedures will be by the shift
16 supervisor on duty at that time. Communication at the
17 station will be with the station's self-sufficient communica-
18 tions system supplemented by Walkie-Talkies where needed.

19 Notification of any additional off-site personnel
20 required for emergency operations will be by public telephone
21 directory from the station supplemented by radio communication
22 to selected company control centers, which in turn may forward
23 necessary communications.

24 Item B, under II of Appendix E says, "Contacts and
25 arrangements made or to be made with local, state and federal
governmental agencies with responsibility for coping with

ln4 1 is also anticipated that the local civil defense corporations
2 will aid in off-site emergency procedures. This should be
3 civil defense and others.

4 Item D, under Appendix E, asks for features of the
5 facility to be provided for on-site emergency first aid and
6 contamination and for emergency transportation of individuals
7 to off-site treatment facilities.

8 Within the station will be an access control area
9 through which personnel must pass when entering and leaving
10 potential radiation areas in the auxiliary building and the
11 containment structure. All personnel leaving will be monitored
12 with friskers and portal whole body counters.

13 Decontamination and first aid facilities will be
14 available at this location. Additional whole body counting
15 will be performed on passing through the station gatehouse.
16 Areas within the office building located at the opposite side
17 of the turbine building from the containment and auxiliary
18 buildings will also be available for emergency first aid and
19 possible decontamination.

20 A vehicle will be maintained at the station site
21 for emergency transportation of injured individuals from the
22 site.

23 Item E, II, Appendix E. Provisions to be made for
24 emergency treatment of individuals at off-site facilities.
25 Several area hospitals have been contacted regarding their

ln3

1 emergencies, including identification of the principal agencies.

2 In the response, the PSAR, Section 12.4.1 states,
3 those agencies which might be expected to have a role in the
4 station emergency procedures. The agencies listed might be
5 involved in emergency evacuation, radiation monitoring, decon-
6 tamination and radiation exposure treatment during emergency
7 conditions.

8 Initial contact has been made with a number of
9 these organizations, including the Ottawa County Civil Defense
10 Corporation, the Ottawa County Sheriff's Office, the Oak
11 Harbor Fire Department and the others I just listed, including
12 the State Highway Patrol and the State Garage.

13 Item C of II in Appendix E calls for measures to
14 be taken in the event of an accident within and outside of the
15 site boundary to protect health and safety and prevent damage
16 to property and the expected response in the event of an
17 emergency of off-site agencies.

18 Our response, PSAR Section 12.4.1.1, through 12.4.1.5
19 state the anticipated measures that will be taken in the
20 event of an accident at the station to protect health, safety
21 and property. It should be noted that there will be no
22 private property situated within the station exclusion area.

23 The radiation monitoring teams to be established in
24 the emergency procedures will also be capable of surveying
25 outside of the site boundary in the event of an accident. It

In

1 potential for treating injuries which could involve radiation
2 exposure. Three have indicated a willingness to work with us
3 to plan for such emergencies. Use of their facilities will be
4 outlined in the station emergency procedures.

5 Item F, in Appendix E, the training program for
6 employees and for other persons not employees of the licensee
7 whose services may be required in coping with an emergency.

8 Our response: Supervisory personnel at the station
9 will be required to participate in public health service
10 courses relating to reactor safety and hazards evaluation,
11 and management of radiation accidents. All station personnel
12 will be required to participate in in-house training presented
13 by the station chemistry and health physics group and other
14 staff members in order to prepare them for duties required
15 during emergency procedures.

16 This training will be done well in advance of the
17 start of nuclear operations at the station. Where needed,
18 the station chemistry and health physics group and other staff
19 members will provide training for nonemployees so that they
20 may capably perform assigned duties relative to the station
21 emergency procedures.

22 The last item that is asked for in Appendix E is
23 Item G, features of the facility to be provided to assure the
24 capability for plant evacuation and the capability for facility
25 entry in order to mitigate the consequences of an accident

ln6

1 or, if appropriate, to continue operation.

2 Our response: while normal exit from the auxilliary
3 building and containments will be via the access control area,
4 emergency exit doors are provided at other key locations for
5 these areas.

6 PSAR Section 5.2.1.8.4 describes the containment
7 personnel and emergency location. Emergency procedures will
8 describe steps to be taken by individuals who use emergency
9 exits in order to monitor them for potential radiation contamina-
10 tion and to initiate decontamination if necessary.

11 Sufficient emergency equipment such as radiation
12 monitors, air samplers, protective clothing and respiratory
13 protection equipment will be stored at a location remote from
14 the site for use when reentering potential radiation areas at
15 the station.

16 Station reentry would be expected to be via a
17 normal entrance path, including through the access control
18 area for the auxilliary buildings and containment. Entry
19 through the emergency exits will be possible but will be under
20 administrative control. Access to the control room, which is
21 shielded from the containment, does not require passage through
22 the controlled access area, although during a maximum hypo-
23 thetical accident turbine building access from which the
24 control room is entered will be controlled.

25 In addition to the normal station access road,

1 MR. CHARNOFF: We have one question for Mr. Little,
2 in response to a question asked of him by Dr. Davies on
3 pages 895 and 908 through 910 of the transcript.

4 Dr. Davies on behalf of the Coalition asked Mr.
5 Little to provide information with regard to the carbon
6 dioxide and moisture content of uranium dioxide pellets in
7 the fuel.

8 XXX Whereupon,

9 WILLIAM LITTLE

10 was called as a witness on behalf of the Applicant and,
11 having been previously duly sworn, was examined and testified
12 as follows:

13 DIRECT EXAMINATION

14 MR. CHARNOFF: Mr. Little, do you have that
15 answer now?

16 MR. LITTLE: Yes.

17 Dr. Davies expressed concern over carbon dioxide
18 and moisture content in uranium dioxide fuel at concentrations
19 of approximately 0.24 to 0.29 weight percent, and 3.14 weight
20 percent respectively.

21 The behavior of these impurities has been studied
22 and current fuel specifications require a total carbon
23 content approximately 20 times less than the values of
24 concern, and a total moisture content approximately 1,000
25 times less than the value Dr. Davies mentioned.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

In addition to carbon and moisture, the fuel specifications carefully control the maximum concentrations of fluorine, nitrogen, chlorine, and rare earths.

MR. CHARNOFF: Thank you, Mr. Little.

We have further rebuttal to offer by examination of Dr. Goldman which I assume from your schedule you would like to have immediately after lunch. Otherwise that would conclude our rebuttal.

CHAIRMAN SKALLERUP: Could we have a conference with counsel for a moment, please?

We will break for lunch and resume at 2.

(Whereupon, at 12:15 p.m., the hearing was recessed, to reconvene at 2:00 p.m., this same day.)

End #3A

AFTERNOON SESSION

(2:00 p.m.)

1
2
3 CHAIRMAN SKALLERUP: Will the hearing please come
4 to order?

5 At the conclusion of our session this morning
6 Mrs. Bleicher advised she would not be in attendance this
7 afternoon. During the noon recess Mr. Baron called to
8 say he would not be present this afternoon.

9 Counsel and the Board had a meeting with Mr.
10 Clem Lau during the noon recess. Mr. Lau had been unable
11 to see his doctor this morning because his doctor had been
12 called away on an emergency operation, and he anticipated
13 seeing him this afternoon at two. So he will not be here
14 this afternoon. Mr. Lau has indicated he is attempting to
15 obtain a live witness, or live witnesses, to testify with
16 regard to the snowfall in the area of the proposed plant and
17 that he would call tonight and advise us of his more
18 concrete plans in that respect.

19 I had a phone call from Dr. Oster, and I returned
20 it and he was teaching, so I was unable to reach him. Apart
21 from that I know of no other developments that have occurred
22 since our last session. And now we are prepared to go ahead
23 with Dr. Goldman on his rebuttal testimony.

24 MR. CHARNOFF: Mr. Chairman, this will be a series
25 of questions and answers, questions addressed to Mr. Goldman

RMS/rms2

1 and answers by Mr. Goldman. And we will essentially follow
2 the material that we handed out to the parties this morning
3 and to members of the Board before lunch. And for her
4 convenience we have given a copy to the reporter.

5 CHAIRMAN SKALLERUP: Off the record for a moment.

6 (Discussion off the record.)

7 CHAIRMAN SKALLERUP: On the record again.

8 Whereupon,

9 MORTON GOLDMAN

10 resumed the stand as a witness on behalf of the Applicant
11 and, having been previously duly sworn was examined and
12 testified further as follows:

13 DIRECT EXAMINATION

14 BY MR. CHARNOFF:

15 Q Dr. Goldman, on transcript pages 1262, 1263, 1273
16 and 1274, Dr. Sternglass asserted that the gaseous releases
17 from all nuclear facilities, whether boiling water reactors,
18 pressurized water reactors or fuel reprocessing plants,
19 are essentially the same, the difference being only "one of
20 degree depending on hold-up time." This statements appears
21 on Page 1262, lines 16 and 17. Would you comment on
22 the validity of this assertion by Dr. Sternglass?

23 A At the outset, I would characterize Dr. Sternglass'
24 statement with regard to gaseous waste comparisons as
25 naive at the very least. By comparing the several types of

RMS/rms3

1 sources on the basis of gross curie releases alone, Dr.
2 Sternglass has exhibited an apparently total ignorance of
3 the different radiation and decay characteristics and hence
4 the biological significance of these three greatly different
5 sources of gaseous wastes. Boiling water reactors of the type
6 currently in operation provide on the order of 30 minutes
7 decay for gases between their release to the reactor cool-
8 ant and their discharge from the plant stack; as a result,
9 the discharges from a boiling water reactor stack consist
10 of a predominantly short-lived mixture of radionuclides,
11 95 percent of the activity so discharged having a half-
12 life of less than 10 hours, 50 percent of less than two
13 hours.

14 Furthermore, the average energy released per atomic
15 decay for these gases is almost seven times that for the
16 longer lived constituents discharged from the pressurized water
17 reactor. Since the gaseous discharges from these stations
18 are made through a tall stack, the constraint on discharges
19 is based on the gamma dose to the individual beneath the
20 elevated plume at the most exposed point on the site perimeter.
21 Both calculations and monitoring at operating stations have
22 confirmed that if this criterion is observed, then resulting
23 exposures from deposited materials will always delivery sub-
24 stantially smaller doses to other members of the population,
25 especially considering the substantial dilution that must

RMS/rms4

1 occur before the elevated plume diffuses down to the ground
2 level for deposition to occur.

3 Pressurized water reactor gaseous emissions
4 consist exclusively of long-lived noble gases because of the
5 hold-up inherent in the closed primary coolant cycle as well
6 as the decay provided in waste gas hold-up systems. Short-
7 lived gases decay within the reactor coolant system before
8 transfer of gases to the gaseous waste decay tanks occurs, and
9 as indicated by the cross-examination of Dr. Sternglass, there
10 are no particulate radioactive daughters of the gases
11 resulting from fuel clad defects and emitted after 30-60
12 days decay. Any particulate daughters formed during the
13 decay period are removed essentially completely by the high
14 efficiency filtration provided between the gas decay
15 tanks and the discharge point

16 The fuel recovery plant is at the opposite
17 end of the decay spectrum from the boiling water reactor.
18 Before fuel is processed so as to release the radioactive
19 gases, it is stored for a substantial period of time to
20 permit decay of the most short-lived radionuclides including
21 radioactive iodine; a minimum decay period prior to
22 processing is usually on the order of 120 to 180 days.
23 Therefore, essentially all of the rare gases with the exception
24 of krypton-85 have decayed. This nuclide does not decay to
25 form a particulate radioactive daughter and its decay energy
is sufficiently low that it provides essentially no genetically

RMS/rms5

1 significant dose, but primarily a dose to the skin and
2 outer surface of the body. The doses from fuel recovery
3 plant gaseous wastes are considerably different in kind and
4 magnitude from those of a boiling water reactor or a
5 pressurized water reactor, and in no case can they all be
6 equated with each other merely in terms of gross curies.

7 Q On Transcript Page 1304, Dr. Sternglass indicated
8 that a monitoring program would not detect the isotopic
9 discharges from the plant, and that such a program would not
10 provide a sufficient basis for appropriate action. Would
11 you comment on this?

12 A Discharges of radioactive material to the
13 environment from nuclear power facilities can be detected
14 quite readily by environmental monitoring programs. The
15 results of those programs and a history of plant operations
16 provides an entirely adequate basis for assessing the signifi-
17 cance of radioactive materials released from a plant.

18 Environmental monitoring at nuclear power
19 reactors under normal operating conditions provides
20 assurance of adequate control over radioactive effluents
21 from the plant and a means of estimating the resulting
22 radiation exposure of the population. The basis for determining
23 the effectiveness of environmental monitoring programs in
24 assessing plant operations does not depend solely upon the
25 character and amount of radioactivity released from a particular

RMS/rms6 1 plant, but also upon the sensitivity for determining the
2 concentrations of radioactivity in various environmental
3 media using currently available analytical techniques.

4 For example, gaseous radioactivity releases
5 from a nuclear power plant may be detected in the environment
6 at a dose level as low as 1 millirem per month, which
7 is approximately 2 percent of the 500 millirem per year
8 dose permitted to the maximum individual in the general popu-
9 lation by 10 CFR 20. Similarly, airborne particulate activities
10 may be measured using air filtering devices with a sensitivity
11 of approximately 0.05 picocuries per cubic meter. This is
12 approximately 0.05 percent of the Part 20 MPC for unidentified
13 beta-gamma emitters in air.

14 A similar rationale can be applied to the
15 measurement of radionuclides in liquid effluents. For
16 example, the minimum detectable level of activity in water
17 for beta-gamma emitters, exclusive of tritium, is about
18 one picocurie per liter. This corresponds to about one
19 percent of the MPC for unidentified beta-gamma emitters in
20 water, which is a more restrictive limit than that for any
21 individual radionuclide expected to be present in nuclear
22 power plant effluents.

23 In general, using conventional gamma spectrometer
24 techniques with minimum sample volumes and counting times, the
25 minimum detectable activity level for any individual

BMS/rms 7

1 radionuclide would not exceed 50 picocuries per sample, on a
2 very conservative basis.

3 Assuming an average sample of a food item weighed
4 1000 grams, this minimum detectable level of activity corres-
5 ponds to approximately 0.3 percent of the most restrictive
6 MPC for nuclides expected in reactor plant effluents, that
7 is strontium-90. Even in the case of tritium, about which
8 attention seems to have centered, the detectable level
9 (200 picocuries per liter) is 0.006 percent of the maximum
10 permissible discharge concentration to unrestricted areas.

11 In each of these examples, I have assumed the use
12 of conventional methods of analysis for environmental
13 media. With this degree of sensitivity readily achieved by
14 presently available methods, appropriate action can be taken
15 long before any environmental build-up of significance to health
16 can occur.

17 Q Dr. Goldman, you are familiar with the statement
18 by Dr. Sternglass with regard to the average dose from
19 gases discharged at this station, approximating five millirem
20 per year per capita as indicated in transcript page 1269.
21 Would you indicate whether or not you have made or caused
22 to me made calculations of the average dose from gases
23 discharged from this plant, and if you have done this, what
24 their magnitude is?

25 A Yes, I have made such calculations which are

1 contained in a report NUS-729, "Effects of Estimated Radio-
2 active Effluents from the Davis-Besse Nuclear Power Station"
3 which was prepared for the Toledo Edison Company and com-
4 pleted in November of last year.

5 MR. CHARNOFF: Just one moment, Dr. Goldman,

6 Mr. Chairman, I am going to ask Mr. Churchill
7 to hand three copies of the document just identified by
8 Dr. Goldman to the reporter and copies to the Board and to
9 the staff and to Mrs. Stebbins who is present here today.
10 We will make copies of this document available to counsel
11 for the other intervenors when they reappear at this hearing.
12 I would like to have this document marked as Applicant's
13 Exhibit No. 7 and have it introduced into evidence.

14 CHAIRMAN SKALLERUP: It is so ordered.

15 (The above-mentioned document was
16 marked for identification as
17 Applicant's Exhibit No. 7 and was
18 received in evidence.)

19 BY MR. CHARNOFF:

20 Q Dr. Goldman, would you proceed with your answer?

21 A We calculated the radiation doses from the
22 projected gaseous effluents and for the approximately
23 28,000 curie maximum annual release estimate based on the
24 conservative assumption that one percent of the fuel rods have
25 defective cladding and using meteorological data from Toledo.

RMS/
7-9

1 The 1980 population projections from the Davis-
2 Besse PSAR were used with source and dispersion data to
3 obtain population dose distributions. The results of these
4 calculations indicate that even using the most pessimistic
5 assumptions of gaseous release, a hypothetical
6 individual spending 24 hours a day every day on the site
7 boundary at the most exposed position would receive about .75
8 millirem per year, or about .15 percent of the 500 milli-
9 rem per year individual dose limit specified in Part 20.
10 The average dose to the population within a 50 mile radius
11 from the plant due to gaseous release would be less than
12 0.001 millirem per year or about one/one-hundred thousandth
13 of the population dose limit specified by the FRC and the
14 NCRP in Report No. 39.

15 Q Based on your examination of the site data,
16 would you feel that your estimates of the dose would be signifi-
17 cantly different if the site data were to be used rather than
18 the meteorological data from Toledo?

19 A No.

20 Q To what extent do your dose calculations for the
21 gaseous releases take into account the possibility of re-
22 concentration of the radioactive effluent in the food chain?

23 A They would not and did not consider reconcentration
24 for the gaseous releases since, as indicated in the cross-
25 examination of Dr. Sternglass and in the answer to the Board's

RMS/rms10 1 question at the prehearing conference, there are no radio-
2 active materials emitted in the gaseous wastes other than
3 noble gases and these are not reconcentrated.

4 Q On this basis then, is there any support what-
5 soever for the value of 5 millirem per year as projected
6 by Dr. Sternglass on Transcript page 1269?

7 A None whatsoever.

8 Q Dr. Goldman, does this report which has been
9 identified now as Applicant's Exhibit No. 7 also deal with
10 liquid effluents from the Davis-Besse plant?

11 A Yes. The doses to persons using drinking water
12 supplies taken from the lake at Camp Perry, Port Clinton
13 and Toledo-Oregon were calculated based on the expected
14 discharges from this plant, as well as the dose from eating
15 fish taken from the lake. The dose to an individual at the
16 closest water system intake (that at the Camp Perry-Erie
17 Industrial Park) is less than one-hundredth of one milli-
18 rem per year from the ingestion of water and of
19 fish at that location. The average dose per person within a
20 50 mile radius is about 3 ten-thousandths of one millirem
21 per year from expected liquid discharges.

22 Similar calculations can be made for local individual
23 ground water supplies assumed to be replenished by lake water
24 at the concentrations appropriate to the distance from the
25 plant. For example, there are homes in the Sand Beach

1 area which are supplied by shallow wells, which may be as
2 close as 1000 meters from the discharge point. At this
3 distance, the concentrations in lake water and hence the
4 doses from its use might be twice those at Camp Perry.
5 Neglecting any purification that might occur in filtering
6 through the sand to these wells, the resulting dose to an
7 adult might be 0.015 millirem per year or 30,000 times lower
8 than the part 20 limit would permit.

9 Assuming that the doses to a small child are inversely
10 related to body mass only (that is, the intake of food and
11 water by a child is as great as for an adult) they might
12 be a factor of 10 greater than those to the adult. The
13 dose to an average child from liquids discharged from
14 Davis-Besse would be three-thousandths of one millirem per
15 year, and the dose to a fetus from activity ingested by the
16 mother during the first trimester would not be as great as
17 one millirem.

18 MR. CHARNOFF: At this point, Mr. Chairman, I
19 would like to introduce, as Applicant's Exhibit No. 8,
20 a document which has been referred to on several occasions
21 in this hearing and during the last days of this hearing. It
22 is entitled NCRP Report No. 39, "Basic Radiation Protection
23 Criteria." It sets forth the recommendations of the
24 National Council on Radiation Protection and Measurements.
25 And it was issued on January 15, 1971.

1 Both of these documents are concerned with the effects of
2 tritium on litter size, body size and organ size of
3 rats following the ingestion of tritiated water. The more
4 recent study extended the dose levels study, but the results
5 were essentially the same. The smallest tritium level
6 which Cahill and Yuile believed significant was 10 micro-
7 curies of tritium per milliliter.

8 And in their document, and I quote, they stated,
9 "Continuous exposure to a tritiated water activity of one
10 microcurie per milliliter during pregnancy was found to be
11 consistent with the production of offspring in which the
12 only deviations from the controls noted were increased
13 length and a slight increase in weight of the liver and
14 heart at birth.

15 Comparing the doses from these levels to the maximum
16 permissible dose, one finds that the 10 microcurie per milli-
17 liter level leads to a dose to the rat embryo and fetus
18 of about three rads per day. This would be about 2000
19 times the maximum permissible dose for the individual in
20 the general population. The one microcurie per milliliter
21 level would lead to about 3/10ths rad per day or about 200
22 times the 0.5 rem per year limit.

23 In terms of release from the Davis-Besse plant
24 my calculations show a maximum dose to be on the order of
25 10^{-6} or one-millionth of a rad per year from tritium. This

1 This would be one hundred million to one billion
2 times smaller than the experimental doses referred to by
3 Cahill. Therefore, in terms of the significance of the
4 experimental results as they relate to the Davis-Besse
5 operation and 10 CFR 20, it would be my estimate that even
6 assuming a linear dose effect relationship to exist there
7 is no living population in the U.S. large enough to show
8 the effects of such doses, that is, those on the order of
9 one-millionth of a rad per year.

10 Q Thank you.

11 CHAIRMAN SKALLERUP: That Cahill Yuile question
12 doesn't appear in this material.

13 MR. CHARNOFF: That is basically the only item
14 in here that is not in the document we handed out.

15 CHAIRMAN SKALLERUP: Will you be able to provide
16 the Coalition and LIFE with a copy of that?

17 MR. CHARNOFF: Yes, sir.

18 DR. WINTERS: There is also one other. Back here
19 when you introduced NCFP No. 39.

20 MR. CHARNOFF: That is right. That is not new
21 information in the sense that it was previously discussed
22 with Dr. Sternglass. It was simply set up there to compare
23 with the dose that Dr. Goldman had calculated.

24 DR. WINTERS: The subsequent question and answer
25 was not in the document.

1
2 BZ MR. CHARNOFF:

3 Q Dr. Goldman, considering Drs. Gofman and
4 Tamplin's statements with respect to the present AEC
5 standards and based on your examination of the Davis-Besse
6 plant environment and the dose projections therefrom, could
7 you comment on the validity of the contentions of Drs.
8 Gofman and Tamplin?

9 A They are completely without foundation for several
10 reasons. First, with specific reference to Dr. Tamplin's
11 comments on the inapplicability of the secondary standards
12 or MPC values, he totally fails to take into account the
13 primary standards contained within 10 CFR 20 which provide
14 over-riding limits on the blind application of the MPC
15 values.

16 For example, under 20.105, Permissible Levels of
17 Radiation in Unrestricted Areas, paragraph (1) limits the
18 individual dose to 0.5 rem per year. Section 20.106(e)
19 limits the quantity discharged from facilities if intake
20 of radioactive materials from air, water or food by a
21 suitable sample of an exposed population group would exceed
22 one-third the intake represented by the MPC values. This
23 limits the dose via intake from all sources to that equivalent
24 to 170 millirem per year. Further, since the so-called
25 "suitable sample" depends on the particular isotope being
considered, this section would also specifically limit the

1 discharge of materials which resulted in excessive exposure
2 of critical population groups such as children, if it were
3 significant. The requirement for such a sample was specifically
4 referenced by FRC in their intake guidance for radio-
5 iodine by children in the FRC Memorandum for the President of
6 September 13, 1961, published in the Federal Register of
7 September 26, 1961, in recommendation 3(a), which defined
8 guidance on daily intake, and stated:

9 "In the case of iodine-131, the suitable sample
10 would include only small children."

11 Second, it is physically impossible to expose
12 a significant portion of the population in the vicinity of
13 this or any nuclear plant to more than a very small fraction
14 of the 170 millirem per year contemplated in Part 20 and
15 the FRC guides, while still meeting the maximum limit for
16 individual exposure.

17 For example, discharges in liquid waste from the
18 Davis-Besse plant, as from any other nuclear plant, are
19 required to meet MPC values at the point of discharge prior
20 to dilution in the receiving body of water. Assuming that at
21 this plant this were an accessible surface discharge
22 rather than the inaccessible subsurface discharge, an
23 individual taking his daily water and fish from the discharge
24 pipe at the expected concentrations would receive
25 approximately 10 millirem per year whole body dose from the

1 ingested radionuclides. As indicated previously, the average
2 per capita exposure within 50 miles from liquid waste,
3 considering both water and reconcentrated radionuclides in
4 fish, would be about 3 ten-thousandths of one millirem per
5 year, for a ratio of maximum individual to average per capita
6 dose of 30,000 from this source.

7 Thus, if the liquid discharge were to increase to
8 just meet the Part 20 limits of 500 millirem per year, the
9 average per capita dose would be 500 divided by 30,000
10 or less than 0.02 millirem per year.

11 Similarly, the ratio between the maximum dose to
12 the hypothetical individual at the downwind site boundary
13 and the average per capita dose within 50 miles from gaseous
14 releases is on the order of 400. Therefore, if the
15 hypothetical individual were to receive 500 millirem per year
16 from gaseous discharges, the average per capita dose would
17 be a factor of 400 lower, or slightly over one millirem
18 per year. It is impossible, therefore, to reach the general
19 population dose limit of 170 millirem per year in the vicinity
20 of the Davis-Besse plant without exceeding site boundary dose
21 limits by factors in excess of 100.

22 I have performed similar calculations for a
23 number of nuclear power plants and although these ratios
24 vary somewhat depending upon plant type and the local environment
25 characteristics, it is physically impossible to expose a

RMS/rms19

1 significant portion of the population to a dose of more
2 than a few percent of the population dose limit, without
3 greatly exceeding individual dose limits at the discharge
4 point or site boundary.

5 Further, in regard to the misinterpretation of the
6 application of the MPC values by Dr. Tamplin, the presence of
7 more than one radionuclide in a discharge requires as indi-
8 cated in the footnote to Appendix B of 10 CFR 20 that
9 where there is a mixture in air or water of more than one
10 radionuclide their combined limit must be such that in total
11 intake in air or water would not exceed the 500 millirem value.

12 Thus, one cannot evaluate the adequacy of Part
13 20 for radioactivity releases from an actual nuclear power
14 plant in terms of any single isotope taken alone at
15 full MPC, which is what Dr. Tamplin appears to do in his
16 cesium calculations.

17 Q Dr. Goldman, Table 2.4-1, Volume 4 of the
18 Preliminary Safety Analysis Report has one column which
19 reads, "Normal concentration of station discharge." Would
20 you explain what was meant by the term "station discharge"
21 in the title.

22 Does this mean discharge to Lake Erie?

23 A As mentioned on page 2.4-2 of Volume 4 of the
24 PSAR, no credit was taken for concentration reduction by
25 dilution of the waste in the discharge system. Therefore, the

RMS/rms20

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

normal concentration at the station discharge referred to in that table 2.4-1 represents in fact the concentrations at the outlet of the station rad waste system before any dilution. As described to AEC question 2.3 in volume 4 of the PSAR, these processed wastes, those that have their quantities shown in the table, will be further diluted by at least a factor of 8.75 times 10^{-3} before these are discharged to Lake Erie.

In my calculations I used these corrected or modified concentrations, that is, taking into account the dilution available from other normal plant water.

end RMS

Fls.

DB91nl¹

Q In ICRP Publication 8, Dr. Tamplin indicated the ICRP has stated, and I am quoting Dr. Tamplin, that "1 rad of radiation to 1 million people at large produces some 20 cases throughout the lifetime of those people." Is Dr. Tamplin's paraphrase of ICRP Publication 8 correct?

A No. Dr. Tamplin has apparently confused the working assumption of the ICRP with respect to the linear hypothesis to be a firm prediction of effects by that group. ICRP has made many statements concerning their use of the linear dose-effect hypothesis and in ICRP Publication 8 they state:

"No direct evidence is available for the effect of doses given at intensities lower than those normally employed during radiography. Extrapolation to low dose rates requires the assumption that, under the conditions of human exposure, leukaemia is induced by a mechanism in some respects comparable to the induction of gene mutation. It may be noted that in some circumstances a decrease in the dose rate by several orders of magnitude may decrease the mutation rate by a factor of about 5 (see Chapter III,3.2.4.).

"On the assumption of a linear relationship, the total leukaemia risk would appear to be of the order of 20 cases per million persons per rad. Longer period of observation may suggest that this is an underestimate for high dose rates. However it may be an overestimate for low dose rates. If the dose response relationship is not linear below

ln2 1 100 rads, the real effect may be substantially less."

2 On this basis, the statement by Dr. Tamplin that a
3 given population dose will produce a given biological response
4 when this dose is delivered at a low rate and with a maximum
5 value several orders of magnitude lower than those at which
6 leukemia or other cancers have been observed in adult popula-
7 tions is no more than a very conservative assumption. This
8 would be very much the same as assuming that the rate of
9 induction of lung cancer and emphysema in 3-pack-per-day smokers
10 can be used to predict with certainty the incidence of these
11 diseases in 1-pack-per-year smokers.

12 Q Dr. Goldman, on page 1503 of the Transcript,
13 Dr. Tamplin indicated that in Appendix IV of ICRP Publication
14 14, "they indicate that because they are now seeing more
15 cancers in other sites, some six times more than they antici-
16 pated, that the present standards for whole body exposure is
17 high by a factor of 10." Are you familiar with ICRP Publica-
18 tion 14 and its Appendix IV, and can you comment on that
19 statement by Dr. Tamplin?

20 A Yes, I am familiar with that document. Appendix IV
21 is entitled, "The Derivation of Numerical Values for Dose
22 Limits: An Example for Discussion." This appendix attempts
23 to arrive at a "notional dose limit for whole body exposure as
24 determined by somatic effects derived from the appropriate sum
25 of the relative sensitivities of the component parts of the

ln3

1 whole body." This appendix does not indicate that present
2 standards for whole body exposure are high by a factor of 10
3 as claimed by Dr. Tamplin. It does state and I quote from
4 page 111:

5 "It will be seen that the dose limits derived in
6 the manner set out in this appendix agree within a factor of two
7 to three with currently recommended dose limits for all tissues
8 and all organs with the single exception of the skin. The
9 closeness of this agreement is a matter of some interest
10 although it depends entirely on the choice of numbers on the
11 sensitivity scale and on the scale of hurt and suffering."

12 Further, in the summary on page 116 of this appen-
13 dix to ICRP Publication 14, the following statement is made:

14 "Our tentative classification of the relative
15 radiosensitivity of tissues and organs to cancer induction
16 can be combined with a naive assessment of the relative hurt-
17 fulness of different kinds of cancer to give an apparently
18 rational relation between the dose limits for individual
19 tissues and organs in the body. This is surprisingly close
20 to what is implied in the current recommendation of the ICRP
21 except in the case of the skin."

22 I can only assume that Dr. Tamplin is unable to
23 read, since there is no mention in those statements or in
24 the remainder of Appendix IV that the present standard for
25 whole body exposure is high by a factor of 10, particularly

ln4

1 in view of the Foreword to this publication which contains the
2 statement:

3 "The Commission hopes that the publication of the
4 reports, while not necessarily implying recommendations for
5 present action, will stimulate discussion on matters having
6 direct relevance to its work and to the development of the
7 fundamental principle of radiological protection."

8 Q Does the Gofman-Tamplin thesis rest largely on an
9 assumed doubling dose for cancer, as well as the assumption
10 that the general population can receive an average dose of
11 170 mrem?

12 A Yes.

13 Q What did ICRP 14 say with respect to assuming a
14 doubling dose for cancer?

15 A ICRP Publication 14 states (Page 58):

16 "In radiological protection the radiation dose
17 required to double the natural cancer incidence is sometimes
18 used in assessing acceptable risks from somatic exposure by
19 analogy with the concept of doubling dose used in assessing
20 the genetic risks from exposure of the gonads. This concept of
21 doubling dose for somatic hazards is a specific example of
22 the misuse of the ratio of cancer rates. The natural incidence
23 of stomach cancer in men or women in five different countries
24 varies between 65 and 706 per million living (Segi and
25 Kurihara, 1963, cited by Dolphin and Eve, 1968) so that for a

ln5 1 fixed risk per rad the doubling dose varies more than ten-fold
2 and will induce between 65 to 706 additional cases of stomach
3 cancer per million persons depending on the particular popula-
4 tion to which attention happens to be drawn. Superficially
5 the "doubling dose for cancer" may appear a reasonable con-
6 cept because the overall incidence of all forms of cancer
7 taken together happens to be roughly similar in many different
8 countries. However, there are complex reasons for this and
9 where acceptable risks and individual varieties of cancer are
10 concerned, the only reasonable parameter to use is the actual
11 number of cases induced by the exposure under consideration."

12 Further, on pages 81 and 82 of ICRP 14 they state:

13 "There is no support in Tables III.8 and III.9 for
14 the hypothesis that the sensitivity of an organ to induction
15 of malignant disease is proportional to the natural incidence
16 of malignant disease in that organ. If this had been true,
17 then far more cases of induced stomach cancer should have
18 occurred in the Japanese than were observed: the incidence
19 of leukaemia (Doll, Payne and Waterhouse, 1966) and even
20 allowing for attenuation of dose with depth below the surface
21 of the body there should have been more induced cases of
22 stomach cancer than of leukaemia."

23 Q Dr. Goldman, on page 1505 of the Transcript,
24 Dr. Tamplin quoted from ICRP Publication 9 on page 14, paragraph
25 83, specifically on Line 11 of that transcript page, he quotes

ln6

1 ICRP Publication 9 as stating:

2 "It should be emphasized that the limit does not
3 in fact represent a proper balance between possible harm and
4 probable benefit."

5 Is that a correct quote?

6 A No, it is not. That paragraph reads:

7 "It should be emphasized that the limit may not in
8 fact represent a proper balance between possible harm and
9 probable benefit, because of the uncertainty in assessing the
10 risks and the benefits that would justify the exposure."

11 The difference between does not and may not seems
12 to me to be significant.

13 Q Dr. Goldman, in both his direct testimony and his
14 cross-examination by the staff, Dr. Tamplin indicated his
15 judgment that the present radiation standards should be
16 reduced by a factor of 10 and specifically on page 1539,
17 expressed concern about a potential future requirement for
18 retro-fits in the nuclear power industry, if in fact the
19 dose standards should be changed. Based on your experience
20 with nuclear power facilities, would it be your judgment,
21 assuming a future change in the dose standards, that such
22 retro-fitting would be necessary at Davis-Besse?

23 A No, data from plants operating at the present time
24 and evaluation of designs of plants presently under construction
25 or proposed for operation indicate very clearly that plants

ln7

1 presently in operation or proposed would have no substantial
2 difficulty in meeting reduced standards of that magnitude at
3 some time in the future, on the basis of annual average dis-
4 charges. For short periods of time, however, unforeseen plant
5 component outage might result in discharges which temporarily
6 exceed the 10 percent values suggested by Dr. Tamplin.

7 Certainly operating data from existing plants
8 indicates that doses to the maximum individual and most cer-
9 tainly to the average individual in the vicinity of a plant
10 are substantially less than 10 percent of the present AEC
11 standards.

12 Q Dr. Goldman, are you familiar with the Dresden
13 Nuclear Power Station and with its gaseous discharge history?

14 A Yes. I have been responsible for the conduct of
15 the meteorological program at Dresden Nuclear Power Station
16 for about three years. As part of that program, we have been
17 provided with the gaseous discharge data for the station and
18 have calculated the gaseous dose distributions in the vicinity
19 of the plant using the source data and meteorological data
20 which we analyze.

21 Q Based on your knowledge of the source and the
22 meteorological data which you have analyzed for the Dresden
23 station, would you say that Dr. Sternglass' asserted relation-
24 ship between gaseous discharges and the incidence of infant
25 mortality in its vicinity is valid?

ln8

1 A No. The reason for this is based on the following
2 factors: First, if there is any association whatsoever between
3 infant mortality and the quantities of gaseous radioactivity
4 discharged from the Dresden Station, it lies in the dose
5 delivered to the populations at risk. This dose is dependent
6 not only on the quantity of gas discharged but also upon the
7 meteorological conditions that would lead the discharged
8 gases into the affected areas. Based on the data indicated
9 in Dr. Sternglass' paper, Livingston County to the south and
10 southwest and Kankakee County to the southeast had increases
11 in infant mortality rates between 1964 and 1966 of 140 percent
12 and 43 percent, respectively.

13 Yet our observations of meteorological data at
14 the Dresden site and our calculations of the resulting dose
15 distribution in the environs of the plant indicate quite clearly
16 that the predominant downwind direction from the plant is not
17 southwest through southeast as suggested by Dr. Sternglass
18 but rather north to northeast, almost directly opposite.

19 Yet the counties that lie to the north to northeast
20 and which would be receiving the great dose relatively
21 speaking, although much less than one mrem per year on an
22 absolute basis, are Kendall and Will Counties, which experi-
23 enced changes in infant mortality rates during the same two-
24 year period of minus 31 percent and plus 5 percent, respectively.

25 There is, therefore, absolutely no correlation

ln9

1

between dose delivered from the Dresden discharges and infant mortality rate changes as indicated by Dr. Sternglass, as based on and determined from actual releases and actual site meteorology.

2

3

4

end 9

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 Q Did the testimony by Davis and Harward of the
2 U. S. Public Health Service before the Illinois Pollution
3 Control Board in December 1970 find that there was no
4 basis for Dr. Sternglass' allegation regarding a possible
5 relationship between the Dresden gaseous releases and infant
6 mortality in Illinois?

7 A Yes. In the summary of their testimony, they stated:
8 "This analysis of the epidemiologic data presented by
9 Sternglass does not support his contention that an association
10 exists between exposure to the radioactive emissions from
11 Dresden and infant mortality. In contrast, the data can not" --

12 CHAIRMAN SKALLERUP: And they have underlined in
13 the original "can not" be.

14 THE WITNESS: -- "be interpreted to mean that no
15 effects were produced by the radiation exposure. However,
16 if radiation from the Dresden reactor contributes to
17 infant mortality or respiratory deaths in Illinois or
18 Chicago, it has not been demonstrated by this study."

19 BY MR. CHARNOFF:

20 Q Did the National Council on Radiation Protection
21 and Measurements recently publish its recommendations with
22 respect to radiation exposures and doses?

23 A Yes, in NCRP Report 39.

24 MR. CHARNOFF: And that is identified as Applicant's
25 Exhibit No. 8.

1 BY MR. CHARNOFF:

2 Q In that document, dated January 15, 1971, did the
3 NCRP recommend any change in the basic radiation protection
4 standards as they apply to the general public?

5 A No.

6 Q Is the NCRP's recommended average population dose
7 limit based upon genetic considerations?

8 A Yes, in NCRP Report No. 39, paragraph 247, they
9 quote: "The dose equivalent to the gonads for the population
10 of the United States as a whole from all sources of
11 radiation other than natural radiation, and radiation from
12 the healing arts shall not exceed a yearly average of 0.17
13 rem (170 mrem) per person (see paragraph 162)."

14 Q Did the NCRP in the same document in paragraph 251
15 in the middle of that paragraph say: "It is also expected
16 that the dose limit of 0.5 rem (500 mrem) per year for any
17 critical organ of an individual member of the public,
18 combined with the average population dose limit of 0.17
19 rem (170 mrem) per year for critical organs, will have the
20 effect of controlling the actual population exposures well
21 below the stipulated limits. No specific evidence can be
22 established that would seem to warrant further reduction of
23 average or individual dose limits for members of the public,
24 at this time. The low dose and low dose rate of the radiation
25 exposure of the population still provide adequate safety

1 factors."

2 A Yes.

3 Q Is the NCRP chartered by Congress?

4 A Yes.

5 Q What is its Congressional charter? Would you
6 read from the Congressional charter the objects and purposes
7 of the NCRP?

8 A Yes. Section 3 -- this is from the National
9 Council on Radiation Protection and Measurements, an Act of
10 July 14, 1964, Public Law 88-376, 78 statues 320, Section 3
11 states: " The objects and purposes of the corporation
12 shall be:

13 "1. To collect, analyze, develop and disseminate
14 in the public interest information and recommendations about
15 (a) protection against radiation (referred to herein as
16 'radiation protection'), and (b) radiation measurements,
17 quantities and units, particularly those concerned with
18 radiation protection.

19 "2. To provide a means by which organizations
20 concerned with the scientific and related aspects of radiation
21 protection and of radiation quantities, units and measurements,
22 may cooperate for effective utilization of their combined
23 resources and to stimulate the work of such organization.

24 "3. To develop basic concepts about radiation
25 quantities, units, and measurements, about the application

1 of these concepts, and about radiation protection.

2 "4. To cooperate with the International Commission
3 on Radiological Units and Measurements, and other national
4 and international organizations, governmental and private,
5 concerned with radiation quantities, units, and measurements
6 and with radiation protection."

7 Q Does the membership of the NCRP include men
8 and women recognized as experts in radiation protection
9 and doses?

10 A Yes.

11 Q Are you familiar with the guidance published by
12 the FRC since its inception?

13 A Yes.

14 Q Is it your judgment that the radiation protection
15 standards in 10 CFR Part 20 are consistent with and based
16 upon the FRC guidance?

17 A Federal Radiation Council recommendations,
18 approved by the President, which encompass standards included
19 in Part 20 were promulgated in their Reports Nos. 1 and 2.
20 FRC Staff Report No. 1 (May 1960) established basic
21 Radiation Protection Guides for radiation workers, a whole
22 body dose for individuals and an average gonad dose for the
23 population. FRC Staff Report No. 2 (Sept. 1961) established
24 Radiation Protection Guides for thyroid, bone and bone
25 marrow doses to the general population and specified daily

1 intake guides corresponding to these Protection Guides for
2 Ra-226, I-131, Sr-89 and Sr-90.

3 With respect to maximum individual whole body dose, the
4 FRC whole body dose guidance for individuals in the general
5 population is established as 0.5 rem/year (Staff Report No.
6 1, p. 38); 10 CFR 20.105(a) establishes a maximum dose to an
7 individual from radiation in unrestricted areas of 0.5
8 rem/year. Further, concentrations of those radionuclides
9 listed in Appendix B, Table II for which the whole body is
10 the critical organ are so calculated as to produce a whole
11 body dose of not more than 0.5 rem/year by ingestion of
12 2.2 liters of water per day or by inhalation.

13 With respect to average population gonadal dose, FRC
14 establishes a genetically significant dose limit of 5 rem
15 in 30 years, (Staff Report No. 1, p. 38) or an average of
16 0.17 rem per year for the total population. AEC establishes
17 in 20.106(e) a basis for limiting intake by a "suitable
18 sample of an exposed population group" to one-third the intake
19 represented by the concentration limits in Appendix B, Table
20 II.

21 Since the concentration limits represent a dose of 0.5
22 rem per year, one-third of that intake would represent 0.17
23 rem per year, in agreement with the FRC Guide.

24 With respect to the intake limits for Ra-226, I-131, Sr-89,
25 Sr-90, three intake ranges for these radionuclides were

1 established in FRC Staff Report No. 2, with the upper limit
2 of Range II corresponding to the FRC average organ dose
3 guidance. These values are for:

4 Radium-226	20 picocuries per day
5 Iodine-131	100 picocuries per day
6 Strontium-90	200 picocuries per day
7 Strontium-89	200 picocuries per day

8 The Appendix B, Table II concentrations for
9 Radium-226, Strontium-90 and Strontium-89 represent three
10 times these intakes by an adult, corresponding to the maximum
11 individual dose guides. The values for "a suitable sample of
12 an exposed population" as limited in 20.106(e) would be
13 one-third, and conform exactly with FRC intake values. The
14 Appendix B, Table II values for I-131 -- and for the other
15 Iodine isotopes -- are not based on adults, but rather on the
16 biological parameters of a small child as the "suitable
17 sample," and represent intake values which are also for the
18 maximum individual child, three times the average value
19 presented in FRC Report No. 2.

20 With respect to "as low as practicable," the FRC
21 Guidance (Report No. 1, p. 37) states: "every effort should
22 be made to encourage the maintenance of doses as far below this
23 guide as practicable." 10 CFR 20.1(c) states: "(licensees)
24 should, in addition to complying with the requirements set
25 forth in this part, make every reasonable effort to maintain

lnl 1 radiation exposures, and releases of radioactive materials
2 in effluents to unrestricted areas, as far below the limits
3 specified in this part as practicable."

4 On the basis of this comparison, it is clear that
5 10 CFR 20 is in complete conformance with published guidance
6 of the FRC.

7 Q Dr. Goldman, in the Underground Uses of Nuclear
8 Energy Hearings before the Subcommittee on Air and Water
9 Pollution of the Committee on Public Works, U. S. Senate,
10 held in August, 1970, did Dr. Roger Egeberg introduce a
11 statement by the National Academy of Sciences Advisory
12 Committee to the FRC commenting on the allegations by persons
13 such as Drs. Gofman and Tamplin calling for an immediate
14 reduction in the radiation protection standards?

15 A Yes.

16 Q Could you please read that statement into this
17 record?

18 A This is a letter addressed to Dr. Charles L. Dunham,
19 M.D., National Academy of Sciences, Division of Medical
20 Sciences, Washington, D. C.

21 "Dear Dr. Dunham:

22 "The Advisory Committee to the Federal Radiation
23 Council has prepared the following statement and would appreciate having this statement forwarded to the President of the
24 National Academy of Sciences through your office.
25

ln2

1

2

3

4

5

6

7

"Recently the adequacy of radiation protection standards has been questioned. Allegations have been made that insufficient attention has been paid to human data that have become available in the past few years and that as a result that risks to the public are being grossly underestimated, and that maximum permissible levels should therefore be reduced immediately.

8

9

10

11

12

13

14

15

16

17

"Radiation Protection Standards are formulated by several independent national and international bodies, namely, the NCRP, ICRP, FRC. In addition, periodic scholarly reviews of pertinent data are provided by UNSCEAR. Recent reviews by these groups (ICRP 1966-69; UNSCEAR '64, '66, '69) have considered in depth essentially all of the available data relevant to the setting of standards. These bodies have found no evidence that warrants a downward revision of the basic radiation standard of 5 rems per 30 years or 170 mrems per year to the general population.

18

19

20

21

22

23

24

25

"Pertinent data have been under continuous review by the NAS-NRC Advisory Committee to the FRC. This Committee has specifically reviewed the statements presented before Congressional Committees and elsewhere to support the allegations referred to above and conclude that these statements contain no data that would significantly alter the base upon which current standards were established. There is no evidence available to the Committee that exposure of the public will

ln3 1 increase at a rate that would in any way justify an emergency
2 revision of the existing standards.

3 "Because of the allegations and widespread public
4 concern the Committee feels it must plan further consideration
5 of the interpretation of data relative to estimating risks
6 associated with low levels of radiation exposure and the
7 utilization of such interpretations for establishment of
8 radiation standards.

9 "The public's attention has for the most part been
10 directed to hazards associated with nuclear power production.
11 This apprehension is, paradoxically, partly a result of the
12 detailed public information now available on radiation hazards
13 of nuclear power and the relative lack of information on the
14 hazards of other modes of power production. What is needed
15 is a comprehensive study of the biological hazards of non-
16 nuclear power production, therefore, the Committee feels that
17 simultaneously there should be a comprehensive comparison of
18 the biological and social costs of nuclear versus alternative
19 sources of energy. Furthermore, there exists a need for
20 clarification of the philosophy underlying decisions involving
21 the weighing and apportionment of risks versus benefits in
22 standards setting.

23 "This Committee is especially aware of a need to
24 consider radiation standards within the context of the broader
25 aspects of societal needs and is anxious to contribute in any

ln4

1 way possible as the matter develops.

2 Sincerely,

3 Dr. Cyril L. Comar

4 Chairman, Committee."

5 end 10

6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 MR. CHARNOFF: Thank you.

2 Mr. Chairman, we have completed our rebuttal
3 testimony.

4 I do want before closing this portion of the hearing
5 to introduce as Applicant's exhibits a number of documents
6 which were referenced during the last phase of the hearing,
7 and they were documents the Board had requested copies of
8 and we are pleased to submit them to you and to the other
9 parties as exhibits in this proceeding.

10 The first is a document which was referenced on
11 transcript page 1227 entitled "More on Radioactive Fallout"
12 published by the Committee on Environmental Hazards of the
13 American Academy of Pediatrics, and a newsletter supplement
14 dated April 15, 1970. That you will recall was a document
15 we used in cross-examining Dr. Sternglass, and I would like
16 to have that identified as Applicant's Exhibit No. 9 and
17 ask Mr. Churchill to hand three copies of that document
18 to the Reporter and to the members of the Board and to the
19 Intervenors.

20 Perhaps it would be best if I simply read through
21 these and then have Mr. Churchill hand them all out at one
22 time.

23 CHAIRMAN SKALLERUP: It is so ordered on No. 9.

24 (The document referred to was marked
25 Applicant's Exhibit No. 9, for identifi-
cation, and was received in evidence.)

1 MR. CHARNOFF: Before proceeding with No. 10, may
2 I ask a question of the Regulatory Staff?

3 There was reference to a document entitled
4 "Radiological Surveillance Studies at a Boiling Water Nuclear
5 Power Reactor," by Kahn et al, U. S. Public Health Service.
6 Is that a document the Staff is planning to use as a basis
7 for testimony of any of the witnesses tomorrow?

8 MR. ENGELHARDT: No.

9 MR. CHARNOFF: Then we will introduce that document
10 as Applicant's Exhibit No. 10. It is entitled "Radiological
11 Surveillance Studies at a Boiling Water Nuclear Power
12 Reactor" published by U. S. Department of Health, Education,
13 and Welfare, Public Health Service, Environmental Health
14 Service, bearing the number BRH/DER 70-1.

15 This document was referenced on transcript pages
16 1238 and 1257.

17 DR. JORDAN: Is the boiling water reactor referred
18 to there the Dresden reactor?

19 MR. CHARNOFF: It includes the data on the
20 Dresden reactor. Yes, it is exclusively the data on the
21 Dresden reactor. It was the document Dr. Sternglass made
22 reference to.

23 CHAIRMAN SKALLERUP: It is so ordered, Exhibit No.
24 10.

XXXXX

(The document referred to was marked Applicant's Exhibit No. 10, for identification, and was received in evidence.)

MR. CHARNOFF: Are you presenting a document entitled "The Critical Review of Infant Mortality and Nuclear Power Generation" by E. J. Sternglass presented by Mr. A. K. Davies and E. Howard?

MR. ENGELHARDT: Yes.

MR. CHARNOFF: I will pass that then and let the Staff introduce that document.

On transcript page 1264, reference was made to a document by Daniel F. Cahill and Charles L. Yuile, it was also mentioned in the rebuttal testimony by Dr. Goldman. The article was entitled "Some Effects of Tritiated Water on Mammalian Fetal Development" by Cahill and Yuile, University of Rochester, School of Medicine and Dentistry. It is published in the Proceedings of the 9th Annual Hanford Biology Symposium, Richland, Washington, May 5-8, 1969.

We would have that marked as Applicant's Exhibit No. 11 and introduce that into evidence.

CHAIRMAN SKALLERUP: It is so ordered.

(The document referred to was marked Applicant's Exhibit No. 11, for identification, and was received in evidence.)

MR. CHARNOFF: Next we would like to identify as

1 Applicant's Exhibit No. 12 the testimony of Dr. Victor Bond,
2 Brookhaven National Laboratory, hearings before the Joint
3 Committee on Atomic Energy, 91st Congress, "Environmental
4 Effects of Producing Electric Power," Part 2, Volume 1,
5 1970, pages 1361 through 1373, and we had referenced this
6 document on page 1266 in connection with cross-examination of
7 Dr. Sternglass on tritium.

8 We would mark that as Exhibit No. 12.

9 CHAIRMAN SKALLERUP: This is to be an exhibit of
10 yours to be received in evidence? Was the testimony there
11 given under oath and open to cross-examination?

12 MR. CHARNOFF: I am trying to recall whether the
13 Joint Committee does administer oaths. Perhaps the Staff
14 knows.

15 MR. ENGELHARDT: Not to my knowledge do they
16 administer any oaths for witnesses who appear at such hearings.

17 MR. CHARNOFF: They do examine the witness, but I
18 guess it is not under oath.

19 MR. ENGELHARDT: That is correct.

20 MR. CHARNOFF: Why don't we just mark this, sir,
21 as Applicant's Exhibit No. 12 and not offer it into evidence.
22 I was just making it available to members of the Board
23 because it had been referred to in the cross-examination.

24 CHAIRMAN SKALLERUP: It is so ordered on that
25 basis.

XXXXXX

1 (The document referred to was marked
2 Applicant's Exhibit No. 12, for
3 identification.)

4 MR. CHARNOFF: The next is a document entitled
5 "Radioactive Waste Discharges to the Environment from Nuclear
6 Power Facilities" published by U. S. Department of Health,
7 Education, and Welfare, Public Health Service, Environmental
8 Health Service bearing the number BRH/DER 70-2. It was
9 referenced on transcript page 1422 and it contains on page
10 15 a table, number 8, entitled "Total Annual Gaseous Waste
11 Discharged Noble and Activation Gases (Curies)" listing a
12 number of pressurized water reactors, boiling water reactors
13 and a high temperature gas cooled reactor.

14 You will recall this was the table referenced first
15 I believe by Dr. Sternglass and used by us in cross-
16 examining Dr. Sternglass.

17 We would mark this as Applicant's Exhibit No. 13.

18 CHAIRMAN SKALLERUP: It is so ordered.

XXXXXX

19 (The document referred to was marked
20 Applicant's Exhibit No. 13, for identifi-
21 cation, and was received in evidence.)

22 MR. CHARNOFF: Dr. Sternglass also referenced
23 some studies by Dr. Alice Stewart and we cross-examined Dr.
24 Sternglass in connection with that study. And I believe we
25 even asked him to read a section from it. Therefore we

1 introduce as Applicant's Exhibit No. 14 a document published
2 in The Lancet on Saturday, June 6, 1970 entitled "Radiation
3 Dose Effects in Relation to Obstetric X-Rays and Childhood
4 Cancers," by Alice Stewart and G. W. Kneale.

5 This was referenced on transcript 1426 and some
6 other pages.

7 Again we would offer that not as evidence, but
8 simply as Applicant's Exhibit 14.

9 CHAIRMAN SKALLERUP: It is so ordered.

XXXX 10 (The document referred to was marked
11 Applicant's Exhibit No. 14, for
12 identification.)

13 MR. CHARNOFF: That would conclude --

14 I believe we have now provided the Board with all
15 of the documents that have been mentioned at one time
16 or another, except possibly for the documents that the
17 Staff will apparently introduce. And that would conclude
18 our rebuttal testimony in this proceeding.

19 I might only suggest, Mr. Chairman, that if Mr.
20 Lau is permitted to produce additional direct testimony we
21 would reserve the right to offer rebuttal testimony in response
22 to that testimony. Other than that, I believe we are concluded
23 with our rebuttal testimony.

24 DR. JORDAN: With regard to Dr. Goldman's answers
25 to one of the questions, he ended up with the statement --

1 I have trouble referencing it for your benefit, because there
2 are no page numbers -- but he ended up --

3 MR. CHARNOFF: Perhaps you could identify the
4 question, Dr. Jordan and we can find it on that basis?

5 DR. JORDAN: Very well.

6 The question was: "Dr. Goldman, considering
7 Drs. Gofman and Tamplin's statements with respect to the present
8 AEC standards and based on your examination of the Davis-
9 Besse plant environment and the dose projections therefrom,
10 could you comment on the validity of their contentions."

11 The testimony seemed clear except when we got to
12 the last paragraph. He ended up by saying, "Thus, one
13 cannot evaluate the adequacy of Part 20 for radioactivity
14 releases from an actual nuclear power plant in terms of any
15 single isotope taken alone at full MPC, which is what Dr.
16 Tamplin appears to do in his cesium calculations."

17 This confused me, because it seemed to me in that
18 case of the cesium calculations, he was surely considering a
19 single isotope rather than, as you say, you cannot evaluate
20 it in terms of any single isotope taken alone or at full
21 MPC.

22 Would you care to add additional clarification for
23 my benefit now on that or at a later time?

24 THE WITNESS: I can attempt to clarify it now,
25 Dr. Jordan.

1 What I was trying to say, perhaps not too well,
2 in that answer, was that with respect to any nuclear power
3 facility in the real world, the relationship of materials
4 discharged from the plant with respect to each other is
5 pretty well established by the physical and chemical characteris-
6 tics of the system which is operating.

7 DR. JORDAN: I understand that.

8 THE WITNESS: And that it is physically and chemi-
9 cally, if not impossible, then highly unlikely, that one
10 could have any particular isotope without having in more
11 or less fixed proportion to it a number of others. And,
12 therefore, one cannot look at the existence or the fraction
13 of MPC at which a single isotope alone exists without con-
14 sidering in the real sense and with a real plant what other
15 materials must accompany it based on the nature of the
16 plant and the processes which give rise to the wastes.

17 So that one can evaluate certainly any isotope
18 from the point of view of its own ability to meet its own
19 MPC in theory and to go through a numerical calculation which
20 in fact can be made to show that if this were to be the
21 case, then some other consequence would follow, as Dr.
22 Tamplin did.

23 The only thing I was trying to indicate in this
24 answer is that with respect to reactors in general and with
25 Davis-Besse in particular, this is impossible in the real

1 world. Cesium or any other isotope does not exist alone
2 in a vacuum.

3 DR. JORDAN: I understand now what you were saying.
4 However let me say it this way, that 10 CFR 20 would apply,
5 say, to a cesium processing plant, and would, therefore, in
6 that event perhaps apply to concentrations of cesium in the
7 gaseous effluents from a cesium plant and there would be
8 a single isotope.

9 THE WITNESS: That is correct. Again though let
10 me add that the MPC by itself is not the constraint on
11 discharge from a plant. There are other sections of Part
12 20 that require considerations other than just the numerical
13 values in the appendix. These are the other sections that I
14 referenced particularly 21.06(e), which requires consideration
15 of reconcentration and total exposure from all sources.

16 DR. JORDAN: Very well.

17 MR. CHARNOFF: Mr. Chairman, I don't know whether
18 this is the right time to do it or perhaps it would be appro-
19 priate for final argument, but I would simply like to offer
20 with respect to the specific question asked by Dr. Jordan at
21 the very end, namely, what would happen with regard to a
22 cesium processing plant, that in this hearing we are not
23 examining, as I understand the regulations and the Commission's
24 memorandum in Calvert Cliffs, we are not conducting a
25 general rule-making hearing as to the validity of Part 20

1 independent of the plant that we are examining.

2 And while I understand Dr. Jordan's question to
3 elicit a certain response, I think that there is a legal
4 framework in which this Board has to evaluate the issue as
5 posed by LIFE.

6 I would like to go on at length about this at some
7 appropriate time and it may not be now, it may be in final
8 argument. But I know we have had a number of opportunities
9 where this question has almost been touched upon. And I
10 would submit that there is certainly not a clear statement by
11 the Board as to how it understands this issue in this
12 hearing.

13 I would submit too that insofar as there are
14 hints in the transcript as to what the Board's understanding
15 is, that in my judgment the Board is in error in looking at
16 this as a Part 20 issue without regard to the issue which is
17 the subject of this hearing.

18 DR. JORDAN: Mr. Charnoff and I have brushed across
19 this a time or two before and I agree that there is somehow
20 or other some misunderstanding. And I believe, Mr. Chairman,
21 that it would be well at some time soon to get this mis-
22 understanding cleared up. Whether this is the appropriate
23 time or not, I don't know.

24 CHAIRMAN SKALLERUP: There are two matters
25 involved. One may be the existence of a misunderstanding.

1 The other is trying to understand what Dr. Goldman meant.
2 And I think there is nothing wrong in asking that kind of
3 question.

4 MR. CHARNOFF: No, and I didn't object to the
5 question.

6 DR. JORDAN: I think I am all right on what Dr.
7 Goldman meant, I now understand that. But Mr. Charnoff
8 brings up the same question we had before, what is under
9 contention.

10 MR. CHARNOFF: We have had this question touched
11 upon a little bit in the transcript and a little bit at
12 bench conference. I would submit that a careful reading
13 of the Calvert Cliffs memorandum is in order to establish what
14 it is that we are looking at in this case. And whether this
15 is the time to do it, Mrs. Bleicher is not here, so perhaps
16 this is not the right time to do it.

17 I would simply like to note for the record that
18 this is not an objection to Dr. Jordan's question, it was a
19 helpful question, but in terms of understanding the
20 issue in this case, that this Board is to look at and that we
21 are to in effect litigate, I would submit to you that the
22 few remarks that have been made and that appear on the
23 record don't suggest at all that the Board or perhaps the
24 parties have quite clearly focused on the extent to which a
25 Part 20 challenge is appropriate in a licensing hearing, as

1 set forth by the Commission in the Calvert Cliffs proceeding.

2 CHAIRMAN SKALLERUP: Well, it would seem to me,
3 Mr. Charnoff, that we ought to have the Intervenors
4 present before we discuss this.

5 And secondly, I think on the face of it, the time
6 to discuss it, the appropriate time to discuss it, would be
7 when Mrs. Bleicher, as she suggested this morning in our
8 conference, raises questions about burden of proof.

9 MR. CHARNOFF: I don't know that it is related
10 to burden of proof. But I would agree certainly we ought
11 to argue this out on the record before you when Mrs.
12 Bleicher is present. Because I think it is a critical question
13 and I don't think we have sharpened this issue at least to
14 the point where we all understand each other's positions
15 or to where we are all in agreement.

16 CHAIRMAN SKALLERUP: Apart from whether we are in
17 agreement as to what Calvert Cliffs said too.

18 MR. CHARNOFF: I won't comment.

19 CHAIRMAN SKALLERUP: We will take a 10-minute
20 break.

(Recess.)

End #241

22

23

24

25

DB12 Inl 1

CHAIRMAN SKALLERUP: Will the hearing please come
to order.

I have been requested to advise the audience that
there is a Chrysler outside with plate 6771 C and the lights
are on.

Mr. Engelhardt.

MR. ENGELHARDT: Mr. Chairman, I have two pre-
liminary matters to begin our rebuttal. One deals with a
question raised by Dr. Jordan before the luncheon recess with
regard to the applicability of a regulation recently published
by the Commission, published in the Federal Register at
Volume 35, page No. 19567.

It was published in the issue of the Federal
Register dated December 24, 1970. I would like to ask
Mr. Robert Tedesco, who has been sworn and been a witness
in this proceeding, to state the extent to which the applica-
tion for the Davis-Besse construction permit complies with
the provisions of that amended regulation.

Whereupon,

ROBERT TEDESCO

was recalled as a witness on behalf of the applicant and,
having been previously duly sworn, was examined and testified
as follows:

DIRECT EXAMINATION

MR. TEDESCO: Mr. Chairman, our review of the
Davis-Besse project included those aspects associated with the

XXXXXX 24

25

ln2 1 station emergency plan.

2 To cope with unlikely emergency conditions
3 affecting on and off-site activities that may occur during
4 the lifetime of the facility. Information in this regard
5 was requested from the applicant in Question 8.1 on February 12,
6 1970.

7 The information that we requested was received in
8 Amendment 3 dated April 22, 1970, and appear in Section 12.4.1
9 of the PSAR. On December 24, 1970, the Atomic Energy Commis-
10 sion published Appendix E to 10 CFR 50 entitled, "Plans for
11 Coping with Emergencies."

12 In this appendix the information that applicants
13 should provide in their application for a license was iden-
14 tified. Our review of the Davis-Besse project was completed
15 on November 2, 1970, which was the date of our Safety Evalua-
16 tion. Our comments on this matter are given in Section 10.4
17 of our Safety Evaluation.

18 However, we have reviewed the information supplied
19 by the applicant in terms of its applicability to meet the
20 Appendix E. It is our conclusion that the
21 information provided in Section 12.4.1 of the PSAR satisfies
22 the intent of Appendix E. In this regard, we cite II,
23 of Appendix E, entitled, "Preliminary Safety Analysis Report."

24 There are listed seven categories. The first
25 category in Title A relates to the organization

ln3

1 for coping with emergencies. This information can be found in
2 12.4.1 of the PSAR.

3 Category B relates to contacts and arrangements
4 to be made with state and local and federal agencies. This
5 information may be found in Section 12.4.1 of the PSAR.

6 Category C relates to measures to be taken within
7 and outside the site. This information may be found in
8 Section 12.4.1.1, 12.4.1.2, 12.4.1.3 and 12.4.1.4.

9 Category D relates to features of the facility
10 to be provided for on-site emergency and transportation to
11 off-site areas. This information is available in Section
12 12.4.1.6 of the application.

13 Category E relates to provisions for emergency
14 treatment and that information is available in Section 12.4.1.6.

15 Category F relates to the training program and
16 this information is described in Section 12.4.1 of the applica-
17 tion.

18 The last category is Category G and it relates to
19 features to assure the capability for evacuation if necessary
20 and this information is contained in Section 12.4.1.2 and 5
21 the application.

22 CHAIRMAN SKALLERUP: Mr. Tedesco, would you please
23 check the citations you gave against the Transcript when you
24 receive it tonight and let us know if there are any changes.

25 MR. TEDESCO: Yes, sir.

In4 1

CHAIRMAN SKALLERUP: Thank you.

2

MR. ENGELHARDT: Mr. Chairman, there is one other matter that I would like to provide for the record.

4

Earlier today the applicant offered as I believe Exhibit 6 a letter from Mr. Packard, Acting Secretary of Defense, to Mr. Davis of the Toledo Edison Company.

7

This letter was transmitted to the Regulatory Staff under cover of a letter from Mr. Carl Walske, Assistant to the Secretary of Defense for Atomic Energy.

10

To complete the circuit and to assure that the record is clear that the Atomic Energy Commission has received a copy of this letter from Mr. Packard directly from the Department of Defense, I would like to offer the transmittal letter as Staff Exhibit 3.

15

I identified this transmittal letter as a letter dated 19 January 1971 addressed to Dr. Peter A. Morris, Director, Division of Reactor Licensing, signed by Carl Walske, Assistant to the Secretary of Defense, Atomic Energy.

19

MR. CHARNOFF: Would it be well to have that letter read into the Transcript, Mr. Chairman, in light of the fact that the Secretary Packard letter was read into the record?

22

23

CHAIRMAN SKALLERUP: Yes.

end 12 24

#13

25

MR. ENGELHARDT: I will ask Mr. Tedesco to read that letter. We have sufficient copies to provide for all

ln5

1 parties and to the Board.

2 CHAIRMAN SKALLERUP: Would you distribute them
3 first, please?

4 MR. TEDESCO: The letter is dated 19 January, 1971
5 from the Office of the Secretary of Defense, Washington, D. C.,
6 20301. The letter is to Dr. Peter A. Morris, the Director,
7 Divisions of Reactor Licensing, U. S. Atomic Energy Commission,
8 Washington, D. C., 20545.

9 "Dear Dr. Morris:

10 During the recent public hearings concerning the
11 proposed Davis-Besse Nuclear Power Station, several questions
12 arose with regard to the control of military aircraft on
13 training flights originating at Lockbourne Air Force Base,
14 Ohio. On January 14, 1971, Mr. Packard, Deputy Secretary of
15 Defense, wrote to Mr. Davis, President of the Toledo Edison
16 Company, confirming the Department of Defense's awareness of
17 the plans for the construction and operation of the Davis-Besse
18 facility as well as the operational constraints now in effect
19 for Air Force training flights in the vicinity of the proposed
20 nuclear plant site. I am forwarding as an enclosure a copy
21 of Mr. Packard's letter for your information.

22 Sincerely,

23 /s/ Carl Walske

24 Carl Walske

25 Assistant to the Secretary

of Defense (Atomic Energy) "

ln6

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHAIRMAN SKALLERUP: It is so ordered as Staff

Exhibit 3.

(The document referred to was marked Staff Exhibit No. 3 for identification and received in evidence.)

XXXXXX

MR. ENGELHARDT: Mr. Chairman, I would like to call as our first rebuttal witness, Mr. Lester Rogers.

He has not previously been sworn and I would ask you to administer the oath.

Whereupon,

LESTER ROGERS

was called as a witness on behalf of the Atomic Energy Commission and, having been first duly sworn, was examined and testified as follows:

XXXXXX

DIRECT EXAMINATION

BY MR. ENGELHARDT:

Q Mr. Rogers, would you please state your name, your address, and give a summary of your present responsibilities and your educational and professional qualifications?

A My name is Lester Rogers. My address is U. S. Atomic Energy Commission, Bethesda, Maryland. I am Director, Division of Radiological and Environmental Protection, U. S. Atomic Energy Commission.

In this position I am responsible for the development

ln7

1 of regulations designed to limit exposures of workers and
2 the general public to radiation from materials and activities
3 licensed by the Atomic Energy Commission and for the implemen-
4 tation of those requirements of the National Environmental
5 Policy Act of 1969 directed to the preparation of environmental
6 statements required for AEC licensed activities.

7 I hold a bachelor of science degree in chemistry
8 and mathematics from the University of Southern Mississippi,
9 graduate level studies include completion of a one-year
10 National Research Council fellowship in radiological physics
11 (health physics) at Oak Ridge National Laboratory and courses
12 in physical chemistry and mathematics at Tulane University and
13 the University of Tennessee, respectively. I am a certified
14 health physicist, American Board of Health Physics, 1960.

15 I am a member of Committee 4, International
16 Commission on Radiological Protection. I am also a member of
17 the Technical Electronic Product Radiation Safety Standards
18 Committee, Department of Health, Education and Welfare.

19 My professional experience totals 20 years. This
20 experience includes one year on the faculty of Ohio State
21 University as Superintendent, Office of Radiation Safety;
22 two years as Chief, Health Physics and Safety Division, U. S.
23 Army Chemical Center, Edgewood, Maryland; and 17 years in
24 radiation protection programs with the Atomic Energy Commission.

25 Thirteen years of this experience has been with the

ln8 1 AEC Regulatory Program in the development of radiation pro-
2 tection standards. Experience in the Atomic Energy Commission
3 includes positions as Chief, Licensing Branch, Isotopes
4 Division, Oak Ridge, Tennessee; Assistant Director for
5 Materials Standards, Division of Licensing and Regulation;
6 U. S. AEC Scientific Representative for South America, Buenos
7 Aires, Argentina; Deputy Director, Division of Radiation
8 Protection Standards, U. S. AEC, Washington, D. C.; Director,
9 Division of Radiological and Environmental Protection (formerly
10 the Division of Radiation Protection Standards).

11 I have previously served as Chairman of the Federal
12 Interagency Committee on Regulations for Transport of Radio-
13 active Materials; as a member of Subcommittee 10, National
14 Council on Radiation Protection and Measurements; consultant
15 to the International Atomic Energy Agency (IAEA) on Toxicity
16 Classifications for Radionuclides; and U. S. representative
17 on IAEA panels to develop regulations for the safe transport
18 of radioactive materials.

19 Q Mr. Rogers, are you familiar with the allegations
20 of LIFE with respect to the inadequacies of 10 CFR Part 20?

21 A Yes.

22 Q Are you also familiar with the testimony of
23 Dr. Sternglass and Dr. Tamplin at this hearing concerning the
24 deficiencies as they see it of 10 CFR Part 20 limits.

25 A Yes, I am familiar with it.

9

ln

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q Would you please discuss the basis for the Atomic Energy Commission regulations found in 10 CFR Part 20 that relate to radioactive releases and how these regulations are applied to control releases of radioactivity from nuclear power reactors during normal operations to assure the public health and safety?

end

DR 14

rth 1

1 MR. ROGERS: The construction and operation of
2 nuclear power plants in the United States is carried
3 out under a comprehensive Federal program of licensing and
4 regulation administered by the Atomic Energy Commission. The
5 program is designed to protect health and safety from exposure
6 to ionizing radiation that may result from radioactivity
7 reaching the environment either from accidental releases
8 or in effluents released during the normal operation of
9 nuclear facilities. This testimony is limited to a dis-
10 cussion of regulations that apply to the controlled release
11 of radioactivity in air and water.

12 The regulatory framework for controlling levels
13 of radioactivity in effluents from nuclear power plants is
14 set out in the Commission's regulations Part 20 and Part 50
15 published under Title 10 of the Code of Federal Regulations.
16 Part 20, "Standards for Protection Against Radiation,"
17 sets the general standards for protection against radiation,
18 including limits on levels of radioactivity released to the
19 environment.

20 Part 50, "Licensing of Production and Utilization
21 Facilities," establishes general design, construction, and
22 operating requirements for nuclear power plants and other nuclear
23 facilities. It also sets forth requirements for obtaining
24 a permit to construct and a license to operate a nuclear
25 power plant. Each of these regulations, their interrelation-
ship in controlling releases of radioactivity to the environ-

rms 2
1 ment, and their implementation in the licensing process will
2 be discussed.

3 First I would like to discuss the basis of the AEC
4 Regulatory standards. An understanding of the integrity of
5 the system within which radiation protection standards
6 have been developed is fundamental to an understanding and
7 evaluation of the validity of the standards. The formal procedures
8 and scientific bases for developing and establishing standards
9 for protection against ionizing radiation are among the
10 most comprehensive of any applied to environmental stresses.

11 The scientific information required in radiation
12 protection standards setting activities is developed
13 through investigations and analyses by the medical and
14 scientific communities throughout the world and provides the
15 basis for recommendations by various standards setting bodies.

16 The National Academy of Sciences in the United
17 States, the Medical Research Council in the United Kingdom,
18 and the United Nations Scientific Committee on the Effects of
19 Atomic Radiation have played a particularly outstanding
20 role in evaluating the available data on biological effects
21 and estimating risks from exposure to ionizing radiation. These
22 bodies have issued comprehensive reports on the biological effects
23 of ionizing radiation that form, in large part, the scientific
24 basis for the standards.

25 The general radiation protection standards,

rms 3

1 applicable to all licensed activities, set forth in
2 Part 20 were first published as an effective regulation in
3 1957. At the outset the Part 20 regulation was based on
4 the recommendations of the National Council on Radiation
5 Protection and Measurements (NCRP) and the International
6 Commission on Radiological Protection (ICRP).

7 Since 1959 official guidance for control
8 of exposures to radiation has been provided to
9 Federal agencies through recommendations of the Federal
10 Radiation Council (FRC), established in 1959. The FRC is
11 directed to advise the President "...with respect to radiation
12 matters, directly or indirectly affecting health, including
13 guidance for all Federal agencies in the formulation of
14 radiation standards...". The basic recommendations of the
15 FRC, NCRP and ICRP are mutually compatible.

16 The Federal Radiation Council recommends a radiation
17 protection guide of 0.5 rem per year for whole body exposure
18 of individual members of the public. For the total popu-
19 lation, it is recommended that the average genetically signifi-
20 cant exposure should not exceed 5 rems in 30 years or an
21 average annual exposure of 170 millirems per year.

22 For purposes of controlling levels of radioactivity
23 in the environment, the Federal Radiation Council provides that,
24 as an operational technique, where it is impractical to
25 determine individual radiation doses, exposures will be
considered to meet radiation protection guides, if the

rms 4 1 estimated average doses to a suitable sample of the
2 exposed population do not exceed one-third of the radiation
3 protection guides applicable to individual members of the
4 public or 170 millirems per year for whole body exposure.
5 The FRC guides are not intended to apply to radiation exposure
6 resulting from natural background or the purposeful exposure
7 of patients by practitioners of the healing arts.

8 In discussing these standards, it is helpful to
9 compare them with radiation exposures that we all incur from
10 natural background radiation. Such a comparison appears
11 in Exhibit 1.

12 MR. ENGELHARDT: Mr. Chairman, we have three
13 exhibits appended to this testimony. I would propose to
14 defer the offer of these exhibits until the witness has
15 completed his presentation of the testimony, unless the
16 Board would find it more convenient for the record if
17 we identified and offered these exhibits as they are identified
18 in the testimony,

19 CHAIRMAN SKALLERUP: The Board will go off the
20 record.

21 (Discussion off the record.)

22 CHAIRMAN SKALLERUP: On the record.

23 THE WITNESS: In addition to the numerical guidance
24 on dose limits, ICRP, NCRP and FRC have generally recommended
25 that exposure to radiation be kept as low as practicable.
The ICRP adds "...that it is important to ensure that no

rms 5
1 single type of population exposure takes up a disproportionate
2 share of the total."

3 The ICRP and NCRP have published tables of recommended
4 maximum permissible concentrations of radionuclides in air
5 and water. These concentrations are estimated to be the
6 highest concentrations of the respective radionuclides which
7 may be permitted in air or water used continuously by a
8 "standard" man without resulting in a radiation dose that
9 would exceed a maximum permissible occupational dose. For
10 application to individual members of the general public
11 these limits are reduced by a factor of 10. In its Report
12 No. 1, the Federal Radiation Council recommended that
13 concentration guides then in use by Federal agencies, i.e.,
14 the maximum permissible concentrations published by the
15 ICRP or NCRP, be used on an interim basis.

16 In its Report No. 2, the FRC included specific
17 guidance for exposures of the general public to strontium-89,
18 strontium-90, iodine-131, and the radium-226 that
19 differed from the then current recommendations of the ICRP
20 and NCRP. Subsequent modifications of ICRP and NCRP limits
21 have eliminated some of these differences.

22 These are the basic guidelines within which the
23 AEC regulations to control releases of radioactivity to the
24 environment have been formulated.

25 It is noted that under the President's Reorgani-

rms 6

1 zation Plan No. 3 which became effective on December 2,
2 1970, the functions of the FRC were transferred to the
3 new Environmental Protection Agency. Also transferred to
4 EPA is that part of the AEC's authority, as administered by
5 its Division of Radiation Protection Standards, to develop and
6 set generally applicable environmental radiation standards
7 for the protection of the general environment. The AEC
8 continues to have the responsibility for the implementation
9 and enforcement through its licensing and regulatory authority
10 of the radiation standards developed by EPA.

11 Now I would like to discuss the Part 20 provisions
12 on releases of radioactivity in effluents. The objectives
13 of the Commission's regulatory program as related to the
14 to the protection of the environment from releases of
15 radioactivity in effluents from the normal operation of
16 nuclear facilities are:

17 (1) to limit releases of radioactivity to the
18 environment from each nuclear facility or other licensed
19 activity so that exposures of the general public to ioniz-
20 ing radiation from the cumulative effects of all licensed
21 atomic energy activities, when added to exposures from
22 other sources, are not likely to exceed radiation pro-
23 tection guides recommended by the FRC and approved by
24 the President;

25 (2) to provide reasonable assurance that levels

rms 7

1 of radioactivity added to the environment are well
2 below levels that could result in perceptible adverse
3 effects on the ecology of the environment; and

4 (3) to provide reasonable assurance that appropriate
5 efforts are made to keep releases of radioactive materials
6 in effluents to unrestricted areas as far below
7 limits specified in the regulations as practicable.

8 For purposes of regulations, the AEC has considered
9 it impractical to impose legal limits on licensees expressed
10 as dose to individuals in the population or to population
11 groups. Rather, regulatory requirements are formulated as
12 limits on concentrations and/or quantities of radioactivity
13 in air and water effluents released to the environment. The
14 requirements are designed to provide reasonable assurance
15 that resultant exposures of individual members of the public
16 generally and of the population as a whole from nuclear
17 activities from all important pathways of exposure are well
18 within recommended radiation protection guides.

19 Appendix B to Part 20 regulations lists, for approxi-
20 mately 250 radionuclides, limits on concentrations
21 in air and water which, with few exceptions, are one-
22 tenth of the most restrictive maximum permissible concentrations
23 for a 168-hour week listed in ICRP Publication 2. Concen-
24 trations listed for strontium-89, strontium-90,
25 radium-226, and various radionuclides of iodine are

rms 8

1 derived from recommendations of the FRC contained in its
2 Report No. 2. Where there is a mixture of radionuclides
3 in effluent air or water, the sum of the respective ratios of
4 actual concentration to concentration limit must not exceed
5 unity.

6 Concentration limits specified in the Part 20
7 regulation are applicable to average concentrations in
8 air or water as released to the environment; that is, at
9 the boundary of the area to which access is controlled by the
10 licensee for purposes of protection of individuals from
11 exposure to radiation and radioactive materials. Concen-
12 trations may be averaged over a period of time not greater
13 than one year. Average concentrations to which individual
14 members of the public may be exposed are substantially less.

15 In practice, types and quantities of radioactive
16 materials released and dilution in the environment are
17 such that resultant radiation doses to the most highly
18 exposed individuals are small fractions of applicable
19 radiation protection guides, and average exposures of
20 population groups are much lower.

21 The radiation dose limits recommended by the ICRP
22 and NCRP and the radiation protection guides established
23 by the Federal Radiation Council apply to total exposures to
24 all sources of radiation except natural background and medical
25 procedures. The limits applied by the AEC under the provisions

rms 9

1 of Part 20, to concentrations of radioactivity in
2 effluents make it improbable that radiation doses
3 to the public from such radioactivity will exceed small fractions
4 of limits applicable to total exposures from all sources of
5 interest. It is necessary, however, for the AEC and other
6 regulatory agencies to keep in mind the possibility that
7 some combination of separately regulated sources of exposure
8 might result in total doses in excess of these limits.

9 This possibility is of especial concern in the
10 regulation of nuclear facilities (e.g., uranium processing
11 mills, reactor fuel chemical reprocessing plants and nuclear
12 power plants) which may release large volumes of air or water
13 containing a mixture of radionuclides. In such cases
14 the total quantity of each type of radionuclide released may
15 be more critical with respect to limiting exposures of the
16 public than are concentrations in effluent air and water.

end 14

17
18
19
20
21
22
23
24
25

1 Part 20 clearly recognizes this concern in pro-
2 viding that, in addition to limiting concentrations in
3 effluent streams, the Commission may limit total quantities
4 of radioactive materials released in effluents during a speci-
5 fied period of time if it appears that in any situation the
6 daily intake of radioactive material from all pathways of
7 exposure (air, food and water), by a suitable sample of an
8 exposed population group, averaged over a period not exceeding
9 one year would otherwise exceed the daily intake resulting
10 from continuous exposure to air or water containing one-third
11 the concentration of radioactive material specified as limits
12 in the regulations. In effect, this provision would limit the
13 dose to the critical organ of the suitable sample of an
14 exposed population group from all sources of exposure to
15 one-third the dose limit for individuals in the population
16 recommended by the FRC, NCRP and ICRP.

17 It is intended that this provision of the regulation
18 be implemented in the licensing process if it appears
19 likely that sufficiently large quantity of radioactivity will
20 be released that exposures to people offsite will be a
21 significant fraction of radiation protection guides. In
22 such cases, it would be necessary to make an assessment of
23 the types and quantities of radionuclides released, their
24 chemical and physical behavior in the environment, including
25 biological concentration factors, important pathways to

1 humans, population groups likely to be exposed and predict
2 doses to such groups. Quantity limits based on such a
3 study would then be derived so that actual exposures to the
4 public from all pathways would be well within radiation
5 protection guides.

6 For some nuclear activities it may not be practicable
7 to comply with the concentration limits at the point of
8 release from a restricted area as specified in the regulation.
9 The regulation provides for Commission approval of concen-
10 tration limits higher than those specified in the regulation
11 on a case-by-case basis provided the applicant demonstrates
12 that he has made a reasonable effort to minimize the
13 radioactivity contained in effluents to unrestricted areas
14 and that exposures of individuals and of a suitable sample of
15 exposed population groups do not exceed the exposure criteria
16 specified in the regulation.

17 In administering the regulatory program, the
18 Commission also subscribes to the general principle that,
19 within radiation protection guides, radiation exposures to
20 the public should be kept as low as practicable. This general
21 principle has been a central one in the field of radiation
22 protection and the nuclear industry for many years. Experience
23 shows that licensees have generally kept exposures to
24 radiation and releases of radioactivity in effluents to
25 levels that are well below Part 20 limits.

1 The Commission published on December 3, 1970,
2 amendments to Part 20 that expresses in the regulation the
3 intent that consistent with FRC guidance all AEC licensees
4 should make every reasonable effort to maintain radiation
5 exposures, and releases of radioactive materials in effluents
6 to unrestricted areas, as far below the limits specified in
7 Part 20 as practicable. I will later discuss amendments
8 to Part 50 that were published at the same time to improve
9 the regulatory framework to further assure that radioactivity
10 in effluent releases from nuclear power reactors are
11 maintained as low as practicable.

12 The implementation of this general principle will
13 help to assure that any one class of activity does not
14 contribute a disproportionate share of total exposure to the
15 public and the cumulative effects of all sources of exposures
16 will remain well within radiation protection guides.

17 Now I would like to speak more specifically to
18 the application of Part 20 and Part 50 in the licensing of
19 nuclear power plants.

20 I have discussed the Part 20 general standards
21 for the control of radioactivity in effluents released to
22 the environment from nuclear facilities. I would now like to
23 discuss more specifically how these standards are applied
24 in the licensing process for nuclear power plants.

25 The Part 50 regulation requires a utility to apply

1 to the Commission for a permit to construct and for a license
2 to operate a nuclear facility. Prior to issuance of a
3 construction permit, the applicant is required to provide
4 detailed information concerning the proposed site including
5 population distribution near the site, meteorology, hydrology,
6 and special environmental conditions. For liquid effluents
7 the information includes an analysis of surface drainage,
8 dilution provided in bodies of water, water usage and possible
9 reconcentration of radionuclides in aquatic life that may be
10 an important pathway to exposure of people. For gaseous
11 effluents information is provided on such factors as wind
12 speed, wind direction and persistence, severe weather condi-
13 tions and topographic features. Information on the design
14 and operation of radioactive waste treatment and fission
15 product removal systems is also provided. Preoperational
16 and operational monitoring programs for both onsite and
17 offsite are described in detail to demonstrate that reliable
18 data will be developed on any increase in environmental
19 levels of radioactivity. This information is provided to
20 demonstrate that radioactive material from both accidental
21 and normal releases can be controlled.

22 The proposed site is evaluated by the regulatory
23 staff to ascertain its suitability for a specific nuclear
24 power station. As a practical matter the suitability of a
25 site for a particular reactor is governed primarily by

1 primarily by considerations related to accidental releases.
2 The waste treatment technology available for controlling
3 planned routine releases is capable of limiting the quantities
4 of radioactivity to such low levels that such releases are
5 not an important factor in site selection. However, the
6 detailed environmental data developed are useful for evaluating
7 the consequences of either accidental or normal releases of
8 radioactivity.

9 The information on environmental parameters and
10 the design of the waste treatment system submitted by the
11 applicant is analyzed and in many areas independent calculations,
12 based on conservative models, are performed to verify the
13 validity of the applicant's conclusions.

14 The expertise of other Federal agencies in such
15 fields as meteorology, hydrology, and ecology is brought
16 to bear in the safety reviews. The U. S. Fish and Wildlife
17 Service recommendations are requested on potential radiological
18 effects on aquatic life and wildlife, the technical
19 capabilities of the U. S. Geological Survey is regularly
20 used with respect to the hydrological aspects of the site
21 and of the U. S. Weather Bureau with respect to meteorology.
22 Experts from AEC national laboratories, universities and
23 private organizations are routinely consulted on special
24 problems. The design of the reactor and environmental
25 aspects of its operation are also reviewed by the independent

1 statutory Advisory Committee on Reactor Safeguards.

2 Now I would like to discuss the derivation of
3 limits on radioactive material in liquid and gaseous
4 effluents.

5 In licensing the operation of a nuclear power
6 plant, an upper operating limit is established in the license
7 on concentrations or quantities of radioactive material in
8 liquid and gaseous effluents.

9 Where several nuclear power reactors or other
10 nuclear facilities are located on a single site, the combined
11 releases of radioactivity from normal operations from all
12 facilities at that site may not exceed Part 20 limits or
13 facility license conditions implementing these limits.

14 This means that for gaseous releases the cumulative
15 total release limit established for the site would be the
16 same regardless of the number of reactors located on the site
17 (i.e., as the number of facilities at the site increases,
18 the internal limits on the several facilities are adjusted
19 so that the total release limit for the site is not exceeded).
20 The Part 20 limits on concentrations of radionuclides in
21 liquid effluents released from the site are also the same
22 regardless of the number of reactors on a site.

23 I want to emphasize that the release limits
24 established in the license as technical specifications are
25 upper limits beyond which the reactor is not allowed to

1 operate. The Part 50 regulation as amended effective
2 January 2, 1971 provides, among other things, that in order
3 to keep releases of radioactive materials to unrestricted
4 areas during normal reactor operations, including expected
5 operational occurrences, as low as practicable, each license
6 authorizing operation of a nuclear power reactor will include
7 technical specifications requiring that operating procedures
8 for the control of effluents be established and followed and
9 that equipment installed in the radioactive waste system be
10 maintained and used. The technical specifications will also
11 require the submission of a report to the Commission every
12 six (6) months specifying the quantity of each of the principal
13 radionuclides released to unrestricted areas in liquid and
14 gaseous effluents during the previous six (6) months of
15 operation, and such other information as may be required by
16 the Commission to estimate maximum potential annual radiation
17 doses to the public resulting from effluent releases. If
18 quantities of radioactive materials released during the
19 reporting period are significantly above design objectives,
20 the report shall cover this specifically. On the basis of
21 such reports and any additional information the Commission
22 may obtain from the licensee or others, the Commission may
23 from time to time require the licensee to take such action
24 as the Commission deems appropriate.

25 In establishing and implementing the operating

1 procedures, the licensee shall be guided by the following
2 considerations: Experience with the design, construction
3 and operation of nuclear power reactors indicates that com-
4 pliance with the technical specifications described above
5 will keep average annual releases of radioactive material
6 in effluents at small percentages of the limits specified
7 in Part 20 and the operating license. At the same time, the
8 licensee is permitted the flexibility of operation, compatible
9 with considerations of health and safety, to assure that the
10 public is provided a dependable source of power even under
11 unusual operating conditions which may temporarily result in
12 releases higher than such small percentages, but still
13 well within the limits specified in Part 20 and the operating
14 license. It is expected that in using this operational
15 flexibility under unusual operating conditions, the licensee
16 will exert his best efforts to keep levels of radioactive
17 material in effluents as low as practicable.

18 Specifically as related to noble gases, external
19 exposure from gaseous releases is due almost entirely to
20 isotopes of the noble gases of xenon and krypton. In deriving
21 the release rate limits, "annual average site meteorology"
22 based on site data is determined and a total dilution factor
23 is derived from the meteorology, topography, stack air flow
24 and elevation and site boundary distance. The release rate
25 is derived so as to limit the annual average exposure rate

1 at the site boundary or at the point of maximum ground level
2 exposure offsite (whichever is more restrictive) to not more
3 than 500 millirems per year from external radiation. This
4 means that if the reactor were releasing radioactive gases
5 at the limit, an individual present outdoors on the site
6 boundary or other point of highest exposure rate offsite
7 24 hours a day, 365 days a year is not likely to receive an
8 external whole body exposure in excess of 500 millirems per
9 year.

10 Nuclear power reactor waste treatment systems are
11 designed to limit releases of radioactivity in effluents
12 to small percentages of AEC limits. It is not expected that
13 actual releases will approach the upper limits during normal
14 operations. However, it is of interest to examine theoretical
15 estimates of the potential annual average radiation dose that
16 the population living in the vicinity of nuclear power plants
17 could receive if the plants did release noble gases at the
18 limit.

19 Theoretical values of the dose from zero altitude
20 releases of beta-emitting isotopes typical of pressurized
21 water reactors (PWR) and 100-meter stack releases of gamma-
22 emitting isotopes typical of boiling water reactors (BWR)
23 normalized for a dose rate of 500 millirems per year at a
24 site boundary distance of 500 meters (.31 miles) are
25 shown in Exhibit II. The dose rates shown are for outdoors.

ty 10

1 Gamma dose rates indoors would be less perhaps by a factor of
2 two depending on the shielding properties of the building.
3 The dose rates become smaller with increasing distance from
4 the source. At a distance of 15 miles the theoretical dose
5 rates would be about 2.5 millirems per year for a BWR and
6 about 1 millirem per year for a FWR. At distances beyond 30
7 miles and 20 miles, respectively, the dose rates would be
8 less than 1 millirem per year.

9 The theoretical average annual dose to the
10 population living in the vicinity of these power plants, if
11 noble gases were released at the limit, are functions of the
12 population distribution with respect to the wind direction
13 frequency distributions and the distance from the emitting
14 point from the site boundary where the controlling dose
15 rate of 500 millirems per year exists (dose rates at other
16 locations on the site boundary would be equal to or less than
17 500 millirems per year). Using realistic population distribu-
18 tions and wind direction frequencies for 13 different power
19 reactor sites, the theoretical average population dose rate
20 for the whole population included within a circle with a
21 radius of 50 miles of these plants would be approximately 1
22 millirem per year.

23 Actual operating experience for theirteen (13) nuclear
24 power plants in 1969 is shown in Exhibit III. This experience
25 shows that eight (8) of the plants released less than 0.1

1 percent of the limit; three (3) plants released 1 percent
2 (1%) or less of the limit; one (1) plant released 3.6
3 percent of the limit; and one (1) plant released 31 percent
4 of the limit. It is estimated that average exposures to
5 the total population living within a radius of 50 miles of
6 these plants were less than one-one hundredth (0.01) of
End #157 1 millirem.

8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DB16

ln1¹

2 To control exposures from airborne radioactiv-
3 materials that may enter terrestrial food chains, the calcula-
4 tions of stack release limits for halogens (primarily radio-
5 iodines), and particulates with a half-life greater than eight
6 days include a reduction factor of 700 applied to Part 20
7 air concentrations. These materials are leased in such small
8 quantities that they contribute very little to external
9 exposure or to exposure by inhalation of the materials in air.

10 Although this factor of 700 was derived for
11 iodine-131 in milk, it is applied as a measure of conservatism
12 to all radionuclides in particulate form with a half-life
13 greater than eight days. The release rate for iodine-131 is
14 sufficiently conservative that an individual could receive his
15 entire milk supply from cows grazing near the point of highest
16 iodine deposition. The radiation exposure to the thyroid of
17 such an individual would be less than 1.5 rems per year, if
18 the reactor was operating at the upper limit.

19 Experience has shown that actual releases of
20 iodine from power reactors have been less than a few percent
21 of limits. Environmental monitoring programs around power
22 reactors have shown no measurable exposures to the public from
23 iodine-131 or particulates.

24 Liquid Releases.

25 Licenses authorizing the operation of nuclear
power reactors limit concentrations in liquid effluents in

In2

1 the condenser coolant discharge canal prior to release offsite
2 to concentrations given in Appendix B, Part 20. The concen-
3 tration permitted for any one radioisotope must take into
4 account other radioisotopes that may be present. Under this
5 requirement an individual member of the general public could
6 obtain all his drinking water supply from the power reactor
7 condenser coolant discharge canal without exceeding radiation
8 protection guides developed by the FRC, the NCRP and the ICRP.

9 If the licensee desires to compute the gross
10 activity limit taking into account only those radionuclides
11 known to be present in the mixture, he must determine the
12 radioisotopic composition of the radioactivity in the effluent.

13 The licensee may elect to forego some or all of
14 such determinations if he uses more restrictive limits which
15 assume that all of the unidentified radioisotopes in the
16 mixture have the same concentration limit as does the most
17 restrictive radioisotope which has not been determined to be
18 absent from the unidentified portion of the mixture.

19 The limit of 1×10^{-7} uc/ml selected by most
20 of the licensees is sufficiently restrictive that it can be
21 used for any mixture of fission and corrosion products
22 without any identification of the specific radionuclides
23 present in the mixture. The typical radionuclides present in
24 water effluents from power reactors are such that, if the
25 licensee wishes to identify them and measure their

ln3

1 concentrations by radioisotopic analysis, limits which are
2 less restrictive than 1×10^{-7} uc/ml by a factor of 100 or more
3 could be selected.

4 A rough assessment can be made of the potential
5 exposure through drinking water supply and food pathways from
6 radioactivity released in liquid effluents by considering
7 the isotopic ratios of the principal radionuclides present in
8 water cooled power reactor liquid effluents (e.g., Cs-137,
9 I-131, I-133, Sr-90, Sr-89, Na-24, BaLa-140, Mo-99, Co-60,
10 Co-58, Mn-56, CR-51), and then by considering known biological
11 concentration factors in salt and fresh water organisms, and
12 dietary habits.

13 Such an assessment indicates that if the concentra-
14 tion of radionuclides commonly present in power reactor
15 effluents do not exceed an annual average concentration of $1 \times$
16 10^{-7} uc/ml, in the condenser coolant discharge canal, the
17 value used by most operating power reactors, no environmental
18 dilution would be required to permit an individual to obtain
19 his entire drinking water supply from the effluent and ingest
20 150 grams of fish per day, grown in the effluent -- an average
21 of one-half pound per meal for approximately 240 meals per
22 year -- without exceeding about one-third the FRC radiation
23 protection guide for an individual in the population.

24 Quantities of effluent water returned to the
25 environment from nuclear power reactors are so large that the

ln4

1 quantities of radioactivity which the operator of the reactor
2 is likely to release in water result in concentrations very
3 small compared to the limits specified in the regulations.
4 Taking into account the large factors of environmental dilution
5 normally available, the quantities of radionuclides released
6 are generally too small to result in measurable exposures of
7 the public from any pathway of exposure.

8 Environmental monitoring programs carried out by
9 licensees, State Health Departments, the Division of
10 Surveillance and Inspection of the Radiation Office, EPA,
11 formerly in the Bureau of Radiological Health of the U. S.
12 Public Health Service, and the AEC confirm this assessment.
13 For this reason, it has not been necessary to apply specific
14 quantity limits, in addition to concentration limits, on
15 effluents from nuclear power plants.

16 Summary of Experience and Measures to Keep
17 Radioactivity in Effluents as Low as Practicable.

18 In summary, experience with licensed light water
19 cooled power reactors to date shows that radioactivity in
20 water and air effluents have generally been kept at less than
21 a few percent of the limits specified in Part 20. Environ-
22 mental monitoring programs and detailed studies carried out
23 in the environs of nuclear power plants by licensees, State
24 Health Departments, the Division of Surveillance and Inspection
25 of its Radiation Office of the Environmental Protection Agency,

ln5

1 Environmental Radiation -- formerly the Bureau of Radiological
2 Health of the U. S. Public Health Service -- and the Atomic
3 Energy Commission have in most cases revealed little or no
4 increase in environmental radioactivity resulting from plant
5 operations.

6 The Commission published on December 3, 1970,
7 amendments to its regulations to become effective on January 2,
8 1971, that will help to further assure that radioactivity in
9 effluent releases is indeed maintained as low as practicable
10 by requiring:

11 (1) that a description of the design objectives
12 and the waste treatment equipment and handling technology
13 that will be included in the design of power reactors to keep
14 levels of radioactivity in effluents as low as practicable be
15 included in each application for a permit to construct a power
16 reactor;

17 (2) that waste treatment equipment installed in
18 the reactor be maintained and used during operation of the
19 reactor; and

20 (3) that the licensee report on a semi-annual
21 basis the quantities of radioactivity released in air and
22 liquid effluents and specifically cover in the report any
23 releases significantly above design objectives. On the basis
24 of such reports and other information, the Commission may from
25 time to time require the licensee to take such action as the

ln6 1 Commission deems appropriate.

2 We are confident that the design and operation of
3 nuclear power plants within these requirements will assure that
4 radiation exposures to the public living in the near vicinity
5 of these plants from radioactivity released in effluents will
6 be less than a few percent of exposures from natural background
7 radiation.

8 Average annual exposure to the total U. S. population
9 from this source of exposure are not likely to exceed a small
10 fraction of one millirem.

end 16 11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 MR. ENGLEHARDT: Mr. Chairman, at this juncture
2 I would like to identify and then to offer three
3 exhibits that are an integral part of Mr. Rogers' testimony.
4 I would like first to ask Mr. Rogers to identify the title
5 of the documents that I would identify as Exhibit 1.

6 THE WITNESS: Exhibit 1 is comparative information
7 on radiation exposures.

8 MR. ENGELHARDT: Mr. Rogers, did you prepare the
9 information contained in this Exhibit 1?

10 THE WITNESS: Yes, I prepared this information.

11 MR. ENGELHARDT: And from what source did you
12 obtain this information?

13 THE WITNESS: The information on radiation
14 background in the United States was prepared from measure-
15 ments which have been done throughout the country and appear
16 in several reports, one in a report by New York Operations
17 Office. The levels of 70 to 200 millirem are levels which
18 are generally agreed upon as the radiation levels which are
19 in the United States.

20 The values for the special areas, Brazil,
21 India and France, were obtained from the United Nations
22 Scientific Committee on Effects of Atomic Radiation,
23 out of their reports. Of course the Federal Radiation Council
24 guides were obtained from FRC Report No. 1.

25 The first detectable clinical effects of whole body

DB 17

1

rms 2

1 exposures, the ranges we have given here are ranges that are
2 well accepted in the literature where the first acute effects
3 adhere. The additional exposure to cosmic radiation from
4 living in Denver, Colorado and Port Clinton, Ohio, was based
5 on approximate radiation levels in Port Clinton as compared
6 to radiation levels in Denver, Colorado. That is about a
7 difference of 70 millirem per year by living in Denver.
8 The additional exposure from living in a stone or
9 brick house as compared to a wooden house, this generally
10 is higher by values that range up to more than 50 millirems
11 per year.

12 This was obtained from data out of reports by the
13 United Nations Scientific Committee on Effects of Atomic
14 radiation. And the values which I list here as examples of
15 exposure in the vicinity of nuclear power reactors are
16 based on our own calculations, our own estimates, and on data
17 which we have obtained from licensees and from environmental
18 monitoring programs.

19 MR. ENGLEHARDT: Mr. Chairman, I would offer this
20 as Staff Exhibit No. 4.

21 CHAIRMAN SKALLERUP: It is so ordered

22 (The above-mentioned document
23 was marked for identification as
24 Staff Exhibit No. 4 and was
25 received in evidence.)

UXXXXXXXX

INSERT

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ADDITIONAL EXPOSURE TO COSMIC RADIATION FROM LIVING IN DENVER, COLORADO, RATHER THAN PORT CLINTON, OHIO: (About 70 Millirem per year)

ADDITIONAL EXPOSURE FROM LIVING IN A STONE OR BRICK HOUSE AS COMPARED TO A WOODEN HOUSE: General higher by values that range up to more than 50 millirem per year.

ANNUAL WHOLE BODY EXPOSURE FROM TYPICAL OPERATING POWER REACTOR TO PERSONS LIVING NEAR SITE BOUNDARY:

Persons living near site boundary 5 Millirem (.005 Rem)
Average to persons living within 4 miles Less than 1 Millirem (.001 Rem)

RMS 3

1 MR. ENGELHARDT: May we turn now to the next
2 exhibit which we will offer for identification as Staff
3 Exhibit 5, although the document itself has a heading of
4 Roman II.

5 Would you identify this Exhibit, Mr. Rogers?
6 Would you identify the heading?

7 THE WITNESS: Yes. This is dose rates from
8 noble gas as a function of distance for a boiling water reactor
9 and a pressurized water reactor, normalized to give 500 milli-
10 rems per year at 0.31 miles.

11 Also there is a graph which provides the same
12 kind of information and these two documents are based on
13 our own calculations in our own Division.

14 MR. ENGELHARDT: We would offer this document as
15 Staff Exhibit 5.

16 DR. JORDAN: Is the difference between the PWR and
17 BWR chiefly due to the stack height?

18 THE WITNESS: Chiefly.

19 CHAIRMAN SKALLERUP: It is so ordered.


20 (The above-mentioned document
21 was marked for identification as
22 Staff Exhibit 5 and was received
23 in evidence.

24 (The document follows.)
25

INSERT

Orig

FIGURE 1 - DOSE RATES AS A FUNCTION OF DISTANCE FOR A BWR AND A PWR NORMALIZED TO GIVE 500 MREM/YEAR AT 0.31 MILES.



ln 1

STAFF EXHIBIT NO. 5

2
3
4
5

DOSE RATES FROM NOBLE GASES AS A FUNCTION OF DISTANCE
FOR A BOILING WATER REACTOR (BWR) AND A PRESSURIZED WATER
REACTOR (PWR) NORMALIZED TO GIVE 500 MILLIREMS PER YEAR
AT 0.31 MILES

6
7
8
9
10
11
12
13
14
15

Distance in Miles From Reactor	PWR with no stack (primarily beta emitters)	Dose Rate Per Year	BWR with 100-meter stack (pri- marily gamma emitters)
0.31	500		500
1.	70		160
5	6		25
10	2		8
20	1		3
30	0.5		1
55	0.25		0.25

16
17
18

Theoretical average annual dose rate calculated
for whole population within circle with radius of 50 miles of
nuclear power plants assuming 500 millirems/year at boundary:

19

Approximately 1 millirem per year.

20
21
22
23

Estimated average exposures to total population
living within radius of 50 miles of operating plants based on
actual operating experience of 13 nuclear power plants in 1969:

24
25

Less Than One-one-hundredth (0.01) of 1 millirem
per year.

1 MR. ENGELHARDT: Mr. Rogers, I would now call
2 your attention to a document which we will identify as
3 Staff Exhibit 6 which appears in your material as
4 Exhibit Roman III.

5 THE WITNESS: Let me elaborate on Dr. Winters'
6 question. There is also some effect with respect to the
7 radionuclide mix because of the BWR, primarily gammameters,
8 and PWR is primarily krypton-85. It is due to the holdup time,
9 of course, between the two reactors. I might say the BWR values,
10 I want to emphasize this, are based on a 30 minute
11 holdup period. But the stack also does have an effect with
12 respect to the curves.

13 DR. JORDAN: Thank you.

14 MR. ENGELHARDT: Would you identify the document
15 I just indicated as Staff Exhibit 6 which on your document
16 appears as Exhibit Roman III?

17 THE WITNESS: This is experience on releases of
18 radioactive material in nuclear power reactor effluents
19 for 1969.

20 MR. ENGELHARDT: I note this is a four-page exhibit.

21 THE WITNESS: That is correct.

22 MR. ENGELHARDT: Consisting of I believe three
23 tables and a footnote for the tables.

24 THE WITNESS: That is correct.

25 MR. ENGELHARDT: Where does this information come

1 from or what is the source of this information?

2 THE WITNESS: The source of this information is
3 data which licensees have been gathering under their require-
4 ments to monitor the levels of radioactivity which are
5 released, ad also information which has been gathered by our
6 own Division of Compliance.

7ms 5

end 17

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

DB18 Inl 1

2 DR. JORDAN: I have a question on page 2 of
3 Exhibit 3. There I note for example that Dresden is a per-
4 missible limit of 22 million curies, while some others are
5 down to maybe 3,000 curies. What accounts for such a big
6 difference in the permissible limit?

7 THE WITNESS: With respect to Dresden 1, this
8 happens to be a very good site, both with respect to the
9 meteorology, and also the stack height, the higher the stack,
10 the larger the quantities.

11 And I might also say that some of the early
12 reactors had a limit which was somewhat lower than the actual
13 calculated maximum limit according to the traditional or typical
14 method of calculating releases.

15 MR. ENGELHARDT: I would like to offer this
16 exhibit as Staff Exhibit 6.

17 CHAIRMAN SKALLERUP: It is so ordered.

18 (The document referred to was
19 marked Staff Exhibit No. 6 for
20 identification and was received
21 in evidence.)

22 (Staff Exhibit No. 6 follows.)
23
24
25

Stop Ex 6

EXHIBIT III

EXPERIENCE ON RELEASES OF RADIOACTIVE MATERIAL
IN NUCLEAR POWER REACTOR EFFLUENTS - 1969

TABLE I - RELEASES OF RADIOACTIVITY FROM POWER REACTORS IN LIQUID EFFLUENTS, 1969

Facility	MIXED FISSION & CORROSION PRODUCTS			TRITIUM	
	Released (Ci)	Concentration Limit ¹ / (10 ⁻⁷ μ Ci/ml)	Percent of Limit ² / 	Released (Ci)	Percent of MPC ³ /
DRESDEN 1	9.5	1	22	~ 6	< 0.001
SAN ONOFRE	8	1	14	3500	0.2
HUMBOLDT BAY	1.5	1	8.7	< 5	< 0.001
NINE MILE POINT	0.9	1	8.2	< 1	< 0.001
BIG ROCK	12	22	5.6	28	0.01
OYSTER CREEK	0.48	1	4.1	5	0.001
SAXTON	0.01	1	2.5	< 1	0.008
INDIAN POINT 1	28	37	1.5	1100	0.07
CONN. YANKEE	12	12	1.4	5200	0.24
GINNA	0.02	1	0.4	< 1	< 0.001
LA CROSSE	8.5	300	0.11	~ 25	0.003
YANKEE	0.019	1	0.07	1200	0.14
PEACH BOTTOM	< 0.001	1	0.002	40	0.031

Ln2 1

MR. ENGELHARDT: To clarify the record and avoid the possibility of confusion, in Mr. Rogers' testimony the three exhibits which we have just offered have been identified as Exhibits I, II and III. In the course of identify of these exhibits and their offer into the record, we have changed the numerical designation of those exhibits.

Exhibit I is now Staff Exhibit 4. Exhibit II is now Staff Exhibit 5, and Exhibit III is now Staff Exhibit 6.

I have one further question to ask of Mr. Rogers and that will complete his rebuttal testimony and he will then be available for examination by the Board of the parties.

Mr. Rogers, in Dr. Tamplin's testimony on pages 1505 to 1508 of the Transcript, he implied that under certain circumstances that cesium-137 could be released from a nuclear power reactor in excess of the concentrations allowable.

Does Part 20 permit routine release of radioactivity in effluents that would result in doses above the radiation protection guidelines in any situation?

THE WITNESS: No. I think as has been made clear in my testimony Part 20 contains a provision, in 2.106(e), and I would like to read that section of the regulation, "In addition to limiting concentrations in effluent streams, the Commission may limit quantities of radioactivity materials released in air or water during a specified period of time if it appears that the daily intake of radioactive material

ln3

1 from air, water or food by a suitable sample of an exposed
2 population group averaged over a period not exceeding one
3 year would otherwise exceed the daily intake resulting from
4 continuous exposure to air or water containing one-third the
5 concentration of radioactive materials specified in Appendix B,
6 Table 2 of this part."

7 And the implementation of this provision of Part
8 20 would not permit doses above the radiation protection
9 guides in any situation.

10 DR. JORDAN: I would like to make sure that it is
11 perfectly clear. You are saying now that if for example
12 cesium-137 were to exist at the plant boundary in a concen-
13 tration given by Table 2 of 10 CFR 20, you don't disagree that
14 a dose to a person there might be higher, but what you say is
15 that the 10 CFR 20, the other paragraph, will take care of
16 that situation and thereby require that the concentration
17 limit be held below the Table 2, sufficiently so that the
18 dose to a member of the population there will still fall
19 within the 170 millirem per year.

20 Is this right?

21 THE WITNESS: That is correct.

end 122

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHAIRMAN SKALLERUP: How do you employ the phrase "averaged over a year"?

THE WITNESS: The phrase "averaged over a year" is a permitted average which is recommended by all of the standard setting groups, FRC, ICRP, and NCRP, with respect to doses to population groups.

As a practical matter, the Part 20 regulations provide that with respect to effluents from power plants or any kind of activity, that the instantaneous or short-term concentrations may go above the concentrations in Part 20, as long as the average concentration over the period of the year does not exceed the Part 20 values.

CHAIRMAN SKALLERUP: When does the year begin and end?

And question 2, could you have all of your concentration on 31 December and then you divide it by 365?

THE WITNESS: As a matter of practice, the year begins January 1 and ends December 31 in terms of the way we apply the regulation.

CHAIRMAN SKALLERUP: Then you could have your dose on the last day of the year and it would average out on an average yearly basis?

THE WITNESS: That is correct.

Now in the present technical specifications there are some further limitations on the averaging which provide that the level shall not go above 10 times the concentrations

1 in the Appendix B over any period I believe of 15 minutes.

2 DR. JORDAN: As a matter of practical experience,
3 in the case of iodine 131, the limits if there are cows
4 grazing nearby will be probably reduced by a factor you say
5 of 700?

6 THE WITNESS: Well, it is reduced by a factor of
7 700 whether there are cows there or not. We simply apply the
8 factor of 700 pretty much across the board.

9 DR. JORDAN: Then why doesn't 10 CFR 20 automatically
10 change the table under iodine 131?

11 THE WITNESS: Well, I think your question is,
12 why isn't the factor of 700 in Part 20, since we use it as
13 a routine? And there is really no particular reason why.

14 DR. JORDAN: You do actually use it routinely
15 though, whether cows are there or not.

16 THE WITNESS: That is right, for power reactors.

17 DR. JORDAN: Are there any other isotopes in which
18 you find it necessary to do this?

19 THE WITNESS: Not -- as a matter of fact, we
20 haven't really found it necessary for iodine, because the
21 quantities are so extremely low. As a matter of fact we
22 do apply it to all particulates, airborne, air releases in
23 particulate form with half lives greater than eight days.
24 It is not needed based on the quantities which are actually
25 released. But as a matter of practice, a matter of

1 conservatism and a matter of simplification, administrative
2 simplification, we simply apply the 700 across the board.

3 DR. JORDAN: I see. It is the same factor of
4 700 to all particulates as well as iodine.

5 THE WITNESS: That is right, with a half life of
6 eight days, that is correct, sir.

7 DR. JORDAN: I see.

8 MR. ENGELHARDT: Mr. Rogers of course will be
9 available tomorrow for any additional examination by the
10 Board members or by the Intervenor at the time we
11 complete the remainder of our rebuttal testimony.

12 CHAIRMAN SKALLERUP: Thank you, Mr. Rogers.

13 Have you another witness?

14 MR. ENGELHARDT: No, sir.

15 We have other witnesses, but I would prefer if
16 agreeable -- it is now 5 o'clock -- to bring those witnesses
17 to start tomorrow morning at whatever time we open.

18 CHAIRMAN SKALLERUP: Any further matters to
19 raise today, Mr. Charnoff?

20 MR. CHARNOFF: No, sir.

21 CHAIRMAN SKALLERUP: That being the case, we will
22 adjourn until 9 o'clock tomorrow morning here.

23 (Whereupon, at 5:00 p.m., the hearing was
24 adjourned, to reconvene at 9:00 a.m., Tuesday, 9 February 1971.)

End #19
24

25