

DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on June 26, 1980 in the Commission's offices at 1717 H Street, N. W., Washington, D. C. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected, or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determinations or judgments. No pleading or other paper may be filed with the Commission in any proceeding as the result of or addressed to any statement or argument contained herein, except as the Commission may authorize.

THIS DOCUMENT CONTAINS
POOR QUALITY PAGES

8007140065

ORIGINAL

1

1

UNITED STATES OF AMERICA

2

NUCLEAR REGULATORY COMMISSION

3

DISCUSSION OF SECY-80-107 - PROPOSED INTERIM HYDROGEN

4

CONTROL REQUIREMENTS FOR SMALL CONTAINMENTS

5

PUBLIC MEETING

6

7

Nuclear Regulatory Commission

Room 1130

8

1717 H Street, N. W.

Washington, D. C.

9

Thursday, June 26, 1980

10

The Commission met, pursuant to notice, at

11

3:30 p.m.

12

BEFORE:

13

JOHN F. AHEARNE, Chairman of the Commission

14

VICTOR GILINSKY, Commissioner

15

RICHARD T. KENNEDY, Commissioner

16

JOSEPH M. HENDRIE, Commissioner

17

PETER A. BRADFORD, Commissioner

18

ALSO PRESENT:

19

L. BICKWIT

20

W. DIRCKS

21

H. DENTON

22

D. ROSS

23

L. RUBENSTEIN

24

W. BUTLER

25

R. BERNERO

26

M. MALSCH

27

R. BUCHHOLZ

28

J. STARK

29

30

31

32

33

34

35

Pages 1 to 56

1 MR. DENTON: Since we have talked to you last, we
2 have continued a program of evaluating the efficacy of
3 various hydrogen control measures. Today we want to
4 describe the bases for our response to you a few days ago
5 answering Commissioner Gilinsky's last few questions.

6 Dennie Ross will make the presentation.

7 (First slide.)

8 MR. ROSS: As we go through the briefing this
9 afternoon the people here at the table who might respond to
10 your questions are to my immediate left Less Rubenstein,
11 Assistant Director for Core and Containment Systems, and to
12 his left Walt Butler, Branch Chief of the Containment
13 Systems Branch. If we get into any structural matters Fron
14 Showers of the Structural Engineering Branch is here. On a
15 related matter of the proposed interim rule under graded
16 cores Jim Norberg from the Office of Standard Development is
17 in the audience if we have any questions on that related
18 matter.

19 Go to slide two.

20 (Next slide.)

21 Matters that we are prepared to discuss this
22 afternoon, I will get into the chronology and discuss the
23 issues. I might point out that the issues on hydrogen
24 control will be brought to the Commission for more formal
25 decisions in two separate arenas. The issue of Sequoyah

1 full power will come to the Commission shortly and hydrogen
2 management we expect to be discussed there. Also when the
3 interim rule is brought up for to the Commission for
4 endorsement you will be discussing and either commenting or
5 concurring on a proposed hydrogen management policy. We are
6 not requesting any formal Commission decisions or guidance
7 this afternoon.

8 CHAIRMAN AHEARNE: Although you may get it.

9 COMMISSIONER HENDRIE: I was going to say,
10 decisions I doubt you will get but guidance I would be
11 surprised if you can avoid.

12 (Laughter.)

13 MR. ROSS: Nolo contendere on that.

14 (Laughter.)

15 CHAIRMAN AHEARNE: It is creeping everywhere.

16 (Laughter.)

17 MR. ROSS: We will discuss the decision elements
18 on how to decide whether additional hydrogen management
19 measures are needed in a given containment. These include
20 the likelihood of events, the response to the containment
21 both in whether you are going to expose a burnable mixture
22 or not and a structural response and the availability and
23 practicality of various mitigation measures.

24 There is a relatively small but growing research
25 program on various areas of hydrogen mitigation. We will

1 discuss those. The related topics I mentioned briefly
2 already, the rulemaking ventures and the Zion/Indian Point
3 plant specific matter which has hydrogen control measures
4 there.

5 Go to the next slide.

6 (Next slide.)

7 As Harold mentioned, the base document is
8 SECY-90-107 which came to the Commission in February. We
9 had a briefing in March and supplemental questions in late
10 March and then we have provided answers to the Commission's
11 questions in April as SECY-107A and then again last week
12 with 107-B. We believe that we have completed the response
13 now to the Commission's questions of March.

14 Next slide, please.

15 (Next slide.)

16 Unless there is a specific request, I was not
17 going to go back and summarize the contents of either 107 or
18 107A. The thrust of the document that you just got last
19 week, 107-B, we had been asked to provide the views of the
20 probabilistic assessment staff. We provided as an enclosure
21 to the paper an integral report from the previous speaker,
22 Mr. Bernero. By the way, I believe Mr. Bernero is still in
23 the audience, and along with Mat Taylor, who contributed to
24 the document.

25 Inerting would have a small value in the overall

1 accident risk reduction for the MARK I and MARK II
2 containments. Some of the features that lead to that
3 conclusion is the fact that you can get containment failure
4 before the onset of metal water reaction for some sequences
5 due to steam overpressure.

6 We also pointed out in our view, that is, in the
7 view of the originating office, NRR, that the PWR/BWR
8 designs were we thought in the same order of magnitude in
9 terms of likelihood of having a degraded core per year.
10 Some of the numbers you saw in the earlier paper from Mr.
11 Bernero I think by and large agreed with that.

12 We felt in terms of the lessons learned from Three
13 Mile Island, and this is in response to a specific
14 Commission request, that, yes, some credit could be given to
15 lessons learned, that is, the large body of improvements on
16 operating reactors in the last 15 months should, in our
17 opinion, reduce the likelihood of a severe or a degraded
18 core per reactor year.

19 As a supplement to our 107B paper we provided an
20 analysis from the Division of Safety Technology of NRR that
21 did not appear to be a significant reduction in safety by
22 inerting the BWR MARK I and MARK II, and this would agree
23 within the views of the PAS.

24 COMMISSIONER KENNEDY: You said there would not be
25 a significant reduction?

1 MR. ROSS: Significant reduction.

2 COMMISSIONER KENNEDY: That means there would be
3 some?

4 MR. ROSS: There is a tradeoff, and numerically I
5 don't believe we could provide an answer. There is a
6 day-to-day advantage in having a non-inerted containment.
7 You would probably be more likely to go in and do an
8 inspection. To that extent inerting would be a
9 disincentive. On the other hand, there are some sequences
10 for which you would not get containment failure if you
11 inerted and that would be an advantage.

12 In our view, risk assessment will not permit one
13 to decide one way or the other because it is sort of too
14 close to call. That is the flavor I got from the PAS paper
15 also, although you may ask them directly.

16 COMMISSIONER KENNEDY: I wanted to be sure I
17 understood what you just said that on the risk assessment
18 basis when you add the negative and positive you come out to
19 essentially zero; is that right?

20 MR. ROSS: Well, it is within the margin. Yes,
21 sir, zero interpreted as being the margin of the spread of
22 risk assessment. Like I said, the originating office's
23 viewpoint, Mr. Bernero may want to put it a different way.

24 CHAIRMAN AHEARNE: Do you, Bob? Do you want to
25 put it a different way?

1 MR. BERNERO: Dennie has to make a risk
2 assessment. We evaluated the effect of inerting on the
3 accident sequences, but did not evaluate the counterpart of
4 it, you know, the maintenance and accessibility and so
5 forth. So ours was a more narrow scope.

6 CHAIRMAN AHEARNE: In your more narrow scope the
7 conclusion you reached ---

8 MR. BERNERO: ---said that the benefit of inerting
9 appeared to be marginal.

10 COMMISSIONER KENNEDY: That is even without
11 considering maintenance?

12 MR. BERNERO: Without considering the maintenance.

13 COMMISSIONER KENNEDY: Well, I guess that does
14 come out about the way Dennie is saying. Okay.

15 MR. ROSS: In our paper, 107B, we continued,
16 however, to support the viewpoint that you should inert the
17 MARK I's and MARK II's. The logic that we provided was
18 threefold: that it is a proven technology; apparent low
19 cost, low being relative of course; and that we did not see
20 any significant safety disincentives.

21 COMMISSIONER KENNEDY: Would you remind us what
22 that low relative cost was?

23 MR. ROSS: I believe it is one or two million
24 dollars per year.

25 We did provide by Commission request two

1 additional letters from General Electric giving their
 2 viewpoints, and those are enclosed to the Commission paper.
 3 Our view of those letters is that the GE believes they have
 4 a superior design which would reduce the likelihood, and
 5 they believe that the preferred way to solve this problem is
 6 through the rulemaking procedure.

7 MR. DENTON: I do want to say just a bit about the
 8 use of risk assessment for a specific area like this. It is
 9 sort of a microrisk assessment as opposed to a big risk
 10 assessment. Whether or not a particular corrective action
 11 helps a lot depends on what you think the dominant sequences
 12 are. If you think some other sequences dominate the risk
 13 then something you put in to help a specific one has little
 14 credit, whereas if that one you have corrected for is the
 15 one that really happens, as the one at TMI was the case for
 16 their extensive core damage but no containment
 17 pressurization, then it would have made a substantial
 18 difference, or could have made a substantial difference.

19 COMMISSIONER GILINSKI: I wonder what the response
 20 of the probability assessment people to that is? I guess I
 21 am not sure I understand your point of view. Is it that you
 22 feel there would be failure through overpressurization
 23 coming from sources other than hydrogen that would proceed
 24 possible problems with hydrogen and therefore there is no
 25 point in, so to speak, defending against that, or what,

1 because at TMI we did in fact run into a situation where the
2 hydrogen was in fact being the dominate source of high
3 pressure.

4 MR. ROSS: Who were you addressing that to, Bob
5 Bernero?

6 MR. BERNERO: I wasn't sure whether Harold wanted
7 to some something else. Really what the risk assessment
8 such as we are doing does, it says on average, statistically
9 or probabilistically looking at the spectrum this is how it
10 balances out. What I understood Harold to say was that that
11 still leaves a family of sequences which may not indeed be
12 the odds on favorites. They may not necessarily be the
13 dominant ones, but they are there and there is a way to deal
14 with them. That is what I interpreted him to say, I am not
15 sure, and I agree with that, yes, the risk can be reduced.
16 All we are saying with a probabilistic comparison such as
17 was done for the inerting of the MARK I there was that the
18 degree of overall risk reduction is modest or marginal or
19 small, whatever word you would prefer on balance, but it
20 doesn't say that it is zero.

21 COMMISSIONER KENNEDY: I didn't understand Dennie
22 to say that. He, too, said that the benefit was there but
23 small, admitted, and that there were tradeoffs which also
24 were small, and I said, does that add to essentially zero,
25 and you know, plus or minus some fraction, and the answer is

1 yes.

2 COMMISSIONER GILINSKY: Well, it sounds to me as
3 if it is zero if you are confident that the sequences that
4 we think are dominant are in fact dominant and that the
5 relative probabilities are about right. If one has some
6 doubt about that one may want to hedge against the
7 possibility that there are other sequences which we may
8 underestimate.

9 MR. BERNERO: That our cast of sequences may not
10 be accurate. We are not that certain of it.

11 COMMISSIONER KENNEDY: Is that true equally as to
12 the possible negative effects? We are not that sure of that
13 either? I guess that is true.

14 MR. ROSS: This is one question we had been asked
15 as to the experience on entering the dry well because that
16 is the area where we speak of disincentives. We did provide
17 the information and it looks to us like there is little or
18 not correlation between dry well entries between inerted and
19 noninerted. It looks more like the correlation, and it is a
20 weak one at best, between a new plant and an old plant. So
21 the younger BWRs inerted or not seem to get more unscheduled
22 dry well entries than the more mature plant.

23 CHAIRMAN AHEARNE: That wasn't surprising, was it?

24 MR. ROSS: I guess not. I think the so-called
25 bathtub curve prevailed there as well.

1 Okay, on the slide that you now see we have tried
2 to put up the issues associated. This is sort of a decision
3 tree for us. It categorizes the plants in more or less
4 increasing containment volume. We are asking questions like
5 shall the MARK I's be inerted that are operating, which
6 would affect only Vermont Yankee and Hatch because the
7 others are? Should the new plants in the operating license
8 phase be inerted?

9 CHAIRMAN AHEARNE: Those are plants that are
10 designed to be able to be inerted but are not currently
11 planned to be inerted?

12 MR. ROSS: It is our understanding, and Walt can
13 maybe add on to it, that you could without much trouble
14 adding the inerting feature.

15 MR. BUTLER: That is true.

16 MR. ROSS: Okay. Now, the first of these plants
17 won't come on line for another year anyway it looks like.

18 MR. DENTON: I guess I am one who thinks that the
19 downside of a plant that is designed to be inerted is mainly
20 financial. In other words, if you design it for inerting
21 then you can compensate for design and you don't have to
22 make the entrances. However, it is a different picture if
23 you make that balance for a plan that is not designed for
24 inerting. Then there are more disadvantages when you inert.

25 CHAIRMAN AHEARNE: But I and II have been designed

1 to be inserted; is that correct?

2 MR. DENTON: Yes.

3 MR. ROSS Point No. 3 is should additional
4 hydrogen mitigation measures be required for the ice
5 condenser? This would affect two units in the full power
6 state, the Sequoyah unit in the start-up phase and then
7 seven other units in different construction phases.

8 CHAIRMAN AHEARNE: D. C. Cook are the ones at
9 are in the operating phase?

10 MR. ROSS: D. C. Cook I and II are the only two in
11 the full power mode and then of course Sequoyah I in the
12 start-up mode followed by the other Sequoyah plant, McGuire,
13 Watts Bar and Catawba, two units each, and of course if the
14 offshore power builds, those also.

15 The first MARK III is Grand Gulf and it would come
16 into operation late 1981. The question there is do we need
17 more for it? Then finally, do we need more for the large
18 dry containments in the subatmosphere. Those seem to us
19 like dividing up the issues into something we can chew on.

20 Next slide.

21 (Next slide.)

22 It seems like there are four decision elements.
23 The front end or the probability that the event would occur
24 in the first place, and this is one area where we answered
25 the Commission saying we think there has been a net

1 reduction already over the last 15 months as a result of TMI
2 lessons learned.

3 The second decision element would be related to
4 the rate at which hydrogen would build up in the containment
5 per unit time or per unit ZR-water reaction.

6 The third decision element would be how well the
7 structure could respond to various amounts of hydrogen
8 combustion.

9 The four decision element was how readily
10 available and effective would be various mitigation devices
11 like combustion suppression through hylon or inerting and
12 perhaps early burning, and in the extreme some late event
13 that the pressure is a result of burning.

14 Let's have the next slide.

15 (Next slide.)

16 This is put in for reference purposes. Since the
17 Commission issued it I won't dwell on it. It is the recent
18 policy on CLI-80-16 on hydrogen management. The relevance
19 has to do with on a plant to be licensed. Can we permit
20 additional hydrogen measures as contrasted with can we
21 require hydrogen measures.

22 We read the Commission decision as saying that
23 additional measures could be required for hydrogen control
24 if there was a credible LOCA scenario. We put that in there
25 in terms of the regulations permitting us to require things.

1 COMMISSIONER GILINSKY: Could you repeat that

2 MR. DENTON: Let me try to say it a different
3 way. I read this as issuing guidance for case-by-case
4 adjudication of this issue. It wasn't available when we
5 first formulated our papers to you, but now it does set
6 policy for future adjudication in these areas.

7 COMMISSIONER GILINSKY: This is the TMI statement

8 MR. ROSS: This is the TMI policy statement in
9 response to this certified question from the Board.

10 CHAIRMAN AHEARNE: Yes, it was an order that
11 was ---

12 COMMISSIONER GILINSKY: I know what we are talking
13 about now.

14 MR. BICKWIT: Then that tracks with your reading
15 That is fair.

16 COMMISSIONER GILINSKY: Let's see now, you feel
17 you can only require hydrogen mitigation measures if there
18 is a specific scenario that you can march through that would
19 take you to a place where you feel you would need them?

20 MR. ROSS: Well, not quite. 50.44 lets us
21 require, for example, recombiners now, but recombiners would
22 not do anywhere near what one would need to do for a
23 degraded core type hydrogen, a TMI type hydrogen release

24 COMMISSIONER GILINSKY: Right.

25 MR. ROSS: The question is what regulation would

1 permit us to require measures to combat TMI type hy
2 release, and the answer, I think provided through t
3 counsel's office was if we saw a credible LOCA scen
4 under part 100 we could require measures.

5 Now, the rulemaking that will be on the C
6 table next month, in my opinion, would supplant tha
7 for now we see this as authority. Now, in all like
8 what we would do if we saw a credible LOCA scenario
9 fix the scenario. Nonetheless, that mechanism exists

10 CHAIRMAN AHEARNE: Pardon me?

11 MR. ROSS: Like the interfacing LOCA, if
12 like it was a big problem you would fix the interfac
13 and not put in hydrogen control.

14 CHAIRMAN AHEARNE: I see.

15 COMMISSIONER HENDRIE: Or maybe do both, c
16 least fix the interfacing LOCA.

17 MR. ROSS: Right, as a minimum, yes.

18 Okay, next slide.

19 (Next slide.)

20 COMMISSIONER GILINSKY: Excuse me. The Co
21 is in the position of saying that you cannot oppose
22 to deal with hydrogen in excess of five percent meta
23 reaction unless you can detail a specific series of
24 leading toward a problem situation.

25 MR. DENTON: Under part 100.

1 MR. ROSS: That is my understanding.

2 COMMISSIONER GILINSKY: Which leaves us in the
3 position of saying -- well, it is rather odd. Here we are
4 and we have experienced Three Mile Island and there was a
5 lot more hydrogen generated there. It leaves us saying that
6 the lesson of those events is if specific things happened
7 then we will have to deal with them rather than if certain
8 unexpected events happened.

9 CHAIRMAN AHEARNE: Those are the same points that
10 you made at the time that the Commission affirmed the
11 order. As we pointed out at the same time we do have this
12 rule on degraded core coming up. So, yes, those were the
13 relevant points you made at the time.

14 MR. HENDRIE: And I would like to note that I
15 disagreed with the points then and I disagree with them
16 now. I think that is not an unreasonable characterization
17 of the Commission's order in TMI unit one on hydrogen, but I
18 am not sure that it is useful for the present discussion to
19 reiterate on each side why we think these things.

20 COMMISSIONER GILINSKY: Well, I will tell you why
21 I raise it, and not to go over the old ground again. It is
22 because it means you can't, I don't know whether it will
23 come out on this subject, but you seem to be ruling out
24 measures to control hydrogen more or less on general grounds
25 and on the fact that we have experienced an accident in

1 which substantial hydrogen was generated and that would seem
2 to be a reasonable thing to guard against. Do
3 misinterpret you?

4 CHAIRMAN AHEARNE: Which of us are you addressing?

5 COMMISSIONER GILINSKY: Well, I don't know, either
6 one of you.

7 COMMISSIONER HENDRIE: What we said is that those
8 matters are litigable under part 100. If you can show that
9 the part 100 guidelines would be exceeded by some sequence
10 which involves hydrogen evolution in particular, then among
11 other things it is reasonable to consider measures to deal
12 with that hydrogen evolution.

13 Our problem at the time I will recall for you was
14 that there was a question of whether to withdraw 50.44 and
15 thus withdraw the established design basis for hydrogen
16 control systems or whether to leave that design basis in
17 place for the value which it did still have in the process
18 and to supplement it by allowing specifically litigation on
19 the hydrogen question under part 100, and I think we went
20 the right way.

21 COMMISSIONER GILINSKY: Well, let's hear what
22 Dennie has to say.

23 (Next slide.)

24 MR. ROSS: This is more elaboration on the point
25 as to whether lessons learned from TMI should reduce the

1 likelihood. The left side of this slide is some different
2 failure sequences like large and small LOCA or various
3 transients. The right half of the slide is some of the
4 preventive measures that have come since Three Mile Island,
5 some of the so-called lessons learned. There is a catch-all
6 at the bottom that applies to all of them, like the shift
7 technical advisor, shift turnover procedures, training,
8 simulator training and operating licensing measures. Then
9 some of the specifics are requirements, not all of these
10 have been implemented yet by the way, requirements to test
11 the relief and safety valves, being to detect the
12 pressurizer level even with on-site power, direct indication
13 of valve position, training subcooling meters, better
14 feedwater systems, and so on.

15 This is an elaboration of why we think the
16 likelihood of getting degraded core accident sequence is
17 less.

18 Next slide.

19 (Next slide.)

20 The Commission has seen this slide for reminders
21 of the build-up. In the ordinate is the volume percent
22 uniformly mixed in the containment and the abscissa being
23 the percent metal water reaction with the ordinate being
24 indexed at the burn and detonation lower limits for hydrogen.

25 COMMISSIONER GILINSKY: Which are those now?

1 MR. ROSS: I am sorry?

2 COMMISSIONER GILINSKY: The little bars?

3 MR. ROSS: The 4 to 74 I believe is the burnable
4 and detonation is somewhere from 18 to 59 percent.

5 Now, those limits are ideal in that the presence
6 of steam would substantially alter them. You can cross plot
7 that.

8 COMMISSIONER KENNEDY: Which is almost assumed,
9 isn't it?

10 MR. ROSS: It should be, yes, sir. You can
11 contrive sequences that would lead to degraded core like an
12 interfacing LOCA that would let steam outside the
13 containment somewhere and then open a PORV or something and
14 let hydrogen out. You could contrive instances with dry
15 hydrogen. I wouldn't think they are likely, but they are
16 not zero. Of course, the significant thing is that for any
17 given metal water reaction the MARK I's and II's have much
18 higher concentration.

19 The next slide.

20 (Next slide.)

21 The next three slides respond to some questions
22 that the Commission had asked at several places. We have
23 done calculations over the last few months on safety factors
24 of containment. We see on this first slide here a spectrum
25 of calculations done for Zoin, Indian Point, Sequoyah and

1 Mcguire. It looks like a ball park of two and a half to
2 three is a good safety factor for containment. I need to
3 qualify these safety factors. They are uniform static
4 load. They are not dynamic loads.

5 The design pressure for these containments varies
6 marketedly. Sequoyah's design pressure is 12 pounds gauge,
7 Mcguire's is 15, and the large dry containment are up in the
8 50 or 60. The numbers that you see there are multipliers of
9 design pressure where you would expect the containment to
10 either yield on left, or the metal column, or to fail in the
11 right column.

12 Now, there are some qualifiers on these
13 calculations that follow on the slides to follow.

14 CHAIRMAN AHEARNE: Wait. So your point is that
15 they are all designed roughly with the same safety factor
16 against yield and roughly this estimated safety factor
17 against failure?

18 MR. ROSS: The design turns out that way. Well,
19 the question comes up, remember one of the decision elements
20 is, when do you need additional measures. If you concluded,
21 for example, that you could have a stoic emetric burn and
22 still not exceed the yield pressure, then you might conclude
23 nothing more is needed, and for a large dry containment that
24 is what would happen.

25 CHAIRMAN AHEARNE: You would need a lot more than

1 just this safety factor to get anywhere.

2 MR. ROSS: The ultimate, of course, is to retain
3 the integrity in term of leak tightness. That is the
4 qualifier that is coming up on the next page is that these
5 calculations are relatively primitive and there are
6 discontinuities and there are penetrations that are anchored
7 in maybe an outer shield wall and they penetrate and enter
8 containment and the relative displacement could produce LOCA
9 yielding and LOCA leakage. It is this area where not much
10 is known.

11 CHAIRMAN AHEARNE: Well, also the potential
12 pressures you have is significantly different across those
13 various types of containments.

14 MR. ROSS: The absolute pressure, right. If you
15 put the failure pressure and not the safety factor, then you
16 would see numbers like 40 to 42 pounds for Sequoyah and up
17 well over a hundred for the large drys.

18 I would like to discuss some of the qualifiers
19 that are mentioned on the next slide.

20 (Next slide.)

21 The structural analysis people point out they feel
22 relatively comfortable in terms of integrity staying below
23 yield which would mean that the ultimate pressure load would
24 probably in order to feel comfortable as a regulator would
25 take a lot more research, scale model testing and so on.

1 The areas that are not rigorously analyzed are
2 mentioned in point No. 2, the penetrations that are anchored
3 at different places.

4 There is a modest amount of research in technical
5 assistance programs in this area. The Ames Laboratory
6 consultant has done some of the calculations for Sequoyah
7 and Mcguire. Los Alamos is doing Zion and Indian Point.

8 Now, the uncertainties, as I mentioned, integrity,
9 leak tight integrity at or beyond the yield point we are not
10 comfortable with at this time. We don't think you can
11 accurately compute it or predict it. There is little or no
12 data on the behavior of the liner and the weld materials
13 and perhaps even the way the liner is anchored to the
14 concrete. Again, if we could keep it below yield we would
15 feel relatively comfortable.

16 We expect that this will be the subject, and I
17 will mention it in a few minutes, of an additional research
18 request.

19 The final decision element had to do with
20 mitigating measures.

21 Let's go to the next slide.

22 (Next slide.)

23 Again, this is a slide that the Commission has
24 seen before. You could inert with nitrogen. You could have
25 a halon suppression system that would be activated on need.

1 If you had some detection like an adequate core cooling
2 detection, undesirable superheat or maybe a hydrogen monitor
3 reading off scale or something you could activate the halon
4 system.

5 The filtered vented system is one of the more
6 exotic system that would be part of the long-term rulemaking
7 study.

8 CHAIRMAN AHEARNE: Why do you call it an exotic
9 system?

10 MR. ROSS: Well, the concept had been specifically
11 considered and turned down some time ago.

12 CHAIRMAN AHEARNE: Is that the reason it is an
13 exotic system. (Laughter.)

14 MR. ROSS: Well, yes. I think one of the
15 ingredients is requiring maybe some decisions on the
16 operator as to the course of the accident. Could the stored
17 energy in the compressed fluid be released, and then the
18 fission product release is assumed to come sometime later
19 where you could let out all the stored energy.

20 The first safeguards policy statement ever issued
21 came from the ACRS in 1964, and I guess Dr. Hendrie was on
22 the ACRS. You were not. In essence they didn't call it
23 filtered vented containment system, but that is what it
24 was. It could require some decisions about release energy
25 now but don't release fission products later, or when would

1 you activate the system. It also has a potential for
2 letting out stuff that doesn't filtered. We have licensed
3 one. It would take a lot of experimental analysis work to
4 do it and to that degree I think exotic is the word.

5 COMMISSIONER HENDRIE: We have got approximately
6 the equivalent out there at Fort St. Ring where if you get a
7 vessel breach why you get rise in pressure in the
8 containment building, but it is a confinement building
9 really more than a containment and the pressure is relieved
10 through louvers when then presumably swing shut, and by the
11 time you would see any fission products why you haven't got
12 very much leakage because they maintain a suction on the
13 building and run ever thing through a filter.

14 I will note for the historians that I dissented as
15 an ACRS member from that concept long, long ago. The scheme
16 here is if you get LOCA or something like that it
17 pressurized the containment, and you look at the situation
18 and you say, well, I have all these gases steamed in the
19 containment now, but I don't have many fission products at
20 the moment, just faily low level stuff that was in the
21 primary water. I am worried about what might happen down
22 the line, and so why don't I start venting the containment
23 excess pressure now and take the small releases ---

24 COMMISSIONER GILINSKY: But you don't have any
25 hydrogen then either.

 COMMISSIONER HENDRIE: At that point you don't

1 have any hydrogen either. What you are doing is to create a
2 a capacity for subsequent hydrogen evolution without release.

3 COMMISSIONER GILINSKY: But wouldn't you in the
4 meantime be using sprays or something like that?

5 COMMISSIONER HENDRIE: Oh, yes, sure.

6 COMMISSIONER GILINSKY: So it just keeps the
7 pressure down so the hydrogen wouldn't be adding very much
8 to it; is that the idea?

9 COMMISSIONER HENDRIE: Well, it would carrying it
10 way up into a dangerous range.

11 MR. DENTON: A fundamental issue we are
12 confronting in ongoing looks at design at Indian Point is a
13 rate of energy addition of hydrogen. The removal capacity
14 of containment systems is normally about a hundred million
15 Btu's an hour, something like that. The possible heat
16 addition by combustion of hydrogen is on the order of 400
17 million Btu's. So you can't wait until the containment is
18 fully pressurized and then start trying to take this heat
19 out. There are studies going on, as Commission Hendrie
20 said, to vent the containment before the hydrogen burn or
21 recombination could start. So it is a rate problem.

22 MR. ROSS: Okay, next slide, please.

23 (Next slide.)

24 Some related research.

25 COMMISSIONER HENDRIE: Dennie, before you go on

1 off on that other one, we ought to note that with regard to
2 potential methods for improving hydrogen management
3 capability there are some things which don't deal directly
4 with hydrogen but deal with your ability to remove heat from
5 the containment, on the one hand, or reduce the likelihood of
6 having hydrogen on the other. So that in the broadest sense
7 hydrogen management capability goes beyond just these
8 specific things which would deal with hydrogen if you got it.

9 MR. ROSS: Yes, sir, these are definitely
10 consequential measures. The presented the existence and now
11 try to control it. Yes, sir, that is right.

12 In the research area we are having discussions
13 with the Office of Research on two categories of users
14 request, a short-term which would cover the next six to nine
15 months, say, and then a long-term request for research that
16 would support the final rulemaking which includes studies of
17 the core retention devices and the filtered vented
18 containment system.

19 Probably of more interest is the short-term work
20 that we are going to try and get from research and through
21 technical assistance or some combination thereof and to get
22 a quick evaluation of one of the last bullets on the
23 previous slide that had to do with hydrogen combustion.
24 Both TVA and we are seriously considering the merits of
25 distributed ignition sources. There may be some side

1 effects that are deleterious and we hope to explore that
2 rather vigorously in the next few months. This will be a
3 cooperative venture between us and research. We should have
4 the details on that and I hope to finally sign in the next
5 couple of weeks. Meanwhile we are having informal
6 discussions and negotiations with what we believe would be
7 the principal contractors.

8 In fact, one of the research results that has
9 already culminated is a rather extensive handbook on
10 hydrogen combustion and all of its glory. There is a copy
11 there in a draft form, "Behavior of Hydrogen During
12 Accidents In Lightwater Reactors." At a first glance it
13 looked like it might be very useful to us in making some of
14 these short-term decisions.

15 The next slide, please.)

16 (Next slide.)

17 In the table of contents I mentioned related
18 topics. There are four: the interim rule, which I have
19 already discussed and should be up here next month; the
20 final rule, there should be an advanced of rulemaking out
21 relatively soon this summer. We are in the final review
22 process. That rulemaking process will take a couple of
23 years. We are considering whether to recommend to the
24 Commission that degraded core coolant of which hydrogen
25 management would be a subset should be an unresolved safety

1 issue.

2 COMMISSIONER GILINSKY: Let me understand. The
3 interim rule describes the requirements during the period
4 that a rule is developed, is that right, the final rule is
5 developed?

6 MR. ROSS: That is right. There are several items
7 that would include operator training and what to do for a
8 degraded core. It would mandate early MARK I's and II's.
9 It would mandate some studies on some of the others, and I
10 believe there are six principal features. It would sort of
11 be like two Aspirins until the doctor came. Interim is the
12 key word to it.

13 We have mentioned a specific related topic, the
14 Zion and Indian Point, and hydrogen management is certainly
15 an issue there.

16 (Next slide.)

17 The last slide is the conclusionary slide which
18 integrates I hope the decision elements with the containment
19 type. The first real likelihood, if you read across, it
20 looks like for the different containment types, which of
21 course are also the different reactor types, there doesn't
22 seem to be any difference in the likelihood per reactor year
23 of having a degraded core, again within the margin that one
24 can quantify things.

25 The flow on the row No. 2 hydrogen concentration

1 from left to right is from high to low because the
2 containment is getting bigger, so the dilution is more.
3 This would tend to say the containment types on the left are
4 in more need of hydrogen management than the containment
5 types on the right.

6 The structural problem from the calculations that
7 we have done, if you combust obtainable, that is obtainable
8 in the sense of TMI mixtures, for the first three
9 containment types you could have a structural response
10 problem, the problem meaning at or above the yield point.
11 Again, this is a feature of how one specifies the
12 calculation. If you specify that I release hydrogen like
13 was obtained from the Three Mile Island event and have no
14 combustion until you have released all of this hydrogen,
15 then that is how you would put the word problem in.

16 Mitigation measures for MARK I and II, we point
17 that these exist and beyond that we don't know.

18 CHAIRMAN AHEARNE: Dennie, before you pass over
19 that. In a chart that had been provided in an earlier
20 briefing I would have reached the conclusion that the
21 subatmospheric plant was in a separate category from the
22 MARK III and ice condenser. I would have reached the
23 conclusion in talking about structural response that the
24 MARK I and II were one category and MARK III and ice
25 condenser were another category. It seems to indicate that

1 MARK I and II and ice condenser and MARK III are all the
2 same.

3 MR. BUTLER: It is with respect to the hydrogen
4 concentration that they are the same. However, since the
5 subatmospherics have a higher design pressure, 45 psig
6 versus 15 psig for these other smaller containments ---

7 CHAIRMAN AHEARNE: MARK II is also 45, isn't it?

8 MR. BUTLER: The MARK II is indeed also 45.

9 COMMISSIONER HENDRIE: Yet, but the volume is a
10 lot smaller.

11 MR. ROSS: We pointed out in our original paper
12 107 that you could take a hundred percent metal water
13 reaction on a subatmospheric containment if you could
14 demonstrate a factor of two safety margin over design
15 pressure.

16 The conclusion of the last slide, the bottom line
17 both of the slide and of the staff position is that we
18 continue to believe that MARK I's and II's require
19 inerting. We will skip the ice condenser for just a
20 minute. Then the MARK III, subatmospheric and dry we state
21 nothing more now.

22 CHAIRMAN AHEARNE: The mitigation measures that
23 exist, you are talking about ---

24 MR. ROSS: Inerting.

25 CHAIRMAN AHEARNE: Inerting. So that exists for

1 most of the MARK I's?

2 MR. ROSS: The technology exists. There may not
3 be valves and stuff at Vermont Yankee and Hatch to do it,
4 but they know how to do it, especially Hatch since their
5 sister reactor is inerted.

6 CHAIRMAN AHEARNE: The MARK II's and MARK III's
7 are they substantially different in the sense of the
8 difficulty of inerting the two?

9 MR. ROSS: In my understanding the III is markedly
10 different. We would not state that the technology exists
11 for the MARK III.

12 CHAIRMAN AHEARNE: You would for the MARK II?

13 MR. ROSS: We would for the II.

14 I skipped over the ice condenser bottom line.
15 Some of the points that we feel about the ice condenser is
16 that there have been many improvements derived from the
17 action plans which of course is just a summary of many
18 improvements that came before, lessons learned, bulletins
19 and orders and so on.

20 CHAIRMAN AHEARNE: Those kinds of improvements
21 though are across the board on all types?

22 MR. ROSS: Yes, sir, that is correct.

23 We believe it did result in improved safety margin
24 for the ice condenser plants relative to what they were
25 before, in particular being able to recognize a severe

1 accident or the onset of problems and perhaps the o
2 inadequate core cooling.

3 We have looked at the factors that would
4 disincentive for inerting the ice condenser and in
5 particular to the maintenance problems associated w
6 ice itself. That appears to be a significant disin
7 if you had to inert it. You could not get in as ea
8 the process of inerting and deinerting would be del
9 to the ice.

10 CHAIRMAN AHEARNE: Pardon me, would be wha

11 MR. ROSS: It would affect the sublimati
12 the ice. It would be flowing through the ice chest.

13 In terms of requirements we believe that
14 condenser class of plants is generally acceptable fo
15 full-time operation with respect to hydrogen measure
16 However, we also believe, and it may appear to be a
17 but I don't think it is, that there are probably som
18 interim measures that could be taken on ice condense
19 would increase the safety margin of these containmen

20 As I described a minute ago on the research
21 efforts, we are looking at a short-term study to inv
22 the efficacy and acceptability of these features. W
23 to look closely at the pros and cons of inerting and
24 filter vented systems throughout the process of the
25 rulemaking.

1 As far as the combustion process, that is th
2 distributed ignition source, we intend to look at it
3 especially and TVA is also. TVA has been looking at t
4 very same questions. They have made presentations to
5 ACRS earlier this month on this subject.

6 We believe, and these are from conversations
7 have had with TVA people almost daily, that they have
8 narrowed down their consideration to two features. On
9 feature would be a distributed ignition source that ha
10 by side with it a hydrogen sensing or hydrogen detector
11 appears that if you install this in the interim and wit
12 perhaps a relaxed criterion on seismic qualifications
13 redundancy and diversity until the completion of the
14 long-term rulemaking on degraded cores that this would
15 increase in safety margin.

16 I think the same logic would apply here that
17 did on the MARK I's and II's. This type of instrument
18 probably readily available and it is probably relatively
19 cheap. Certainly the hydrogen detector is. For that r
20 it would appear that on a cost-benefit ratio that this
21 feature of distributive detection and ignition instrume
22 would probably be a safety benefit.

23 We think we ought to look into it quickly. W
24 retaining consultants in terms of primarily Sandia, and
25 between us and the Office of Research we think we can p

1 down the pros and cons of this issue very quickly. We
2 expect to have meetings to this end next week and we have
3 had daily phone calls to this end.

4 CHAIRMAN AHEARNE: You said you felt they had
5 narrowed it down to two possibilities instead of one.

6 MR. ROSS: They were looking into the halon system
7 also. I am informed that in the last few days apparently
8 halon dropped off as something that could be done in a few
9 months. I don't know if that was economic or availability
10 or both.

11 COMMISSIONER HENDRIE: I was going to ask Dennie
12 do we know what some of the pro and con arguments were on
13 the halon system?

14 MR. ROSS: On halon, of course, it is expensive,
15 but I guess expense is a state of mind. If you have got a
16 three billion dollar plant and a three million dollar price
17 tag for halon, maybe three million is not expensive. It
18 does have a personal hazard, that is, you wouldn't want it
19 go off while you were in the containment accidentally,
20 although I don't see any reason why this halon system
21 shouldn't be manual. I don't know any reason to automate it.

22 COMMISSIONER HENDRIE: I thought you had some
23 minutes to walk out without significant physiological harm.

24 MR. ROSS: It is up to 20 percent concentration
25 which would probably be the recommended concentration.

1 There is apparently some chemical reactions, and I know of
2 people who have worked with Freon that worry about this and
3 maybe at high temperatures it breaks down into some bad
4 actors, high temperatures like eight or nine hundred degrees.

5 MR. DENTON: Of course, it doesn't get rid of the
6 hydrogen either.

7 COMMISSIONER HENDRIE: It just suppresses it.

8 MR. ROSS: Right.

9 MR. RUBENSTEIN: I was going to point out that the
10 fluoride ion may be deleterious to the primary system is you
11 had a spurious activation of the system and it does involve
12 like 90,000 pounds of halon being put into the system. We
13 are not quite sure that we know all about it that we want to
14 know about how it.

15 MR. ROSS: I think a problem like that could be
16 worked out though. Those are not serious problems. I think
17 probably it is the timing more than anything else.

18 What we expect to happen over the next few weeks,
19 we expect the TVA to be more firm as to what they are going
20 to propose and we are going to be more firm as to what we
21 would accept and hope we can come to closure on the issue of
22 whether distributed ignition sources are both desirable and
23 perhaps even necessary for the ice condenser.

24 CHAIRMAN AHEARNE: Now, Dennie, if you reach that
25 conclusion with respect to Sequoyah, then I would presume

1 that equivalent conclusion would be reached with respect to
2 Cook.

3 MR. ROSS: It could be. The Cook containment is a
4 reinforced concrete and you might argue different strokes
5 for that. We haven't discussed it, and as far as I know
6 there has been no dialogue with Cook, but they can take on
7 hydrogen.

8 CHAIRMAN AHEANE: They can, pardon me?

9 MR. ROSS: They can take more hydrogen because
10 they have a stronger containment.

11 MR. DENTON: They also have a so-called bottom
12 spray ring that the Sequoyah doesn't have that also gives
13 them a bit more protection. Certainly that would flow. I
14 think we are looking at the margin here. When we went into
15 this we didn't think we could develop the pros and cons from
16 a safety point as quickly as we apparently are able to do.
17 I guess the first concern is to be sure we don't put in
18 something or require something or encourage something that
19 makes the plant less safe. I want to be sure we don't start
20 that.

21 If it is going in the right direction then we need
22 to ask ourselves and are asking ourselves should we
23 encourage the insulation of systems which don't meet all the
24 safety criteria for seismic or equipment qualifications or
25 aging. If it certainly goes in the right direction it is

1 better to have it during a year while we study it further to
2 get in a proper system working.

3 CHAIRMAN AHEARNE: When you say that Cook is
4 stronger, is it at the Mcgu. re end there?

5 MR. ROSS: It is a steel lined reinforced concrete
6 as opposed to the Sequoyah which is just steel.

7 CHAIRMAN AHEARNE: For example, Walt had provided
8 I guess the last time a table under ice condenser and design
9 pressures, failure pressures, et cetera. Where would Cook
10 fit, at the upper end of that?

11 MR. BUTLER: I am sorry, I don't recall the design
12 pressure for Cook. It is either or 12 or 15. I think it is
13 15, but I would have to check the record.

14 CHAIRMAN AHEARNE: Well, the range is 12 to 15 on
15 ice condensers.

16 MR. BUTLER: It is one or the other, but I am not
17 sure which at this time.

18 MR. DENTON: With regard to Sequoyah I think they
19 anticipate initial criticality in the first week of July, at
20 least five or six weeks above our testing.

21 CHAIRMAN AHEARNE: They don't have approval for
22 full power, right?

23 MR. DENTON: Of low power testing.

24 CHAIRMAN AHEARNE: I know.

25 MR. DENTON: That is right.

1 CHAIRMAN AHEARNE: In the paper you sent up,
2 Harold, you mentioned that the methodology, and I assume you
3 are referring to the methodology that both the probabilistic
4 group and also Roger Matson's group used didn't give credit
5 for the amount of energy transferred through the steel dry
6 well and torus.

7 MR. ROSS: They did not because a system for doing
8 that does not exist. It is not plumbed in. In the Sequoyah
9 design there is a free-standing steel containment and then
10 an annulus and then a concrete shield. You see, this
11 transient fails due to steam overpressure of as many hours.
12 An ad hoc procedure could be to spray the thing with water
13 with fire hoses. This would probably be very effective in
14 reducing the pressure, but you can't take credit for it.

15 MR. RUBENSTEIN: Or increasing the strength of the
16 containment.

17 MR. DENTON: Or you could install a spray system
18 in advance.

19 MR. ROSS: We discussed this with TVA and
20 presumably they have either have or are considering it, one
21 of the other.

22 One final feature is a side effect of the recent
23 report that we got from Sandia that illustrates the
24 potential benefit of a distributed ignition system. If you
25 start burning hydrogen on the threshold of the burnable

1 concentrations you may get only half of the combustion that
2 you would get if you waited a little bit longer. The chart
3 on this report shows that at 10 percent hydrogen
4 concentration you would expect essentially get full
5 combustion, but at 8 percent you might only get half. So
6 this incomplete combustion is bound to have an overall
7 safety benefit somewhere down the line.

8 MR. DENTON: I guess overall for the ice condenser
9 class I feel like our understanding of mitigating systems
10 and their pros and cons is rapidly increasing because of
11 TVA's cooperative attitude in this regard.

12 FROM THE AUDIENCE: We can't hear you.

13 MR. DENTON: I think in the area of the ice
14 condenser our understanding of mitigating systems is rapidly
15 changing because of TVA's attitude in this regard. They are
16 studying all these possibilities. We are learning a lot and
17 I would propose that we decide that issue in the course of
18 coming back to you on Sequoyah specifically.

19 COMMISSIONER GILINSKY: I don't have any questions
20 on this, but I was going to return to part 100, if you could
21 stand it.

22 (Laughter.)

23 MR. ROSS: If I could squeeze in the announcement,
24 this concludes the staff presentation.

25 (Laughter)

1 CHAIRMAN AHEARNE: Before Dennie leaves Sequoyah,
2 though, since you have visited it ---

3 COMMISSIONER GILINSKY: Well, I would just on the
4 basis of my own brief discussion with TVA second what Harold
5 has said. I was there to take a look at the facility, but
6 did have a discussion on this subject with them and found
7 TVA working very hard on the problem analyzing the various
8 approaches and taking what I thought was a very commendable
9 approach and attitude.

10 CHAIRMAN AHEARNE: Dick, did you have any
11 questions you wanted to ask on this?

12 COMMISSIONER KENNEDY: No, not now.

13 CHAIRMAN AHEARNE: Joe?

14 COMMISSIONER HENDRIE: I guess not.

15 CHAIRMAN AHEARNE: Peter?

16 COMMISSIONER BRADFORD: No.

17 CHAIRMAN AHEARNE: Before you get to your part 100
18 discussion which I don't think referred to Dennie ---

19 COMMISSIONER GILINSKY: No, although I am
20 interested to what extent the outcomes are affected by the
21 Commission's decision. Where does that impinge on how you
22 are coming out?

23 MR. ROSS: On ice condensers I don't think it had
24 any effect because Sequoyah is doing what it is doing. On
25 Hatch and Vermont Yankee I think the only thing that will

1 get them inerted, which is our recommendation, is a rule
2 that permits it. We will have a rule up here in a month
3 that would do that. The only other regulatory authority
4 that we could would be to presumably to somehow interpret
5 part 100. Now, we haven't done that. If we were looking
6 for regulatory authority to compel inerting absent a rule
7 that we are proposing, then I guess we would have to look at
8 part 100 somehow.

9 CHAIRMAN AHEARNE: But, of course, the Commission
10 hasn't reached the conclusion yet that they ought to be
11 inerted.

12 MR. ROSS: It affects the MARK I's and II's but it
13 does not affect the ice condenser in my opinion.

14 COMMISSIONER GILINSKY: The point I was going to
15 make about part 100 which as I understand the way it works,
16 and I am sure, Joe, you understand it better, I think you
17 applied it vigorously for a number of years, is that you
18 assume that there is a certain quantity of radioactive
19 material in the containment and go on and calculate from
20 there. Now, that is not related in any specific way to a
21 particular accident. It is just a general assumption of a
22 certain fraction of fission products.

23 COMMISSIONER HENDRIE: That is right. In the
24 conventional analysis, the classical analysis that we have
25 done we say look to examine whether you have proposed the

1 containment that it is tight enough and has a low enough
2 leak rate. We will simply assume this atmosphere full of
3 fission products corresponding roughly to a full core melt
4 and then with certain established assumptions we will
5 calculate off-site doses from the leakage and see how that
6 looks. Indeed, within that framework there is no particular
7 mention of hydrogen or no hydrogen. You are calculating
8 doses from fission products.

9 What we have done in the TMI I, in the answers to
10 the questions certified to us, is to say that we believe
11 that questions about hydrogen in which hydrogen evolution
12 becomes a significant element in the possible release of
13 fission products by causing containment failure or whatever,
14 that that is in our view a litigable subject under part 100.

15 Now, saying that doesn't confirm the direction of
16 the argument just to that rather strict and artificial dose
17 calculation that the staff classically does according to
18 reg. guides 1.3 and 1.4 and for part 100 cite guideline
19 conformance, but rather leaves it to the parties want to
20 bring the arguments how they will pursue those.

21 Now, let me see if I can get a nod out of the
22 counsel's end of the table for this explanation and maybe we
23 ought to ask if there is anything want to edit.

24 COMMISSIONER GILINSKY: What I was going to say is
25 you can't have that quantity of radioactive material without

1 at the same time having generated a rather large amount of
2 hydrogen corresponding to it.

3 COMMISSIONER HENDRIE: In the real world I think
4 that is probably correct. A water reactor is going to have
5 enough steam in it so that if you get that kind of fission
6 product inventory out you will probably have made a lot of
7 hydrogen. I am just saying that I don't think that any
8 litigation under the Commission's order on TMI I would be
9 confined or bound by that sort of prescribed dose
10 calculation that the staff does under reg. guides 1.3 and
11 1.4.

12 COMMISSIONER GILINSKY: But it sounds like you are
13 not letting someone say simply, Look in part 100 you use
14 this much radioactive material and corresponding to that is
15 a quantity "X" of hydrogen.

16 COMMISSIONER HENDRIE: I think you could let them
17 make that argument, but if I were their technical adviser I
18 would advise them to make a more considered argument than
19 that because for years we have done this rather anomalous
20 fission product assumption in the containment as a way of
21 testing the containment design basis.

22 COMMISSIONER GILINSKY: I mean, that was not tied
23 to any specific accident. As it turned out in retrospect
24 that even though it was a more or less arbitrary approach
25 it was a good thing that we had it and we stuck with it

1 because had we gone consistently with the approach that you
2 don't consider accidents involving core melt we might have
3 ended up with no containment at all.

4 COMMISSIONER HENDRIE: No. I think you would have
5 had to have a containment, but its leakage rate might have
6 been substantially higher than unit II was and that would
7 have been unfortunate.

8 COMMISSIONER GILINSKY: Where this brings me is
9 that it seems in designing safety systems there is something
10 to be said for putting in measures and in a sense hedging it
11 against certain contingencies and not necessarily tying
12 those up to specific scenarios but using certain general
13 principles like part 100.

14 COMMISSIONER HENDRIE: I am compelled to agree
15 with you since I have argued precisely for that sort of
16 philosophy many times in the past and that is the way in
17 general that the regs are set up, you know, the general
18 design criteria. There are some of these overlaps. In
19 fact, we have had arguments with the Appeal Board about
20 whether the overlaps in requirements were in fact permitted
21 and intended by the regulations. The Commission has
22 generally come down on the side of conservatism, that is,
23 saying, yes, you can have one regulation that says the
24 system has to limit the damage to two percent. Then you
25 have another system that says, let's assume the damage is

1 five percent or something beyond it. Then when you get to
2 the containment why there is yet another process that says,
3 boy, let's assume the core just dumped its fission products
4 into the atmosphere and now let's see what kind of a leak
5 rate is allowable in view of the site distances and
6 meteorological conditions in the area.

7 COMMISSIONER GILINSKY: That is why in view of our
8 experience it seems to me to make sense to protect the
9 fairly sizeable amount of hydrogen generated.

10 COMMISSIONER HENDRIE: I think parties are free
11 under the order if they wish to make that argument. All we
12 have really done is to say you have to make it in the
13 context of part 100 rather than under an altered 50.44. I
14 think we wanted to retain 50.44 because there are some
15 design features that end up being required under 50.44, and
16 if you just removed it you would leave yourself in peculiar
17 fashion to regulate those design features. So I think it
18 was desirable to keep it, but we have allowed the litigation.

19 CHAIRMAN AHEARNE: Clearly the reason we have the
20 staff going through all this on these various containments
21 is on that general approach.

22 COMMISSIONER HENDRIE: Presumably in due time we
23 will straighten out on a more sweeping and rational basis
24 where all of these things ought to lie, and if that had
25 occurred before then the question in TMI wouldn't have come

1 up about hydrogen. It would be clear how it was to be
2 treated, but we have to have some sort of interim basis for
3 operation.

4 COMMISSIONER GILINSKY: Well, just as far as the
5 discussion we have had we are moving in the right direction
6 with all of these litigation measures, and I hope we will
7 keep moving forward on this.

8 CHAIRMAN AHEARNE: We had also agreed to give
9 General Electric at their request a short period of response.

10 (Short pause.)

11 CHAIRMAN AHEARNE: If you will identify yourselves.

12 MR. BUCHHOLZ: My name is Robert Buchholz. Steve
13 Stark and I are here today to represent GE to argue against
14 the staff recommendation to require inerting of MARK I and
15 II containments on an interim basis during the rulemaking
16 proceeding.

17 As evidenced by our previous discussion on March
18 19th, I think you will recall, and the several letters that
19 have been transmitted back and forth i that interim
20 period ---

21 CHAIRMAN AHEARNE: I would recommend that you
22 assume we both remember and have read.

23 MR. BUCHHOLZ: Okay. I think we have in our
24 presentation here. We consider this to be an area of
25 significant concern to us. We are here today to spend a few

1 minutes to amplify and supplement our previous comments and
2 communications with you.

3 We have two charts and they have not been handed
4 out to you previously, but I believe they are in back of the
5 screen somewhere, and I will pass them over to your side of
6 the table.

7 (First slide.)

8 I think it is fair to ask the first question as to
9 why are we struggling against this inerting recommendation
10 of the staff so arduously? The answer to that I think is on
11 the first chart.

12 Specifically the BWR has several design features
13 which mitigate the probability of core uncovering and
14 consequently hydrogen generation.

15 I note that these kinds of design features are not
16 specifically included in the risk assessment thing, and that
17 is the reason for highlighting them here today. For
18 example, the BWR does have redundant reactor vessel water
19 level measurement.

20 If core coverage is threatened the operator will
21 know about it in advance and can take the necessary actions
22 by ensuring, for example, that the high-pressure injection
23 systems are operated or by utilizing on the second bullet
24 there the rapid depressurization capability of the ADS
25 system, the automatic depressurization system, to bring on

1 the low-pressure injections systems.

2 The EWR is designed to operate with the bubble in
3 the pressure vessel and has strong natural circulation
4 capability both internal and external to the vessel. This
5 capability is demonstrated, you know, during the start-up of
6 each plant and thereby we feel eliminating any concern
7 regarding coolability of the core when there is a void in
8 the pressure vessel.

9 In addition to the three bullets there that I have
10 indicated relative to the NSSS, there are design features.
11 Specifically I want to mention the fact that there is a
12 large passive heat sink in the containment of about a
13 million gallons of water which is available to mitigate the
14 consequences of things like a stuck open relief valve and,
15 you know, the more probable types of transients that the
16 system would have to undergo.

17 I think this summarizes the reasons and some of
18 the things that we believe are features, not to say that you
19 shouldn't to try to further improve the safety levels, but
20 we want to make sure that these things are focused on when
21 you are considering the need to inert our plants.

22 Now, I think there is no disagreement around the
23 circuit regarding the fact that inerting yields a small risk
24 reduction, and accordingly I won't spend time to read from
25 the staff paper that says that. That has been covered.

1 We further expect this belief to be substantiated
2 by studies that we are undertaking as well as Vermont Yankee
3 are undertaking. We are undertaking these studies in
4 response to the request for the Limerick evaluations, and
5 Vermont Yankee is sponsoring studies at MIT under Rasmussen.

6 The next two bullets have to do with operational
7 related items that were covered by the Vermont Yankee
8 personnel on March 19th. The hazard to plant personnel I
9 think has been referred to before because of the possibility
10 of incomplete purging of hydrogen from the system. Of the
11 problems we have talked about today that is probably one of
12 the more real problems throughout not just the nuclear
13 industry but throughout all of industry.

14 The Yankee operations personnel spoke of the
15 advantages of being able to correct operational problems
16 while they are still small and being able to instill into
17 their operational people a positive attitude of prevention
18 in terms of the maintenance capability.

19 I think the staff seconded that motion in the 107A
20 document when they noted that when considering day-to-day
21 operational aspects we would agree that inerting is a
22 definite disadvantage.

23 What I would like to suggest here is that, first
24 of all, we concur with that and we believe that safety is
25 really built upon the foundation of, you know, appropriate

1 kinds of day-to-day actions. The kinds of things I think we
2 should focus on are those that are the more probable in
3 nature rather than those that are the less probable in
4 nature.

5 As the staff as indicated in their presentation
6 earlier today, those transients or those accidents we are
7 inerting would prove beneficial or several orders of
8 magnitude less probable than the other kinds of transients
9 that would result in containment failure.

10 CHAIRMAN AHEARNE: It sounds that it would be
11 General Electric's position that the inerting would lead to
12 a decrease in safety.

13 MR. BUCHHOLZ: We believe that is the case, yes.

14 CHAIRMAN AHEARNE: Then would you conclude that
15 the inerting plans are unsafe?

16 MR. BUCHHOLZ: No. I think there is a distinction
17 between believing that it is a decrease in safety and saying
18 that something is unsafe. Several of the inerted plants at
19 the time of Three Mile Island were preparing papers to come
20 forth in order to deinert. They have been distracted
21 somehow from that endeavor, you know, for the last year.

22 CHAIRMAN AHEARNE: It is not quite the appropriate
23 time to come in and say hydrogen burn is not a problem.

24 MR. BUCHHOLZ: It is a little awkward, yes.

25 COMMISSIONER GILINSKY: What is the situation

1 abroad, with your plants that you have sold abroad?

2 CHAIRMAN AHEARNE: You know one is inerted.

3 MR. BUCHHOLZ: Yes, the Tarapur plant is inerted.

4 I believe they are all inerted abroad.

5 COMMISSIONER GILINSKY: Is this following our lead?

6 MR. BUCHHOLZ: No, it is really following our lead

7 here in the United States. I would expect that they would

8 follow our lead again if we were deinert the plants, too.

9 (Next slide.)

10 Well, the second chart, and I promise to be brief.

11 With the information that we have just discussed,

12 you know, we have concluded that the staff proposal should

13 not be approved. We consider that the proposal is

14 prescriptive in nature and that there are other methods of

15 hydrogen control that weren't fully considered that could

16 possibly not lead to some of the disadvantages that we have

17 discussed.

18 I think we all agree that it is not an urgent

19 safety issue. The staff in their most recent paper stated

20 that "We agree that there are no overriding safety arguments

21 to support an inerting decision." Therefore, I claim it is

22 not an urgent issue.

23 We feel that the basis for the recommendation is

24 shaky at best and inadequate at worst. We are doing some

25 work, and it is noted in the Vermont Yankee Nuclear Power

1 Corporation letter to you, Chairman Ahearne, on June 19th
2 both GE and VY are conducting additional studies to try to
3 shed, you know, more definitive light on this subject. We
4 would earnestly wish that those studies be allowed to come
5 to completion.

6 We ask that the issue be addressed as part of the
7 rulemaking process for this, as I said, will, you know,
8 solicit some additional quantitative input as a result of
9 these studies. We feel that this request is reasonable and
10 that the timing is consistent with the determination that we
11 have all had that the situation that we are talking about is
12 a low-risk one.

13 We feel that if it is judged that there is a need
14 to reduce risks further that going this process will permit
15 us to identify the actions that would reduce the risk that
16 have the least adverse consequences.

17 I think that kind of sums up our position and we
18 would be glad to answer any questions that you have.

19 COMMISSIONER GILINSKY: I observe that you seem to
20 be arguing on your first page of your observations on the
21 basis that an accident involving hydrogen generation is
22 unlikely. The staff seems to be saying that in such an
23 accident other things will happen first and therefore
24 dealing with the hydrogen doesn't help you much.

25 MR. BUCHHOLZ: I think we are all in accord,

1 Commissioner Gilinsky, in just quoting the staff's paper
2 that the accidents that lead to significant hydrogen
3 generation are two orders of magnitude less probable than
4 those that would fail the containment first thereby
5 mitigating any influence of the inerting.

6 I think one of the faults that we have had perhaps
7 over the years is to be working on problems that are two
8 orders of magnitude less important than the problems we
9 should have been working on perhaps. So I am suggesting
10 that for that reason there is no urgency to inerting the
11 MARK I and II containments.

12 COMMISSIONER GILINSKY: We were working on the
13 ones that we thought were the important ones and it turned
14 out that we didn't have it quite right. We were talking
15 about this a little earlier, the question of to what extent
16 one ought to hedge against having made some of these
17 calculations incorrectly and estimating the probabilities
18 incorrectly, and therefore they have left out some important
19 considerations dealing with, you know, possible large
20 accidents. This would be in the nature of a hedge against
21 those kinds of possibilities.

22 MR. BUCHHOLZ: The think that I guess I would ask
23 you to consider is the desirability of implementing that
24 hedge, and I understand exactly what you are talking about,
25 versus the known undesirability of implementing that hedge.

1 One of our concerns is that we have to this point in time
2 not obtained as good a set of data back from the utilities
3 regarding the the virtues of not being inerted and the
4 adverse consequences of being inerted, and I would like to
5 have those.

6 CHAIRMAN AHEARNE: Perhaps there aren't any good
7 set of data.

8 MR. BUCHHOLZ: At this point in time perhaps there
9 is not. We have supplemented the NRC staff's request with a
10 set of questions of our own which we tried to learn a few
11 lessons from the staff's set and then provide supplementary
12 questions.

13 COMMISSIONER GILINSKY: It is really a balancing
14 of inconvenience on a day-to-day basis and cost against the
15 value of the safety measure that deals with certain
16 contingencies. .That is a balance that one has to make, and
17 I think we are all agreed that that is what is at issue here.

18 MR. BUCHHOLZ: Yes. All we are saying is that we
19 are taking some action to get some further information on
20 that and would suggest that in considering the agreed upon
21 lack of urgency on the matter -- I mean we are talking about
22 implementing this recommendation as an interim action. That
23 is the context that I am arguing the case.

24 CHAIRMAN AHEARNE: Vic?

25 COMMISSIONER GILINSKY: No. Thank you.

1 CHAIRMAN AHEARNE: Dick?
2 COMMISSIONER KENNEDY: No. Thank you.
3 CHAIRMAN AHEARNE: Joe?
4 COMMISSIONER HENDRIE: No. Thank you very
5 MR. BUCHHOLZ: Thank you.
6 CHAIRMAN AHEARNE: Thank you.
7 (Whereupon, at 5:00 p. m., the public meet
8 adjourned.)

9 * * *

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

in the matter of: Discussion of SECY-80-107-Proposed Interim Hydrogen
Control Requirements for Small Containments - PUBLIC MEETING--

Date of Proceeding: June 26, 1980

Docket Number: _____

Place of Proceeding: Washington, D. C.

were held as herein appears, and that this is the original transcript
thereof for the file of the Commission.

Mary C. Simons

Official Reporter (Typed)

Mary C. Simons

Official Reporter (Signature)