

TERA

ORIGINAL

NUCLEAR REGULATORY COMMISSION

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

In the Matter of: 243rd Meeting.

DATE: July 11, 1980 PAGES: 323 - 459
AT: Washington, D. C.

ALDERSON  REPORTING

400 Virginia Ave., S.W. Washington, D. C. 20024

Telephone: (202) 554-2345

8007380602

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION

3
4 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

5
6 - - -
7 243rd MEETING
8 - - -

9
10 Nuclear Regulatory Commission
11 1717 H Street, N.W.
12 Room 1046
13 Washington, D.C.

14 Friday, July 11, 1980

15 The 243rd meeting of the Advisory Committee was
16 convened, pursuant to adjournment, at 8:30 a.m.

17 Members Present:

18 MILTON S. PLESSET, Chairman
19 J. CARSON MARK, Vice-Chairman
20 CHESTER P. SIESS
21 STEPHEN LAWROSKI
22 MYER BENDER
23 DADE W. MOELLER
24 WILLIAM KERR
25 MAX W. CARBON
WILLIAM M. MATHIS
JESSE C. EBERSOLE
HAROLD W. LEWIS
DAVID OKRENT
JEREMIAH J. RAY

Staff Present:

R. SAVIO

P R O C E E D I N G S

1
2 MR. PLESSET: The meeting will now come to order.

3 This is the 243rd meeting of the Advisory Committee on
4 Reactor Safeguards. The specific items for today's meeting
5 are the discussions on the Tennessee Valley Authority
6 application to operate the Sequoyah Nuclear Power Plant, our
7 meeting with the NRC commissioners and discussions of the
8 ACRS report on the FY 1980 Safety and Research budget.

9 This meeting is being conducted in accordance with the
10 Federal Advisory Committee Act and the Government in the
11 Sunshine Act. Dr. Richard Savio is the designated Federal
12 employee for this portion of the meeting.

13 A transcript of the meeting is being kept, and it is
14 requested that each speaker first identify himself or
15 herself and speak with sufficient clarity and volume so that
16 he or she can be readily heard.

17 We have received a request from General Electric for
18 permission to make a brief oral presentation, and we have
19 allotted time for this today. We have not received any
20 written statements or requests from other members of the
21 public with regard to this portion of the meeting.

22 The first item on today's agenda is the Subcommittee
23 Chairman's report on the Sequoyah Nuclear Power Plant. I
24 will call on Cq- Magj sn lajd sghr qdongs-

25

1 Dr. Mark.

2 Oh, yes. I should mention before Dr. Marks's
3 report that I received a letter from Commissioner Gilinsky
4 in which he asked us to pay particular attention to two
5 items: first, an assessment of whether the ice would
6 adequately suppress the steam pressure in a large loss of
7 coolant accident; and second, the Committee's view on
8 whether additional hydrogen control measures should be
9 required for full power operation to limit the effects of
10 large amounts of hydrogen such as that generated during the
11 Three Mile Island accident.

12 So the Committee should pay particular attention
13 to these two points which we should address in our report on
14 Sequoyah. Thank you.

15 Dr. Mark, would you take over?

16 MR. MARK: On the Sequoyah review, Sequoyah is to
17 be considered for an operating license. The hope is
18 entertained by TVA people and by the staff that it might be
19 possible to give a committee opinion on the operating
20 license at this meeting. There will be more said about the
21 schedule of the plans for Sequoyah, I am sure, in the course
22 of the presentations.

23 There are quite a number of questions which will
24 have to be thought through or checked off before it would be
25 possible to decide if the latter is possible. I suggest

1 people have it in mind in that sort of context. There was a
2 subcommittee meeting on Tuesday of this week which went over
3 all of the items still requiring attention, and perhaps a
4 few more than that.

5 We have asked for presentations this morning on
6 the items which were felt to be of the most continuing
7 significance or appeared to raise the most obvious
8 questions, but I will mention some of the items discussed
9 which, in our opinion -- by us, I mean Mr. Mathis and myself
10 and the Subcommittee -- the items which we felt received
11 enough discussion on Tuesday not to warrant a presentation
12 to the full Committee. All of those, of course, are open to
13 question if anyone should ask for details on them.

14 The ones I thought I would mention were the item
15 of protection against floods that has been considered in the
16 context of two floods: probably maximum flood, which you
17 arrange by having first a three-day storm delivering between
18 6 and 7 inches of water in a 21,000 square mile
19 watershed, followed immediately by another three-day storm
20 in which you get 15 or 17 inches of water in the same
21 watershed.

22 Such a flood would be thought to bring the water
23 about 15 feet above grade level, and if you make an
24 allowance for 50 mile an hour winds, you get waves 5 feet
25 above that. So the question has been examined as to how the

1 plant would fare if there were water of that sort at the
2 plant.

3 The general picture emerging is that they had a
4 Phase I plan for battening things down which would take
5 about ten hours to get people there and shut off the plant,
6 put it in cooldown, switch the power sources to the diesel
7 generators, and a number of other steps which would require
8 about ten hours, followed by a more particular Phase II
9 battening down sequence of rearranging water sources and
10 moving materials and closing drains, which would take about
11 14 hours.

12 Minimum warning of a flood of this general nature
13 would be 27 hours, in their opinion, and they feel they are
14 prepared to cope with such an event.

15 Another flood, which I judge is no more severe or
16 perhaps slightly less is the one which might have a seismic
17 component coupled with about half probable maximum flood.
18 The seismic component contributes by claiming in an optimal
19 way the breaking of core upstream. These thoughts on the
20 matter seem to us to cover the point that has been given our
21 attention. We don't propose to have more discussion here
22 today unless it is asked for.

23 Another question which was discussed and had come
24 up at a previous meeting was the arrangements that need to
25 be thought through on the operation of the first unit before

1 the second unit was ready to operate. They do have some
2 connections, in particular through the auxiliary building,
3 and there is a secondary containment enclosure in the
4 auxiliary building, so that the possible releases of
5 anything from the first plant would be shielded from
6 proceeding to the Unit 2 part of the installation.

7 Thought has been given to the water sources, both
8 with respect to Unit 1 and Unit 2. There is a source which
9 is very specifically aimed at Unit 1, a new pumping station,
10 and it looks as if the period of operation of the first unit
11 before the second unit is brought on has also been thought
12 through.

13 There was a question on Tuesday of the status of
14 the low power test program. It does not deserve any further
15 report, as far as I can see. The SER covering that
16 operation either appeared yesterday or today, if it was on
17 the same schedule that was pictured on Tuesday, and the
18 lower power test operation is then expected to start
19 tomorrow.

20 There was a presentation on Tuesday of the staff's
21 present consideration of the vented filter containment.
22 This is really not specific to Sequoyah. It did not seem to
23 call for discussion in connection with Sequoyah.

24 I think that those are the items which were
25 discussed at the Subcommittee. Barring questions from

1 members, they would not be the subject of presentations
2 today, although questions can certainly be answered. Unless
3 there are questions which the designated Federal employee
4 feels I have left out, and since Charlie isn't here --

5 MR. PLESSET: I can apologize for him. He is on an
6 urgent matter. He will be in later.

7 MR. MARK: We talked about what would be covered.
8 So I doubt if we would have gotten anything from him
9 important. I would propose that we proceed with
10 presentations.

11 I would call on Mr. Stahl of the NRC staff to say
12 what is necessary about the schedule and the status of items
13 which are either recently closed or still not quite closed.

14 MR. OKRENT: Can I ask a question? What was the
15 nature of the presentation on the vented filter
16 containment? Who presented what?

17 MR. MARK: Jim Murphy -- Jim Myer. It is a
18 somewhat generic study.

19 VOICE: What he did was review the status of Zion
20 and Indian Point, the fact that licensees are doing parallel
21 review.

22 MR. OKRENT: I am familiar with that study. Was
23 there anything specific to Sequoyah?

24 VOICE: No, sir.

25 MR. MARK: No, I thought not. It was a generic

1 study.

2 MR. OKRENT: Okay. Last month I asked that the
3 applicant be prepared to comment on his response to ACES
4 recommendations in its letter on the final report of the
5 Lessons Learned Task Force, that each operating and WPOL
6 reactor look at the pros and cons of a vented filter
7 containment; also, that each one do an IREP kind of thing.

8 So I would like to hear from --

9 MR. PLESSET: We will wait until the applicant
10 comes on, Dave. I am sure he has made a note of that.

11 Before we go to Mr. Stahl, Carson, if I might ask
12 the staff to be sure to include any information they might
13 have regarding questions about the ice condenser system.
14 There has been experience with the system at D.C. Cook, for
15 dx'lpkd, tg't I he'rd questions about, the status of the
16 inspection of the doors on the ice columns, and what
17 information they might regarding the possibility of hot
18 channels through the ice columns. Those are two questions
19 that I have.

20 When you get to it, we would like to hear a remark
21 on it.

22 The other thing is there is no SER. We noted
23 that, but I understand you should have one. Are you going
24 to make a comment about that?

25 MR. STAHL: Yes.

1 MR. MARK: That is part of the scheduled
2 discussion.

3 MR. PLESSET: All right, fine.

4 MR. CARBON: Will they also address Commissioner
5 Gilinsky's second question?

6 MR. PLESSET: Yes, I am sure. I am sure they
7 will. That is on the agenda.

8 MR. MARK: It was on the agenda before Gilinsky's
9 letter.

10 MR. PLESSET: Yes. Both of those items have a
11 fair amount of time on the agenda, which is this colored
12 sheet. Okay, why don't we go to the staff's presentation?

13 MR. STAHL: My name is Carl Stahl, the project
14 manager for the Nuclear Regulatory Commission on this
15 project. My task today will be to summarize the status of
16 issues that were discussed at the Subcommittee meeting.
17 There are selected members from the staff here to assist me
18 in this review, including a representative from I&E to
19 assist in this matter.

20 To set the stage for the review today, I will
21 start off with the schedule. First and foremost, plant
22 status. Initial criticality was achieved on July 5. Zero
23 power test commenced. It is my understanding such tests
24 will be completed today or tomorrow.

25 On this basis, initiation of a lower power test

1 program could begin on Saturday or the first of the week.
2 Assuming things go well, lower power test program could be
3 completed by the end of July. That could then be followed
4 by, of course, power ascension tests sometime the first week
5 of August, and then subsequent full power operation several
6 weeks later.

7 In order to initiate the lower power test program
8 that was required in the Safety Evaluation Report and the
9 License Amendment, the Safety Evaluation Report needed to
10 consider the safety aspects of the program, the procedures
11 to conduct such a program, tech spec changes that would be
12 required, and last but not least, any necessary emergency
13 procedures that may be needed in the unlikely event that
14 they should be called on.

15 As indicated previously by Mr. Baer in our review
16 of the Safety Evaluation Report, we have concluded formally
17 in this report that no additional risk would be introduced
18 as a result of this program. I am pleased to say today that
19 yesterday we were able to sign an amendment to the license,
20 and therefore we have authorized TVA to proceed with the low
21 power program as soon as possible.

22 Now, the issuance of an amendment, I would say, is
23 consistent with the plant readiness, and this did require a
24 very expeditious effort on the part of the staff and the
25 applicant to meet this status. I should add that to the

1 extent possible, our reviews are scheduled to be in step
2 with plant status.

3 With this in mind, I would like to introduce Mr.
4 Tedesco here, who would like to make some introductory
5 remarks on the related schedules to our review of the full
6 power test issues.

7 Mr. Tedesco.

8 MR. TEDESCO: Thank you, Carl.

9 What I would like to do for a few minutes with the
10 Committee is share where we are with our review of Sequoyah
11 and to underscore the need for our support based on the
12 review of Sequoyah. Carl has given you a background of
13 some of the major elements of the review. I think it is
14 good to bring into focus that we have issues in the SER for
15 Sequoyah back in March 1979. That was the original SER.
16 Supplement 1 started to pick up some of the requirements on
17 Three Mile Island. It was issued in February of this year.

18 What we are looking forward to now is Supplement
19 number 2, which would then deal with the balance of items in
20 non-TMI areas, and this would pick up the full power items
21 based upon the TMI requirements.

22 Now, we expect to go ahead and complete our review
23 this month and be able to issue the supplement sometime at
24 the end of July or early August. We then expect to be
25 prepared to go through a Commission briefing in early

1 August, and then with expectation of issuing the full power
2 license in early August.

3 Now, this would be all predicated upon a favorable
4 letter from the ACRS this month, and if we are not able to
5 succeed in this endeavor, it is very possible that we would
6 have to come back in August and then that might cause us
7 further delay.

8 Now, there have been a number of changes. We went
9 through these at four subcommittee meetings, a site review
10 meeting, and five full committee meetings, so I believe that
11 we all have had an opportunity to get some insights into
12 where we are with the review of the Sequoyah plant.

13 I recognize also there are some new aspects that
14 we are dealing with, which are unique with Sequoyah, that
15 deal with the ice condenser, and then the question on the
16 hydrogen.

17 These matters will be discussed today. The staff
18 believes that it can resolve the remaining items that deal
19 with TMI and non-TMI issues. We did a quick survey last
20 night, and there are about 40 TMI issues that have to be
21 dealt with. We feel that nine of them remain to be
22 resolved. There are 13 non-TMI issues, 5 of which remain to
23 be resolved, so I think these data suggest quite a bit of
24 progress made in our review.

25 We are confident that TVA is willing to support

1 and cooperate with us on the remaining items, so it is on
2 that basis that we outlined that we are asking for a
3 favorable letter from the Committee this month. I realize
4 there is a supplement yet to be written. We will add that
5 we would be prepared to keep the ACRS informed on the
6 resolution of these items as we move forward.

7 In any case, we would request a letter from the
8 Committee that would deal with the question of hydrogen. If
9 the Committee found it was not able to go all the way for
10 Sequoyah, at least as a minimum we would request a letter on
11 the question of hydrogen. It is one of the issues we have
12 to deal with, a rulemaking proposition.

13 I ask the Committee for a favorable report on
14 Sequoyah this month.

15 MR. PLESSET: Thank you.

16 MR. STAHL: Let me then take up the status of the
17 review from Mr. Tedesco. I will start off with a review of
18 the non-TMI issues.

19 (Slide)

20 As mentioned, we believe eight are complete and
21 five are ongoing. If you look at your Vu-graph, you will
22 find items 9 and 13 are I&E bulletins ongoing that apply to
23 Sequoyah and other plants. Items 4 and 8 require further
24 discussion and will be resolved shortly.

25 I do want to identify item 6, in particular, which

1 involves qualifications of flexible equipment. I cited
2 before that this was an important item on the critical path,
3 as identified in the SER. It needs to be completed by the
4 time of full power operation. The item is still important.

5 The Commission order of May 23 provides some
6 relief in the schedule. We are now able to say that an SER
7 schedule in the Commission order dictates that such be
8 produced by February 1981, the completion of it by June
9 1982. This does not diminish the importance of this item;
10 it simply provides a little more flexibility in our
11 completion of an important area of endeavor.

12 To emphasize the importance of this item, we are
13 now planning to go to the regions and describe, if necessary
14 in detail, NUREG 0588 that gets into the criteria that
15 remain in this area. With this in mind, however, I believe
16 that this would not preclude us from entering into a license
17 for full power with Sequoyah.

18 I am confident that the staff will review these
19 items, and items that may constitute a deficiency will be
20 corrected and allow us to proceed. On the basis of this
21 chart, the 13 items will be complete. I also mentioned on
22 Wednesday two additional items are identified.

23 First we informed TVA that inspection ports would
24 be required from the steam generators, the Westinghouse
25 steam generators, in particular, as a result of racking that

1 has been noted in the steam generators. Second, these ports
2 would have to be installed by the next refueling. TVA's
3 response on this matter was at this moment they are
4 experimenting with a new camera which they believe will be
5 successful and would eliminate the need for additional ports
6 in their steam generators.

7 However, if this should fail, they are committed
8 to do so by putting new ports in during the next refueling.
9 The staff has accepted this and are anxious and looking
10 forward to the data related to this new camera. We also
11 informed them that the possibility exists of plugging the
12 first row of steam generator tubes, and we are all awaiting
13 the results of ongoing tests pertaining to these tubes,
14 recognizing at some point in time they may have to plug
15 these tubes if the data results in evaluation and it is
16 adverse.

17 MR. MOELLER: Was it ports or supports?

18 MR. STAHL: Ports. Inspection ports.

19 MR. MOELLER: Additional inspection ports.

20 MR. STAHL: Yes, sir. These would be hand holes
21 to observe the tubes. The second item identified here is
22 that we had a minority opinion from a staff member with
23 regard to the repair of the pressurizer relief line. This
24 is a separate item on the agenda. I will discuss it at the
25 time it appears on the agenda. I may add, however, at this

1 point a substantial amount of discussion took place at our
2 subcommittee meeting. I believe the subcommittee members
3 have been thoroughly informed on this.

4 Mr. Halapats, the dissenter in this matter, was
5 given the opportunity to give a presentation on this entire
6 matter. We expect, however, today I will introduce the
7 subject again. Mr. Gamble from the staff will give a brief
8 presentation, and Mr. Halapats, who is with us today, is
9 available to respond to questions on the part of the full
10 committee if necessary.

11 TVA is also here to do so, as well as our
12 inspector from the I&E Office, who is involved and
13 thoroughly familiar with this entire matter. As I said
14 before, I believe these items, the non-TMI items, will be
15 completed in time to be consistent with the schedule we
16 anticipate for full power operation of Sequoyah.

17 Now, let me turn to the status of the TMI issues,
18 and let me repeat some of the background that I did provide
19 because I think it is essential that you recognize, as I
20 have been doing with subcommittee meetings and as I did in
21 June. First of all, let me say the SER Supplement 1 was in
22 two parts. It first dealt with the non-TMI issues, and that
23 review is and continues to be based upon our standard review
24 plan.

25 Our second part in the Supplement number 1 dealt

1 with lessons learned from the TMI-II accident, but only with
2 the fuel load requirements at that time. Our next supplement
3 that we discussed, mentioned this morning and being issued
4 at the end of the month, deals with first the non-TMI issues
5 that I have just mentioned, and they now deal with the full
6 power requirements. It is now identified in NUREG document
7 0694.

8 It also will identify the data requirements that
9 have also been identified in this document. And last, it
10 will also include the NRC actions that are also included in
11 the document. I wish to stress here that the requirements
12 with regard to the TMI-II issues resulted in a formatting
13 here to allow, if you will, reasonable implementation of the
14 requirements that are necessary and that we have learned
15 from the TMI-II accident.

16 From my point of view as project manager, I regard
17 these as requirements that must be dealt with in one manner
18 or another, certainly technically and administratively,
19 when we come to the point of licensing this plant. With
20 this in mind, I have identified all of these items on a
21 Vu-graph that I first presented to the subcommittee members.

22 (Slide)

23 For this morning I have taken the liberty to
24 revise the charts, at the risk of maybe confusing the
25 Subcommittee members, to make them more complete and useful

1 for your own use. I will put them on to identify the 40
2 items that we have, simply identifying the task number, the
3 numbers used in the NUREG 0694, the issue itself,
4 abbreviated titles, and the status on the right-hand side.
5 DI stands for dated item. The asterisk indicates completion
6 that I feel is so.

7 (Slide)

8 Let me quickly remove that.

9 MR. MOELLER: What does a dated item mean?

10 MR. STAHL: By definition, a dated item is one in
11 which it need not be completed today but must be
12 accomplished on the indicated date.

13 MR. MOELLER: Thank you.

14 MR. STAHL: I will attempt to touch briefly on
15 this as I go along. The second Vugraph simply completes the
16 list. If I may, I will briefly remove it and come back to a
17 summary chart in order to provide the perspective on this
18 entire matter as far as our review process

19 (Slide)

20 First, on the full power issues, please note that
21 in my opinion 15 items are complete, and this takes the form
22 that I have SER inputs from the staff and are in progress.
23 There are 13 dated items, three of which actually, as
24 stated, must be completed in August. The remaining ten come
25 from January on. One is not applicable simply because it

1 applies to dedicated penetrations that are necessary for
2 combiners that are located outside of containment.

3 Sequoyah has internal combiners. Therefore, this
4 is not applicable to Sequoyah. One item is a rulemaking
5 here. One is simply an implication that we will issue such a
6 rulemaking here. One of the items is an I&E function
7 necessary to review the ascension power tests. This is
8 under way, and it is my understanding they will be complete.

9 Therefore, from the 40 items that we have
10 identified on the chart, there are nine that must be dealt
11 with over the next two weeks by the staff, applicant and so
12 on. With respect to the status of information we received
13 from the applicant, we have all the input we have asked for
14 with the exception of two items, and they should be in next
15 week. The staff is reviewing this in a rather intensive
16 way. Further information requirements may be required of
17 the applicant as the process goes on in the most dynamic way.

18 In my judgment, though, we will have within the
19 next two weeks all of the input on the uncompleted items as
20 well as on all of the completed items I have identified.

21 (Slide)

22 I should add that each item was discussed with the
23 Subcommittee members, even though they may be slightly
24 arranged in a different manner. They were presented to the
25 Committee members. Staff and TVA responded to all of these

1 items. I reiterate that we do have a very ambitious schedule
2 in completing this. There are some problem areas here that
3 may not be fully resolved at the time of the issuance of our
4 SER, but I believe they will be sufficiently resolved so that
5 we may proceed to a full power license.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 I think TVA and staff will respond to any of the
2 questions that you may have on all the 40 items. I recognize
3 this is difficult to do at this moment.

4 MR. MOELLER: Excuse me, you have presented a very
5 clear summary of where you stand. You have come up then with
6 five incomplete full power non-TMI issues and nine TMI related
7 issues. Could we quickly hear about the -- hear a review of the
8 more important incomplete items among the five, and among the
9 nine, or will someone else be doing that?

10 MR. STAHL: I can touch on these.

11 MR. MOELLER: What are the real significant ones?

12 MR. STAHL: I think with regard to the non-TMI items,
13 I have attempted to identify that number six, I regard as the
14 most important item and the most difficult.

15 (Slide.)

16 But I indicated, we do have some relief with respect
17 to the schedule for completion. Therefore, I do not regard this
18 as being on the critical path. It most certainly was, as I
19 reported last June, it was an item that needed to be completed
20 fully in conformance with NUREG-0588 by full power.

21 I regard this now only in that we do have some schedule
22 relief. Certainly no relief in conforming with the document
23 itself and all its criteria. This is the Commission's order
24 memorandum, an order that provided the relief for ourselves and
25 others.

bfm2
1 MR. MARK: Would it be correct to say that with the
2 possible exception of dates having fully conformed with those
3 things in item six, the applicant is committed to meet the
4 requirements of NUREG-0588?

5 MR. STAHL: Yes, sir. He is committed to conform to
6 these. Of course, there is an element of interpretation that
7 is required in many of the associated pieces of equipment. I
8 think this is a definite commitment, maybe Mr. Mills could speak
9 to this.

10 MR. MILLS: Yes, we understand the commitments. I would
11 like to add, Mr. Stahl, that with regard to these items, in par-
12 ticular item six as you pointed out, I believe TVA has submitted
13 three to four weeks ago -- there is a review going on right now
14 in the NRC staff. Is that correct?

15 MR. STAHL: Yes, sir. We had in the middle of June
16 received a substantial amount of information on this matter from
17 TVA. The process is in review. I know they, themselves, have
18 defined certain deficiencies, if that is the appropriate word.
19 Matters that will be addressed; the staff is going through this
20 process at this moment.

21 The deficiencies in the sense of fully conforming with
22 the document; and certainly the review to assure that whatever
23 these deficiencies are they are not ones that would preclude us
24 from issuing a full power license.

25 MR. BENDER: What is the nature of item three and item

1 ten?

2 MR. STAHL: Number three is complete. The staff reviewed
3 this entire matter at the site. What we are looking for is a
4 confirmatory letter that officially endorses the information
5 that we received at the site during our visit.

6 So, the safety evaluation report is complete. Our
7 analysis is finished. We are simply awaiting our documentation
8 to complete this item.

9 MR. BENDER: How about ten?

10 MR. STAHL: The safety evaluation report is complete
11 on the basis of TVA. At this moment, I have not discussed three
12 items that will need to be corrected with regard to the diesel
13 generator system.

14 These, of course, need only be corrected. I believe, as
15 I recall, by the time of the next refueling. I do not foresee
16 these items precluding a full power license. The long term
17 aspect, as we first introduced it -- as it is now complete as
18 far as the safety evaluation report. It is now a matter of
19 implementing the staff's results, if you will, that were just
20 available a few days ago.

21 MR. BENDER: Thank you.

22 MR. MOELLER: You were, among the 40, going to tell
23 us which are the major hang-ups. Perhaps you have done it, but
24 I missed it.

25 MR. STAHL: No, I did not single out any item of the

1 nine that are more significant than the others. At this point, I
2 will regard all nine as being significant. They would preclude
3 us from issuing a full power license.

4 MR. MOELLER: Is the first one then number seven? I
5 mean, the first four are dated items. Five and six are complete.
6 I was trying to know how to read your chart.

7 Are seven and eight both remaining open?

8 MR. STAHL: Yes, sir.

9 MR. MOELLER: Okay.

10 MR. STAHL: Both are at this point -- it you like, we
11 can comment on that first item, I.C.1., if you wish, on
12 procedures.

13 Mr. Clayton is here from the staff if you would like to
14 hear comments on that. Brent, would you comment on I.C.1, that
15 item, number seven?

16 MR. CLAYTON: We are in the process of reviewing
17 selected emergency procedures from the plant in accordance with
18 the task action plan I.C.1. We are goin to be talking to
19 Sequoyah in a meeting here the first of next week. We will be
20 going down to the plant and the simulatory, and walking through
21 some of these procedures the following week.

22 We anticipate having completed our review by the end
23 of this month.

24 MR. STAHL: Those apply to both seven and eight. If I
25 may -- if you wish, I can go through all of the items. Of par-

1 ticular interest may be item 13, reactor coolant system vents.
2 This was discussed at the subcommittee in some detail. It is
3 ongoing. The staff did provide questions to the Applicant.

4 It was provided informally on the basis to expedite
5 the review. TVA responded to these. I understand they are
6 coming in, I believe, within a two-week period. We will also
7 close this item out with respect to meeting it as a full power
8 requirement.

9 MR. MOELLER: Is 19 the next one?

10 MR. STAHL: Yes. No comment other than this is ongoing
11 at this moment. I do not have a base point, any staff information.
12 Simply, it is ongoing.

13 MR. MOELLER: This is training for the operators.
14 What are you doing that you have not done in the past?

15 MR. STAHL: On the II.B.4? Let's see, our reviewer
16 is not here at the moment. Perhaps TVA could address this item.
17 Mr. Mills?

18 MR. MILLS: I will ask our plant superintendent, Jerry
19 Ballantine to brierly address this item.

20 MR. BALLANTINE: A part of this training is presently
21 in progress. We need to conclude it very shortly. We are
22 working with Westinghouse and the Westinghouse owners group on
23 the final definition of whatthis training consists of.

24 MR. MOELLER: Will that be then completed in a couple
25 of weeks?

b1

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. STAHL: This is one of our late items, yes. By
2 the end of the month.

3 (Slide.)

4 I may have been in error in item 20, which is hydrogen
5 control. As I see it, staff has arrived at an interim position.
6 this has been thoroughly discussed at the subcommittee meeting.
7 It will also be discussed again. I took the liberty -- from
8 what I see, it is a completed item. You may differ on this.

9 MR. EBERSOLE: This plant has a highly qualified auxi-
10 iary feedwater system.

11 MR. STAHL: Yes, sir.

12 MR. EBERSOLE: I understand it is going into power
13 operation with no claim to feed/bleed or reflux conden.

14 MR. STAHL: We have not established that as a require-
15 ment.

16 MR. OKRENT: It is my impression that the research
17 staff of NRC has had under way in the past a kind of WASH-14000
18 study on an ice condenser plant. I wonder whether there has
19 been any -- anything that has arisen out of that study which
20 the licensing staff has found is relevant for their review of
21 full power operation of Sequoyah. If so, why?

22 MR. STAHL: I am not able to respond to that, except --
23 risk assessment was discussed Wednesday.

24 MR. MARK: Some of that will be a separate agenda item
25 on the duscussion of risk assessment studies for the ice condenser.

1 MR. TEDESCO: There was a presentation made by Matt
2 Taylor from Research that gave some insight into that question.

3 MR. OKRENT: Excuse me. I am interested to know whether
4 the licensing staff has found anything from that study that they
5 thought in some way would influence their review of Sequoyah?

6 MR. TEDESCO: The simple answer at this point would be
7 no. Obviously, there is more to be followed.

8 MR. OKRENT: Could I ask this? Have the people in the
9 licensing staff who have been responsible for the review of
10 Sequoyah familiarize themselves with the information that the
11 Research staff has learned?

12 MR. TEDESCO: I would say, yes. Mr. Butler, who is
13 responsible for containments in licensing was here last Tuesday
14 when we were talking about -- when we did talk about the research
15 results and the overall question of the ince condense's.

16 He will be here within the hour. If that is different,
17 I will let you know.

18 MR. OKRENT: I would assume the questions are not only
19 related to the containment. The question is more general.

20 MR. TEDESCO: In a more general way, I will say, yes,
21 we are aware of it.

22 MR. OKRENT: Yes, and there are no changes. Is that
23 the answer?

24 MR. TEDESCO: None that I am aware of.

25 MR. STAHL: I could proceed through the list, if you

1 wish; 21 is a rulemaking that I touched on. 22, of course, is
2 relief safety valve testing; that is also a dated item. We
3 just mentioned the auxiliary feedwater. That is a dated item.

4 22 is the SER that has been completed, as far as
5 initiation indication. That is a dated one. It will be completed
6 in January. Possibly, I could skip to the area of upgrading
7 emergency preparedness plans. That is an area of considerable
8 importance.

9 I can mention the status as we have it. It is my under-
10 standing that the TVA report is an ongoing review. Based on my
11 understanding, I believe the questions, comments that we have
12 at this point in time will be satisfactorily resolved by the
13 end of the month.

14 With respect to the plan, the state and local plan, it
15 has been my understanding, reviewed by FEMA and found acceptable;
16 in particular, a drill recently was conducted. The staff informs
17 me it was quite satisfactory.

18 It complies with requirements that have been identified
19 in our action plan, as well as NUREG documents. Barring, of
20 course, any unforeseen problems in the next two weeks, I think
21 they will have an acceptable document on emergency preparedness.

22 We have treated this, you know, with a special organi-
23 zation, an item that has been handled in a most rigorous way. I
24 am quite pleased with the progress that has been made in this
25 area. In particular, the fact TVA has conducted in the past year

1 two major drills to assure the practicality of the procedures. If
2 you wish, TVA, I am sure, could provide more information.

3 MR. MOELLER: I think that is fine. Could we go on
4 to the remaining items?

5 MR. STAHL: Item 36, here, Mr. Stoddard here could
6 comment on that.

7 MR. STODDARD: Okay. Item number 36 is the primary
8 collant sources outside containment. TVA has stated that they
9 have completed the leak tests of the primary coolant systems
10 outside containment and the waste gas system.

11 Results of those tests which we need to have for our
12 check-off have not yet been received by the staff. In addition,
13 TVA has provided the procedures for the liquid leak testing. We
14 have reviewed those procedures and found them satisfactory.

15 We have not received the procedures for the tests of
16 the waste gas treatment system for leakage. Again, TVA has
17 stated that those will be provided.

18 MR. MILLS: I would like to interject there that the
19 documentation referred to will be submitted to the staff today.

20 MR. STAHL: The question on control room habitability,
21 it is my understanding from the staff --

22 MR. MOELLER: What is 37?

23 MR. STAHL: Let me see. I think we have a staff member
24 here on 37, off site dose measurements. I think all I can add at
25 this point, it is ongoing. I spoke to him the other day. The

lfml0

1 information is in house. I believe it will be completed in the
2 next week. I foresee no problems there.

3 MR. MOELLER: Does this relate to the NRC monitoring
4 system, or to the Applicant's monitoring system?

5 MR. STAHL: I think it is the Applicant's monitoring
6 system. TVA could correct me on this if --

7 MR. MOELLER: What basically are the remaining questions?

8 MR. STAHL: I am not sure of it other than the informa-
9 tion is simply being reviewed. At this moment, I do not believe
10 we have any questions other than to simply complete our review.

11 MR. MOELLER: Okay. What is 38? I know it is a dated
12 item, but what is the radiation plant monitoring? What are the
13 questions there.

14 MR. STAHL: Larry Mills?

15 MR. MOELLER: Number 38, could you expand on it?

16 MR. LAMBERT: The remaining part -- the remaining part --
17 I am David Lambert with TVA. The remaining part of item 38, in
18 plant radiation monitoring, there are some additional questions
19 provided by the staff on justification of our containment.

20 Radiation monitors are high range radiation containment
21 monitors.

22 MR. MOELLER: It mainly applies to the adequate range
23 for them and reliability?

24 MR. LAMBERT: To the adequacy of the monitors and
25 justification of their location.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. MOELLER: Okay. Thank you. Then, that leaves
2 39.

3 MR. STAHL: Yes. Control room habitability. Possibly
4 Mr. Crew could just note the problem here. Mr. Crew, could you
5 just state?

6 MR. CREW: It is our understanding that TVA will shortly
7 be giving us a letter indicating they have conducted a review in
8 accordance with Standard Review Plan 6.4, and that they find the
9 control room at Sequoyah does, in fact, meet the specifications
10 and guidelines.

11 MR. MOELLER: Does that Standard Review Plan -- when was
12 it written, and does it take into consideration some of the
13 questions that have been raised by the Committee on this particular
14 topic?

15 MR. DREW: The Standard Review Plan was written in
16 1975. It does, in certain of its aspects, take into account
17 some of the things that have been of concern to the Committee,
18 such as the internal pathways to the plant for flow of radio-
19 active materials to the control room.

20 However, it does not of course take into account all
21 the concerns that the Committee has raised after Three Mile
22 Island.

23 MR. MOELLER: If you are just reviewing it in conjunc-
24 tion with Standard Review Plan 6.4, how does that factor in the
25 TMI issues?

1 MR. CREW: The Commission approved NUREG-0694 recently,
2 which specifies those requirements which must be satisfied.

3 MR. MOELLER: So, it goes then substantially beyond
4 the standard review plan. Is that what you are saying?

5 MR. CREW: No, sir.

6 MR. MOELLER: I have a problem if it just is being
7 reviewed in accordance with the Standard Review Plan written in
8 1975. I do not understand how that takes into account the TMI
9 issues. That is what I need clarified.

10 MR. CREW: What I am saying is within the Standard
11 Review Plan -- I gave you the best example -- there is provision
12 for taking into account some of the things that were highlighted
13 by the TMI experience.

14 It is my clear understanding that to go much further
15 than this in terms of the TMI experience would really take us
16 immediately into questions of degraded core; complicated questions.
17 Questions that will not permit the isolation of the control
18 room from other major features of the plant design.

19 Therefore, we are in agreement with the thrust of
20 NUREG-0694. We expect to be looking at the major impacts asso-
21 ciated with Three Mile Island concerns in the degraded core
22 considerations.

23 MR. MOELLER: So you are handling a portion of this
24 under a different item. Is that what I am understanding?

25 MR. CREW: I am sorry, sir.

1 MR. MOELLER: You are handling a portion of this under
2 a separate item related to degraded core conditions?

3 MR. CREW: That is right. Under the chielding consi-
4 deration -- I believe Mr. Serpo is here from the Radiological
5 Assessment Branch -- the control rooms have been looked at in
6 terms of whether or not GDC 19 can be met with the TID sources in
7 the systems external to containment and the evaluation which I
8 am familiar with in this particular case shows clearly that
9 the control room can.

10 MR. MOELLER: Thank you.

11 MR. STAHL: The remaining item --

12 MR. OKRENT: Excuse me. What was it that the staff
13 was telling us then that they feel that there are no more
14 questions concerning the adequacy of the control room, or just
15 that it meets the current criteria?

16 MR. MOELLER: The way I understood it, Dave, was they
17 have looked at it in terms of past criteria. They are futher
18 looking at it in terms of item 21, the degraded core rulemaking
19 proceeding. So, there will be more evaluation in the future. Is
20 that correct? Did I hear correct -- correctly?

21 MR. CREW: Yes, sir. That is correct.

22 MR. MOELLER: Thank you.

23 MR. STAHL: The last item, maybe I could have Mr.
24 Westman simply indicate to you this item and its status. It is
25 the power ascention test. I indicated, it is an I & E function.

1 MR. WESTMAN: I am Dick Westman from the Office of
2 Inspection and Enforcement. The I & E staff is reviewing the
3 licensee's power ascension procedures. They are committed and
4 intend to witness portions of the power ascension test program
5 and for the resident inspectors on site.

6 They will complete this function.

7 MR. SAHL: This completes -- this does complete my
8 brief status review of the items that were covered at the
9 subcommittee meeting with regards to TMI and non-TMI issues.
10 If there are no further questions, I will move to the next item --
11 the issue I mentioned earlier.

12 That was with regard to the fact that there is a minority
13 opinion related to the pressurizer relief piping failure. I will
14 briefly touch on this item. Mr. Gamble will follow after my
15 brief presentation with a statement. Then, others from the staff
16 as well as Mr. Halapats are here to answer any questions that you
17 may have.

18 (Slide.)

19 Now, in April of 1979, during the hot functional testing
20 of Sequoyah 1, the pressurizer relief piping failed to slide in
21 the vertical direction as the pressurizer expanded during heatup
22 of the reactor coolant system, item 33 shown on the schematic.

23 As a result of this failure, the pressurizer relief pipe
24 was bent. The two options opened to TVA. One would be to replace
25 the pipe or to proceed with a technique called weld draw bead

bfml5

1 technique for straightening out this pipe. They chose the weld
2 draw bead technique. This involved, as I understand it, two
3 270 degree grooves around the pipe opposite two, and straddling
4 the kink in the pipe.

5 The grooves were then filled with weld metal and based
6 on shrinkage of weld metal, the shrinkage provided the necessary
7 stressing to straighten the pipe. The technique worked with
8 regard to straightening the pipe. From then on there was a
9 series of discussions that evolved, starting from April on.

10 The I & E office, in which the technique was discussed
11 the process, the methods involving the I & E inspectors in Region
12 II, proceeding to the point where in the latter part of 1979
13 assistance was requested of th- NRR staff. At that point in time,
14 we requested a consultant, a former NRC employee, that he visit
15 the site, that he review the matter and provide a report.

16 The report was provided in December of 1979. Additional
17 information was provided in January. The item was closed, based
18 on the satisfactory report of Mr. Gustauson, as well as I & E.
19 At that point in time, Mr. Halapats raised the question with
20 regard to the adequacy of the weld repair.

21 Since that time, February, discussions have been ongoing
22 involving many people, many events here. If I were to follow
23 through the chronology, it would take a substantial amount of
24 time. However, let me highlight at least one or two of the
25 events that occurred. One of which occurred at a March meeting

1 in Bethesda, at the director level, the ~~PA~~ level.

2 The meeting resulted in agreement on additional work
3 which should be done at the site with regard to this weld. I
4 should mention before this -- prior to this meeting, Mr. Halapats
5 did visit the Tennessee Laboratories, went through this entire
6 material. Of course, this colminated still in his report of
7 February on his dissatisfaction with the information that he
8 had in hand.

9 At that point in time, the proposed method of what was
10 to be done, basically an in situ type inspection of the weld,
11 was carried out with I & E observing, reviewing, and analyzing
12 all this information in that report.

13 It was completed in April, as I understand it. This
14 matter has been completed to their satisfaction. Let me stop at
15 this point and ask Mr. Gamble to provide a brief presentation to
16 recap this, as far as NRR's position on this matter.

17 MR. GAMBLE: My name is Ronald Gamble. I am with the
18 Materials and Engineering Branch, NRR. As Carl mentioned, there
19 have been a number of investigations that have taken place con-
20 cerning this particular weld. This morning, I am not going to
21 deal with the details of the past investigations. What I would
22 like to do is give a brief summary of the last investigation,
23 the last look at this particular problem.

24 That look, and my presentation, will include some of the
25 items and many of the significant items that have been discussed

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

bff 6

1 in these past evaluations. My presentation today will focus
2 primarily on the integrity of the existing weld. The NRR staff
3 evaluation did not concern itself primarily with certain areas
4 of non-compliance that have been noted with this procedure.

5 There were certain deficiencies, perhaps in documenta-
6 tion of this procedure. What we did try to do is make an engin-
7 eering assessment of the integrity of the weld. The criterion
8 that we used to do that was that if this particular repair, in
9 our judgment, was no worse than any full penetration weld would
10 have been, or is made in this particular line according to the
11 code, then it would be an acceptable weld.

12 If, however, in our judgment the weld was such that it
13 could not be judged as good as a full penetration weld in this
14 line, then we would have required it to be removed.

15 MR. OKRENT: How do you define worse? How do you
16 compare this to the full penetration weld? What are the criteria
17 for judging that it is nor worse then a full penetration weld or
18 equivalent to?

19 MR. GAMBLE: Two primary -- as I will mention in the
20 presentation -- two primary items we looked at were heat input
21 during the welding process and the welding procedure itself.
22 That is to say, how the weld metal is laid into the weld.

23 MR. OKRENT: Why are they the right criteria and only
24 criteria?

25 MR. GAMBLE: The question that came up, the differing

1 opinion was that these particular welds, the repair weld that is,
2 was not adequate. There was no question about the weld that
3 were made -- full penetration welds that were made to attach the
4 pipe.

5 So, our felling was that we have no question that the
6 full penetration welds are adequate according to code procedures,
7 and have been used for years.

8 MR. OKRENT: I understand that, but I am just trying
9 to understand how you compared this one to the usual full
10 penetration. Go ahead. I will listen.

11 MR. GAMBLE: Let me just briefly put up a vu-graph that
12 indicates the full scope of the presentation.

13 (Slide.)

14 It is really in three areas, necessary conditions for
15 stress corrosion cracking. I want to discuss our evaluation of
16 the weld repair using these conditions for stress corrosion crack-
17 king. Finally, I just want to present conclusions and licensing
18 actions that we are going to take, relative to this weld repair.

19 (Slide.)

20 First, we generally considered there were three neces-
21 sary conditions for stress corrosion cracking. That is, stress,
22 there has to be a sensitized material and an unfavorable
23 environment. Generally, the stresses are considered -- the
24 stresses necessary to contribute to stress corrosion cracking
25 are considered to be generally very high.

1 That is, at or near yield. Primarily in pipe welds,
2 the residual stress is usually the dominant stress component.
3 Here we are talking about steady state stresses.

4 Sensitized material, the sensitization of the material
5 occurs when the heat input during welding. Essentially what
6 it does is degrade the material and make it less resistant to
7 a corrosive environment. Of course, you also have to have an
8 abrasive environment. I want to point out that all three elements
9 are necessary to produce stress corrosion cracking.

10 All three elements must exceed some level before you
11 can have stress corrosion cracking.

12 (Slide.)

13 Very briefly, is our evaluation which summarizes the
14 key points for each one of our items necessary to produce stress
15 corrosion cracking. The first item is the stress. We do not
16 know the exact stress condition in the repair weld.

17 We felt it would be extremely difficult to ever know
18 the exact stress condition of the weld, particularly the residual
19 stresses. So, we just assumed that the residual stresses in the
20 weld were really no different from the full penetration welds.
21 That is to say that they were certainly high enough to be an
22 active contributor to stress corrosion cracking.

23 We were not willing to assume the stresses were low.

24 MR. OKRENT: Could they be higher?

25 MR. GAMBLE: Higher than full penetration welds? Is

1 that your question?

2 MR. OKRENT: Yes.

3 MR. GAMBLE: Generally, the residual stresses on full
4 penetration welds are, I assume, to be at or near yield; very
5 close to yield. If they were somewhat higher at that point, it
6 would not make too much difference.

7 MR. OKRENT: You said they are assumed to be. I was
8 just wondering if anybody looked at this weld versus the full
9 penetration and judged the stresses are no higher.

10 MR. GAMBLE: No sir. They did not. TVA in their
11 first submittal said they believed this weld was in a residual
12 compression stress. They really did not provide any justifica-
13 tion for that statement.

14 Quite frankly, we did not see how that was possible.
15 So, we just made the assumption that, in fact, the stresses were
16 tensile. They were quite high.

17 MR. BENDER: Do you have any better picture of the weld
18 than this?

19 MR. GAMBLE: No.

20 MR. BENDER: I find it very hard to envision -- reading
21 it from this. It looks like it is a piece of straight pipe.

22 MR. GAMBLE: The weld was made in a run of straight
23 pipe.

24 MR. BENDER: So, the working stresses in it are likely
25 to be the normal stresses that would be in a pipe that is

1 subjected to internal pressure, unless there is some bending in
2 the pipe. Are there bending loads?

3 MR. GAMBLE: I don't know. Again, we did not do a
4 stress analysis of the pipes. TVA did not submit one. We felt
5 difficulty in defining whether it was bending stresses or residual
6 stresses. We did not feel we would get an accurate picture of
7 the stresses. So, we assumed it was as high as yield.

8 MR. BENDER: That is probably an invalid assumption.

9 MR. GAMBLE: Well, I think our assumption is that is
10 the primary --

11 MR. BENDER: That is the dominant condition.

12 MR. GAMBLE: That is generally true in full penetration
13 welds, certainly the dominant condition is the residual stress
14 due to the welding operation.

15 MR. BENDER: There is no stress releif, I take it, in
16 this particular case.

17 MR. GAMBLE: That is correct.

18 MR. BENDER: All right. The residual stresses could
19 be in compression. As a matter of fact, it is more than likely
20 that they are. At least in some areas -- it looks to me like
21 you could not really make that judgment unless you looked at the
22 weld detail.

23 If they were in compression, I assume you would not
24 worry about stress corrosion.

25 MR. GAMBLE: That is exactly right. The question would

1 go away immediately.

2 MR. BENDER: I don't feel comfortable discussing this
3 thing, if someone is going to show the weld detail.

4 MR. GAMBLE: I don't know if anyone from I & E --
5 perhaps Joe has a picture of the weld itself.

6 (Laughter.)

7 I don't think that is a weld detail he is looking for.

8 MR. HALAPATS: There were two grooves carved, 2T/3,
9 roughly ground into the pipe wall; 2T/3 opposite the kink. These
10 grooves were filled with weld metal.

11 The weld metal was then ground out again. The grooves
12 were then again filled with weld metal. Each time they were
13 filled, the weld shrinkage drew the pipe -- weld draw bead.
14 That is the history of the repair. It means it was penetrated --
15 this is a six inch schedule 160, which is a nominal .718 wall.

16 So, you are talking a groove depth of 1/2 inch. I
17 believe in one case, at least the dimensioning that I read, they
18 did get a reading here, a calculated number of .133 as the base
19 metal underlying the groove.

20 MR. BENDER: Does the heat effective zone go all the
21 way through?

22 MR. HALAPATS: This I think is the question.

23 MR. BENDER: What kind of welding technique did they
24 use?

25 MR. HALAPATS: This, I think, develops into the story --

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

the story develops this.

The code requires that the procedure be qualified and tested by the authorized inspector. A mock-up was made, but I think I am preempting his presentation.

MR. GAMBLE: Go ahead if he has a question.

bf 3

end t4
j1 flw
t5

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 584-2345

1 MR. BENDER: I think I know enough now to know
2 what kind of questions to ask.

3 MR. GAMBLE: That is what is the central issue in
4 this particular question. If you assume that the stresses
5 are -- you immediately get the question of sensitization.
6 In fact, you assume you have to present stress as a
7 probability. Of course, I think it should be obvious that
8 probably all welds in stainless steel piping at Sequoyah are
9 sensitized to some degree. I don't think there is any
10 question about that, including the repair weld, and the
11 central issue is to what degree.

12 The question we had, is it to a greater degree
13 than you had on full penetration. Our feeling was, if it
14 were not sensitized to a greater degree than the full
15 penetration weld, it could be no worse than the full
16 penetration weld in that sense, and therefore it was no more
17 susceptible to stress corrosion cracking.

18 The two items we use to try to reach a conclusion
19 on a degree of sensitization was, we noted that the repair
20 well was completed using the same procedures used to make
21 full penetration welds. That is, the heat input was
22 basically the same, or it was at the lower range, actually,
23 of the allowable heat input to make a full penetration well.

24 As Joe mentioned, there in fact was a removal of
25 material from the repair weld which added heat through a

1 second pass, but again, this procedure is allowable for full
2 penetration welds, and although this procedure may have not
3 been used for full penetration welds in this line, it is a
4 code acceptable procedure.

5 MR. BENDER: What would that weld look like if it
6 had been a full penetration weld?

7 MR. GAMBLE: Just what the joint design would look
8 like.

9 MR. HALAPATS: A full penetration weld would
10 simply be that you would be fully penetrated. You would
11 have a V groove. You use a consumable insert, don't you, on
12 your welds?

13 VOICE: Sometimes.

14 MR. HALAPATS: The consumable insert, had they
15 used a full penetration weld, the consumable insert is
16 simply an insert of this type, that is, fused in with --
17 generally using an inert gas backup. Inert gas backup was
18 not used here. They could not use it. So, one would think
19 in terms of an oxidized ID, you see.

20 MR. BENDER: They made a mock-up, I take it. What
21 did the inside surface look like? Was it oxidized?
22 Non-oxidized?

23 MR. GAMBLE: That is one of the problem areas that
24 I mentioned before, that perhaps the code compliance
25 documentation is not what it should be. TVA in fact did

1 make a mock-up. Information that TVA has submitted to us is
2 that the mock-up was not made using the same heat input
3 parameters as was used to make the actual weld. The mock-up
4 received much higher heat input to a later weld than did the
5 production weld.

6 Joe Halapats did in fact go down to TVA and looked
7 at the mock-up. He has a lot of pictures of the mock-up.
8 So, TVA's position, and our judgment is based on the
9 information that we have received. The mock-up is not
10 representative of the field weld.

11 MR. BENDER: It is probably sensitized. You just
12 don't know the degree.

13 MR. GAMBLE: It is certainly likely to be
14 sensitized, and the question is to what degree.

15 MR. BENDER: It also seems to me it is likely to
16 be in suppression. It would be -- for a weld like that, the
17 pipe would just pull in.

18 MR. GAMBLE: It is not clear to me that it is in
19 compression around 270 degrees of that type in that system.

20 MR. BENDER: It depends a lot on how the weld is
21 made.

22 MR. GAMBLE: One of the problems we had, we looked
23 at the stress and we asked ourselves the question, do we
24 think we have a chance of demonstrating what the residual
25 fabrication stresses are in this weld. The answer is, not

1 very readily.

2 Rather than go into that kind of analysis, we
3 simply assumed stresses were high enough to be
4 contributive. We did not feel it was appropriate just to
5 neglect it and eliminate the problem on that basis.

6 MR. BENDER: I think it is also true that you
7 could look at almost any weld and come to the same
8 conclusion, that you cannot be absolutely certain. Have you
9 tried to make some probability judgments about how much the
10 likelihood of failure in the piping system is increased as a
11 result of the uncertainty about this weld?

12 MR. GAMBLE: Our belief is, based on our review of
13 the procedures that we used to make the repair weld relative
14 to the procedures that were used and could have been used in
15 a regular full penetration weld according to the code, and
16 the fact that this weld, although again we have some
17 inconclusive evidence, this weld did pass AST and
18 sensitization tests on the outside.

19 It does indicate we do not have gross
20 sensitization of this weld. Our conclusion is, this weld is
21 within the same population of the full penetration welds
22 that are made in pressurizer lines. If that is true, the
23 probability of failure due to this weld would not increase.

24 MR. BENDER: I think you are probably right.

25 MR. GAMBLE: There was a question about the

1 environment, the degree of aggressiveness of the
2 environment. And it was stated that the environment in the
3 pressurizer line is not the same as the remaining part of a
4 primary coolant pressure line. That is to say, the oxygen
5 content perhaps is higher.

6 What we did to evaluate the aggressiveness of the
7 environment is simply to look at service experience, and
8 based on service experience with operating plants, with
9 welds of this type, that is to say, welds that encompass --
10 a population of welds that would encompass this repair,
11 there have been no service-induced cracks ever observed in
12 an operating PWR.

13 It is our belief that this environment, plus the
14 combination of sensitivity, does not create a high potential
15 for cracking in this line. That is basically our conclusion.

16 Just to summarize our conclusions, and the action
17 that we plan to take for this particular weld --

18 (Slide.)

19 MR. GAMBLE: Again, based on our review, we find
20 that the repair weld was fabricated using the same basic
21 procedures allowed for full penetration welds. Therefore,
22 the weld may be sensitized. However, it is included in the
23 same population as the full penetration welds.

24 Service experience indicates that sensitized full
25 penetration welds in pressure lines -- in pressurizer lines

1 do not have any history of in-service cracking in operating
2 PWR's.

3 Furthermore, based on all the inspections that
4 have been performed on this particular weld, there have been
5 no defects found in the repair weld. Consequently, we
6 conclude that the integrity of the repair weld is at least
7 equal to full penetraton welds, and would not change the
8 integrity of the system.

9 MR. KERR: In trying to decide whether it is in
10 the same population as the full penetration welds, it was my
11 impression from reading the materials supplied to us that a
12 full penetration weld would have been subject to a hydraulic
13 test.

14 MR. GAMBLE: That is correct.

15 MR. KERR: In that sense, it seems to me this weld
16 does not fall in the same population. The hydro test I do
17 not think is a test that -- since we know that this is true
18 -- even if this particular weld were highly sensitized and
19 received a hydro test, I do not think the hydro test would
20 have in any way been a judgment of the integrity of that
21 particular weld. Itr would not have caused any type of
22 failure or any indication that you had degraded weld.

23 You would have to have a very significant through
24 wall defect for the hydro test to indicate anything about --

25 MR. KERR: What is the purpose of the code

1 requirement that if one made a full penetration or if one
2 cut out a pipe and replaced it, one would then have to
3 subject the system to a hydraulic test?

4 Is that just sort of Mickey Mouse, or is there
5 some reason for that requirement?

6 MR. GAMBLE: Certain components, I think it is a
7 good test. For example, on ferritic components, where you
8 may have the potential for brittle fracture, hydro tests are
9 used to ensure that you do not have large flaws that you may
10 have missed.

11 MR. KERR: On this particular case --

12 MR. GAMBLE: On stainless steel, you would have to
13 have an extremely large through wall flaw, and therefore
14 leak.

15 MR. KERR: This particular case is perhaps
16 over-conservative in your view?

17 MR. GAMBLE: My personal opinion is, the hydro
18 test for a stainless steel line, unless you have an
19 extremely large through wall flaw, does not tell you much
20 about the integrity of the stainless steel line.

21 MR. BENDER: Hydro tests do not tell you much,
22 period. They sometimes tell you whether a system will leak
23 or not, and it is usually prudent to do it if you break a
24 line. I think there is not much more than that in the hydro
25 testing philosophy in the ASME code. It has been a long

1 time now since people looked at it as a way of determining
2 whether weld integrity was all that good.

3 MR. KERR: Why don't your mechanical engineers
4 come up with something better?

5 (General laughter.)

6 MR. BENDER: You would be surprised how many fully
7 welded welds are not fully welded.

8 MR. KERR: It is pretty good for lousy welds.

9 MR. BENDER: Yes.

10 MR. GAMBLE: I think the main indication of the
11 integrity of the weld are inspections, volumetric
12 inspections that are performed not only on this repair weld,
13 but on the whole system. This repair weld will be required
14 to be included in an augmented in-service inspection
15 program, and the reason it is is to make sure that we in
16 fact have evaluated this correctly and have not made an
17 error, and our conclusion then based on that requirement and
18 our past evaluation is that the weld is acceptable. No
19 further action is required by the NRC or the applicant,
20 provided that the augmented in-service inspection is
21 conducted.

22 VOICE: Could you describe an in-service
23 inspection?

24 MR. GAMBLE: What is suggested is that it be
25 looked at during the first three refueling outages.

1 MR. MARK: What can you see in such an inspection
2 in this location?

3 MR. GAMBLE: What you are looking for and what you
4 can see is if in fact stress corrosion cracking has
5 initiated and is growing in either of the two weld repair
6 grooves.

7 MR. MARK: But you cannot see a flyspeck that
8 way. You can see cracks which are about how big?

9 MR. GAMBLE: Well, I would have to guess, and I
10 would say something like an eighth of an inch.

11 MR. EBERSOLE: Pardon me. Can't this pipe have
12 been cut and rewelded with the ordinary weld, and the
13 problem be made to go away?

14 MR. GAMBLE: That was the point of our
15 investigation. If we felt this repair weld produced
16 conditions in the pipe worse than a full penetration weld,
17 that is what we would have required, but we did not want to
18 require that unless we were certain, in fact, that that was
19 true.

20 MR. BENDER: I don't find much more comfort in
21 just using a weld insert as a way of showing there is a
22 non-sensitized weld there. It is hard for me to believe
23 there is that much difference.

24 MR. GAMBLE: I don't think we said the weld was
25 non-sensitized.

1 MR. BENDER: A weld that is worse sensitized --
2 worse welding stresses in it. This configuration -- There
3 is not all that much difference in the --

4 MR. GAMBLE: I think we felt it was certainly no
5 worse, and we did not want to cut it out unless we judged it
6 was in fact significantly worse.

7 MR. BENDER: Does TVA have a welding engineer there
8 at the site that supervises this particular operation?

9 MR. JESSF: I am TVA's welding and materials
10 engineer, and we did have an engineer at the site to
11 supervise the operation.

12 MR. BENDER: Thank you.

13 MR. OKRENT: What kind of in-service inspection
14 was it they were going to do again?

15 MR. GAMBLE: A volumetric in-service inspection.
16 They will have to inspect it during the next three
17 refueling outages.

18 MR. PLESSET: Any other questions?

19 Yes?

20 MR. OKRENT: We heard a persuasive presentation
21 that we really did not hear the concerns of the member of
22 the staff who has concerns, and it seems to me that there is
23 something faulty about a procedure where we do not really
24 hear firsthand what concerns the individual has.

25 MR. PLESSET: If he is here, we could do that.

1 MR. OKRENT: I think we should have a short
2 summary of this, and in fact I would recommend in the future
3 the staff and our subcommittees, if they are involved,
4 always -- the committee, I think, should hear firsthand the
5 principal concerns of the individual involved. You don't
6 get them the same way from somebody trying to make the case
7 the other way. It just is not natural.

8 MR. PLESSET: Fine. Why don't we do that? We
9 want a summary, of course. We do not need a complete lesson
10 which would not do some of us much good, I am afraid.

11 MR. HALAPATS: The concern is not particularly
12 with the adequacy -- My name is Joe Halapats, incidentally.
13 The minority -- the concern is not with the adequacy of the
14 weld repair at the moment. The concern is that we have not
15 yet conclusively demonstrated that the weld is not
16 sensitized to an extent that may give us a problem.

17 I happen to be a graduate of Carnegie Tech, and in
18 the curriculum, very little time was devoted to crystal ball
19 gazing. So, I am of the opinion that rather than attempt
20 pontifications, I think we would be better off where we
21 could take another close look at what we have here.

22 We had the alternatives presented in the meeting
23 with TVA and the NRC staff of preparing another mock-up or,
24 Number Two, doing the in-place metallography. The in-place
25 metallography to me, having viewed Xeroxes of the

1 metallography performed, my judgment is that the results are
2 inconclusive. I cannot tell anything. I see smeared metal.

3 I have done this type of work. It is not easy to
4 do. The individual who did this work, Paul Guthrie, is an
5 outstanding engineer. He is an excellent metallographer,
6 but he was working under severe handicaps. I know what he
7 was faced with, and I could not have done a better job than
8 he did.

9 But in any event, it is my conclusion that the
10 results are inconclusive. We really do not have a handle on
11 the extent of sensitization, and the question which is
12 apparently academic, whether or not the production welds
13 were fully penetrated, I do not think that has been answered.

14 An attempt was made to radiograph the weld and
15 thereby on the film try to distinguish between the
16 underlying base metal that presumably was not molten in
17 contrast with the weld metal.

18 I do not think -- using the technique that was
19 used, I do not think it is possible to draw that
20 conclusion. This is where we stand. I am reluctant to
21 speculate, pontificate, when it is relatively easy for us to
22 get a better handle on exactly what exists in the production
23 repair.

24 TVA procured some 18 pieces of pipe, six-inch
25 Schedule 160 same heat. The QA 10 CFR 50, Appendix B

1 requires that material identity be maintained. My proposal
2 was simple. Since we have this alternative, we have
3 inconclusive results as far as what we have in hand now, we
4 can calculate, sure, but we can demonstrate pretty easily by
5 simply mocking up the repair weld using the same parameters,
6 same heat inputs, cutting the pipe up, looking at it
7 metallographically, and most importantly, performing
8 intergranular corrosion tests in the environment that the
9 repair weld will see.

10 That environment happens to be .2 ppm oxygen
11 bearing steam, not .005 oxygen bearing water that the
12 population of welds see. I think it is a speculation that
13 one could assume the same metallurgical history for the
14 installation welds that was experienced by the production
15 repair. One can speculate -- and that is -- I think we have
16 an easy way, an easy means to arrive at a more conclusive
17 answer.

18 I think simply mocking up another 12 inches, I
19 think the total cost of cutting it up, welding it, I think
20 you are talking, what, \$200, performing the ID test.

21 Now, this I want to call to the attention of the
22 committee, and this, I think, is very important, and it has
23 been overlooked. The surface that was tested on the mock-up
24 was the ID surface. Okay. Now, the cracks propagate
25 through the wall. That is the surface that we should be

1 testing. We should be examining the propensity to stress
2 corrosion cracking through the wall.

3 If cracks generate here and stayed there for 40
4 years, beautiful, we can live with it. This is what we are
5 concerned with.

6 MR. BENDER: In the non-part of the weld, in the
7 virgin metal?

8 MR. HALAPATS: You would test material here. You
9 would take a through-wall. You would do a side bend. Okay,
10 instead of the face bend. Okay, you would do a side bend.
11 That, I think, is something that we should be giving much
12 consideration to.

13 What I have here is the mock-up, what we did in
14 the case of the mock-up. Here is the mock-up. The weld is
15 fully penetrated and if that mock-up was supposed to
16 represent the production weld as required by the code, the
17 exemption to hydrostatic testing would be denied, but it is
18 stated now that the mock-up is not representative and simply
19 is intended to demonstrate that the straightening procedure
20 would work.

21 Okay. What I did, we in Knoxville, the weld, the
22 mock-up weld was sectioned, and what we did was simply take
23 further micrographs away from the fusion line, both along
24 the ID and transwall. The purpose was to establish whether
25 a potential crack path existed. This mock-up was not welded

1 with the parameters used in the welding of the production
2 repair.

3 Okay. It is not representative then. We do not
4 have anything that can tell us today -- that can give us a
5 reading on just what we can expect through the wall. This
6 is the weld fusion line here. This is the ID, okay, taken
7 at different positions, different positions from the weld
8 fusion line.

9 Okay. Along the ID and transwall, here we are
10 going up in this direction. We are going transwall in this
11 direction. In this direction, we are going away from the
12 weld fusion line.

13 What is significant here is that I see here at
14 three-eighths of an inch away from the weld fusion line,
15 from the root of the weld, I still see evidence of carbide
16 precipitation. This is polarized light, simply to highlight
17 the precipitated carbide in the grain boundaries. I see
18 different levels as I proceed up through the wall. I still
19 see that the carbide precipitation exists.

20 I get here -- I still see it. We could have taken
21 more shots here. This work was done at the University of
22 Tennessee, and the class was scheduled to meet. I think we
23 were about 1.3 minutes ahead of the class, so that is why we
24 did not.

25 In any event, what this shows is that there is in

1 the mock-up a potential crack path which should be troubling
2 us. We do not know whether or not that potential crack path
3 exists in the production repair. We do not know that. We
4 do not have a handle on that.

5 So, given the fact that I have -- I have concluded
6 that the in situ metallography was inconclusive, we still
7 have an alternative, and that is the alternative of building
8 another mock-up, do exactly what you did on production
9 repair, cut it up, test it in the environment, .2 ppm oxygen
10 bearing steam. You are talking \$200.

11 This is all I have to say.

12 MR. PLESSET: Bill?

13 MR. KERR: Mr. Halapats, I had thought that this
14 pipe led up to the pressurizer, and that pressurizers
15 usually have water, at least in the bottom. I must have the
16 wrong picture.

17 MR. HALAPATS: Here is the situation here. This
18 is right at the top of the pressurizer, and it can't be
19 isolated.

20 MR. KERR: It is beyond the pressurizer. That
21 answers my question.

22 MR. HALAPATS: This is a problem. The licensee
23 has identified as the safety implication of failure the
24 "uncontrolled blowdown of the reactor coolant system." This
25 is where -- This is what generates the concern. I don't

1 think we have a good enough handle on it right now at this
2 point. I do not make the statement it is inadequate. I do
3 make the statement I do not know. I am not sure. Let's
4 take another look.

5 MR. BENDER: Are you concerned about whether there
6 is full penetration of the weld?

7 MR. HALAPATS: Whether or not the well is fully
8 penetrated or not is a technicality which relates to whether
9 or not that system has to be hydrostatically tested. A
10 hydrostatic test is 1.05, or something, no big deal.

11 MR. BENDER: I am just trying to sort out the
12 thing.

13 MR. HALAPATS: It is a technicality. What I am
14 concerned about is this. What is going to happen after that
15 plant is in operation? My position is that the time to
16 hassle and argue is now, before the plant goes into
17 operation, rather than try to ressurect why something
18 cracked.

19 MR. BENDER: Have you tried to compare these
20 photomicrographs with those of full penetration welds that
21 exist elsewhere?

22 MR. HALAPATS: I have looked at quite a few before
23 I came to the NRC.

24 MR. BENDER: Is this very much worse than those?

25 MR. HALAPATS: It depends. When you talk heat

1 inputs, you have to be very careful. A heat input in a thin
2 section is a lot different than heat input in a thicker
3 section. It is heat synch. You know. You don't know what
4 you are going to get until you look at it.

5 MR. BENDER: You made the right point, but I think
6 I have to say I do not know any more about the full
7 penetration welds in this pipeline than I do about this
8 one. I know more about this one, as a matter of fact.

9 MR. HALAPATS: Right, exactly. So --

10 MR. BENDER: Unless I want to go back and look at
11 all the full penetration welds in the same way, I am not
12 sure that I -- I would concede the point you make. There is
13 a likelihood that there is some propensity for stress
14 corrosion in this piping system. How much is what we don't
15 know about.

16 If I took a spectrum of metallurgists, I could get
17 views extending from, gee, it is terrible, to gee, it is
18 great.

19 MR. HALAPATS: You are looking at the guy who says
20 it is terrible.

21 (General laughter.)

22 MR. HALAPATS: What I am saying is, we do not
23 know. That is the whole point. It is such a simple thing,
24 such a simple thing to make another mock-up, cut it up, look
25 at it, test it. You know, the philosophy of talking about

1 populations of welds, if one were building toasters and
2 washing machines, good. Then one could look on occasion
3 into the crystal ball. But here, this may be the one data
4 point that falls out of bounds.

5 MR. EBERSOLE: Isn't it true that a few feet
6 downstream from this thing is a valve attachment which was
7 made by a full penetration weld?

8 MR. HALAPATS: That is right.

9 MR. EBERSOLE: Why isn't this just like that?

10 MR. HALAPATS: Simply because I am not sure what
11 the metallurgical history of that weld is. I know that this
12 weld was filled once. The weld was ground out again, and
13 then it was filled with weld metal again. Can I say
14 definitely that that full penetration installation weld has
15 the same history?

16 MR. EBERSOLE: You just got outside the statistics
17 with this one thing here. You can get back in it by doing
18 it the same way the other one was done.

19 MR. HALAPATS: At least it is a means -- a means
20 of getting some numbers.

21 MR. MARK: These pictures, I believe, are on a
22 background of 304 stainless. Can you say anything about the
23 propensity of 316 versus 304 to look that way?

24 MR. HALAPATS: Given the same history, same
25 environmental exposure, one would generally accept the fact

1 that 316 would be less likely to undergo intergranular
2 corrosion. This is a generalization which is accepted.

3 MR. MARK: Intergranular corrosion, you said. How
4 about this carbide deposit?

5 MR. HALAPATS: The carbide deposit, you see, if I
6 could just take an additional moment of time here, for the
7 record, I want to make the statement that this may enter
8 into the academic field, but I did not graduate at the head
9 of the class, so bear with me.

10 Okay. The reason carbide precipitates is that the
11 solubility of chrome carbide decreases with decreasing
12 temperature. At room temperature, roughly .03 percent
13 carbide remains in solution. There are people who are going
14 to argue it is .027, things like that.

15 Between the temperature range of approximately 800
16 to 1,500 degrees Fahrenheit, the carbide, the solubility of
17 chrome carbide decreases, and the carbide is precipitated at
18 the boundaries, thereby depleting the grain area of
19 chromium, which gives you the stainlessness. Okay?

20 This is what happens. One would expect, given the
21 same carbon chemistry, one would expect the same thing to
22 happen here with some modification. This curve may change
23 in slope. It is this sort of thing. You may be talking a
24 slightly different thing, but you will get carbide
25 precipitation.

1 Now, the change in the slope, you are looking at
2 an equilibrium diagram that is -- I don't think anyone can
3 predict, you see. I would not expect it to be the same. I
4 cannot tell you how much different it will be. It should be
5 less, but I would be speculating.

6 MR. BENDER: It is a matter of how fast you go
7 through that temperature curve.

8 MR. HALAPATS: The numbers have been around for
9 many years. Three minutes is the time. If you are exposed
10 for three minutes or more to the sensitization range, you
11 will sensitize it to the extent that it will fail the
12 intergranular corrosion test. Three minutes is a good
13 number. That has been checked out in nuclear power plant
14 welds.

15 MR. PLESSET: Thank you very much.

16 I think that we will have a break of ten minutes.

17 MR. SIESS: I have one question.

18 MR. PLESSET: Oh.

19 MR. SIESS: Could you explain briefly why it was
20 necessary for the staff to review Xerox copies rather than
21 originals?

22 MR. PLESSET: I think that is a question to the
23 staff, not to this man.

24 MR. SIESS: It is a question to whoever can answer
25 it. I don't care. Staff. TVA. Even an ACRS member.

1 MR. PLESSET: Mr. Stahl, I think, was starting to.

2 MR. GAMBLE: I think the Xerox copies that you
3 mentioned were in the I&E report in May. Is that it? You
4 went down to look at the mock-up. Which Xerox copies are we
5 talking about here?

6 MR. HALAPATS: That I talked about?

7 MR. GAMBLE: Yes.

8 MR. HALAPATS: The latest report, the TVA report.

9 MR. GAMBLE: We had a meeting back in March where
10 it was agreed that certain things be done out in the field
11 and that I&E would witness these particular items, evaluate
12 them, and write a report. I&E did that work. They had all
13 the original photographs down in the region, and they sent
14 their report to I&E headquarters. I&E headquarters
15 transferred that report to NRR.

16 It was I&E's responsibility to complete that
17 particular evaluation, not NRR's responsibility. So I&E
18 kept the photographs. Just about that time, Joe Halapats
19 read the I&E report, said he still had some problems with
20 that evaluation, and NRR management meant to decide what to
21 do about this problem, whether we should continue on with it
22 or whether we should just make a decision and consider it
23 resolved.

24 The decision was in fact. It was resolved. And
25 that is why no further evaluations were done, and we never

1 asked I&E to submit the original photographs to us. We felt
2 enough evidence had been presented to resolve the issue.

3 MR. SIESS: So the fact that I&E had the original
4 photographs and had based their conclusions on the original
5 photographs and your review of the Xerox copies that you
6 felt confirmed their views --

7 MR. GAMBLE: You did not review the Xerox copies?

8 MR. SIESS: You did not review it. You left it up
9 to I&E.

10 MR. GAMBLE: That is correct.

11 MR. SIESS: They have the competence?

12 MR. GAMBLE: I think so, yes.

13 MR. SIESS: How did NRR get involved if I&E has
14 the competence? It is not operating reactors.

15 MR. GAMBLE: NRR got involved several months
16 before that, back in October, when TVA performed this
17 repair, and after the fact submitted to NRR as a licensing
18 item a request that they not have to do the hydro test that
19 would be associated with this particular weld repair.

20 That was back in October of 1979. We had several
21 evaluations and discussions with TVA, with I&E, up until
22 March, when I&E got involved in the field examination of the
23 actual repair weld -- on the actual field repair weld itself.

24 There was considerable interaction between I&E and
25 NRR on this item.

1 MR. SIESS: Thank you.

2 MR. PLESSET: Let's recess for ten minutes.

3 (Whereupon, a brief recess was taken.)

4 MR. PLESSET: Let's continue.

5 There is one question that I would like to have
6 cleared up. Mr. Halapats indicated that he only saw Xeroxes
7 of these metallurgical pictures. Now, is that correct, that
8 you did not see originals?

9 MR. HALAPATS: That is right.

10 MR. PLESSET: I want to know why not.

11 MR. HALAPATS: That I cannot answer.

12 MR. PLESSET: All right. Make it brief.

13 MR. GAMBLE: There have been many sets of
14 photographs since March. The photographs that Mr. Halapats
15 is talking about are those photographs that were made for
16 the field repair -- made of the field repair for the items
17 that I&E reviewed in the field as Sequoyah.

18 That was done in either late March or April, and
19 it was I&E's responsibility to do that. I&E's report was
20 sent to NRR. Mr. Halapats read that report, and that report
21 included the Xerox copies, and he said he did not feel he
22 could make a judgment on this.

23 NRR's management reviewed this issue, and decided
24 that enough of the staff had looked at this, including I&E,
25 that this should no longer be considered an open issue, and

1 NRR's management decided the issue was resolved, and we were
2 not going to continue any suggested course of action,
3 including the review of photographs that Mr. Halapats was
4 suggesting.

5 Mr. Halapats was never the primary reviewer on
6 this item. It was decided he would not be allowed to
7 continue to proceed until he was satisfied alone.

8 MR. PLESSET: Would you repeat that last sentence?

9 MR. GAMBLE: I said that it was decided that this
10 issue was resolved, and we would not keep it open until Mr.
11 Halapats was totally satisfied that everything he wanted
12 done was done.

13 MR. KERR: If he had requested the originals under
14 the Freedom of Information Act, could he have gotten them?

15 MR. GAMBLE: He can get them today. He can get
16 the radiographs. He can get the photographs. They are
17 available to anybody. They are certainly available. It
18 does not matter who he asked. They are available, and they
19 are available to anyone.

20 The point is that NRR decided this issue -- enough
21 evaluation of this issue had been conducted, and considered
22 it resolved.

23 MR. PLESSET: Okay.

24 MR. GAMBLE: When Mr. Halapats found out that the
25 NRR did consider it resolved, that is when he filed his

1 differing professional opinion.

2 MR. PLESSET: That clarifies that point, but it
3 might be helpful if he did look at the originals.

4 Yes, sir?

5 MR. STAHL: Mr. Chairman, I would suggest that Mr.
6 Van Dorn from the I&E office and the inspector that has been
7 involved in this work at least make a few statements for
8 clarification. I think he would like to do so. He feels
9 some misimpressions may have been given to the committee.
10 In view of the fact you now have heard the NRR picture, the
11 minority opinion, I think it is most important that you hear
12 from the inspector himself. He assures me a few moments
13 would only be necessary.

14 MR. PLESSET: I hope it is just a few moments.

15 MR. STAHL: I will have Mr. Van Dorn restrict
16 himself to that.

17 MR. VAN DORN: My name is Peter Van Dorn. I am a
18 metallurgical engineer with the Region 2 I&E staff. I
19 witness all the inspections performed on that weld. I would
20 like to say that we -- as I say, we did witness all of the
21 in situ metallography that was performed. I physically saw
22 the original photographs being made, and physically saw the
23 metallurgy through the microscope as it was being performed.

24 In addition, we definitely feel that the mock-up
25 was not representative of the field, and it does not present

1 a strong case against the actual field condition. There was
2 some very minor degree of sensitization noticed in the
3 field. Just very slight ditching. Maybe one or two grains
4 in the whole field of view.

5 Another metallurgical point that has not been
6 brought out is that the material in the field was much
7 smaller grained than the material in the mock-up, which
8 further is a better situation, less susceptibility to
9 sensitization.

10 We definitely feel -- the Region 2 position is
11 that full penetration was not achieved based on the
12 radiography. We feel there would have been oxidation since
13 the internal surface was not purged.

14 We feel the radiography was sensitive enough to
15 show internal oxidization if it was there. There were two
16 inspectors that witnessed this. The other fellow and I
17 independently reviewed the radiographs, and the other fellow
18 has some 28 years' experience in radiography.

19 MR. PLESSET: Okay. Yes, Carson?

20 MR. MARK: You say the mock-up was not
21 representative. Had the mock-up been the best
22 representation possible, would you have considered it
23 alarming or okay anyway?

24 MR. VAN DORN: I think I would have considered it
25 somewhat alarming if I saw the degree of sensitization we

1 saw in the mock-up.

2 MR. MARK: You are counting on the expectation
3 that the degree of sensitization in the real thing is less
4 than that?

5 MR. VAN DORN: That is correct. I believe it is
6 quite a bit less.

7 MR. OKRENT: Procedurally, should there have been
8 a mock-up made that had the kind of energy input and so
9 forth that was used in the actual correction?

10 MR. VAN DORN: That weld repair is characterized
11 by full penetration joint qualification for all of the
12 welds. There was no code required additional qualification
13 in this case.

14 MR. OKRENT: Thank you.

15 MR. PLESSET: Any other questions?

16 MR. TEDESCO: The resolution on this matter, it
17 had been requested from our research people to conduct a
18 peer review of this situation. One might ask, what are the
19 potential consequences at the site. There are a couple of
20 points I would like to speak to on this.

21 Based on the nature of the concern that we are
22 having, the belief is that we would have a leak before break
23 occurrence if something did go on. It would not be a
24 catastrophic failure of the six-inch line.

25 During the analyses of TMI, we have been putting a

1 lot of emphasis on small break LOCA's. One has been a
2 concern about a small break in the pressurizer area. The
3 Westinghouse analysis looked at a .01 square inch break.
4 They have developed a procedure for the operator to deal
5 with this type of event, so from that viewpoint, that while
6 you don't want to enter into a situation of probability of
7 failure, it has been analyzed.

8 MR. PLESSET: I think that the -- there is a
9 limited value to further pursuing this right here by further
10 discussion with the people we have heard from, so I would
11 like to call for TVA, which is the next item on the agenda,
12 to make their response to the staff report, and including
13 this item.

14 So, would you take over, please?

15 MR. MILLS: Yes. I think with regard to the items
16 that have been discussed by Mr. Stahl, we do not have
17 anything to add to that list, or any comments on them.

18 I think with regard to the pressurizer pipe weld,
19 we have had many meetings with the NRC staff, including Mr.
20 Halapats, and it has been stated -- he has been at our
21 laboratory. We could go into probably a ten-hour
22 dissertation here, which we have done previously. I do not
23 think it would add to the information that the ACRS members
24 would have. We stand ready to answer any questions that you
25 might have regarding any of it.

1 We do have our metallurgist here with us today. I
2 would like to say that if you would like for us to, we can
3 respond to any question you might have regarding this pipe
4 weld.

5 As it has been stated and summarized at the end
6 here by the staff, we are in agreement with those
7 conclusions.

8 MR. PLESSET: This is your general response to the
9 staff report, as well as this item?

10 MR. MILLS: Yes. I recognize we are running
11 somewhat behind schedule. I would like to make a couple of
12 comments. We do feel like with regard to our total
13 application that Sequoyah has responded fully at the plant.

14 I believe it is clear from the presentation that
15 practically all the items are resolved. Remaining paperwork
16 will be completed in a very short few days. Hopefully, the
17 committee will consider this, and will be able to give us a
18 favorable decision.

19 We are ready to answer any questions on any
20 subject that you might have today, and it is our belief that
21 we, TVA, would have very little more information in another
22 session at a later time than we have today.

23 We told you our possible schedule, and I think it
24 s very clear that if we do not receive an ACRS letter, this
25 time it would impact our already much delayed schedule.

1 Thank you.

2 MR. PLESSET: Mike?

3 MR. BENDER: In view of the fact -- Are you going
4 to permit questions, Mr. Chairman?

5 MR. PLESSET: Oh, yes, I was encouraging it.

6 MR. BENDER: All right. I have been reading in
7 the papers lately about something called igniters for
8 hydrogen combustion control.

9 MR. PLESSET: That is not the item. That is
10 coming a little later on our agenda. Do you want to ask the
11 TVA metallurgist any questions?

12 MR. BENDER: Only one question. How much would it
13 cost to run this test which is alleged to cost \$200?

14 (General laughter.)

15 MR. JESSE: I am not sure I truly understand the
16 scope of the test, but I would think that it would be up in
17 the neighborhood of several thousand dollars. When I heard
18 one item there where we were talking about running a stress
19 corrosion test in the environment, that it is going to see
20 that would be an extremely time consuming test in that we
21

22 MR. BENDER: Let me limit it to doing the reweld
23 and looking at the metallography again. Would that be a
24 \$200 test?

25 MR. JESSE: That would not be a \$200 test either.

1 MR. BENDER: I am looking at the number of people
2 around here that are wasting time carrying on this
3 argument. The cost of the people's time is more expensive
4 than the test.

5 MR. MILLS: Mr. Bender, I hope it has become clear
6 here today that this has been discussed previously. I think
7 the determination was made some time ago that the in place
8 additional radiographs and tests at the site would be much
9 more beneficial. I think TVA and the NRC staff -- most of
10 the NRC staff came to that conclusion.

11 MR. PLESSET: Yes?

12 MR. MUSCARA: Quite a bit of discussion on this in
13 place metallography and a lot of emphasis is placed on its
14 relative value. If you look at the photographs, regardless
15 if they are Xerox copies, that that test was not relevant to
16 the question that is being debated. It has been shown to
17 research results, both NRC's results, EPRI, and GE, that you
18 get very little correlation between the level of
19 sensitization that is measured on the outside of the pipe
20 versus that on the inside of the pipe.

21 So that test is really quite inconclusive. As a
22 matter of fact, you already get less sensitization on the
23 outside than you do on the inside. The only time there is a
24 good correlation is when you have a tremendous amount of
25 sensitization on the inside, way above that level that you

1 need to cause cracking.

2 At levels that are adequate to cause cracking, you
3 can have no sensitization on the outside of the pipe.
4 Therefore, even if the test is run over again or better
5 photographs are supplied, the information that you are
6 getting on the outside of the pipe is not relevant. There
7 are some techniques that would allow you to get to the
8 inside of the pipe.

9 It may not be useful or practical. You may have
10 to work through the outside, get close to the inside
11 diameter, and then look at that specimen.

12 MR. BENDER: I think you are commenting on the
13 wrong test. The proposal was to get a couple of pieces of
14 pipe or a piece of pipe, cut a groove in it, and weld it the
15 way this pipe was welded, and then cut it and look at it. I
16 thought that was what was proposed.

17 MR. OKRENT: His comment was relevant because we
18 had heard they had already looked at the pipe, and that
19 those tests were satisfactory. What he is pointing out is,
20 the test that they did did not tell you enough about the
21 inside of the pipe to have answered the concern. I think
22 his comment is very relevant, and I think we should have
23 heard this before from the staff, if that is a possibility.

24 MR. PLESSET: Well, any more comments?

25 MR. DILWORTH: I just want to say, there was one

1 comment made by Mr. Halapats about us having 18 pieces of
2 pipe that we could run another test on. We don't have
3 another piece of pipe to run the test that he is requiring
4 -- pipe of the same heat.

5 MR. PLESSET: Could you make it very brief? We
6 don't want another lecture on metallurgy.

7 MR. HALAPATS: You are shown to have 18 pieces of
8 pipe. Your requirements commit you to maintaining the
9 identity of scraps, and you certainly did not use the full
10 20-foot multiple lengths. There must be six inches around.

11 MR. MERRICK: What you saw had 18 tubes listed, 17
12 of which were first order utilities or somewhere else.

13 MR. HALAPATS: They could be searched out by going
14 to your supplier and he may even have in stock some of that
15 same heat.

16 MR. PLESSET: Well, let's go to the item -- status
17 report on ice condensers -- nozzle cracks. I am sorry, I
18 misread.

19 MR. MILLS: We will have Tom Timmons from
20 Westinghouse to report on that.

21 MR. TIMMONS: My name is Tom Timmons, with
22 Westinghouse. Last Wednesday I came down and gave a brief
23 overview of the reactor vessel nozzle cracking problem that
24 had been discovered by our French licensee. The French
25 licensee had found a method of using ultrasonic to detect

1 cracking in the base metal underneath the stainless steel
2 clad and reactor vessel nozzles.

3 They characterized the cracking as in the base
4 metal, in a broad area of the nozzle bore, but more
5 prevalent in the thicker section as being confined to the
6 heat effective zone of the -- produced by the second layer of
7 cladding, oriented perpendicular to the cladding direction,
8 and at that time they said the maximum length was about one
9 inch and the maximum depth was about .28 inches, and they
10 discovered -- they were able to correlate the UT examination
11 by destructive examinations.

12 They took some samples from some nozzle bores and
13 also did some progressive grinding to verify the actual
14 lengths and depths of the cracks.

15 Subsequent to this, they did a metallurgical
16 examination of the samples, and determined that the cracking
17 was believed to be hydrogen induced, and as a result of the
18 welding process and heat treatment use in the cladding, it
19 was determined that the cracking was most probably produced
20 because of the lack of pre-heat prior to the deposition of
21 the second layer of the cladding.

22 Subsequent to this, there was a large number of
23 activities that were undertaken by Westinghouse to determine
24 if there were vessels in the United States which were
25 produced by the French licensee and used the same procedures

1 to determine that there were two vessels in the United
2 States that were produced by the French. Those are located
3 in the Northern States Power Prairie Island Reactors.

4 Prairie Island has committed to do an in-service
5 inspection with an ultrasonic technique to determine if they
6 have underclad cracks. Those inspections are scheduled for
7 some time later this year.

8 In terms of investigating other vendors, other
9 reactor vessel vendors that may have used procedures that
10 are similar to those of the French, the vessels produced by
11 the Rotterdam Dockyard for Westinghouse were determined to
12 have used a process that was similar to the process the
13 French used.

14 TVA's Sequoyah Unit 1 vessel was determined to
15 have been manufactured by the Rotterdam Dockyard.

16 Subsequent to that, meetings were held with TVA,
17 Westinghouse, and the NRC staff to discuss this. A UT
18 examination of the nozzels of the Sequoyah Unit 1 vessel was
19 conducted, and it was determined that there were indeed some
20 instances of underclad cracking in the nozzles in the
21 Sequoyah unit.

22 Subsequent to that, it was determined that based
23 on the French experience, the samples that had been taken,
24 the characterization of the depth of the cracks and the
25 actual length of the cracks, it was found from the UT

1 examination that all of the cracks were detected in the
2 nozzles of the Sequoyah vessel. They were acceptable within
3 the limits of the ASME code.

4 In conjunction with this, Westinghouse submitted a
5 fracture mechanics evaluation that showed that even though
6 they were acceptable under the ASME code, the cracks would
7 not grow very much over the life of the vessel, and if they
8 did grow, that the growth that was shown would not present a
9 problem, and the cracks would eventually remain well below
10 the critical crack size for accident conditions and for
11 normal operation.

12 Any questions?

13 MR. PLESSET: Any questions?

14 (No response.)

15 MR. PLESSET: I guess not.

16 MR. MATHIS: I have one comment. I talked to Paul
17 Shewmon on this subject.

18 MR. PLESSET: The previous one or this one?

19 MR. MATHIS: This one. He is familiar with the
20 problem. He has gone over the whole subject, and he has no
21 particular problem.

22 MR. PLESSET: Okay, thank you.

23 Thank you.

24 I guess that takes care of that item on the
25 agenda. Could we go to the next item, which is a status

1 report on ice condensers?

2 MR. MILLS: We will have Mr. Bob Cristy from our
3 engineering design group respond.

4 MR. CHRISTY: My name is Bob Christy, Nuclear
5 Engineering Branch, Tennessee Valley Authority.

6 I would like to discuss with you today some of the
7 studies that have used what are commonly referred to as
8 probability techniques in the evaluation of the Sequoyah
9 plant.

10 Basically, there have been four studies performed
11 which I believe might be applicable to today's discussion.
12 The studies are a study performed by the Sandia
13 Laboratories, known as the systems interaction methodology
14 applications program. The second is another study performed
15 by the Sandia Laboratories, which is the reactor safety
16 study methodology application program, and two studies, one
17 of which has been performed and one will be performed in the
18 future, performed by the Kaman Sciences Corporation of
19 Colorado Springs, Colorado, the first one on the auxiliary
20 feedwater system and the second on a full plant model of the
21 Sequoyah Nuclear Plant.

22 (Slide.)

23 MR. CHRISTY: On the systems interaction
24 methodology applications program, the NRC was attempting to
25 determine if certain connections between systems could be

1 systematically evaluated in order to get a feel for whether
2 certain failures could be predicted between systems.

3 The Sandia Laboratories were contracted by the NRC
4 to perform this study. The study had an objective of
5 determining potential interactions that could cause failures
6 of more than one system. It also had an objective of
7 looking at the standard review plan to see if some of these
8 potential interactions were already covered in the standard
9 review plan.

10 A sidelight of the objective was that the plant
11 that was chosen for the study was to be examined for plant
12 specifics, and as stated on the slide, it was not the
13 purpose of the study to judge the plant, which happened to
14 be the Watts Bar Plant, the sister plant to the Sequoyah.

15 It was concluded the facility was generally well
16 protected against interactions considered within the scope
17 of the Sandia study. The Sandia study was a fairly limited
18 scope, and we will have a slide here that talks about this.

19 (Slide.)

20 MR. CHRISTY: The study basically was to determine
21 if there were events that would cause what the Sandia
22 Laboratories defined to be unacceptable core damage, and the
23 procedure that they used to define unacceptable core damage
24 was failure of, one, the reactor subcriticality, two,
25 failure of the decay heat system, or failure of the reactor

1 coolant protection boundary when connected with failure of
2 the mitigating systems.

3 Sandia Laboratories essentially evaluated three
4 fault trees, and this was the procedure that was used to try
5 and connect the system interactions. There were three fault
6 trees, one fault tree on reactor subcriticality, one on
7 decay heat removal, and one on failure of the reactor
8 coolant protection boundary.

9 They did not look at failure of the mitigating
10 system. The fault trees were developed for the ANSI 18.2
11 conditions. They did not look at LOCA's, for instance.
12 They did not model anything to do with the consequences if
13 you had a failure or unacceptable core damage. They did not
14 model any of the consequences. They did not include
15 anything along the lines of fire, earthquake, hurricanes,
16 tornadoes, floods, or sabotage.

17 What they did do was, they looked at the three
18 fault trees, and they took the cut sets from the fault trees
19 which were just those events that would cause the top event
20 to occur. That is to say, if there were three separate
21 failures, that would cause perhaps the failure of the decay
22 heat removal system. They would have it printed out as part
23 of the computer program used to evaluate the fault trees.

24 They would then look at those three independent
25 cut sets or three independent events in that cut set to see

1 if there were any connections between those three supposedly
2 independent events that will indicate that possibly those
3 three independent events were not independent but had some
4 connection.

5 The things that they looked at to connect these
6 independent failures are shown here.

7 (Slide.)

8 MR. CHRISTY: In Sandia terminology, they are
9 known as linking characteristics, and basically what they
10 looked for were connections with the power systems, either
11 the AC power system or the DC power system. They also
12 looked for connections with the actuation. For instance, if
13 a pump were being actuated by a pressure sensor, they would
14 look to see if that same pressure sensor was used to actuate
15 all the pumps in one system.

16 They looked at lubrication on the pumps. They
17 looked at the coding pumps, valves, whatever it is. They
18 looked at all the hydraulic valves, whether or not some of
19 the hydraulics were connected on the valves. They looked at
20 the compressed air system, and all the air operated relief
21 valves, and they looked at locations.

22 These, as I say, were the things they looked at,
23 and basically, it is a common cause search for what I would
24 say -- what I would call a common cause search on a limited
25 scope. And I believe that the conclusion of the report was

1 that as far as the Watts Bar plant was concerned, which is,
2 as I say, a sister plant to the Sequoyah, the separations
3 and the criteria that were used in the design of the plant
4 indicated that the interactions they were looking for did
5 not occur, and that the plant was well designed for this
6 particular area.

7 (Slide.)

8 MR. CHRISTY: All right. The second study was
9 also performed by the Sandia Laboratory. It is known as the
10 reactor safety study methodology applications program. In
11 the acronym world, it is RSSMAP, which is what you hear it
12 as.

13 The basic objective of the study, after WASH 1400,
14 there was some feeling among the NRC and a belief that they
15 ought to look at some of the other plants besides the
16 Peachbottom BWR and the surry PWR to determine if some of
17 the sequences would be different for the different types of
18 reactors and for the different types of containments.

19 The reactor safety study methodology application
20 program looked at four plants. They looked at the Sequoyah
21 nuclear plant, which was typical, they believed, of a
22 Westinghouse ice condenser plant, the Calvert Cliffs plant,
23 the Duke Oconee plant, and the Grand Gulf plant.

24 As a result of the study, what they did was, they
25 compared, for instance, in the Sequoyah study, they compared

1 the Sequoyah plant versus the surry plant, and they tried to
2 determine whether or not there were differences between the
3 Sequoyah plant and the surry plant that would be important
4 in a risk study.

5 They constructed simplified event trees and
6 simplified fault trees. They did not do the detailed
7 calculations that were done in WASH 1400. They were
8 basically qualitative fault trees that were done, and
9 basically they would compare the surry system, for instance,
10 on core injection versus the Sequoyah system on core
11 injection, and would say, I believe, that system is a factor
12 of 10 better or a factor of 10 worse, a factor of 2 better
13 or a factor of 2 worse, with some simplified calculations to
14 back it up.

15 The results of the study can be summed up, I
16 believe, in the following, that the ice -- it is true that
17 the ice condenser plants have different dominant accident
18 scenarios. However, as a result of the evaluation by the
19 Sandia Laboratories, they believe -- the conclusion of the
20 report is that even though the dominant sequences are
21 different, the overall risk of the Sequoyah nuclear plant is
22 similar to the surry plant, which is the plant being used,
23 and the risk is similar for an ice condenser and a large dry
24 containment plant.

25 The Tennessee Valley Authority, we have performed

1 our own internal studies, similar to the Sandia study.
2 Basically, we have some differences with the Sandia study
3 which have not been resolved. The study has not yet been
4 issued, even though parts are available and have been used
5 elsewhere, as Mr. Taylor will discuss with you later, but
6 this is what we believe is the conclusion of the study.

7 One of the questions that was asked earlier was,
8 had there been some things that have come out of these
9 studies that have changed some of the things in the
10 process? One of the dominant sequences in the Sequoyah
11 nuclear plant was believed to be a failure to remove the
12 drain plugs after refueling.

13 In an ice condenser plant, you have the upper and
14 lower compartment. They have drain plugs for refueling to
15 fill the refueling cavity up with water. Failure to remove
16 these plugs would fail the core recirculation -- I mean, the
17 containment spray recirculation. This was a common mode
18 failure. It was pointed out in the Sandia study.

19 Internal to TVA, since the study we have taken
20 steps to provide more inspection, to in fact indeed assure
21 ourselves that those drain plugs are pulled after a
22 refueling.

23 (Slide.)

24 MR. CHRISTY: The third study that was done was a
25 study performed by the Kaman Sciences Corporation, Colorado

1 Springs, Colorado, for TVA on the auxiliary feedwater
2 system. At the end of last year, 1979, TVA was approached
3 by EPRI and came in to perform a full plant availability
4 model of one of the TVA plants in conjunction with a
5 computer code known as the GO computer code, which has been
6 developed by Kaman in the last 15 years, and essentially has
7 been funded in the last couple of years, at least, by the
8 EPRI people.

9 We were asked to participate in this. As a result
10 of this request, we felt in order to evaluate whether we
11 wanted to participate, that we should understand the GO
12 code. We signed a contract with Kaman to evaluate the
13 Sequoyah auxiliary feedwater system. The EPRI code -- the
14 GO code is an EPRI code today. It has been acquired by TVA,
15 and we are using it in some of the studies that we have in
16 progress, and also have checked the results of the Kaman
17 people on the auxiliary feedwater systems study.

18 We have here a quick mock-up of what the Sequoyah
19 auxiliary feedwater system looks like.

20 (Slide.)

21 MR. CHRISTY: It is a three-pump system. We have
22 one turbine driven pump and two motor driven pumps, four
23 steam generators. Success criteria is water to two out of
24 the four steam generators. Basically, the GO computer code
25 is what is known as a success tree code. It works by taking

1 an initiating event and following that initiating event
2 through the components. It is an opposite -- well, it has a
3 somewhat opposite logic to that of the fault trees.

4 The fault trees take an event that you don't want
5 to happen and work your way back. You say, I do not want,
6 you know, this to fail, and work your way back to how you
7 would fail it. The GO code takes an event such as a start,
8 do we have water in the condensate storage tanks to provide
9 to the steam generator? They start back with the water, and
10 work through the steam generator. The fault tree code would
11 start at the steam generator and work back to the water.

12 We have prepared the codes. We have not yet found
13 a problem that the same results do not occur out of both a
14 fault tree code and a GO code.

15 To our knowledge today they both give about the
16 same results. There are differences in the procedures that
17 you use in the logic, but as far as we can tell today, they
18 come up with the same results.

19 MR. OKRENT: Could you put the previous vu-graph
20 on for a moment?

21 (Slide.)

22 MR. OKRENT: The one that gave the summary of the
23 Kaman results.

24 (Slide.)

25 MR. OKRENT: The one earlier. Those are very high

1 reliability numbers. Has TVA reviewed the results, and do
2 they agree with them?

3 MR. CHRISTY: TVA has reviewed the results. The
4 reliabilities of the system are high. We believe the
5 reliability of the Sequoyah auxiliary feedwater system is
6 high. Whether or not it is as shown, for instance, assuming
7 you have off-site power, and you have the three pumps, and
8 you have the water, .99999 is subject to debate by a lot of
9 people. However, I would say that the results that were
10 indicated on the qualitative way of doing it, that is,
11 looking at what the Kaman people called the fault sets, did
12 indicate that the logic was probably correct.

13 The numbers that were used for failures of the
14 components are again subject to a lot of interpretation.
15 You pick what you believe to be the best estimate of
16 component failures. You plug them into the computer code
17 and the number is put out.

18 We have performed sensitivity studies to look at
19 some of the changes that might happen in the system if we
20 change the failures of some of the components, and you can
21 get effects --

22 MR. BARRY: The effects, depending on how you
23 want to vary the numbers that go into the computer code.
24 However, I would say that the Sequoyah auxiliary feedwater
25 system is a very reliable system. It has been checked out

1 many times, I believe, by a lot of people, and I will
2 believe it to be fairly -- a fairly accurate representation
3 by those numbers.

4 MR. OKRENT: I do not know what was excluded as a
5 possible failure source in this study, because it does not
6 say anything was excluded except the specific things shown,
7 but if I were not excluding various failure sources, I
8 suspect I could get numbers much bigger than you have here.

9 MR. CHRISTY: Again, this is a hardware study,
10 such things as a detailed common cause failure where you
11 look at the effects of major fires, major earthquakes, et
12 cetera, were not done.

13 MR. OKRENT: Excuse me. Then it should say here
14 on the page that this is a detailed hardware study, and
15 there may be other things that could give much bigger
16 answers, because that is not on this page, and it leaves an
17 impression which may be unjustified, I would say.

18 MR. CHRISTY: Perhaps.

19 MR. PLESSET: Let me follow up that interesting
20 line of thought. This is an ice condenser plant, and you
21 had some kind of a data base, I presume. Now, did you use
22 any data from D. C. Cook, where the doors are freezing all
23 the time? Will your doors be better or worse?

24 MR. CHRISTY: For this study, which is the
25 auxiliary feedwater system --

1 MR. PLESSET: I am talking about the one preceding
2 this one.

3 MR. CHRISTY: The study that was used for the
4 reactor safety study methodology application program by
5 Sandia Laboratories and TVA basically used the numbers that
6 existed in the WASH 1400.

7 Okay, now, the failure of the ice condenser doors
8 was included in the study, and numbers were used. Estimates
9 were made, for instance, of the failure of the ice condenser
10 doors. They are included in the study.

11 MR. PLESSET: That is interesting. I am not
12 worried about the study, the computer code and all that.
13 Are your doors better or worse than the D. C. Cook doors,
14 and if so, what is the basis for your answer? That is a
15 very practical question. You do not need to go to a big
16 computer to answer that question.

17 MR. CHRISTY: I would suggest that perhaps Jerry
18 Ballentine --

19 MR. MILLS: We will address that.

20 MR. BALLANTINE: Our experience with the ice
21 condenser is not just theoretical.

22 MR. PLESSET: I was hoping that it wasn't.

23 MR. BALLANTINE: Our ice condenser has been loaded
24 now with ice for nearly a year and a half, and during that
25 year and a half, we have been performing very frequent

1 inspections and maintenance work on it as required. I have
2 no firsthand way of comparing our doors with the D. C. Cook
3 doors. However, we have not noticed this icing and frosting
4 that would make these doors inoperable at Sequoyah.

5 MR. PLESSET: You are very confident about that?
6 I mean, are they going to be required to inspect these doors
7 regularly as D. C. Cook does?

8 MR. STAHL: Yes, there is an inspection program
9 for these doors.

10 MR. PLESSET: You say your doors have not been
11 freezing shut.

12 MR. BALLANTINE: No, sir. We have not had that
13 occur at Sequoyah during the inspection program that we have
14 been doing, and the program that we have been doing is the
15 same program that we will continue to do.

16 MR. PLESSET: All right, and what about the
17 inventory. Have you been following the inventory?

18 MR. BALLANTINE: Yes, sir, we have. We have been
19 losing ice at, I think -- at, I think, the expected rate.
20 We just completed a program of weighing ice baskets just
21 last month.

22 MR. PLESSET: Yes. Mike?

23 MR. BENDER: Just to amplify our understanding of
24 the ice questions, what can you conclude from the existing
25 operation that can be extrapolated to operation that would

1 enable you to make a judgment about the behavior of the ice
2 condenser system under operating conditions?

3 MR. BALLANTINE: We have only had since loading
4 the ice three periods during which the primary system in the
5 building was at temperature during hot functional, a period
6 during late March of this year, and we have been at
7 temperature about the last month.

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

t8
flws jl
t
bfml

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 All the other times, the building has been at a cooler
2 temperature than it is running. Ordinarily, the building is
3 around -- an ambient of around 80 degrees. It is now 115 degrees.
4 We are confident that the ice inventory program, the maintenance
5 program of the ice bed will be sufficient.

6 MR. EBERSOLE: Mr. Chairman?

7 MR. PLESSET: Yes.

8 MR. EBERSOLE: They work great if the worse thing
9 happens, but they don't work great if much less things happen,
10 like a smaller break versus a large break. The ice condenser
11 packs.

12 MR. BALLANTINE: Starting the air return fans will
13 cause enough pressure in the lower compartment to spring the
14 doors open. We have had that occur during hot functional and
15 at other times.

16 It is a matter, then -- we have detection of that even
17 by limits, which is on the various doors that show them to be
18 open. We simply would have to shut down and go into the lower
19 compartment and reclose the doors by hand.

20 MR. EBERSOLE: Does it melt the ice?

21 MR. BALLANTINE: It would if the doors were allowed
22 to remain open for any appreciable time.

23 MR. EBERSOLE: I'll have a small break or something,
24 but not a big one. I get the response of this fan, but not much
25 of a break. The ice proceeds to fall down. It does not turn

1 completely to water, but just plugs the whole process. Have
2 you looked at that? Do you follow me? I am taking a modulated
3 view of the break.

4 MR. BALLANTINE: I understand what you are saying. I
5 think our program would readily detect that.

6 MR. EBERSOLE: It would detect it. I am wondering whe-
7 ther the consequence itself would not result in a choked system
8 such that you would not have an ice condenser in that period of
9 time.

10 MR. BALLANTINE: The requirements we have for surveillance
11 and the definition of operability and the technical specifications
12 for the ice condenser would require us to correct that condition
13 before proceeding.

14 MR. EBERSOLE: You might go in and find you no longer
15 have an ice system, because it is just blocked up. You would
16 have to survive until you got it back, which I guess would not
17 be too unreasonable.

18 MR. BALLANTINE: It would.

19 MR. MILLS: We would ask the Westinhouse Corporation to
20 respond to this, Mr. Ebersole.

21 MR. BRUCE: I believe the question is a small break
22 opening up the ice condenser doors and --

23 MR. EBERSOLE: And a partial ice melt, a plugging of
24 the drains with cascades of ice falling and so forth.

25 MR. BRUCE: I think the problem you are worried about

1 would be a very high pressure increase in the lower compartment,
2 because you are blocked up the ice condenser. We have not analyzed
3 that, but I do not think it would be reasonable for, you know,
4 the ice condenser to be blocked to such a complete extent that
5 the blowdown from a small break would not automatically melt
6 its way through the ice.

7 I cannot envisage that at all.

8 MR. EBERSOLE: Okay.

9 MR. PLESSET: Well, I notice that you don't have
10 any freezing of the doors, but is the environment such that you
11 would detect it? I mean, in operation, you might have a lot
12 more humidity inside the containment which would contribute,
13 perhaps significantly to the freezing of the doors.

14 I am not convinced that your experience has been
15 a lot better than D. C. Cook's. Do you see my point?

16 MR. EBERSOLE: I was trying to invent a mechanism,
17 Dr. Plesset, that would freeze the doors as a matter of fact.

18 MR. PLESSET: They have not computed that. They have
19 not made any analyses of that. Nobody has, I guess.

20 I gather that they have not, so I was going to the case
21 where their doors might ordinarily be frozen shut.

22 MR. EBERSOLE: Yes.

23 MR. PLESSET: He will answer that, I think.

24 MR. BALLANTINE: Yes. I think that our inspection
25 program will tell us whether our experience worsens. Up until

bfm4

1 this point, we have not had that experience. Also, in answering
2 Mr. Ebersole's question, I think I was assuming, although not
3 knowing the mechanism by which it would occur. I was assuming
4 that it did occur. If it did, our corrective action would be
5 to shutdown and restore the ice condenser to an operable status.

6 MR. PLESSET: They would be shutting down anyway, I
7 suspect.

8 MR. EBERSOLE: I expect you would. Of course, shutting
9 down does not get you anywhere. It just brings you face to face
10 with the real problem.

11 MR. PLESSET: Right. Max?

12 MR. CARBON: You said you had no first hand knowledge
13 of the D. C. Cook doors, I believe. I presume you have checked
14 to see what kind of problems they are having and why and how it
15 compares with yours, and whether you would expect the same problem
16 and so on.

17 MR. BALLANTINE: Yes, sir. When I said no first hand
18 problem, I myself have not been at Cook. I have had on my staff
19 and also other members in TVA have spent considerable time
20 at Cook. It is almost first hand.

21 MR. CARBON: Thank you.

22 MR. PLESSET: Yes, Jesse?

23 MR. EBERSOLE: Are we done with the ice condenser?

24 MR. PLESSET: No.

25 MR. EBERSOLE: Carry on.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

b2

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. PLESSET: What assurance do you have that you will not get hot channeling where the steam does not interact with the ice overall, but just makes a hot pipe up to the melt, and the pressure can stay high? What is the answer to that?

I am worried about his data base. That is all, and trying to relate it to some physical things.

MR. EBERSOLE: Isn't it true that an ice condenser, you can say, it is basically unstable in character. If it develops a hole through itself, it tends to make it worse and it creates an ever enlarging bypass?

MR. PLESSET: That is what I think we would like to see what information they can give us. That would just contribute to its data base, as he mentioned.

MR. LAO: I am Wang Lao with TVA. I would like to go through a history of what we study about this burn-through problem, and relate it to what we call the maldistribution problem.

Westinghouse studied this problem many years ago. They concluded that there is no burn-through problem. The Maldistribution does not lead to a burn-through problem.

TVA, back in 1973 or something like that, we contracted with Battelle-Northwest to do an independent study on the subject. the chief investigator was Dr. Rudy Adelman.

We constructed a code which in more detail --

MR. PLESSET: Was this study theoretical?

1 MR. LAO: Yes, sir.

2 MR. PLESSET: Okay.

3 MR. LAO: Computer analysis.

4 MR. PLESSET: Okay.

5 MR. LAO: It was not a test -- the conclusion for that
6 test confirmed Westinghouse's study that there is no burn-through.
7 I guess in retrospect -- I began to understand why, after the
8 research was out -- it concerned me. I was involved myself.

9 I asked the same question. I think in you gentlemen's
10 minds, you probably want to know why once you start burning out,
11 the channel will have less resistance. That is what went through
12 my mind when we started the investigation.

13 After the results came out and we looked at the
14 number and we understood why. The reason was that if the flow
15 came through one of the doors, okay, into the lower plenum, the
16 lower plenum is so large in flow area that the flow resistance
17 around the plenum is small compared to the flow of the channel.

18 Therefore, the flow has a tendency to spread out
19 horizontally more so than going up. Therefore, the flow, the
20 melting will have a tendency to spread itself out. That is
21 exactly what the code told us.

22 MR. PLESSET: What lower plenum are you speaking of?

23 MR. LAO: The flow into the ice condenser is horizontal.
24 There are 24 pairs of doors. It is like a header.

25 MR. PLESSET: Let me see if I understand. You are

1 talking about the steam having access to many columns. Is
2 that what you are saying?

3 MR. LAO: Yes, sir.

4 MR. PLESSET: I would be willing to -- I am talking
5 about let's look at what is going on in the columns now. That
6 is what we are concerned about. You can have a burn-through
7 through a narrow channel in several columns.

8 I am willing to grant you the steam will spread out in
9 the lower bay of the containment. Could we get to the other
10 question? It now is at a column. What does the computer code
11 say, and can we believe it?

12 MR. LAO: Yes, sir. I was just told that the --

13 MR. PLESSET: Which test -- there was some testing.

14 MR. LAO: You see, in the lower plenum the horizontal
15 flow is very free to move. So, the computer code does not say
16 you can restrict to one channel.

17 I mean, obviously, you tell the computer code there is
18 one sideways movement. It won't burn-through the travel. If that
19 is the assumption that you will burn-through, you will.

20 MR. PLESSET: What is the Watts Bar test?

21 MR. LAMBERT: The Westinghouse Corporation conducted --

22 MR. BRUCE: In the early days of development of the
23 ice condenser, an extensive series of tests were conducted at
24 the Waltz Mill test facility.

25 MR. PLESSET: Okay.

bfm8

1 MR. BRUCE: The problem of the blow down through the
2 ice condenser and maldistribution is you want to make sure that
3 you trap the vast majority of steam from a blowdown, condense
4 it in the ice condenser, and you do not get too much bypass flow
5 right to the ice condenser which would create additional pressure
6 in the upper compartment.

7 The various things that have been talked about, the
8 maldistribution code and the Waltz Mill results produced a number
9 -- I can't remember exactly -- the maximum maldistribution
10 relative to average was about 150 percent.

11 This kind of number was tested at Waltz Mill. There
12 was still a relatively small bypass of steam through the ice
13 condenser. So that typically in a blowdown, even with maldistri-
14 bution of the full peak pressure, it amounts to about 10 psig;
15 maybe half a psi would be due to bypass of steam through the
16 ice condenser.

17 MR. PLESSET: The test was adequate, of sufficient
18 height in the column, the ice column.

19 MR. BRUCE: What I am really saying is that: let's
20 suppose your steam went into the torus under the ice condenser,
21 and your uniform distribution of flow through the many ice
22 condenser channels -- okay.

23 You can run a test then with that kind of blowdown and
24 find out for a full 48 foot ice condenser height how much conden-
25 sation you get, and how much bypass you get right through to the

1 upper compartment.

2 I believe those tests were also run with higher maldis-
3 tributions like up to 150 percent. I would not want to be held
4 to that exact number. I don't remember that properly. We
5 also showed a relatively low bypass of steam right through the
6 ice condenser.

7 MR. PLESSET: Is staff familiar with this question?

8 MR. STAHL: Yes.

9 MR. GOODRICK: Back when we were reviewing the Waltz
10 Mill test results for the D. C. Cook plant review, we did look
11 at distribution, early melt-through through selected bays. We
12 concluded that number one, one point that was not brought up
13 was the fact that you do not have your upper compartment sprays.

14 You get early melt-through through one of the bays.
15 The bypass steam will be condensed. Secondly, they did do a
16 series of blowdowns ranging in mass flow rates, I think, up to
17 150 percent in the Waltz Mill facility.

18 There are -- I think it was a representation of one
19 bay at Waltz Mill. They got, more or less, even melt through
20 the individual baskets, indicating they did have a uniform flow
21 within the ice condenser mock-up.

22 It was full-scale. We concluded that you would not
23 have a substantial problem of premature melt-through.

24 MR. PLESSET: At that time, you were convinced that
25 you would not get a pressure pulse at any time in the condensa-

1 tion process. It is possible it might have a higher pressure
2 for a short time if you had a maldistribution in the upper compart-
3 ment.

4 MR. GOODRICK: The peak pressures in the ice condenser
5 do not occur early in time. I believe the pressures are in the
6 neighborhood of about 8 psi during the blowdown.

7 MR. PLESSET: 8 psi, that is a bit upsetting already,
8 considering the design. This one is an 11 psi containment, 12?

9 MR. GOODRICK: This is due to the air carry-over.

10 MR. PLESSET: Yes. Okay. Well, I just wanted to get
11 your data base straight.

12 MR. CRISTY: The last study that was --

13 MR. PLESSET: Do you want to say some more?

14 MR. GOODRICK: I wanted to indicate that all the numbers
15 I gave to you were for a large break, so the pressures would be
16 maximized.

17 MR. CRISTY: The last study to discuss is the Sequoyah
18 Nuclear plant, full-scale safety and availability analysis.
19 This is a joint effort between the EPRI, Kaman Sciences Corpora-
20 tion, and Tennessee Valley Authority.

21 Basically, the original thrust of this study was to
22 develop a plant availability model. However, recent developments
23 have also impressed upon us the need to add plant safety. So,
24 some of the safety systems, the mitigating systems will also be
25 modelled. The manpower that is involved in this is as shown.

1 It has started on July 1, 1980. It is a two phase
2 program. Phase one to be approximately six months, and phase
3 two to be approximately one year. It will be completed, hope-
4 fully, around December 31 next year, 1981.

5 MR. OKRENT: What does it mean to say some of the
6 safety systems will be modelled? I do not understand what you
7 are telling us.

8 MR. CRISTY: The systems that will be modelled we will
9 have approximately 75 systems that are eligible for modelling
10 in the plant. The capability to model those number of systems
11 within the time frame, and with the money that is available will
12 probably not permit us to model all 75 systems in detail.

13 The systems to be modelled will be those that -- in
14 detail, anyway, will be those that the Kaman Sciences people,
15 the EPRI people, and the TVA people believe to be the most
16 significant, either to plant availability or to plant safety.

17 The number to be modelled has not yet -- in detail,
18 has not yet been determined. I don't believe it will be deter-
19 mined until we get approximately half-way through and find out
20 how many man-months it takes to do the full-scale modelling
21 type of affair.

22 If we could model all 75 systems, we would model all
23 75 systems. However, I do not believe we will.

24 MR. OKRENT: I have read and I think even heard Mr.
25 Freeman, the Chairman of TVA, indicate that he is very safety

1 conscious and so, I would like to explore his statements and
2 so forth in terms of what you are proposing to do here. Let me,
3 by example, indicate the kinds of things I want to understand,
4 whether you will pick up in what you are doing.

5 I read recently that an operating reactor found that
6 there was a single failure mode, a passive one, but a single
7 failure mode for the RHR system. There happened to be a common
8 piece of pipe that if it failed, loss of cooling water to the
9 RHR pumps, if I remember correctly -- therefore, it represented
10 possibly a higher probability failure mode for an important
11 system.

12 It might or might not lead to difficulty. It would
13 depend on the circumstance, obviously, in which the failure occur-
14 red. If you go back through what has occurred in TVA reactors
15 and other reactors, we see other kinds of what I will call
16 susceptible situations. You know, where aux feedwater has
17 depended on AC power, not necessarily that people knew it or
18 recognized it, but it was there.

19 What I cannot tell from what you have told me is whether
20 your look at the Sequoyah reactor will have identified what some
21 people call "outliers." Potentially, high probability initiators
22 or high probability failure modes of systems you need, given
23 an accident or so forth. In other words, will you have done
24 a sufficiently comprehensive job to have identified within
25 the capability of existing techniques; which means you cannot

1 pick up design areas by this method and so forth.

2 Will you have done that in what you have outlined
3 on the board or on the vu-graph?

4 MR. CRISTY: I do not believe, for instance, that the
5 depth of study that will be done in this study would be, for
6 instance, comparable to the depth of study that might be done,
7 for instance, on the Surry Plant for WASH-1400.

8 I do not believe that the man power and the money
9 would allow that. However, I do believe that the study will
10 realize and use the experience of quite a few of the studies that
11 have been done in the past to pick out what I believe to be the
12 high probability events and the so-called dominant sequences.

13 I cannot guarantee that we will cover 100 percent of
14 all the events that might occur for the Sequoyah nuclear plant.

15 MR. OKRENT: I am relatively unimpressed when people
16 tell me they are going to look at the high contributions to
17 risk kind of events as identified from previous studies. What
18 I seem to see for specific reactors is they have their own charac-
19 teristics.

20 MR. CRISTY: This is true.

21 MR. OKRENT: It is likely, that if there is a weak
22 point, it may be different than the ones you have already learned,
23 while you certainly should not ignore what you have learned from
24 other plants. I am very unconvinced that that in fact constitutes
25 an adequate job in my own evaluation and in the sense of what I

1 heard Mr. Freeman say, is TVA's approach to safety.

2 I do not know what you mean when you say it is not
3 enough money allocated to this. Are you suggesting that TVA
4 cannot find -- I will invent a number -- a \$25 million to try to
5 review this plant beyond whatever you are going to do for your
6 availability analysis to see whether there are important
7 contributors to an accident which could lead to severe core
8 damage?

9 I am not talking about consequence analysis, you under-
10 stand?

11 MR. CRISTY: That is correct.

12 MR. OKRENT: What are you telling me about resources?

13 MR. MILLS: I believe Mr. Cristy is referring to the
14 present contract for this study right here. Certainly, Mr.
15 Freeman is very concerned about safety. I think he has made the
16 point before that when it comes to safety, there is no question
17 about money.

18 We have continuing studies going on. Certainly, we
19 are not going to be limited by resources on any study that needs
20 to be done to improve the safety of the Sequoyah nuclear plant.

21 I think Mr. Cristy was merely referring to this con-
22 tract.

23 MR. OKRENT: Well, as you know, the Committee has
24 recommended that in addition to the IREP program, whatever it
25 is, which the NRC staff is somehow leading or doing or both, that

1 each reactor apply this methodology to see whether there are
2 potentially important improvements. I cannot remember the
3 exact wording. You know what I mean?

4 I am trying to see, in fact, whether Sequoyah thinks
5 this is, in fact, something it is doing already; in which case
6 we do not have to discuss it anymore. If it is not doing it,
7 why it thinks it should not be done; in which case, I might want
8 to discuss it a little bit more.

9 It does not sound to me like you are quite proposing to
10 do what I understood to be the sense of the thing. Maybe you
11 have something other in mind than we see here.

12 MR. CRISTY: I believe the study as proposed by EPRI
13 and TVA and the present existing contract with the work that is
14 being planned would fulfill their requirements of what we now --
15 again, they are unclear -- what we now believe to be the
16 requirements of an IREP study for the plant.

17 MR. OKRENT: Actually, you know, I would prefer if
18 you did not tell me what you now understand to be the requirements
19 of an IREP study. In fact, I had hoped, I must say, that TVA
20 would take the lead and become what I would call the model
21 utility, and maybe find out what kind of study, in fact, should
22 be done.

23 They might not agree that what the staff is going in
24 the IREP study would give the most significant information from
25 a safety point of view. It may be some other things. In certain

bfml6
1 cases, you might do less. In certain cases, you might do more than
2 they do. But for you to tell me you are going to -- I will use
3 the words, once again conform to something that is in a staff
4 letter or a regulation or so forth -- you have not arrived at
5 what you think it --

6 MR. CRISTY: If I could address that.

7 MR. DILWORTH: Let me make one statement here. I have
8 the responsibility for the work that Mr. Cristy's section is
9 doing. I would like to say that we feel we have the beginnings
10 now of probably one of the strongest efforts in doing risk
11 assessment reliability work as probably any utility in the
12 country. We intend to expand it.

13 Mr. Cristy has been specifically talking about one par-
14 ticular contract with Kaman that has somewhat been tailored with
15 the EPRI work that is now going on.

16 Sequoyah, all of the follow-on plants after this, we
17 intend to do considerably more work. I will assure you that
18 our commitment is just as strong as Mr. Freeman's. There will
19 be no backing up by TVA or any relaxing in our efforts to provide
20 the kind of risk assessment studies that are capable in this
21 country to be performed.

22 We really have this as a strong planning effort and
23 expansion of efforts in this regard. We don't have all the
24 answers right now, Dr. Okrent. We are going to get them.

25 MR. OKRENT: I was not asking you to come in with

1 answers. I was trying to understand whether you were going to
2 do an appropriately thorough job, whatever that may mean.

3 MR. DILWORTH: Yes, we are.

4 MR. CRISTY: I would like to point out that TVA
5 recognized the probabilities of having some sort of a check of
6 some of the work. This is an alternate -- the GO code is not
7 the same code being used in many of the studies. One of the
8 reasons EPRI is funding the study is to see if there are alternate
9 methods of looking at some of these systems besides the fault
10 tree method what would indicate some of the possible completeness
11 -- whether the fault trees are complete and entire.

12 This is an alternate method. One of the reasons TVA
13 is participating in it is to provide us with a capability of
14 doing it either with fault tree or GO code.

15 MR. PLESSET: Mr. Bernero wants to make a comment.

16 MR. BERNERO: We had a meeting about three or four
17 weeks ago with the subject plants for the next stage of IREP that
18 was not quite satisfactory, among other reasons, because we, in
19 the staff, the research staff in particular were not able to
20 furnish lucid documentation of what the scope and content of this
21 phase of IREP is.

22 We have that nearly complete for sharing it with the
23 people who are subject to IREP and for anyone else for that matter.
24 TVA at that time, Mr. Ralston of TVA spoke to me and indicated
25 an interest on the part of TVA, not only to cooperate with IREP,

bfml8

1 but to do other things in some coherent relationship to that.

2 I do not know exactly how far they are ready, willing,
3 and able to go, but I do recognize their need to know a little bit
4 more about exactly what an IREP is, its scope and content.

5 MR. PLESSET: Do you want to hear more of this, Dave?

6 MR. OKRENT: No.

7 MR. PLESSET: We would excuse you, if you don't mind
8 too much to get to --

9 (Laughter.)

10 MR. EBERSOLE: Before you let him go, let me ask a
11 question. Way back a long time ago, there was quite a hassle
12 between TVA and Westinghouse. In trying to get improved second-
13 ary relief capacity, including circuit reliability on Sequoyah,
14 do I understand at present it is just a standard grade atmospheric
15 relief valve with standard circuits, and no particular QA and
16 so forth?

17 We were attempting to depressurize the secondary to
18 enhance the chance we would always have auxiliary feedwater for
19 any source could find, like a fire pump without having to worry
20 about having it at high pressure. We failed miserably at that
21 time to get that done.

22 I wondered if anything had been done in the interim.

23 MR. CRISTY: I am not aware of it. Perhaps someone
24 else at the table might be.

25 MR. PLESSET: You have drawn a blank -- maybe not.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. DILWORTH: If your question, Jesse, is the
2 atmospheric relief valves, they are not safety grade.

3 MR. EBERSOLE: They are unqualified systems to dump
4 into atmosphere on secondary side.

5 MR. DILWORTH: That is correct.

6 MR. EBERSOLE: They leave the same requirement for
7 auxiliary feedwater as previously existed.

8 MR. DILWORTH: Yes.

9 MR. BENDER: How does this relate to the licensing of
10 Sequoyah? Does TVA perceive the need to do any risk studies
11 further than it has gone now prior to getting a license to
12 operate Sequoyah?

13 MR. DILWORTH: We believe that the risk of Sequoyah
14 as it is designed today is at least comparable to or better than
15 any plant in the country. We do not see any other need for the
16 operation of Sequoyah. We intend to continue working in the
17 risk assessment area and identify anything we can do to improve
18 Sequoyah and any other plant we have.

19 MR. BENDER: Are you planning to deal with the ice
20 condenser plants as a generic class of installations?

21 MR. DILWORTH: Yes, sir, since we have four of them.

22 MR. BENDER: Are you going to join with other ice
23 condenser owners?

24 MR. DILWORTH: Yes. We already have joined with other
25 ice condenser owners in discussions over the last two or three

1 months. These will expand, as far as we are concerned. We are
2 ready, willing, and able to cooperate completely with others.

3 MR. BENDER: Is this your own risk assessment or is
4 this collective risk assessment.

5 MR. DILWORTH: There has been some risk assessment plans,
6 maybe some work done by the others. We will try to make our work
7 available, and we may collectively do some work, but his decision
8 has not been made yet.

9 MR. BENDER: Thank you.

10 MR. PLESSET: I would like to have a brief presentation
11 on the hydrogen control studies. We cannot allow the full
12 allocated time, so it will have to be very brief.

13
14
15
16
17
18
19
20
21
22
23
24
25

1 MR. MILLS: We will call upon Mr. George Dilworth
2 to make this presentation. Dr. Plesset, I would preface
3 this by stating that George will bring this out in his
4 presentation, I believe. We will talking about, hopefully,
5 an implementation schedule if the safety studies, the NRC
6 reviews and so forth are accomplished, but we are not
7 talking about this with regard to our request of you and our
8 request of the staff for a full power license.

9 MR. PLESSET: All right. What I am hoping is if
10 we can get the essential points in 15 minutes --

11 MR. MILLS: Yes, sir.

12 MR. DILWORTH: Mr. Chairman, if I would be allowed
13 to, I think I can get through a brief presentation in about
14 ten minutes, if the Committee will indulge me and let me
15 finish the presentation.

16 MR. PLESSET: We will let you talk continually for
17 ten minutes.

18 MR. DILWORTH: Okay.

19 (Laughter.)

20 My name is George Dilworth, chief nuclear engineer
21 for engineering design, TVA. I want to discuss with you
22 TVA's efforts in the evaluation of hydrogen above design
23 basis at Sequoyah. At TMI the core was uncovered to the
24 extent of severe core damage, with resulting hydrogen
25 reaction. This led hydrogen release to the containment

1 atmosphere and subsequent assumed hydrogen burn to produce a
2 28-pound pressure spike.

3 The hydrogen release, a portion of which burned,
4 resulted from a zirc-water reaction that has been estimated
5 by various sources to be in the range of 25 to 50 percent.
6 We recognized in our nuclear program review in 1979 internal
7 to TVA the need to thoroughly investigate the hydrogen
8 generation as a result of core damage in all of our plants
9 beginning with Sequoyah.

10 Our initial efforts in the study of hydrogen were
11 focused on the TMI event and the capability of Sequoyah
12 containment to sustain hydrogen combustion. Since these
13 efforts we have made a limited study of this similar to
14 WASH-1400 that has been mentioned here this morning. We
15 have identified representative transients which could lead
16 to some core degradation and evaluated the more important
17 concepts, whether prevention or mitigation of the
18 consequences of hydrogen combustion.

19 Concurrent with these efforts, TVA has been
20 pursuing implementation of NUREG 0578 requirements and other
21 NUREG requirements and those which we have imposed on
22 ourselves to substantially reduce the chance of a situation
23 similar to TMI where core damage can occur. We believe
24 because of its low risk level, overall low risk level, that
25 Sequoyah is safe to operate at full power based on the

1 present capability of the ice condenser containment, its
2 recombiner and hydrogen purge system and the substantial
3 improvements in equipment and training which are being
4 implemented.

5 We believe the additional reduction of overall
6 risk may be achieved by protecting the containment from
7 consequences involving metal water reactions from hydrogen
8 releases beyond design basis which is identified for
9 Sequoyah. We have initiated what we believe to be a
10 positive approach to the problem by committing substantial
11 resources in an effort to install a minimum ignition system
12 and provide the interim system, and after a thorough review
13 by TVA and NRC staff over the next couple of months, improve
14 this system later to a permanent system as development work
15 that we have planned proceeds.

16 I would just like to put up a few slides here that
17 would kind of give us an overview of what we are doing.

18 (Slide)

19 We have for the last nine months been studying the
20 hydrogen issue. Sequoyah can withstand substantial amounts
21 of hydrogen above design basis. Significant modifications
22 have been made or are now being made to reduce the potential
23 for degrading core conditions. Limited risk assessment has
24 been made, and we are comparable to the dry containment PWR,
25 Surrey, in specific.

1 Proposed concepts for a resolution of the hydrogen
2 issue have been evaluated in much detail. We have
3 contracted out with a number of people to do concept
4 studies, and starting in early February of this year, going
5 through May, we spent a lot of time with this. We now have
6 an interim distributed ignition system that we have chosen
7 for implementation at Sequoyah. Development work on control
8 ignition is proceeding for final implementation of a
9 permanent system at Sequoyah, and halon suppression is also
10 being studied.

11 (Slide)

12 The capability of the Sequoyah containment is as
13 shown on this slide. A yield pressure of -- design pressure
14 is 12 psi. Yield pressure is 33 psig. The ultimate is
15 42-1/2, a volume of 1.2 times 10 to the 6 million cubic
16 feet. We feel we have done very conservative analyses on
17 trying to determine how much metal water reaction the core
18 containment could withstand, and on a very conservative
19 basis we have come up with approximately 25 percent metal
20 water reaction as the plant stands today.

21 These assumptions we have listed here, that the
22 burn is instantaneous -- and by instantaneous I mean that
23 all of the energy that would be produced in the burn would
24 immediately be transferred in pressure -- I am not talking
25 about detonation. I am talking about rapid burn.

1 MR. BENDER: Does 25 percent mean 42.5 psig.

2 MR. DILWORTH: That is correct. I was going to
3 say something about risk assessment, but I believe Mr.
4 Cristy has covered it at length, and we have already talked
5 about it. But we do feel that the changes -- I would like
6 to emphasize again, changes that were made post-TMI have had
7 a significant effect on reducing the level of risk.

8 When we talk about comparing Sequoyah to the
9 Surrey Plant in WASH-1400, we are talking about pre-TMI. So
10 there have definitely been improvements made.

11 (Slide)

12 In our study of the last nine months we have
13 looked at the following three major areas that hydrogen
14 might be mitigated or controlled or prevented. The
15 mitigation concepts we looked at were vented containments.
16 We classified those in three different types: filtered
17 vented containment, additional containment volume that you
18 would relieve the present containment to, and then coupled
19 containment where we would couple the two units at Sequoyah
20 together and take advantage of the other units containment
21 as a place to vent to.

22 We also looked at controlled combustion,
23 controlled ignition sources, and out of this has come our
24 recommendation on the interim controlled ignition. To
25 prevent combustion, we did extensive work in looking at the

1 possibility of inerting the containment with nitrogen, and
2 also we have started work in trying to develop a halon
3 system that would suppress hydrogen burn.

4 MR. EBERSOLE: Could you describe what you think
5 to be the ignition process? Do you have to accumulate a
6 certain density?

7 MR. DILWORTH: If you would let me finish, please.

8 MR. EBEQRNLE: Go ahead.

9 MR. PLESSET: He has two more minutes before you
10 can ask him questions, Jesse.

11 (Laughter.)

12 MR. DILWORTH: Two concepts which we found have
13 the fewest problems from an operational safety viewpoint is
14 the controlled ignition sources and halon, but there are
15 some problems that we know exist in any method. So we have
16 to try to find ways to answer these problems. Of course,
17 they cannot all be done today in this meeting.

18 Halon, for instance, we know in a sufficient
19 concentration it will prevent hydrogen combustion, but it is
20 not known what effect containment sprays may have on halon.
21 Also the amount of halon decomposition products that would
22 be generated is not known, and the effect these products
23 might have long-term post-accident could be a problem. We
24 need to determine an answer on this.

25 So today we come to the recognition that ignition

1 sources appear capable of controlling hydrogen generated by
2 most accidents. We feel we are no worse off by putting in a
3 controlled ignition system today than we would be if we did
4 not put in one. As TH1 has already demonstrated, there is
5 an ignition system already existing in any containment.

6 (Slide)

7 A couple of other things I have mentioned are
8 ignition sources and halon suppression. We feel like there
9 needs to be significant improvement made in the physical
10 models and computer codes that have been used up to date in
11 predicting core degradation events, and the physical models
12 of how hydrogen is produced and released and burned.

13 Filtered vented containment concept -- I will get
14 to this, Dr. Okrent, when I finish this -- some of the
15 disadvantages and advantages we see in this. In conclusion,
16 though, as far as hydrogen is concerned, we have found it is
17 unacceptable. Inerting it is not feasible for an ice
18 condenser containment because of the need to do maintenance
19 within an ice condenser containment. It is a different
20 animal. It is the last one down the line from a functional
21 safety standpoint, but you would want to preclude operator
22 entry on a regular basis.

23 The bottom line here is we have concluded that
24 Sequoyah is comparable to a WASH-1400 plant. Very quickly I
25 will tell you what we have going on an in-house program. We

1 have organized an eight-man, full-time task force for design
2 and development work on degraded core accidents.

3 (Slide)

4 We are implementing immediately the design and
5 installation of an interim distributed ignition system to be
6 done in three phases, Phase I to be operational in three
7 months, subject to the review of the staff. The staff
8 stated earlier that they do not believe that it is required
9 to have a system in for the operation of Sequoyah at full
10 power license. We are implementing immediately development
11 work to upgrade the interim system, and we will improve the
12 interim system as this Phase II development work proceeds.

13 We hope to have most of the Phase II development
14 work complete by this time next year. We are completing a
15 long-term study and development for controlled ignition
16 systems and the halon system, and it will be through within
17 approximately two years. Some aspects of it may take until
18 December of 1982.

19 (Slide)

20 The major task right now is on controlled ignition
21 and starting independent development work by private
22 contractors and research organizations on halon. We will
23 continue the risk assessment work that we discussed earlier.
24 We will be looking at new ways to contain computer codes --
25 developing these. We will be doing studies on hydrogen

1 burning and containment responses to this burn.

2 We will be going into more definitive, actual
3 physical means of trying to determine what the containment
4 integrity is rather than the conservative method that we
5 have used so far. The equipment, environmental
6 qualifications we think is something we are going to try to
7 upgrade, the Phase I system, to a safety grade system. We
8 will need to do work there in the next year.

9 We are looking at new radiation dose codes. We
10 hope to be able to be successful in developing or finding an
11 already developed hydride converter that we can install on
12 the reactor drain tank relief vent. We feel that is one of
13 the highest potential releases of hydrogen, and then the
14 reactor vessel vent as well so we can remove the hydrogen
15 before it got into containment.

16 We will be looking at fogging and other potential
17 systems as well, and we will be following the rulemaking and
18 the state of the art with the rest of the industry and the
19 staff.

20 Now, very briefly on the interim ignition system.
21 This is a system that is designed to ignite hydrogen inside
22 the containment in the event of an accident in which
23 hydrogen is generated. It is designed to ignite the
24 hydrogen prior to it reaching a dangerously high level.
25 This system is intended to back up the existing safety grade

1 recombiner systems. However, it is not a safety grade
2 system in the Phase I aspects of it.

3 I would like to emphasize again that we feel that
4 the ignition sources are already there. What we are trying
5 to do is put in a controlled ignition source. We plan to
6 complete the design, the safety review and installation of
7 this Phase I of the ignition system in two or three months
8 and hope to have it operational prior to any significant
9 operation at high power levels at Sequoyah.

10 So, in closing I would like to leave you with our
11 view of the hydrogen issue at Sequoyah and other plants of
12 TVA. We sincerely believe that because of the low risk
13 level at Sequoyah, it is safe to operate at full power based
14 on present capability of the ice condenser containment.
15 Subsequent improvements in equipment and training are being
16 implemented. Additional reduction of overall risk may be
17 achieved by protecting the containment from the consequences
18 involving metal-water reactions.

19 For this reason, we have begun the design
20 procurement and safety review of an interim distributive
21 ignition system, the details of which will be submitted to
22 the NRC staff sometime this month. We are further committed
23 to development efforts to improve performance of safety
24 grade qualification of the system over the next two years.

25 This concludes my prepared remarks.

1 I have here today Dr. Wang Lao, who is the leader
2 of our Degraded Core Task Force, and Dave Gazer of
3 Westinghouse, who has worked with us in some of the work we
4 have done in the last several months. They will assist me
5 in answering any questions.

6 MR. PLESSET: Before we go into questions, I have
7 to point out to the Committee that we have a commitment at
8 1:30, and after that meeting at 1:30, we have a commitment
9 to Dr. Siess, so that we cannot come back to this -- beyond
10 your lunch time -- to this discussion. So I would like to
11 have you ask questions for a short time unless you want to
12 have this go over until next month, which is quite possible.

13 MR. EBERSOLE: I would like to mention one
14 subject. It seems to me there should be some documentation
15 of the distributive ignition system and its intended design
16 accomplishment. I gather it must have been on the principle
17 that a lean burn is much less violent than a rich burn.
18 Whatever burn you get is going to be of a pulsating
19 character. You will receive a concentration which will
20 ignite and then flash off and then accumulate again, and do
21 it again and again. That is a lot better than one big bang.

22 I don't know anything about this. I have not seen
23 anything in print about it. It seems to be a principle and
24 a process that ought to be laid down.

25 MR. MILLS: Dr. Plesset, I would like to mention

1 at this point that we have not gone through the details.
2 The NRC staff has not reviewed a system that we would intend
3 to submit our safety evaluations and so forth. We are
4 talking about this time period two to three months from
5 now. We would be very happy to come back to the ACRS next
6 month or the month after next and so forth with the details
7 of this system at that time. We do not intend to install
8 and initiate such a system prior to NRC approval of our
9 safety evaluations.

10 MR. PLESSET: Let me ask one short question. You
11 come up with an ultimate of 42.5 psig. Is this really
12 intensive and careful structural analysis? Does it take
13 into account penetrations? Does it take into account some
14 homogeneities in the containment, or is it just a kind of an
15 estimate? When you go to ultimate, you have to be concerned
16 about details, it seems to me, that you don't blow a hole
17 somewhere.

18 MR. DILWORTH: We looked at this containment, the
19 locations of the penetrations, trying to find a weak point,
20 a point of failure that we think would occur, and our
21 analyses show us that it would be at the spring line of the
22 containment where we would expect this to occur, at the 42.5
23 pounds.

24 We did look at this containment with regard to
25 penetrations at places we thought would be the weakest point

1 when we made the analysis. In Phase II we are going to do
2 more sophisticated methods of trying to determine what the
3 actual capability of Sequoyah is.

4 MR. PLESSET: That is what I wondered about.

5 Yes, Dave.

6 MR. OKRENT: The Committee has a request from
7 Commissioner Gilinsky to comment on the hydrogen control
8 matter. It seems to me if we are going to do it we should
9 do it after there has been adequate discussion of it. I do
10 not see that that is possible before you break for lunch. I
11 am not sure if it is possible if we skip lunch, but I am not
12 proposing we skip lunch.

13 MR. PLESSET: That is quite all right with me.

14 MR. OKRENT: It seems to me we should ask
15 ourselves is there a way we want to try to do it at this
16 meeting. I can propose a possibility for example. I don't
17 know if it is a good one or not, but if we told TVA and the
18 staff that later in the afternoon after we finished with Mr.
19 Siess -- and that might not be until 5:30 or whatever --
20 that we would want to take topics related to this subject,
21 including the containment behavior and hydrogen control,
22 since they are related, and if they could keep those people
23 here, we could come back to it.

24 MR. PLESSET: Well, I understand that they are not
25 complete yet.

1 MR. OKRENT: If we are going to decide that we are
2 not going to address this topic in this letter or we are not
3 going to write a letter from this meeting, then obviously
4 there is no need to talk to them later. But what I am
5 saying is in my opinion it would be a mistake for us to try
6 to reach a position based on a total of 30 minutes on this
7 topic at the full committee meeting.

8 MR. PLESSET: Is it correct that you have not
9 completed the study of this hydrogen control system?

10 MR. MILLS: Dr. Plesset, we can certainly expand
11 on our presentations here today. The point I was trying to
12 make is that our safety evaluations are not completed. The
13 NRC staff has not reviewed these. We are basically talking
14 about continuing this with an implementation date hopefully
15 two to three months from now, after a full power license has
16 been granted.

17 In reading the letter from Commissioner Gilinsky,
18 I thought he was asking the ACRS as to whether additional
19 hydrogen control measures were necessary. I would think we
20 would not be addressing that today. We are looking at this
21 as an additional margin.

22

23

24

25

Parker
NRC
Tape 10 1
7-11
Connelly 2

3 You may say it is necessary. We are going to do it
4 whether it is necessary or additional margin. I wonder if you
5 cannot Commissioner Gilinsky's letter based on that.

6 MR. PLESSET: Let's pass that for a moment.

7 Bill Kerr, did you want to make a comment?

8 MR. KERR: If you interpret Commissioner Gilinsky's
9 letter to mean additional to what TVA is proposing or to what are

10 MR. PLESSET: The letter says, "whether additional
11 hydrogen control measures should be required."

12 MR. KERR: Additional to what?

13 MR. FRALEY: Additional to what is required by the
14 regulations.

15 MR. KERR: We should write him a letter saying that
16 his letter is not entirely clear. We would like some elaboration
17 on what Commissioner Gilinsky has in mind.

18 MR. PLESSET: We could get those --

19 MR. BENDER: Commissioner Gilinsky's technical assistant
20 is here. Maybe he could --

21 MR. PLESSET: Could you explain that while we're on
22 it?

23 VOICE: The intent of that question is that TVA now
24 has installed hydrogen recombiners as their method for controlling
25 hydrogen. Is that adequate given the experience at TMI? Is
there something more-that should be added as a condition for the
license?

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. BENDER: Might I also ask whether Commissioner
2 Gilinsky would be interested in whether the committee thinks it
3 is a good idea at all?

4 VOICE: That is the last paragraph of the letter. What
5 are your views on the likely effectiveness of what TVA is proposing?

6 MR. PLESSET: Steve.

7 MR. LAWROSKI: Using the same assumption you used in
8 computing that you could withstand up to 25 percent metal-water
9 reaction, how sensitive is the ultimate pressure you calculate to
10 the percent of hydrogen? Could you give us some idea? If it
11 were 30 percent, how many more pounds? If you don't --

12 MR. DILWORTH: If we had a 30 percent metal-water --
13 we work backwards from the ultimate strength to determine what
14 metal-water reaction we could --

15 MR. LAWROSKI: I understand that.

16 MR. BENDER: If you could tell us what percent per
17 pound.

18 MR. DILWORTH: I don't know if we have that information.

19 MR. PLESSET: I don't know if they did it that way.

20 MR. LAWROSKI: Not necessarily today.

21 MR. MILLS: We can respond to that just a moment, please.

22 VOICE: For the same assumptions they used.

23 MR. PLESSET: No. They'll supply that.

24 MR. MARK: Without the igniters. You have an estimate
25 that you would withstand 25 percent with the igniters. The

1 hydrogen distributed across 15 or 20 minutes, what will the
2 igniters allow you to stand?

3 MR. DILWORTH: The assumption of the hydrogen being
4 released in a period of like you say -- some defined period of
5 time, 20 or 30 minutes, that we could burn the hydrogen, and it
6 would be similar to what Mr. Ebersole was talking about a while
7 ago.

8 You would burn it. It would build back up. You would
9 burn it again. We could go all the way to what we believe to be
10 the maximum amount of metal-water reaction you would get prior
11 to melt-through. That would be 70 percent. In other words, take
12 it all the way until the core falls through. When the core melts
13 through then the igniters would not be very effective.

14 MR. PLESSET: Well, I think we have a question. Does
15 the committee feel that you could arrive at a letter today? If
16 so, we can ask the involved persons to stay here I would guess
17 until about 5:30 at which time we could come back to it, or do
18 you think we need to carry this item over to our next meeting
19 before we can consider a letter?

20 I would like to have expressions of opinion on that.

21 MR. MATHIS: Mr. Chairman, there is just one problem,
22 I think, and that is, I think we heard earlier that TVA did not
23 anticipate that they would be able to give us any more information
24 a month from now than they can today. With that kind of a background
25 it seems to me we ought to try and make a decision today.

1 MR. PLESSET: At this meeting. All right.

2 Anybody else?

3 MR. LAWROSKI: Is that their position, that they will
4 not have any additional information?

5 MR. MILLS: Our position is basically on the total agenda
6 items. Perhaps a month from now we would have additional informa-
7 tion on this hydrogen information. The problem is -- not the
8 problem. What I was really trying to make clear, we are talking
9 about installing this sometime two to three months from now after
10 operation of the plant. This is what we consider an additional
11 margin. We would hope that this would not influence you on an
12 ACRS letter, favorable letter at this time.

13 We will commit to you to come back at the appropriate
14 time after we have completed our safety evaluation, and I think
15 the staff, NRC staff, would probably, you know, before making any
16 statements, would want to review and approve on our safety evalua-
17 tion before they make a final statement on the issue.

18 The only thing I'm really talking about is the igniters
19 themselves and the details of such a system.

20 MR. PLESSET: Chet.

21 MR. SIESS: The question the committee has to decide
22 before we recess for lunch is whether we think we can write a
23 full power letter on Sequoyah without hearing the rest of the
24 story on the hydrogen. If we can, we can go about our business
25 and hear about hydrogen later. If we cannot, then the next

1 question is does the committee want to try to write a full power
2 letter this month, in which case if the answer is yes, we must
3 invite them back later today. If the answer is no, then they can
4 go home.

5 MR. PLESSET: That is what I was trying to get at. You
6 have said it very nicely. That was the sentiment I was trying to --
7 Bob.

8 MR. DILWORTH: We are prepared to stay as long as you
9 want us to.

10 MR. TEDESCO: We are available, Dr. Plesset. There
11 might be a consideration to writing the letter in two parts --
12 one part to deal with permitting the plant to start operation with
13 the certain condition that we resolve the hydrogen question by
14 a certain time or under a certain condition. That is a possibility,
15 too.

16 MR. PLESSET: What is the committee's view on the ques-
17 tion of getting to a letter at this meeting?

18 MR. EBERSOLE: I guess if I have a concern about the
19 hydrogen problem it is probably mostly located in the units that
20 are running right now. I do not see this as any significant contri-
21 bution to the problem.

22 MR. PLESSET: Okay.

23 Dave, did you want to make a comment? I'm going to go
24 around the table.

25 MR. OKRENT: I want to hear more about some of the

1 things they flashed on the board about filter vented containment
2 and other containment concepts and so forth. I could myself
3 go along with the kind of letter that said we had not completed a
4 review of this part of the thing, and we did not see a problem
5 with them going up to power, but that we would expect to review
6 this within a certain time, whatever that was, four months or
7 something.

8 But as of now I couldn't myself feel I have heard
9 enough to just say a full power license is okay, and it can be
10 handled in the future in some vague way.

11 MR. PLESSET: Jerry.

12 MR. RAY: I feel if we're willing to let the operating
13 plants continue to operate without requiring changes in this
14 respect at this time, we should let this plant come on line.

15 MR. PLESSET: Okay. Thank you.

16 Carson.

17 MR. MARK: I agree with Jerry.

18 MR. PLESSET: Chet.

19 MR. SIESS: I pretty much agree with Dave, I think. I
20 don't have any objection to going to full power, but I don't think
21 we ought to sign off to where we don't have another say.

22 MR. PLESSET: Very good.

23 Steve.

24 MR. LAWROSKI: I prefer the cautionary approach.

25 MR. PLESSET: Mike.

1 MR. BENDER: I will go with Jesse's evaluation.

2 MR. PLESSET: Dade?

3 MR. MOELLER: I would go with Dr. Okrent's expression.

4 MR. PLESSET: Bill?

5 MR. KERR: I have no disagreement with the collective
6 wisdom that I have heard so far.

7 MR. PLESSET: Thank you.

8 Max.

9 MR. CARBON: That is good enough for me.

10 MR. PLESSET: Charlie?

11 MR. MATHIS: I have no particular problem. We have
12 not written a letter yet that did not have a caveat in it.

13 (Laughter.)

14 MR. PLESSET: On that jolly note then let's suggest
15 that you gentlemen come back at 5:00. Is that all right? Maybe
16 they don't need to come back. It looks as though we can write
17 a letter. There may be some cautionary and limiting remarks in
18 it, so really, I agree there is no point in your staying. You do
19 not need to come back.

20 Carson?

21 MR. MARK: We are a little crowded for time. The staff
22 may have had some remarks that we did not get.

23 MR. PLESSET: That might be helpful for the letter.

24 MR. MARK: Might be helpful on the study of the filtered
25 vented containment question and the hydrogen question.

1 MR. PLESSET: In that case we should come back. Don't
2 do the presentation now because we are going to recess.

3 Do you feel you have something to contribute that would
4 help the concerns that a few of the members have expressed?

5 MR. TEDESCO: Just a minute.

6 MR. BUTLER: The staff's statements made at the subcom-
7 mittee meeting are essentially unchanged. Concisely stated, they
8 are that the staff feels the Sequoyah station can be authorized
9 for full power operation without any additional requirements as
10 licensing criteria. However, the staff recognizes that there
11 are potential -- there is potential for including the safety
12 margins by this proposed ignition system, and we would encourage
13 TVA to work in that direction.

14 The staff is engaging in a major program in three
15 different phases to essentially cooperate with TVA, with the
16 objective of having an early completion of the review of the
17 ignition system, as well as preparing information for the upcoming
18 rulemaking proceeding.

19 MR. PLESSET: Okay. I deduce from that, Carson, that
20 they do not feel they would add much by coming back.

21 MR. OKRENT: Mr. Chairman, if you think you may try to
22 write a letter, I would suggest that we schedule an hour late
23 this afternoon, an hour or an hour and a half to talk further
24 with both the utility and the staff about some of the things that
25 have been touched on too briefly here in my opinion.

1 This is not with the intent of trying to resolve these
 2 issues completely, but at least to understand some of the things
 3 that have been presented here.

4 MR. PLESSET: I will arbitrarily rule that we do that
 5 to make Dr. Okrent happy. We will expect you back at 5:00. We
 6 will recess now until 1:30.

7 (Whereupon at 12:40 p.m., the meeting was recessed
 8 for lunch, to be reconvened at 1:30 p.m., the same day.)

end
 tp 10
 300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

9
 10
 11
 12
 13
 14
 15
 16
 17
 18
 19
 20
 21
 22
 23
 24
 25

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

in the matter of: ACRS - 243rd Meeting

Date of Proceeding: July 11, 1980

Docket Number: _____

Place of Proceeding: Washington, D. C.

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

David S. Parker

Official Reporter (Typed)



Official Reporter (Signature)