

NUCLEAR REGULATORY COMMISSION


97 ORIGINAL

COMMISSION MEETING

In the Matter of: BRIEFING ON NEAR TERM REQUIREMENTS
FOR CONSTRUCTION PERMITS FOR POWER
REACTORS

DATE: August 1, 1980 PAGES: 1 - 44
AT: Washington, D. C.

THIS DOCUMENT CONTAINS
POOR QUALITY PAGES

ALDERSON  REPORTING

400 Virginia Ave., S.W. Washington, D. C. 20024

Telephone: (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

BRIEFING ON NEAR TERM REQUIREMENTS
FOR CONSTRUCTION PERMITS FOR POWER REACTORS

- - -

Nuclear Regulatory Commission
Room 1130
1717 H Street, N. W.
Washington, D. C.

Friday, August 1, 1980

The Commission met, pursuant to notice, at 2:03
p. m.

BEFORE:

JOHN F. AHEARNE, Chairman of the Commission
VICTOR GILINSKY, Commissioner

1 NRC STAFF PRESENT:

2 L. BICKWIT, General Counsel

3 R. PURPLE

4 H. DENTON

5 J. SCINTO

6 A. KENNEKE

7 E. CASE

8 J. GALLO

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on August 1, 1980 in the Commission's offices at 1717 H Street, N. W., Washington, D. C. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected, or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determinations or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of or addressed to any statement or argument contained herein, except as the Commission may authorize.

P R O C E E D I N G S

1
2 CHAIRMAN AHEARNE: The Commission meets this
3 afternoon to hear a proposal from the Director of Nuclear
4 Reactor Regulation regarding the policy and proceedings
5 pending construction permit and manufacturing license
6 applications.

7 This is another step in the long development of a
8 number of action items following Three Mile Island, the
9 accident at Three Mile Island, and we have given the staff
10 direction on what to do with respect to resuming review of
11 operating license applications.

12 We then asked for the staff to provide a
13 recommendation on what to do with proceeding with
14 construction permits. Harold?

15 MR. DENTON: Bob Purple will be our spokesman. He
16 has a 15-minute presentation to summarize the process we
17 went through and the options we identified. Let me turn it
18 directly over to Bob.

19 MR. PURPLE: If I might have the first vu-graph.
20 (Slide.)

21 MR. PURPLE: Just by way of review, and in a sense
22 to repeat what you just said, Mr. Chairman, the Commission
23 has gone through the establishment of the needed
24 requirements for operating reactors. Those took place
25 primarily in the summer of 1979, and are listed on the

1 board, the major elements. And as you say, we have now
 2 determined what the necessary and sufficient set of
 3 requirements are for operating licenses, which includes the
 4 NUREG-0694 and also includes the Commission's endorsement on
 5 what was called Proposed Dated Requirements, those that
 6 would have an implementation date beyond the first of this
 7 calendar year.

8 The question now was what to do and what is the
 9 proper set of requirements and timing to resume the
 10 licensing review of construction permit applications which
 11 have been suspended since March of 1979, since the TMI 2
 12 accident.

13 We considered a range of options -- May I see the
 14 next Vu-graph, please?

15 (Slide.)

16 MR. PURPLE: Just to put a bound, a total envelope
 17 on the range of options, the first option is really an
 18 unacceptable one, but it puts the lower bound, and that is
 19 the idea that one might proceed with reviewing CP's using
 20 the pre-TMI licensing envelope, taking no account of the TMI
 21 incident. We certainly would not recommend that.

22 At the far end, Option B would be one that would
 23 say, let's indefinitely or postpone consideration of CP
 24 applications until such time as the major rulemaking that is
 25 evolved from the TMI evaluation is complete and the new

1 requirements, whatever they may be, are in place.

2 Now, between those two extremes, Options B --

3 CHAIRMAN AHEARNE: Would you say a few words about
4 why you think -- I can understand the first one as being --

5 MR. PURPLE: I have not discarded the last one as
6 being unacceptable, and I will come back to it with a few
7 words about the pros and cons.

8 In between those two extremes would be Options B
9 and C, which says, surely impose the pre-TMI licensing
10 envelop modified to include those licensing items now
11 required for NTOL's. Basically what is in 0694, and
12 depending on what year you are in when you are reviewing it.

13 The third option, Option C, is similar to the
14 second, that is, pick up on the NTOL type requirements, use
15 the pre-TMI licensing envelop, but then select a few special
16 topics for special consideration, and those namely are the
17 topics that are the subjects of rulemaking that may go on
18 for several years before they are finalized.

19 Now, the relative advantages and disadvantages of
20 at least the last three options, Option B, which makes --
21 the pending CP's pretty much the same as the NTOL's that we
22 are licensing. This would minimize the review and
23 construction impact.

24 It is probably the quickest route to having
25 additional nuclear capacity on line for these plants. The

1 disadvantage is that it fails to capitalize on the
2 opportunity you have to achieve significant safety
3 improvements in a plant that has not yet been built,
4 although it has been in each of the six cases largely
5 designed.

6 The third option, Option C, which gulls out some
7 additional special features for special consideration, the
8 big advantage of that is that it would retain the
9 flexibility to be able to incorporate into the design of
10 these plants certain significant safety improvement features
11 that may result from the rulemaking during the pendency of
12 the construction period by leaving open -- by not
13 foreclosing during the construction period the ability to
14 put in some of these features.

15 A disadvantage of Option C is that it still
16 retains in the eyes certainly of the applicants and the
17 builders of the plants some degree of uncertainty because it
18 is not easy to predict the outcome of rulemaking with any
19 perfect certainty.

20 Option D, of course, would provide the maximum
21 potential safety improvements. It allows the rulemaking to
22 run its course, the various rulemakings to run their
23 courses, better assuring --

24 CHAIRMAN AHEARNE: It eliminates the uncertainty.

25 MR. PURPLE: It certainly eliminates the

1 uncertainty, but it does probably mean a minimum of two,
2 maybe three years of delay, depending on the number of
3 rulemakings.

4 The next vu-graph, please.

5 (Slide.)

6 MR. PURPLE: Our proposed approach is one that
7 selects Option C, and which we feel is the most suitable.
8 First of all, we have to -- and that was composed of the
9 pre-TMI design envelop or review envelop, and then secondly,
10 I said it would be the pulling out of the action plan items
11 that are appropriate, so the first two bullets up there are
12 referring to that portion of the definition of what is
13 needed, and that is to go into the action plan item by item
14 and determine, first of all, which items are actually
15 applicable to CP's, and secondly -- the second bullet, then,
16 look at each one and decide what kind of information should
17 we require to be available for our review and consideration
18 prior to issuing the CP.

19 Taking both of those bullets, then, and turning it
20 into a NUREG document, a new NUREG document which we
21 presently have in the typewriter -- I am sorry to say we
22 don't have in front of you right today -- but it is
23 basically a review of the action plan, defining how much
24 information we need for each of the actions in the action
25 plan that are appropriate for CP's.

1 CHAIRMAN AHEARNE: Is it introducing any new items?

2 MR. PURPLE: No new items. No new items. The only
3 thing it may introduce in the sense of being new, you may
4 recall that there were in the action plan things like
5 Decision Group C items, things for which in the sense of
6 talking about operating license applications or operating
7 reactors, we said we would not impose those until we had
8 brought them forward to the Commission for separate
9 consideration.

10 We do take some of those Decision Group C items
11 and we look at them in the sense of a CP and ask -- our
12 definition of what we want from an applicant is that he
13 address the subject of that based on the state of the art or
14 the state of the requirement as it may exist in that year.

15 CHAIRMAN AHEARNE: Can you give me an example?

16 MR. PURPLE: Control room design, where we have a
17 rather long range requirement. We have not established new
18 requirements, but we like applicants to at least address the
19 degree to which they are going to advance the state of
20 control room design in their control rooms.

21 So, they would be asked to speak to things that we
22 aren't today necessarily asking OL's and OR's to speak to,
23 so there would be the NUREG document which is the subject of
24 a Federal Register notice that was -- that was a draft
25 attached to the Commission paper.

1 We then identified four areas requiring
2 significant -- significant areas requiring policy
3 decisions. Since we identified these four, the Commission
4 has acted on two of them, so they have become no longer
5 items of debate.

6 You have approved a transition siting policy in
7 connection with the new siting rulemaking proceeding. We
8 defined quite clearly what should be done with respect to
9 new CP's of the type we are speaking of here today.

10 Let me pass, before I talk about those four items,
11 and go on through this chart. The next chart will talk
12 about the actual special requirements.

13 We propose that -- leave that one on, please. We
14 propose that the NUREG document and the Federal Register
15 notice which is in the staff paper describing the special
16 requirements and what we think needs to be done be issued
17 for public comment.

18 We are interacting with the ACRS, and after we
19 have received the public comments and after we have
20 completed our review with the ACRS, we would propose to
21 return to the Commission with a final package of appropriate
22 recommendations on what are the necessary and sufficient set
23 of requirements for CP's.

24 CHAIRMAN AHEARNE: As I read -- You say the ACRS
25 comments from their letter -- much of it is a description,

1 and the rest is a support of a recommendation to put staff
2 resources on six items.

3 MR. PURPLE: But we anticipate, for example, this
4 coming week we are meeting again with the Subcommittee of
5 the ACRS, and anticipate, as they say at the end of the
6 letter, that they will consider the matter further and work
7 with us, you know, and come out with another letter where
8 they have looked at it more substantively than they have yet.

9 So, it is not that letter I am speaking about. It
10 would be others.

11 I see the vu-graph said from the May 6th letter.
12 Sorry about that.

13 (General laughter.)

14 MR. PURPLE: That misled you. It is the later
15 review, not just that letter.

16 CHAIRMAN AHEARNE: Okay.

17 MR. DENTON: They had identified six issues. We
18 have only identified four. The other two are ones that we
19 do not think have quite the weight that the four do, and
20 those two that are on the ACRS list are not shown. They are
21 picked up in our NUREG document.

22 MR. PURPLE: Yes, they are.

23 MR. DENTON: The action plan, control and design
24 of management.

25 MR. PURPLE: In addition, we mention in the SECY

1 paper that there is an owner's group of the six pending CP's
 2 that have been interacting with us since they made that
 3 presentation of those six topics. The ACRS letter says the
 4 industry group says these are the six important ones. They
 5 at least on an informal level have agreed that it is not
 6 such a long list, and it is more or less the ones we have
 7 identified here.

8 MR. DENTON: It is important to recognize -- at
 9 least I envision this -- this only applies to pending
 10 applications before us. They are not quite a clean slate.
 11 The review is far advanced. The designs are -- this is not
 12 intended to apply to any application that is not before us.

13 CHAIRMAN AHEARNE: Would you intend to --

14 MR. DENTON: If someone were to come in with a
 15 brand-new one, I think we would have a cleaner slate to
 16 write on, and perhaps risk assessment would be a far more
 17 sweeping part of the original review. Here we have
 18 identified certain systems for risk assessment purposes.
 19 One of the bullets, for example. I see this as something
 20 less than a clean slate, but --

21 CHAIRMAN AHEARNE: When do you expect the next
 22 application?

23 MR. DENTON: My feeling is that I cannot state
 24 that.

25 CHAIRMAN AHEARNE: In other words, you don't feel

1 an overwhelming problem there because you would not apply
2 this to new applications that have not yet been received?

3 MR. DENTON: That is correct. I was trying to
4 characterize it properly, based on the utility executives I
5 have talked to, the present universe of plants, which
6 includes those before us, seems to them to represent all the
7 plants that the NRC will have to deal with in the time frame
8 up to about 1990.

9 CHAIRMAN AHEARNE: Another way of saying that is,
10 in other words, they don't expect another application until
11 1990.

12 MR. DENTON: Until we get very close to 1990, and
13 that is a very hazy picture.

14 (Whereupon, at 2:15 p.m., Commissioner Bradford
15 entered the hearing room.)

16 MR. DENTON: I certainly have no indication that
17 in the next few years we will have one.

18 CHAIRMAN AHEARNE: Very interesting.

19 MR. PURPLE: Put on the next vu-graph, please.

20 (Slide.)

21 MR. PURPLE: I said I would talk in a little more
22 detail on the four special topics for which we think special
23 requirements need to be imposed. I already mentioned in the
24 siting issue that for SECY 9153 the Commission has already
25 given instructions as to what is the transition policy for

1 just this class of plants, and of course we would require
2 that to be done.

3 The most difficult, I think, of all of the four is
4 the degraded core rulemaking. We would propose that first,
5 since -- by the time review probably begins on these CP's,
6 the interim rule very likely will be in place. We would ask
7 obviously -- then the CP applicant would have to describe --

8 CHAIRMAN AHEARNE: If I could track that --

9 MR. PURPLE: Yes.

10 CHAIRMAN AHEARNE: -- Harold a moment ago said
11 these are a number of plants for which the review has
12 already begun.

13 MR. PURPLE: It in most cases -- it is essentially
14 complete, and in many cases the hearing is closed and so
15 forth.

16 CHAIRMAN AHEARNE: And I would say again then --

17 MR. PURPLE: We have not yet defined what is a
18 necessary set of conditions to now seriously evaluate and
19 say yes, now we can issue CP's. I am saying there is a
20 period of time before that. It is these requirements before
21 that gets in place.

22 CHAIRMAN AHEARNE: I am trying to get the timing
23 ther. When do you expect the interim rule to be in place?

24 MR. PURPLE: I expect the interim rule to be
25 issued in August with a 30-day comment period, where

1 accelerating that as much as can be, I guess another month
2 after that. We are probably talking October.

3 COMMISSIONER GILINSKY: Where do we stand with
4 that?

5 MR. PURPLE: I say the interim rule should go out
6 for public comment in August.

7 MR. KENNEKE: The paper is about to come to you.

8 MR. PURPLE: I don't think the paper is before you
9 yet.

10 MR. SCINTO: It should come to the Commission soon.

11 CHAIRMAN AHEARNE: All right, so --

12 MR. KENNEKE: We have seen the pre-version.

13 CHAIRMAN AHEARNE: The paper should be here soon.

14 COMMISSIONER GILINSKY: Pre-version?

15 MR. KENNEKE: The final stage.

16 CHAIRMAN AHEARNE: You would expect that to be an
17 interim rule proposal.

18 MR. PURPLE: Yes, and a rather short comment
19 period, a 30-day comment period.

20 CHAIRMAN AHEARNE: I see. Okay.

21 MR. PURPLE: So that it is likely it could be in
22 place -- if is not in the place by the time -- for one
23 reason or another --

24 CHAIRMAN AHEARNE: I understand that.

25 MR. PURPLE: All right.

1 CHAIRMAN AHEARNE: I had a longer time frame in
2 mind.

3 MR. PURPLE: That is one item we would ask for.
4 The second is to the extent practicable, that applicants
5 provide assurance that the options for meeting the final
6 requirements from the rulemaking are not foreclosed.

7 CHAIRMAN AHEARNE: The final requirements. You
8 mean, the requirements would come in the final rule, not ones
9 directed toward any actions in the interim rule.

10 MR. PURPLE: That is correct. The final rule.

11 CHAIRMAN AHEARNE: What do you mean by the phrase,
12 "to the extent practicable?"

13 MR. PURPLE: We are speaking, as Harold said,
14 about a fixed class of plant which has basically their
15 design drawings totally complete and reviewed. We believe
16 it is not unreasonable to give the option to applicants to
17 look at the various requirement that might flow from a
18 degraded core rulemaking, and really the main focus of
19 concern is the core retention feature, and to be able to
20 make an argument to the staff that that feature, for
21 example, would be an impracticable thing to try to put in
22 now for that plant. This would be a case by case basis.

23 At the same time, they may be able to demonstrate
24 that they can leave open the option for all the other
25 features. We expect they can. I think their major

1 difficulty is in their core retention feature, which is a
2 possible outcome of the rule, but we don't know that for a
3 certainty yet at this point.

4 MR. DENTON: We discussed the foreclosure question
5 before. Certainly if you don't know the outcome of a
6 rulemaking, you cannot guarantee you will not foreclose
7 something by going ahead, but our own judgment about where
8 things will come out leads me to think there are actions you
9 can take not to foreclose the first two items, namely,
10 filter containment venting for operating plants, and
11 hydrogen control is another one that is in the same sort of
12 category.

13 The hardest one is the core retention. If we
14 really knew what core retention devices were, or really knew
15 what one looked like, we could deal with the question, but
16 that is -- has always been a goal. So, we have tried to --
17 I viewed -- in each of these six plants, they are
18 different. Some are BWR's, some are PWR's. It is a real
19 mixture of plants. So, we would require each applicant to
20 address all the things that he might do to avoid foreclosure
21 of what the ultimate rulemaking might end up with, and we
22 would be looking case by case, then.

23 CHAIRMAN AHEARNE: Are any of those six plants ice
24 condenser?

25 MR. PURPLE: Yes, one of them is.

1 CHAIRMAN AHEARNE: I see.

2 MR. DENTON: But among the things, for example --
3 one of the issues in core retention is gas generation after
4 the core melts through. Applicants could commit to using
5 different sort of concrete and limestone which would
6 minimize the generation of CO₂, so we think in each case
7 there would be different things that might be done, that can
8 be done for each design, that go a long way toward not
9 foreclosing options.

10 COMMISSIONER GILINSKY: Which is the CP which is
11 an ice condenser plant?

12 MR. PURPLE: I cannot find one that is.

13 COMMISSIONER GILINSKY: I thought there --

14 MR. PURPLE: I believe the only one is --

15 MR. DENTON: The manufacturing license.

16 MR. PURPLE: The manufacturing license.

17 CHAIRMAN AHEARNE: All right.

18 COMMISSIONER GILINSKY: Now, would this wait until
19 the interim rule went out?

20 MR. DENTON: No, because we have identified the
21 same issues as the action plan, so I propose not to wait.
22 These are the three features that the action plan identified
23 and the interim rule worked toward.

24 MR. PURPLE: It is a long term rule.

25 COMMISSIONER GILINSKY: Someone who is responding

1 to this rule going out, would you not have problems in
2 complying with the request, even if we don't have a final
3 interim rule?

4 MR. DENTON: Well, let me take a more specific
5 example. Take filtered containment venting. We could
6 require all these six to design and propose a filtered
7 containment venting on the assumption that that is where the
8 final rule is going to end up, but you ask yourself, should
9 that -- is that really necessary? We cannot reject the --

10 COMMISSIONER GILINSKY: I am talking about the
11 interim rule.

12 CHAIRMAN AHEARNE: I think his question really is,
13 you are proposing, since we have read the paper and you know
14 you will end up proposing a Federal Register going out to
15 comment, and one of the comments is the handling of the
16 degraded core rulemaking and its conformance to the interim
17 rule. His question, I believe, is, don't you or do you
18 think that people would have difficulty responding to that
19 request for comments in the absence of seeing the interim
20 rule going out?

21 COMMISSIONER GILINSKY: I don't know what I would
22 do without my interpreter, but he has it exactly right.

23 (General laughter.)

24 MR. PURPLE: I think they would have to respond to
25 -- if that were the case on the timing, they would then have

1 to respond to the version of the interim rule as it appears
2 on the action plan, which spells out in pretty good detail
3 what is going to be in the interim rule, or at least what
4 the staff proposes be in the interim rule.

5 MR. DENTON: I think our proposal is based on the
6 assumption that the rule would track along with the action
7 plan. Therefore, we will know what is likely to --

8 CHAIRMAN AHEARNE: I gather the paper, which we
9 have not yet seen, will essentially be tracking the action
10 plan.

11 MR. PURPLE: Yes.

12 MR. DENTON: Yes. It is some -- it is somewhat
13 disjointed. That is for sure. And that is a question we
14 face since we started looking at this. The way to a final
15 action. That is -- That is a bit uncertain. I guess what I
16 am grappling for is to give some definitiveness to these
17 pending applications so they can make whatever decisions
18 they need to about whether they defer or continue their
19 applications.

20 COMMISSIONER GILINSKY: What you are saying is,
21 even though there is some uncertainty, they need enough
22 guidance so they can get on and comply with these requests
23 in a reasonable way that is going to be helpful for them and
24 for us.

25 MR. DENTON: They definitely need some guidance.

1 We have not given them any so far.

2 COMMISSIONER GILINSKY: Yes.

3 MR. DENTON: And I think this will give them
4 enough so maybe they can make their individual choices about
5 what they would like to do with the application.

6 MR. PURPLE: The third topic is reliability
7 analysis, and Harold has really already mentioned that,
8 where we are asking -- we would ask CP applicants to perform
9 reliability analyses of selected subsystems, more than we
10 have asked of existing OL's, less than we would ask of a
11 brand new CP that walked through the door, and this
12 particular system we propose is spelled out in the staff
13 paper.

14 MR. DENTON: We have identified the ten systems or
15 so which we think we have a good developmental methodology
16 and data base for and know how to really apply and get an
17 answer back. We are not asking for a complete risk
18 assessment from the ground up. We don't know quite what to
19 ask for.

20 MR. PURPLE: In emergency preparedness, that one
21 again is pretty well settled because there is now a rule on
22 the street, as we first drafted this, we did not know when
23 that rule would ever appear, and we had a certain set of
24 requirements we would ask them to do, but now, of course, a
25 CP applicant would simply comply with the applicable

1 portions of the new amended rule.

2 CHAIRMAN AHEARNE: Would that be primarily site
3 location?

4 MR. PURPLE: Well, no, I think primarily the site
5 location itself would be that which is handled --

6 CHAIRMAN AHEARNE: What -- what do you see as the
7 applicable parts of the emergency preparedness rule --
8 applicable to the CP applications?

9 MR. DENTON: I think it would be some sort of
10 demonstration that there is a reasonable assurance the rule
11 could be met at the OL stage.

12 COMMISSIONER GILINSKY: We certainly want to know
13 if there is anything that would keep you from complying with
14 the rule.

15 MR. DENTON: I don't see you have to comply with
16 the OL rule at the CP stage, but --

17 CHAIRMAN AHEARNE: I was wondering, other than the
18 site location --

19 MR. PURPLE: I have not read from front to rear
20 the emergency planning rule myself, but I did look at the
21 front end of it, and there was a specific reference to
22 CP's. It is my understanding there is a section in the new
23 amended rule that spells out what the information
24 requirements are, but I have not read that.

25 CHAIRMAN AHEARNE: Yes, it is just that most of

1 the rule applies to developments, procedures, requirements
2 on both licensee and state and local governments that are
3 much more germane to the operating licenses. It would be
4 kind of hard do get those kind of commitments --

5 MR. PURPLE: Apparently it did call for expanded
6 information base over what it used to be yesterday, for
7 example.

8 CHAIRMAN AHEARNE: Yes.

9 MR. DENTON: Embedded in our concept is an
10 important factor. If we were just concerned about accident
11 prevention, we would not deal with Item 2. We would only
12 deal with Item 3, improving systems to prevent accidents by
13 requiring in Item 3 not foreclosing this. It indicates our
14 determination to improve the mitigation features of these
15 plants, and not foreclose the implementation of that.

16 So, while some people have tried to drive us down
17 the track of a safety goal, we are going down for prevention
18 and mitigation.

19 CHAIRMAN AHEARNE: Yes. All right.

20 MR. PURPLE: That completes what I have to say or
21 am prepared to say.

22 CHAIRMAN AHEARNE: And you would propose, then, to
23 put out, as I understand it from your paper, a Federal
24 Register notice which would invite comments on essentially
25 what you have said plus comments on this revised version of

1 the action plan.

2 MR. PURPLE: That is correct.

3 MR. DENTON: The action plan itself for OL's is
4 now out for comment with -- it would be appropriate to have
5 this one in the same time frame since it interprets that
6 action plan or CP's.

7 CHAIRMAN AHEARNE: Joe?

8 COMMISSIONER HENDRIE: Comment period? Let's see.

9 MR. PURPLE: Forty-five days.

10 COMMISSIONER HENDRIE: When can we be ready to
11 move --

12 MR. PURPLE: You mean with the issuance of the
13 Federal Register notice?

14 COMMISSIONER HENDRIE: Well, presumably --

15 MR. PURPLE: You mean afterward, to be able to
16 move with resuming the review?

17 COMMISSIONER HENDRIE: It would take a while to
18 compile comments.

19 MR. PURPLE: Yes, it will. Yes, it will, because
20 they will have to be sort of coordinated with those from the
21 -- coming in on the action plan itself, and the action plan
22 comment period is 90 days. I would guess we are talking 90
23 days before we are -- on the order of three months before we
24 are ready to be back here with a proposal for Commission
25 approval to proceed with the licensing reviews.

1 COMMISSIONER GILINSKY: I don't have anything to
2 add here.

3 COMMISSIONER BRADFORD: Harold, what are the
4 resource implications of beginning to shift this potential
5 amount of attention back towards CP's? Can you reach back
6 into the budget discussions we have had over the last week
7 or ten days, and say -- indicate what sorts of -- what sorts
8 of impacts are involved?

9 MR. DENTON: I think the resources involved in
10 putting together a formal proposal at the end of the comment
11 period are small. We certainly would come back with a
12 proposal.

13 COMMISSIONER BRADFORD: Right.

14 MR. DENTON: If the final policy of the Commission
15 is along the lines we have suggested here, the resources are
16 absorbable within our present budget, because there are only
17 a few applications involved, and review of those
18 applications against pre-TMI standards is essentially
19 complete, and in many cases was, so we only would have to be
20 looking at those commitments at the CP stage to do things at
21 the OL stage where the action plan requires, and then we
22 have to look in detail case by case for foreclosure and
23 reliability assessments.

24 So, it would probably require a man year or two
25 per application, depending upon how this works out in the

1 end.

2 COMMISSIONER BRADFORD: How does that --

3 MR. DENTON: I don't expect all of these pending
4 applications to remain viable. I am not able to project how
5 many might actually go through.

6 COMMISSIONER BRADFORD: What is the rough rule of
7 thumb that you use in terms of man-years per CP application?

8 MR. DENTON: I think it is on the order of 12 man
9 years, but that 12 is already in on these.

10 COMMISSIONER BRADFORD: I understand. I
11 understand.

12 COMMISSIONER GILINSKY: I do have one point to
13 raise. It seems to me that we ought to be taking a greater
14 interest in how the vendor and the AE fit together in the
15 construction of plants. We now recognize that parts of the
16 plan we thought were less important turn out to be more
17 important from the point of view of safety and so on, and we
18 have asked that vendors and AE's interest themselves in
19 procedures of the plant.

20 It seems to me that that is a point worth raising
21 with applicants, what plans they have for closer integration
22 of the efforts of the conflicting factors.

23 MR. DENTON: That is not listed in our -- that
24 will be listed in our proposed document under the heading, I
25 think, Management Attention During Construction, to make the

1 utilities play a much more direct role in integrating both
2 the vendor and the steam supplier, and actually overseeing
3 their product.

4 COMMISSIONER GILINSKY: You do have that on your
5 list?

6 MR. DENTON: We have the management issue. I am
7 not sure we can address in particular what you have asked,
8 but we can do that.

9 COMMISSIONER GILINSKY: I think it might be worth
10 setting that out.

11 MR. PURPLE: We can take care of that.

12 CHAIRMAN AHEARNE: Anything else?

13 COMMISSIONER BRADFORD: Now, are these -- are
14 these plants ones that have been through the full standard
15 review plan network?

16 MR. DENTON: I am pretty certain they are, but
17 that is another area we can also clean up if we have not.
18 These reviews of these are so recent, they probably have
19 been. The standard review plan came into being in 1975.

20 COMMISSIONER BRADFORD: Right, and I guess I just
21 don't know how it was applied to CP applications then
22 pending.

23 MR. SCINTO: Across the board.

24 COMMISSIONER BRADFORD: Any CP application that
25 was pending as of whatever that date was would have been

1 reviewed.

2 MR. CASE: Yes.

3 COMMISSIONER BRADFORD: With or without
4 grandfathering?

5 MR. CASE: Without.

6 MR. DENTON: It would be my intention to --

7 COMMISSIONER BRADFORD: Joe?

8 MR. SCINTO: I know they would apply to any of the
9 CP's that came in after that date, and I think all CP
10 applications after that date, but that was some time in 1975.

11 Looking at this list, I cannot think of any of
12 these CP's that have been around since 1975.

13 MR. DENTON: It would be my intention to make sure
14 we have the applicant's identification in the application of
15 where he purports to comply with each applicable regulation
16 and each general design criteria, and we will make a special
17 effort on these to get that area well documented. So, our
18 review is focused on a one to one. I am trying to do that
19 now for the OL applications, where we have not yet completed
20 our SER.

21 CHAIRMAN AHEARNE: Any other questions?

22 (No response.)

23 CHAIRMAN AHEARNE: Are we willing to vote out --
24 putting this out for comment?

25 COMMISSIONER GILINSKY: I think so.

1 COMMISSIONER BRADFORD: Yes.

2 CHAIRMAN AHEARNE: Joe?

3 COMMISSIONER HENDRIE: I don't object to it. It
4 seems to me that 90 days is a long time.

5 CHAIRMAN AHEARNE: I think you have 45.

6 COMMISSIONER HENDRIE: Well --

7 MR. PURPLE: We have a 45-day notice in here. I
8 was saying, you have to figure how to handle the fact that
9 the action plan is being commented on in a 90-day period,
10 and this refers -- this draws directly from the action plan,
11 and it would probably be at least a week from now before we
12 have the NUREG ready to go into the Federal Register. It is
13 going to come close to 90 days, even moving as rapidly as we
14 can.

15 CHAIRMAN AHEARNE: It is hard to see how 45 days
16 -- how we could have anything shorter than that.

17 COMMISSIONER HENDRIE: Well, it means that what we
18 say is that -- you know, it is going to be two weeks to get
19 it into the Federal Register, and you want 45 days, and
20 another 45 days plus a little bit to round up the comments
21 and come back, and that means in four months, while we can
22 sit down again and think about whether we are ever going to
23 do anything about these pending construction permit
24 applications, and that seems to me a long time.

25 I wonder if there is not some way to make some

1 modest progress, at least with those CP's, where the people
2 who are applying for them are still -- still would like a
3 decision to make more motion at a more rapid pace.

4 As far as I know on these cases there probably is
5 not a great deal to be done, and what is recommended in this
6 paper is a way of treating things. Again, it does not
7 require a great deal of work, it does not seem to me. The
8 guy who wants the CP if he wants it is going to have to make
9 some commitments about how he deals with areas that may --
10 in which there may be requirements flowing from the
11 rulemakings and so on, and he makes those commitments, and
12 so on.

13 Why, it does not look to me like that in itself is
14 going to be a great long process. If he decides not to,
15 why, okay, he goes away and pulls the application. If he
16 decides to do it, why, it ought to be matter, I would think,
17 of relatively short time, a few weeks to gather it up. He
18 is not going to be able to detail things, I don't think.

19 COMMISSIONER GILINSKY: Why do you say it is going
20 to be another 45 days until the end of the comments?

21 COMMISSIONER HENDRIE: Well, you --

22 COMMISSIONER BRADFORD: The sense of the nature of
23 the thing --

24 COMMISSIONER HENDRIE: The 45-day comment won't
25 start until it is published, two weeks to get it published,

1 a 45-day comment period. The comment period ends. Now, you
2 sit down to look at the comments. My guess is, it would be
3 another 45-plus days before the staff can be back in here
4 saying, well, now we have the comments, and here is our
5 adjusted construction permit proposition, and the Commission
6 will think about scheduling it, and a few weeks down the
7 line or a month, we will eventually gather on it.

8 COMMISSIONER GILINSKY: The comments, I assume,
9 will be presumably from those who are applying.

10 COMMISSIONER HENDRIE: I doubt it very much.

11 COMMISSIONER GILINSKY: They are going to be from
12 others?

13 COMMISSIONER HENDRIE: Yes.

14 COMMISSIONER GILINSKY: After all, even the
15 proposed rule, he can get some reasonable guidance about
16 what he is doing.

17 COMMISSIONER HENDRIE: It is not quite a rule we
18 are looking at here.

19 COMMISSIONER GILINSKY: Policy statement, sorry.

20 COMMISSIONER HENDRIE: The proposition here in
21 going out for comment is that people complained that we did
22 not do that on the basic action plan, and the OL list. The
23 proposition here is, let's go out for comment in this case.
24 What I am saying is, I think that is a good idea, and that
25 is all well and good, but I wonder if we --if there is not

1 some way to do something other than to have absolutely no
2 motion on these few cases for what seems to me to be four
3 months following which the staff can prepare some things.

4 The applicant can file a few things. The staff
5 can prepare its case and go back to the hearings in each
6 case.

7 CHAIRMAN AHEARNE: Are any of these six in
8 hearings already?

9 MR. DENTON: I think all six are.

10 CHAIRMAN AHEARNE: All six are.

11 MR. DENTON: Is that correct?

12 MR. SCINTO: Yes.

13 MR. DENTON: So that means the staff SER's and
14 environmental statements are all issued.

15 COMMISSIONER HENDRIE: Most of them are well along
16 in the hearing stage.

17 CHAIRMAN AHEARNE: What you are really talking
18 about is the final -- sort of the TMI related issues before
19 the hearing boards.

20 MR. DENTON: Yes. If the Commission wanted to
21 separate out some segment of these issues and decide today
22 that they were -- would be carried out, the staff could
23 begin to work on those and get back to the boards on that.

24 COMMISSIONER GILINSKY: What -- what would you
25 propose, Joe?

1 MR. DENTON: I am trying to respond to the
2 Commissioner --

3 COMMISSIONER GILINSKY: I understand.

4 MR. DENTON: I have not figured out how to parce
5 out such an approach.

6 MR. BICKWIT: Have you gone as far as you can go
7 with the issues not covered by the action plan?

8 COMMISSIONER GILINSKY: I wonder whether in fact
9 there is all that much time lost and that once this goes out
10 an applicant has some notion of what it is he ought to be
11 putting together. That takes some time.

12 CHAIRMAN AHEARNE: That seems to be realistic.
13 Commissioner Gilinsky is pointing out that clearly when you
14 put that out, just given the past history, the applicant who
15 is interested ought to reasonably conclude this now is
16 essentially the list of the things he is going to have to
17 do. I think you can probably expect that there is not going
18 to be much of a weakening of those. There may be a
19 strengthening, but as far as backing off very much, he would
20 not have that much confidence in that happening. The work
21 he would have to do in trying to meet those is going to take
22 some time. It is not clear that that will necessarily be
23 therefore wasted time.

24 MR. DENTON: It is certainly conceivable that an
25 applicant could at his own risk begin to comply with these

1 by going to the appropriate commitments and detail, and the
2 staff could review that along internally without coming to
3 any judgments on it. In that sense, stay moving. So that
4 when a final position was adopted, we would know where the
5 plant stood in that regard.

6 CHAIRMAN AHEARNE: Did you have another specific
7 question, Joe?

8 COMMISSIONER HENDRIE: No.

9 CHAIRMAN AHEARNE: Joe, you have raised a point
10 that these are now in front of the boards. Given the recent
11 difficulties on the instructions to operating license
12 boards, it would appear that we ought to at least have
13 identified the issue of what instructions to give to
14 construction permit boards with respect to -- how ought the
15 construction permit boards treat these new issues.

16 I had asked Len to look at possible language that
17 we might use.

18 MR. BICKWIT: Would you pass that around? What I
19 would suggest is language, just a sentence, which would be
20 the second to the last sentence of the note as it would
21 simply say, comments are also requested regarding the extent
22 to which the judgments reached by the Commission on these
23 matters should form the basis for instructions to licensing
24 and appeal boards and construction permit and manufacturing
25 license proceedings.

1 COMMISSIONER BRADFORD: I guess if there is
2 interest in the Commission in following the operating
3 license policy statement -- precluding, or limiting
4 litigation of these issues before licensing boards I think
5 that that sentence ought to be preceded by one that says
6 that. That is, the Commission is considering the following,
7 and then just go on and say, comments are requested on this
8 or other possible methods.

9 The reason I say that is, this does not quite put
10 a potential commenter on notice that this may be his or her
11 last chance to comment on these issues.

12 (General laughter.)

13 COMMISSIONER BRADFORD: And if the Commission is
14 in fact to take that step, it seems to me to be important to
15 be explicit about it in the notice when it goes out for
16 comment.

17 CHAIRMAN AHEARNE: Don't be cynical, Peter.

18 COMMISSIONER BRADFORD: I was being absolutely
19 serious.

20 (General laughter.)

21 COMMISSIONER HENDRIE: I did not think you were
22 being cynical.

23 COMMISSIONER BRADFORD: Pessimistic, perhaps, but
24 not cynical.

25 (General laughter.)

1 CHAIRMAN AHEARNE: I had asked Len to address --
2 it would appear to me we ought to ask for comment on how
3 ought we treat these issues, and that is what that sentence
4 does, and it was not with any pre-fixed judgment, as far as
5 any possible -- now, I would guess that there are at least a
6 few people who have seen that other applicant issue and will
7 probably address that kind of comment, but I did not have in
8 mind going down that route.

9 As a matter of fact, since we in the other case,
10 we had really, I felt, devoted so much more time in working
11 through very -- in great detail, what to do about operating
12 reactors or near operating reactors. It is a different
13 background. So I did not come at this one with the same
14 view.

15 MR. BICKWIT: You could attach some press
16 clippings.

17 (General laughter.)

18 CHAIRMAN AHEARNE: Seriously, I felt when I read
19 the Federal Register notice -- I felt that any commenter,
20 having been familiar with the operating license issue, that
21 would be an open question, so I thought we ought to at least
22 address it, and rather than four months from now having --
23 three months, whenever that comes up, having them come back
24 and say, well, gee, we really ought to address what to do
25 about instructions to the boards, and too bad we did not ask

1 for comments on it.

2 COMMISSIONER BRADFORD: I agree with that, and
3 certainly USC or anybody who has been directly through the
4 comment on the operating license policy statement reading
5 this --

6 CHAIRMAN AHEARNE: I really went at it more from
7 the standpoint -- in fact, completely from the standpoint
8 that we ought to at least point out that there would be some
9 -- there is the possibility of giving some instructions to
10 the boards on it when we ask for the comments.

11 COMMISSIONER BRADFORD: Okay. Let me then ask the
12 same question sort of backwards. Len, if at the end of the
13 comment period the Commission decided on the basis of having
14 solicited comments to preclude litigation of these issues,
15 would you feel that legally this comment process with just
16 this notification in it was an adequate basis for doing
17 that? By preclude, I mean, completely preclude. No
18 possibility of raising it to the Commission at the end in
19 effect treating this as a rule.

20 MR. BICKWIT: I do not think if you are going to
21 treat this as a rule, then obviously you have to -- you have
22 to provide some notice, but that is not what the previous
23 policy statement did, and adhering to the notion that the
24 previous policy statement was a legal action of the
25 Commission, I do not believe this comment period is even

1 required.

2 So, as a legal matter, it follows that the extent
3 of the notice is irrelevant, as a matter of comity and --

4 CHAIRMAN AHEARNE: That is i-t-y, c-o-m-i-t-y --
5 (General laughter.)

6 CHAIRMAN AHEARNE: A common phrase in Congress.

7 MR. BICKWIT: If your question is, could the
8 notice be defined more sharply, I think the answer is, yes.

9 COMMISSIONER BRADFORD: I am really not trying to
10 be cute about it, or drag up the old operating license
11 policy statement. I do want to be clear, though, that -- my
12 own assumption would be that this could not be the basis for
13 going, what I would say is a step further than the
14 Commission position in the operating license cases, as I
15 understand it, and being used as a complete bar to raising
16 these issues in subsequent litigation. That is, no
17 possibility of raising them even to the Commission.

18 MR. BICKWIT: If it is meant to bind all potential
19 litigants so that they have no opportunity to raise the
20 policy of the Commission before the Commission or boards in
21 an adjudication, then this notice I do not think would be
22 sufficient.

23 COMMISSIONER BRADFORD: That is all I was after.

24 MR. BICKWIT: But that was -- that was never the
25 intention of the Commission, as I understood it, in putting

1 out the policy statement.

2 MR. SCINTO: I wanted to comment that the notice
3 that was in the paper, that was given to the Commission, was
4 not intended to address that issue. It was intended to
5 provide a notice of the substantive issues that the staff
6 has in mind. It is not addressing the procedural matter
7 which the Commission had considered at some length in
8 connection with OL's.

9 CHAIRMAN AHEARNE: Right, but I thought it was
10 necessary.

11 COMMISSIONER HENDRIE: When is the 90-day period
12 up on the other one?

13 MR. PURPLE: It is my understanding it went to the
14 Federal Register, and I don't know if that means it was
15 published. I think it went to the Federal Register about
16 two days ago on the action plan, so I guess it is a week or
17 two from now that it is actually published. I really don't
18 know for sure. It is roughly 90 days from now.

19 COMMISSIONER HENDRIE: 8/1 -- 11/1.

20 CHAIRMAN AHEARNE: It took a long time to get out.

21 COMMISSIONER HENDRIE: It took a long time to get
22 out.

23 COMMISSIONER HENDRIE: 12/1 -- I think it is a
24 grand process, but I would hate to think that we would have
25 to sit here on the 1st of August and contemplate that I

1 think there are probably three of those CP cases that are
2 still possible, viable projects, and say that it will be
3 Christmas time before we know what to do or can begin to
4 gather up our resources and move back into hearings.

5 The staff review, whatever.

6 CHAIRMAN AHEARNE: Do you have an alternative?
7 The difficulty I have in recognizing the problems you have,
8 I still think that Vic is right, that these applicants are
9 going to have a reasonable amount of work to do -- to go
10 through to provide the information review that is going to
11 be required on a number of these items. I mean, look at
12 Enclosure 2. It may just be a generation of paper effort
13 they are going to have to go through. Certainly you can
14 say, well, there is no reason for them to get started on
15 that path until this whole process is completed.

16 I think they could get started, and it would
17 appear to me that would be the only sensible thing, but I do
18 not really see a good alternative.

19 MR. GALLO: Mr. Chairman, is it possible to be
20 recognized?

21 CHAIRMAN AHEARNE: In general, we do not recognize
22 people from the audience. I am sorry.

23 MR. GALLO: Does that mean I should sit down?

24 CHAIRMAN AHEARNE: You may remain standing.

25 (General laughter.)

1 MR. GALLO: Thank you.

2 COMMISSIONER HENDRIE: Is it -- we are going to
3 wait for comments on the action plan. Those are November
4 1st. A month and a half to gather it up and --

5 CHAIRMAN AHEARNE: I guess to some extent that was
6 really -- those were focused specifically on the operating
7 license hearings, and operating license requirements. These
8 are focused on the construction permits. It is not obvious
9 to me that they are not separable to some extent. I do not
10 see why if we put in a 45-day comment they cannot begin
11 reviewing those, but realistically these are either
12 substandard issues or they are not. If they are not
13 substandard issues, then the comment should not be that
14 hard. Raising it should not be very difficult.

15 Remaining actions by the staff and the board
16 should not be very difficult. If they are substantive
17 issues, the licensee is going to have to do some work to
18 respond to them, in which case that time period is not that
19 settled.

20 COMMISSIONER GILINSKY: Harold, what is your sense
21 of how much work is involved here? Suppose this was the
22 final statement that the applicant was to comply with. How
23 much work is involved and how long would it take?

24 MR. DENTON: A lot of them are just commitments,
25 some of the action plan items, because they do not have to --

1 COMMISSIONER GILINSKY: Presumably they have to
2 think of these as commitments.

3 MR. DENTON: They have to make some commitment in
4 a form that would show --

5 COMMISSIONER GILINSKY: They may want to modify it
6 in one form or another.

7 MR. DENTON: Others are more substantive, such as
8 the probabilistic assessment of certain systems will require
9 fault trees and event trees and data gathering and
10 calculations.

11 COMMISSIONER GILINSKY: Presumably not all of them
12 would have the people right at hand to do that.

13 MR. DENTON: We have been talking about this issue
14 for some time in various forms. It has been a part of our
15 thinking for some time. I guess it would be comparable to
16 the short term lessons learned effort.

17 MR. PURPLE: Perhaps a little bigger, because
18 there is some added items that were not in the short-term
19 lessons learned.

20 COMMISSIONER GILINSKY: Roughly, you would expect
21 to get back a completed package from them in how long a time
22 frame? Let me ask it a different way. Suppose these were
23 the final specifications for what it was they had to do?
24 How long do you think it would take them to do it?

25 MR. DENTON: I would guess three months or so. We

1 have been talking about these various -- the most difficult
2 issue is the degraded rulemaking, trying to analyze the
3 existing design so as not to foreclose, but I would guess a
4 three-month effort.

5 MR. PURPLE: At least. I would say three to six.

6 COMMISSIONER GILINSKY: It does not sound to me
7 like there is a lot of lost time here. I mean, there would
8 be if there were some major modification along the way of
9 what it was we were asking them to do, but if one assumes
10 that there will not be a major departure from this list, a
11 major revision of it, then it does not sound as if there
12 would be.

13 MR. DENTON: You could assure that. You could
14 make it effective immediately and have it required from the
15 start.

16 CHAIRMAN AHEARNE: I think this would lead them to
17 start. I don't know. The health and safety aspects --

18 COMMISSIONER HENDRIE: I will vote with some
19 reluctance because I would --

20 COMMISSIONER GILINSKY: I am not saying that to
21 pressure you. I was just trying to understand what your
22 objections are.

23 COMMISSIONER HENDRIE: It is what seems to be a
24 very long time before things can move forward. God knows
25 the extent to which applicants will be ready to move

1 forward, but at least to the extent that anyone listens and
2 pays any attention to what is said here today at this table
3 in the course of approving this proposition for comment, let
4 me note that Commissioners up and down the table have said
5 knowledgeable applicants will get moving on these things.
6 That is, anybody that wants a construction permit, the
7 various Commissioners have said can reasonably get working
8 with the engineers to prepare the sort of materials that
9 would be necessary on the assumption that the items in this
10 for comment document will be at least included among those
11 that will be in the final directions, if not in fact the
12 inclusive list.

13 CHAIRMAN AHEARNE: Len?

14 MR. BICKWIT: Bob and I have had a discussion
15 about a minor point, but I just wanted to put it on the
16 record. We have agreement on it. As we read Option C as it
17 related to degraded core rulemaking, it was consistent with
18 the regulation which requires that the proposed design must
19 be such that the Commission can find with reasonable
20 assurance that the plant, if built according to that design,
21 can be constructed and operated without undue risk to public
22 health and safety. He assured me that that was the way it
23 was.

24 MR. SCINTO: Or, I assume, the other portions of
25 5035. They would conform to the other portions of 5035.

1 CHAIRMAN AHEARNE: We are not violating our other
2 regulations. Can I have a vote to issue this as modified?
3 Aye.

4 COMMISSIONER BRADFORD: Aye.

5 COMMISSIONER GILINSKY: Aye.

6 COMMISSIONER HENDRIE: Aye.

7 CHAIRMAN AHEARNE: Very good. Thank you.

8 (Whereupon, at 3:03 p.m., the meeting was
9 adjourned.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the
Commission

in the matter of: Briefing on Near Term Requirements for Construction
Permits for Power Reactors

Date of Proceeding: August 1, 1980

Docket Number: _____

Place of Proceeding: Washington, D. C.

were held as herein appears, and that this is the original transcript
thereof for the file of the Commission.

David S. Parker

Official Reporter (Typed)



(SIGNATURE OF REPORTER)

NRC REQUIREMENTS FOR LICENSING

- o OPERATING REACTORS
 - SHORT TERM LESSONS LEARNED, INCL. B&O
 - SELECTED ITEMS FROM ACTION PLAN
 - OPERATOR QUALIFICATION
 - EMERGENCY PREPAREDNESS

- o OPERATING LICENSES APPLICATIONS
 - NUREG-0694 (INCLUDES OR ITEMS)
 - PROPOSED DATED REQUIREMENTS

- o CONSTRUCTION PERMIT APPLICATIONS
 - NOT YET ADDRESSED BY COMMISSION
 - REVIEWS SUSPENDED SINCE MARCH 1979

OPTIONS FOR CP REQUIREMENTS

- A. CONTINUE WITH PRE-TMI LICENSING ENVELOPE
- B. PRE-TMI LICENSING ENVELOPE, MODIFIED TO INCLUDE ITEMS NOW REQUIRED FOR NTOLs.
- C. PRE-TMI LICENSING ENVELOPE, MODIFIED TO INCLUDE ITEMS NOW REQUIRED FOR NTOLs PLUS SELECTED SPECIAL CONSIDERATIONS.
- D. INDEFINITELY POST-PONE CONSIDERATION OF CONSTRUCTION PERMIT APPLICATIONS.

PROPOSED APPROACH

- 0 DEFINE REQUIREMENTS
 - REVIEW ACTION PLAN - DEFINE ITEMS APPLICABLE TO CPs
 - DEFINE REQUIRED INFORMATION/COMMITMENTS FOR CP-ISSUE NUREG
 - ESTABLISH SPECIAL REQUIREMENTS:
 - - SITING
 - - DEGRADED CORE RULEMAKING
 - - RELIABILITY ANALYSES
 - - EMERGENCY PREPAREDNESS
- 0 OBTAIN PUBLIC COMMENTS ON PROPOSED REQUIREMENTS
- 0 CONSIDERING PUBLIC COMMENTS AND ACRS COMMENTS (FROM MAY 6, 1980 LETTER), DEVELOP PROPOSED APPROACH/REQUIREMENTS
- 0 COMMISSION ISSUE POLICY STATEMENT

"SPECIAL" REQUIREMENTS

- o SITING
 - PER SECY 80-153, COMPARE CP SITES WITH NUREG-0625

- o DEGRADED CORE RULEMAKING
 - DEFINE CONFORMANCE TO INTERIM RULE
 - TO EXTENT PRACTICABLE, PROVIDE ASSURANCE THAT OPTIONS FOR MEETING FINAL REQUIREMENTS FROM RULEMAKING ARE NOT FORECLOSED (E.G., FVCS, CORE RETAINER, H₂)
 - SUBMIT EVALUATION OF ADDITIONAL PREVENTIVE/ MITIGATIVE FEATURES THAT HAVE POTENTIAL FOR SIGNIFICANT RISK REDUCTION

- o RELIABILITY ANALYSIS
 - PERFORM RELIABILITY ANALYSES FOR SELECTED SYSTEMS
 - USE EVENT/FAULT TREE TECHNIQUES TO IDENTIFY WEAKNESSES
 - PROPOSE DESIGN MODIFICATIONS
 - SPECIAL CONSIDERATION OF: HUMAN ERRORS; COMMON CAUSES; SINGLE POINT VULNERABILITIES; AND T&M

- o EMERGENCY PREPAREDNESS
 - PROGRAM TO COMPLY WITH NEW EMERGENCY PREPAREDNESS RULE

July 28, 1980

SECY-80-348

COMMISSIONER ACTION

For: ~~The Commission~~ 

Thru: William J. Dircks, Acting
Executive Director for Operations

From: Harold R. Denton, Director
Office of Nuclear Reactor Regulation

Subject: POLICY ON PROCEEDING WITH PENDING CONSTRUCTION PERMIT AND
MANUFACTURING LICENSE APPLICATIONS

Purpose: To obtain Commission approval of a policy for proceeding with
pending construction permit (CP) and manufacturing license (ML)
applications.

Background: The TMI-2 Action Plan, NUREG-0660, does not specifically address
requirements for CP and ML applications. There are currently
pending six CP applications for eleven plants and one ML appli-
cation for eight floating nuclear plants. Staff review of these
applications has been suspended since the TMI-2 accident pending
the formulation of a policy to appropriately reflect the lessons
learned from the accident.

The applicants for the six pending CP applications have formed a
group to interact with the staff in the development of the
requirements. A meeting was held with an ACRS subcommittee and
with the full committee to discuss the program and the preliminary
findings. An ACRS letter dated May 6, 1980, from Chairman Plesset
to Chairman Ahearne is enclosed (Enclosure 1).

Discussion: Options Considered

We considered three options:

1. Resume licensing using the pre-TMI CP requirements augmented
by the applicable requirements identified in the Commission's
June 16, 1980 Statement of Policy regarding operating licenses.
In effect, this treats the pending CP and ML applications as
though they were the last of the present generation of nuclear
power plants.

Contact:
R. A. Purple, NRR:DL
X27672

SECY NOTE: This paper is scheduled for
discussion on August 1, 1980.

2. Take no further action on the pending applications until the rulemaking actions described in the Action Plan have been completed. This would, in effect, treat the pending applications as the first of a new generation of nuclear power plants.
3. Resume licensing using the pre-TMI CP requirements augmented by the applicable requirements identified in the Commission's June 16, 1980 Statement of Policy regarding operating licenses and require certain additional measures or commitments in selected areas (e.g., those that will be the subject of rulemaking).

Option 1 would minimize the review and construction impact, thereby minimizing delays in reaching regulatory decisions for the planned facilities. The principal disadvantage of Option 1 is that it fails to take advantage of the fact that, since construction has not started, it would be relatively easy to provide design flexibility to implement potential significant safety improvements.

Option 2 would maximize the safety improvements but would result in extensive delays and possible cancellations. We believe that the cost of such delays are not justified provided that design flexibility can be demonstrated.

Option 3 is believed to be a suitable compromise between the extremes of Options 1 and 2. This option will ensure that approved action items in the Action Plan are applied to the new CPs and will provide for early consideration of added safety measures that can be incorporated into the design without the need for inordinately costly backfit. By establishing a clear statement of policy with respect to the issues to be determined by rulemaking, a degree of stability is introduced into the CP review process thereby allowing prospective applicants to make better-informed decisions.

The Proposed Approach

We have carefully examined the Action Plan to determine the extent to which it should be applied to the pending CP and ML applications. We have identified four areas that we believe merit special attention and the development of a clear statement of requirements. These areas, which correspond to items 1, 2, 3 and 6 of the ACRS letter (Enclosure 1), are:

1. Siting

The Commission has already established a transition policy for CP applicants. This policy was established by Commission consideration of SECY 80-153 and recorded in a memorandum dated June 30, 1980, from S. J. Chilk to W. J. Dircks. CP applicants, accordingly, will be asked to compare their sites with the recommendations of NUREG-0625, as modified by OPE and ACRS comments. At such time as the proposed rule is issued for comment (scheduled for October 1980), CP applicants will be required to assess their sites against the criteria contained in the proposed rule.

2. Degraded Core Rulemaking

CP and ML applicant's should describe the degree to which their designs conform to the proposed interim rule. Applicants should also provide reasonable assurance, to the extent practicable and taking into account the present state-of-the-art of this technology, that issuance of CPs or MLs will not foreclose or preclude the modification of the facilities to accommodate potential requirements that may result from the rulemaking proceedings. These potential requirements include such features as filtered vented containment, molten core retention, and hydrogen control systems. Special attention should be given to those facility designs with small containment volumes, i.e., ice condenser and Mark III containment designs.

Prior to issuance of a CP or ML, applicants will also be required to submit their evaluation of the additional features, both preventive and mitigative, they propose to include at their facilities that have the potential for significant risk reduction.

3. Reliability Engineering

CP and ML applicants should perform simplified system reliability analysis for the following systems: subcriticality systems, emergency feedwater systems (PWRs), reactor core isolation cooling system, (BWRs), ECCS injection and recirculation systems, shutdown cooling system, containment cooling and spray systems, safety features actuation systems, and auxiliary systems upon which these depend (alternating and direct current, compressed air, essential service water or cooling systems, and heating, ventilating and air conditioning systems). These analyses should use event-tree and fault-tree logic techniques to identify design weaknesses and possible system modifications that would be made to improve the capability and reliability of the above systems under various transient and LOCA events. Particular emphasis will be given to determining potential failures that could result from human errors, common causes, single point vulnerabilities, and test and maintenance outages.

CP and ML applicants should provide sufficient information to describe the nature of the studies, how they are to be conducted, the completion dates, and the program to assure that the results of such studies are factored into the final designs.

4. Emergency Preparedness

CP applicants shall submit, prior to the issuance of construction permits, a discussion of their preliminary plan for coping with emergencies addressing the amended rule (Appendix E to 10 CFR Part 50) as it applies to construction permit applications. Sufficient detail shall be presented to provide reasonable assurance that the requirements will be implemented properly.

The remaining Action Plan items that are determined to be applicable to the pending CP and ML applications, including Items 4 and 5 identified in the ACRS letter (Enclosure 1), have been identified (Enclosures 2 and 3). We plan to issue a NUREG document that identifies the remaining Action Plan items and defines the required commitment or design information necessary to permit completion of the safety reviews. As Decision Group C items become approved by the Commission, they would be added as requirements for CP and ML applicants.


Implementation

We recommend that the approach described in this paper be noticed in the Federal Register for public comment. The proposed Federal Register notice is included as Enclosure 4.

Upon receipt of public comments and further review by the ACRS, we would plan to return to the Commission for approval to resume review of CP and ML applications.

Recommendation: That the Commission approve the staff proposal to obtain public comment on the set of requirements described in this paper.

Coordination: The Executive Legal Director has no legal objection to the recommendations in this paper.



Harold P. Denton, Director
Office of Nuclear Reactor Regulation

7/29/80

Enclosures:

1. Memorandum, Chairman Plesset to Chairman Ahearne, dated May 6, 1980
2. Action Plan Items Applicable to Pending Construction Permit Applications
3. Action Plan Items Applicable to Pending Manufacturing License Application
4. Proposed Federal Register Notice

DISTRIBUTION

- Commissioners
- Commission Staff Offices
- Exec Dir for Operations
- ACRS
- Secretariat

Commissioners' comments should be provided directly to the Office of the Secretary by c.o.b. Tuesday, August 12, 1980.

Commission Staff Office comments, if any, should be submitted to the Commissioners NLT August 5, 1980, with an information copy to the Office of the Secretary. If the paper is of such a nature that it requires additional time for analytical review and comment, the Commissioners and the Secretariat should be apprised of when comments may be expected.

ENCLOSURE 1

UNITED STATES
NUCLEAR REGULATORY COMMISSION
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
WASHINGTON, D. C. 20555

May 6, 1980

Honorable John F. Ahearne
Chairman
U.S. Nuclear Regulatory Commission
Washington, DC 20555

SUBJECT: NEAR-TERM CONSTRUCTION PERMIT APPLICATIONS

Dear Dr. Ahearne:

During its 241st meeting, May 1-3, 1980, the ACRS reviewed the status of applications for near-term construction permits (NTCPs). In its review the Committee had the benefit of discussions with the NRC Staff and with representatives of the applicants for the NTCPs. A subcommittee meeting on this subject was held on April 9, 1980.

The six NTCP applicants and the reactor types involved are as follows:

Black Fox Station, Units 1 and 2, Public Service Company of Oklahoma, General Electric BWR/6, Mark III pressure suppression containment

Skagit Nuclear Power Project, Units 1 and 2, Puget Sound Power & Light Company, General Electric BWR/6, Mark III pressure suppression containment

Pilgrim Station, Unit 2, Boston Edison Company, Combustion Engineering custom NSSS, large dry containment

Perkins Nuclear Station, Units 1, 2 and 3, Duke Power Company, Combustion Engineering CESSAR System 80 NSSS, large dry containment

Allens Creek Nuclear Generating Station, Houston Lighting & Power Company, General Electric BWR/6, Mark III pressure suppression containment

Pebble Springs Nuclear Plant, Units 1 and 2, Portland General Electric Company, Babcock and Wilcox custom NSSS, large dry containment

The NRC Staff has approached this matter primarily by examining the Action Plan and judging the applicability and scheduling of each item to an NTCP. This procedure has resulted in placing many important items in a category wherein the NRC has yet to develop criteria applicable to construction permit applicants. Action Plan item II.A on siting introduces questions whose resolution must be achieved prior to issuance of a construction permit.

DME
800620536
288

May 6, 1980

Item II.B on degraded or melted cores bears directly on containment design, as well as other safety features. Item II.C on reliability engineering and risk assessment could bear significantly on the design requirements for many important plant systems. There are many other items in the Action Plan and in the ACRS report of April 17, 1980 which also might impact directly on important design aspects of these plants.


Mr. Harold Denton advised the Committee that he envisaged permitting construction to proceed if there are no obvious site-related questions in terms of the Report of the Siting Policy Task Force (NUREG-0625) and if the containment design pressure were such as to withstand hydrogen combustion, on the assumption that other design aspects could be changed later if so required.

The utility representatives advised the ACRS that, in their opinion, there was a need for the resolution of several policy questions which relate to how and whether construction permit applications will be processed in the near term. The utilities identified the following six policy issues as being in most urgent need of resolution:

1. Siting
2. Emergency planning
3. Degraded core conditions
4. Control room design
5. Management for design and construction
6. Reliability and risk assessment

The utility representatives recommended that a concerted effort be undertaken to develop an acceptable interim approach to resolution by the Commission of such issues in the next few months. The ACRS supports this recommendation and urges that appropriate Staff resources be made available for this purpose. An ACRS Subcommittee plans to work actively with the Staff on the topic with the anticipation that the full Committee would review the NTCP matter within a few months.

Sincerely,



Milton S. Plesset
Chairman

References:

1. Memorandum from D. F. Ross, NRC, to R. F. Fraley, ACRS, Subject: Transmittal of NTCP Requirements List, dated April 22, 1980.
2. Memorandum from William F. Kane, NRC, to Addressees, Subject: Request for Review of Proposed TMI-2-Related Requirements for NTCP Applicants, dated April 4, 1980.
3. U. S. Nuclear Regulatory Commission, "NRC Action Plans Developed as a Result of the TMI-2 Accident," USNRC Report NUREG-0660 Draft 3, dated March 5, 1980.
4. U. S. Nuclear Regulatory Commission, "Report of the Siting Policy Task Force," USNRC Report NUREG-0625, dated August, 1979.

ENCLOSURE 2

ENCLOSURE 2

ACTION PLAN ITEMS APPLICABLE TO PENDING CONSTRUCTION PERMIT APPLICATIONS

- I.A.1.1 - Shift Technical Advisor
- I.A.1.2 - Shift Supervisor Administrative Duties
- I.A.1.3 - Shift Manning
- I.A.2.5 - Plant Drills
- I.A.3.1 - Revise Scope and Criteria for Licensing Exams
- I.A.4.2 - Long-Term Training Simulator Upgrade
- I.B.1.1 - Organization and Management Long-Term Improvements
- I.C.1 - Short-Term Training Simulator Upgrade
- I.C.2 - Shift and Relief Turnover Procedures
- I.C.3 - Shift Supervisor Responsibilities
- I.C.4 - Control Room Access
- I.C.5 - Procedures for Feedback of Operating Experience
- I.C.6 - Procedures for Verification of Correct Performance
of Operating Activities
- I.C.7 - NSSS Vendor Review of Procedures
- I.C.9 - Long-Term Program Plan for Upgrading Procedures
- I.D.1 - Control Room Design Reviews
- I.D.2 - Plant Safety Parameter Display Console
- I.D.3 - Safety System Status Monitoring
- I.D.4 - Control Room Design Standard
- I.E.4 - Coordination of Licensee, Industry, and Regulatory
programs
- I.F.1 - Expand QA List
- I.F.2 - Develop More Detailed Criteria
- II.A.2 - Site Evaluation of Existing Facilities
- II.B.1 - Reactor Coolant System Vents
- II.B.2 - Plant Shielding to Provide Access to Vital Areas
and Protect Safety Equipment From Post-Accident
Operation
- II.B.3 - Post Accident Sampling
- II.B.4 - Training for Mitigating Core Damage
- II.B.8 - Rulemaking Proceeding
- II.C.4 - Reliability Engineering
- II.D.1 - Testing Requirements
- II.D.2 - Research on Relief and Safety Valve Test
Requirements
- II.D.3 - Post Accident Sampling
- II.E.1.1 - Auxiliary Feedwater System Evaluation
- II.E.1.2 - Auxiliary Feedwater System Automatic Initiation
and Flow Indication

- II.E.2.1 - Reliance on ECCS
- II.E.2.3 - Uncertainties in Performance Predictions
- II.E.3.1 - Reliability of Power Supplies for Natural Circulation
- II.E.4.1 - Dedicated Penetrations
- II.E.4.2 - Isolation Dependability
- II.E.4.3 - Integrity Check
- II.E.4.4 - Purging
- II.E.5.1 - Design Evaluation
- II.E.5.2 - B&W Reactor Transient Response Task Force
- II.F.1 - Additional Accident Monitoring Instrumentation
- II.F.2 - Identification and Recovery from Conditions Leading to Inadequate Core Cooling
- II.F.3 - Instrumentation for Monitoring Accident Conditions (Reg. Guide 1.97)
- II.G.1 - Power Supplies for Pressurizer Relief Valves, Block Valves, and Level Indicators
- II.J.3.1 - Organization and Staffing to Oversee Design and Construction
- II.K.1.20 - Provide Procedures and Training to Operators for Prompt Manual Reactor Trip for LOFW, TT, MSIV Closure, LOOP, LOSG Level, and Low Pressurizer Level
- II.K.1.21 - Provide Automatic Safety-Grade Anticipatory Reactor Trip for LOFW, TT, or Significant Decrease in SG Level
- II.K.1.22 - Describe Automatic and Manual Actions for Proper Functioning of Auxiliary Heat Removal Systems when FW System is not Operable
- II.K.1.23 - Describe Uses and Types of RV Level Indication for Automatic and Manual Initiation of Safety Systems. Also Describe Alternative Instrumentation.
- II.K.2.2 - Procedures and Training to Initiate and Control AFW System Independent of Integrated Control System
- II.K.2.9 - Analysis and Upgrading of Integrated Control System
- II.K.2.10 - Hard-Wired Safety-Grade Anticipatory Reactor Trips
- II.K.2.13 - Thermal-Mechanical Report. Effect of HPI on Vessel Integrity for Small-Break LOCA with no AFW
- II.K.2.14 - Demonstrate that Predicted Lift Frequency of PORVs and SVs is Acceptable
- II.K.2.15 - Analysis of Effects of Slug Flow on Once-Through Steam Generator Tubes After Primary System Voiding

- II.K.2.16 - Impact of RCP Seal Damage Following Small-Break LOCA with Loss of Offsite Power
- II.K.3.2 - Report on Overall Safety Effect of PORV Isolation System
- II.K.3.3 - Report Safety and Relief Valve Failures Promptly and Challenges Annually
- II.K.3.5 - Continue to Study Need for Trip of RCPs. Modify Procedures or Designs as Appropriate
- II.K.3.11 - Control Use of PORV Supplied by Control Components, Inc. Until Further Review is Completed
- II.K.3.13 - Separation of HPCI and RCIC System Initiation Levels. Analysis and Implementation
- II.K.3.15 - Modify Break Detection Logic to Prevent Spurious Isolation of HPIC and RCIC Systems
- II.K.3.16 - Reduction of Challenges and Failures of Relief Valves. Feasibility Study and System Modification.
- II.K.3.18 - Modification of ADS Logic. Feasibility study and Modification for Increased Diversity for Some Event Sequences
- II.K.3.21 -- Restart of Core Spray and LPCI Systems on Low Level. Design and Modification.
- II.K.3.23 - Central Water Level Recording
- II.K.3.24 - Confirm Adequacy of Space Cooling for HPCI and RCIC Systems
- II.K.3.25 - Effect of Loss of AC Power on Pump Seals
- II.K.3.27 - Provide Common Reference Level for Vessel Level Instrumentation
- II.K.3.28 - Study and Verify Qualification of Accumulators on ADS Valves
- II.K.3.30 - Revised Small-Break LOCA Methods to Show Compliance with 10 CFR 50.46
- II.K.3.31 - Plant Specific Calculations to Show Compliance with 10 CFR 50.46
- II.K.3.44 - Evaluation of Anticipated Transients with Single Failure to Verify no Significant Fuel Failure
- II.K.3.45 - Evaluate Depressurization with Other Than Full ADS
- II.K.3.46 - Response to List of Concerns From ACRS Consultant
- III.A.1.1 - Upgrade Emergency Preparedness
- III.A.1.2 - Upgrade License Emergency Support Facilities
- III.A.1.3 - Maintain Supplies of Thyroid Blocking Agent (Potassium Iodide)
- III.A.2.1 - Amend 10 CFR Part 50 and 10 CFR Part 50, Appendix E
- III.A.2.2 - Development of Guidance and Criteria
- III.A.3.3 - Communications
- III.A.3.5 - Training, Drills, and Tests

- III.D.1.1 - Primary Coolant Sources Outside the Containment Structure
- III.D.1.2 - Radioactive Gas Management
- III.D.1.3 - Ventilation System and Radioiodine Adsorber Criteria
- III.D.2.3 - Liquid Pathway Radiological Control
- III.D.2.4 - Offsite Dose Measurements
- III.D.2.5 - Offsite Dose Calculation Manual
- III.D.3.1 - Radiation Protection Plans
- III.D.3.3 - In-Plant Radiation Monitoring
- III.D.3.4 - Control Room Habitability

ENCLOSURE 3

ENCLOSURE 3

ACTION PLAN ITEMS APPLICABLE TO

PENDING MANUFACTURING LICENSE APPLICATION

- I.B.1.1 - Organization and Management Long-Term Improvements
- I.C.1 - Short-Term Accident Analysis and Procedure Revision
- I.C.5 - Procedures for Feedback of Operating Experience
- I.D.1 - Control Room Design Reviews
- I.D.2 - Plant Safety Parameter Display Console
- I.D.3 - Safety System Status Monitoring
- I.D.4 - Control Room Design Standard
- I.E.4 - Coordination of Licensee, Industry and Regulatory Programs
- I.F.1 - Expand QA List
- I.F.2 - Develop More Detailed Criteria
- II.B.1 - Reactor Coolant System Vents
- II.B.2 - Plant Shielding to Provide Access to Vital Areas and Protect Safety Equipment From Post-Accident Operation
- II.B.3 - Post Accident Sampling
- II.B.8 - Rulemaking Proceeding on Degraded Core Accidents
- II.C.4 - Reliability Engineering
- II.D.1 - Testing Requirements
- II.D.2 - Research on Relief and Safety Valve Test Requirements
- II.D.3 - Relief and Safety Valve Position Indication
- II.E.1.1 - Auxiliary Feedwater System Evaluation
- II.E.1.2 - Auxiliary Feedwater System Automatic Initiation and Flow Indication
- II.E.2.1 - Reliance on ECCS
- II.E.2.3 - Uncertainties in Performance Predictions
- II.E.3.1 - Reliability of Power Supplies for Natural Circulation
- II.E.4.1 - Dedicated Penetrations
- II.E.4.2 - Isolation Dependability
- II.E.4.4 - Purging
- II.F.1 - Additional Accident Monitoring Instrumentation
- II.F.2 - Identification and Recovery from Conditions Leading to Inadequate Core Cooling
- II.F.3 - Instrumentation for Monitoring Accident Conditions (Reg. Guide 1.97)
- II.G.1 - Power Supplies for Pressurizer Relief Valves, Block Valves, and Level Indicators
- II.J.3.1 - Organization and Staffing to Oversee Design and Construction
- II.K.3.2 - Report on Overall Safety Effect of PORV Isolation System

- II.K.3.3 - Report Safety and Relief Valves Failures Promptly and Challenges Annually
- II.K.3.5 - Continue to Study Need for Trip of RCPs. Modify Procedures or Designs as Appropriate
- II.K.3.9 - Proportional Integral Derivative Controller Modification
- II.K.3.10 - Anticipatory Trip Modification Proposed by some Licensees to Confine Range of Use to High Power Levels
- II.K.3.11 - Control Use of PORV Supplied by Control Components, Inc. Until Further Review is Completed
- II.K.3.12 - Confirm Existence of Anticipatory Trip Upon Turbine Trip
- II.K.3.30 - Revised Small-Break LOCA Methods to Show Compliance with 10 CFR 50, Appendix K
- II.K.3.31 - Plant Specific Calculation to Show Compliance with 10 CFR 50.46
- III.A.1.2 - Upgrade Licensee Emergency Support Facilities
- III.A.2.2 - Development of Guidance and Criteria
- III.D.1.1 - Primary Coolant Sources Outside the Containment Structure
- III.D.1.2 - Radioactive Gas Management
- III.D.1.3 - Ventilation System and Radioiodine Adsorber Criteria
- III.D.2.3 - Liquid Pathway Radiological Control
- III.D.3.1 - Radiation Protection Plans
- III.D.3.3 - In-Plant Radiation Monitoring
- III.D.3.4 - Control Room Habitability

ENCLOSURE 4

ENCLOSURE 4

PROPOSED FEDERAL REGISTER NOTICE

NUCLEAR REGULATORY COMMISSION

10 CFR PART 50

PENDING CONSTRUCTION PERMIT AND MANUFACTURING LICENSE APPLICATIONS

AGENCY: U. S. Nuclear Regulatory Commission

ACTION: Proposed Licensing Requirements for Construction Permits and
Manufacturing License

SUMMARY: The Nuclear Regulatory Commission is considering requirements to take into account in the design of pending construction permit (CP) and manufacturing license (ML) applications lessons learned in connection with the Commission's consideration of the TMI-2 accident. There are currently pending six CP applications for eleven plants and one ML application for eight floating nuclear plants. Staff review of these applications has been suspended since the TMI-2 accident on March 28, 1979 pending formulation of a licensing policy to appropriately reflect the lessons learned from the accident.

DATES: Comment period expires 45 days from the date of publication of this notice.

ADDRESSES: Written comments should be submitted to the Director of Nuclear Reactor Regulation, U. S. Nuclear Regulatory Commission, Washington, D. C. 20555.

FOR FURTHER INFORMATION CONTACT: Robert A. Purple, Deputy Director, Division of Licensing, Office of Nuclear Reactor Regulation, U. S. Nuclear Regulatory Commission, Washington, D. C. 20555, Phone (301) 492-7672.

SUPPLEMENTARY INFORMATION: Based upon its extensive review and consideration of the issues arising as a result of the Three Mile Island accident, the Commission recently approved the TMI Action Plan, NUREG 0660. The Commission noted that the Action Plan presents a sequence of actions. That will result in a gradually increasing improvement in safety as individual actions are completed and the initial immediate actions that were taken soon after the accident are replaced or supplemented by longer term improvements.

By Policy Statement dated June 16, 1980, the Commission identified (in NUREG 0694) the set of TMI-related requirements for new operating licenses that are necessary and sufficient for responding to the TMI-2 accident. The Commission further decided that current operating license applications should be measured against the regulations, as augmented by these requirements.

The staff is now developing a position with respect to the set of necessary and sufficient TMI-related requirements that should be applied in the review of applications for construction permits and manufacturing licenses for nuclear power plants. In developing this position, the staff considered three options:

1. Resume licensing using the pre-TMI CP requirements augmented by the applicable requirements identified in NUREG 0660.
2. Take no further action of the pending applications until the rulemaking actions described in the Action Plan have been completed.
3. Resume licensing using the pre-TMI CP requirements augmented by the the applicable requirements identified in NUREG 0660 and require certain additional measures or commitments in selected areas (e.g., those that will be the subject of rulemaking).

Option 1 would minimize the review and construction impact, thereby minimizing delays in reaching regulatory decisions for the planned facilities. The principal disadvantage of Option 1 is that it fails to take advantage of the fact that, since construction has not started, it would be relatively easy to provide design flexibility to implement potential significant safety improvements.

Option 2 would maximize the safety improvements but would result in extensive delays. The staff believes that the costs of such delays are not justified provided that design flexibility can be demonstrated.

The staff believes that Option 3 is a suitable compromise between the extremes of Option 1 and 2. This option will ensure that approved action items in the Action Plan are applied to the new CPs and will provide for early consideration of added safety measures that can be incorporated into the design without the need for inordinately costly backfit. By establishing a clear statement of requirements with respect to the issues to be determined by rulemaking, a degree of stability is introduced into the CP review process thereby allowing prospective applicants to make better-informed decisions.

In its review of the Action Plan the staff has identified four areas that they believe merit special attention. The following identifies these areas and describes the staff's present position with respect to the requirements that should be met by CP and ML applicants.

1. Siting

The Commission has already established a transition policy for CP applicants. CP applicants would be asked to compare their sites with the recommendations of NUREG 0625, as modified by the NRC's Office of Policy Evaluation and Advisory Committee on Reactor Safeguards. At such time as the proposed rule on siting is issued for comment

(scheduled for October 1980), CP applications would be assessed against the criteria contained in the proposed rule and any needed additional requirements will be proposed by the staff.

2. Degraded Core Rulemaking

CP and ML applicants would describe the degree to which their designs conform to the proposed interim rule. Applicants would also provide reasonable assurance, to the extent practicable and taking into account the present state-of-the-art in this technology that issuance of CPs and MLs will not foreclose or preclude the modification of the facilities to accommodate potential requirements that may result from the rulemaking proceedings. These potential requirements include such features as filtered vented containment, molten core retention, and hydrogen control systems. Special attention would be given to those facility designs with small containment volumes, i.e., ice condenser and Mark III containment design.

Prior to issuance of the CP or ML, applicants would be required to submit their evaluation of the additional features, both preventive and mitigative, they propose to include at their facilities that have the potential for significant risk reduction.

3. Reliability Engineering

CP and ML applicants would perform simplified system reliability analyses for the following systems: subcriticality systems, emergency feedwater systems (PWRs), reactor core isolation cooling system, (BWRs), ECCS injection and recirculation systems, shutdown cooling system, containment cooling and spray systems, safety features actuating systems, and auxiliary systems upon which these depend (alternating and direct current, compressed air, essential service water or cooling systems, and heating, ventilating and air conditioning systems). These analyses would use event-tree and fault-tree logic techniques to identify design weaknesses and possible system

modifications that would be made to improve the capability and reliability of the above systems under various transient and LOCA events. Particular emphasis would be given to determining potential failures that could result from human errors, common causes, single point vulnerabilities, and test and maintenance outages.

CP and ML applicants should provide sufficient information to describe the nature of the studies, how they are to be conducted, the completion dates, and the program to assure that the results of such studies are factored into the final designs.

4. Emergency Preparedness

NTCP applicants would submit, prior to the issuance of construction permits, a discussion of their preliminary plan for coping with emergencies addressing the amended rule (Appendix E to 10 CFR Part 50) as it applies to construction permit applications. Sufficient detail would be presented to provide reasonable assurance that the requirements will be implemented properly.

The remaining Action Plan items that the staff has determined to be applicable to the pending CP and ML applications are set forth in NUREG _____ which also sets forth the required commitment or design information necessary to permit completion of the safety reviews. As Action Plan Decision Group C items become approved by the Commission, they would be added as requirements for CP and ML applicants.

Public comments are requested with respect to: (1) the four areas identified above for special consideration; and (2) the requirements identified in NUREG _____. Following receipt of public comments, the staff will finalize its position and present appropriate recommendations for Commission consideration.