

OFFICIAL TRANSCRIPT OF PROCEEDINGS

Agency: Nuclear Regulatory Commission

Title: Public Workshop on Technical and Policy
Considerations for Nuclear Power Plant
License Renewal

Docket No. SESSION 1

LOCATION: Reston, Virginia

DATE: Monday, November 13, 1989

PAGES: 1 - 90

ANN RILEY & ASSOCIATES, LTD.

1612 K St. N.W., Suite 300
Washington, D.C. 20006
(202) 293-3950

*DF03
0/1*

1 UNITED STATES OF AMERICA

2 NUCLEAR REGULATORY COMMISSION

3 - - - - -

4
5 PUBLIC WORKSHOP

6 ON

7 TECHNICAL AND POLICY CONSIDERATIONS

8 FOR

9 NUCLEAR POWER PLANT LICENSE RENEWAL

10 - - - - -

11
12 Session 1

13
14 - - - - -
15 Sheraton Resort Hotel

16 Conference Rooms A, B and C

17 11810 Sunrise Valley Drive

18 Reston, Virginia

19
20 - - - - -

21 Monday, November 13, 1989

22 8:30 o'clock a.m.

23 - - - - -
24
25

SPEAKERS AND SESSION LEADERS
WORKSHOP ON LICENSE RENEWAL

Office of Nuclear Regulatory Research:

- Eric S. Beckjord, Director
- Themis P. Speis, Deputy Director for Generic Issues
- Lawrence C. Shao, Director, Division of Engineering
- Robert J. Bosnak, Deputy Director, Division of Engineering
- Milton Vagins, Chief, Electrical and Mechanical Engineering Branch, Division of Engineering
- Mark A. Cunningham, Chief, Probabilistic Risk Analysis Branch, Division of Systems Research
- Donald P. Cleary, Senior Task Manager, Reactor and Plant Safety Issues Branch, Division of Safety Issue Resolution

Office of Nuclear Reactor Regulation:

- James H. Sniezek, Deputy Director
- Frank P. Gillespie, Director, Program Management, Policy Development and Analysis Staff
- James E. Richardson, Director, Division of Engineering Technology

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Ashok C. Thadani, Director, Division of
System Technology

Jarad S. Wermiel, Section Leader, Plant
Systems Branch, Division of System
Technology

Office of the General Counsel:

Lawrence J. Chandler, Assistant General
Counsel for Hearings and Enforcement

1 PARTICIPANTS:

2 Patricia Abel, MITRE
3 Mostaf Aboul-Fetouh, Entergy
4 Robert Allen, TENERA
5 Charles Allison, National Board Boiler
6 Michael Aycock, Tenera LP
7 Tim Bailey, Northern States Power
8 Kenneth Baron, A.S.M.E. - M/S 8F
9 Randall Beaty, SEA
10 James Bebko, Niagara Mohawk Power
11 Greg Bell, BG&E
12 Vicki Bier, Pickard, Lowe & Garr
13 Lyle Black, III Department of Nuclear Safety
14 John Blomgren, Commonwealth Edison
15 David Boone, Fluor Daniel
16 Robert Borsun, BVW Nuclear Services
17 David Breckinridge, Combustion Engineering
18 Charles Brinkman, Combustion Engineering
19 Gregory Brown, Stone & Webster Engineering
20 Hugh Bundy, Sandia National Lab
21 Richard Burke, EPRI
22 Sol Burstein, ASME
23 Ma Campagnone Oharr, Grove Engineering
24 Johnnie B. Cannon, Oak Ridge National Lab
25 John Carey, EPRI

1 PARTICIPANTS: [continued]

2 Julie Carl, Duquesne Light
3 David Carlson, Sandia National Lab
4 Sam Carnes, Oak Ridge National Lab
5 Jeff Cehlhar, Northern States Power
6 James Chapman, Yankee Atomic
7 James Chardos, GPU Nuclear
8 Cedric Child, Yankee Atomic Electric
9 J. A. Christensen, PNL
10 Ron Chrzanowski, Commonwealth Edison
11 Bruce Churchill, Shaw, Pittman
12 Matt Cinadr, NYSESC
13 John E. Cole, Jr., Duke Power Co.
14 Lynn Connor, NRC Calendar
15 Bob Copeland, Advanced Nuclear Fuels
16 William Corwin, ORNL
17 Barton Z. Cowan, Eckert Seamans
18 Kurt Cozens, NUMARC
19 D. Sly Craig, BG&E
20 Richard Crowe, General Physics Corp
21 Lillian Cuoco, TVA
22 Robert Cutler, MITRE Corp W-745
23 Arthur Deardorff, Structural Integrity
24 John DeMastny, Florida Power & Light
25 John De Vincentis, Yankee Atomic (NUMARC)

1 PARTICIPANTS: [continued]

2 Roger Diedrich, USDOE

3 David J. Distel, GPUN Corp

4 Gerald Doney, Combustion Engineering

5 Rhonda Doney, Combustion Engineering

6 Alton Donnell, Jr., ERC

7 Barth Doroshuk, Baltimore Gas & Electric

8 Arthur DuCharme, Sandia National Labs

9 James Dukelow, Jr., Battelle PNL

10 Clay Easterly, Oak Ridge National Lab

11 Donald Edwards, Yankee Atomic Electric

12 David Eissenberg, Oak Ridge National Lab

13 Robert Evans, Grove Engineering

14 David Feldman, Oak Ridge National Lab

15 Frances Feng, Niagara Mohawk Power

16 Michael Fletcher, CFA Inc

17 Herbert Fontecilla, VA Power

18 Ben Franklin, McGraw Hill Publications

19 Walter Galbreath, Duke Power Co.

20 John Galembush, Westinghouse

21 Joseph Gallo, Hopkins & Sutter

22 John Gardner, Consultant

23 Douglas Gaynor, Consolidated Edison

24 John Giddens, Sn Company Svcs

25 Jacquelin Gilchrist, Northern States Power

1 PARTICIPANTS: [continued]

2 Robert Cill, Duke Power

3 Glenn CADA, Oak Ridge National Lab

4 Dan Glessing, Department of Energy

5 Jane Grant, Yankee Atomic Electric

6 Willard Grant, MPR Assoc., Inc.

7 Edward Griffing, NUMARC

8 Eric Hale, Serch/Bechtel

9 Denni Harrison, DOE

10 John Haseltine, Yankee Atomic Electric

11 Peter Hedgecock, Nutech Engineers

12 Patricia Herowy, NUMARC

13 James Higgins, MPR Associates, Inc.

14 William D. Hinkle, Yankee Atomic

15 David R. Hostetler, Grove Engr

16 Neill Howey, III Dept Nuclear

17 Marguerit Hrebenach, SW Research Institute

18 Allen Hughes, MITRE

19 A. Johnso, Battelle-PNL

20 Peter Jordan, NUS Corp.

21 Lula Joseph, Fluor Daniel

22 Andrew Kadar, Yankee Atomic

23 Kathryn M. Kalowsky, Hopkins & Sutter

24 Roy Karimi, SAIC

25 S. Karimian, PSE&G

1 PARTICIPANTS: [continued]

2 Leonard Katz, Westinghouse

3 Mark Kaushansky, Westinghouse

4 Robert E. Keen, Combustion Engineering

5 Charles Krause, Wisconsin Electric Power

6 Roger Kroodsma, Martin Marietta

7 Tim LaHann, Impeli Corp

8 Edgar Landerman, Consultant

9 Melvin Lapidés, EPRI

10 Thomas M. Law, EPRI

11 Richard Lee, Oak Ridge National Lab

12 Daniel Lehnert, Multiple Dynamics Co

13 Marvin Lewis, Lewis Engineering Co.

14 Daisy Ligon, MITRE Corp

15 James Loar, Martin Marietta

16 Robert Locke, GPU Nuclear Corp

17 Lowell Magleby, INEL

18 Herb Massie, Westinghouse

19 Robert McCoy, Yankee Atomic Electric

20 Joseph McCumber, Yankee Atomics Electric

21 David McGoff, DOE

22 Raymond McNamara, Penn Power & Light Co

23 Daniel Muller, Consultant

24 Robert Murillo, Louisiana Power & Light

25 Timothy G. Murray, Combustion Engineering

1 PARTICIPANTS: [continued]

2 Robert Nickell, Electric Power Research
3 Yoshihiro Noguchi, Chubu Electric Power Co
4 John Nyquist, Detroit Edison
5 Bill O'Donnell, O'Donnell & Assoc.
6 Wayne Pavinich, TENERA
7 Susan Peleschak, Commonwealth of Pennsylvania
8 Thomas Penland, Bishop, Cook
9 James Perrin, Public Service Electric
10 Jill Peterson, Sidley & Austin
11 Terry Pickens, Northern States Power
12 Bob Pikul, MITRE
13 Carl Pro, Westinghouse NatD
14 Randal Pudelek, Martin Marietta
15 Claude Pugh, Oak Ridge National Lab
16 William Rasin, NUMARC
17 Michael Ray, TVA
18 Jan Renfro, Bechtel
19 Throdore Reuther, DOE
20 Jeffrey Riback, Consolidated Edison
21 James P. Riccio, Nuclear Information
22 April Rice, South Carolina Electric
23 John Richmond, Wisconsin Public
24 Robert K. Rodibaugh, Westinghouse
25 Ross F. Rogers, TVA

1 PARTICIPANTS: [continued]

2 William Roman, SAIC

3 Stan Rosinski, Sandia National Lab

4 Lewis S. Rowell, Carolina Power & Light

5 Richard M. Rush, ORNL

6 Christian Sanna, American Society of

7 William Schmidt, MPR Associates

8 Michael Schoppman, Florida Power & Light

9 Richard E. Schwirian, Westinghouse

10 Frank Sciacca, Science & Engineering

11 Gautam Sen, Arizona Public Service

12 Vik Shah, INEL

13 Robert Shelton, Oak Ridge National Lab

14 William Sherman, State of Vermont

15 Jay Silberg, Shaw Pittman Potts

16 George Sliter, EPRI

17 Richard Smedley, Consumers Power Co

18 Barry Smith, STS, Inc.

19 Gerald Smith, Duke Power

20 Peter Smith, Toledo Edison

21 Wade Smith, The Mitre Corp

22 John H. Snooks, Yankee Atomic

23 Bruce Snow, Rochester Gas & Electric

24 Peter Stancavage, General Electric

25 Jeffrey A. Statton, Bechtel Power Corp

1 PARTICIPANTS: [continued]

2 Deborah Staudinger, Toledo Edison

3 Elwood Stroupe, Enercon Services

4 William Szymczak, Yankee Atomic Electric

5 Charles Tally, Babcock & Wilcox

6 John Taylor, Brookhaven National Lab

7 Karl Toth, American Electric Power

8 Thomas Tracy, Stevenson & Assoc.

9 Spyros Traiforos, SAT Consultant, Inc.

10 William Vessely, SAIC

11 John Vorderbrueggen, General Physics Corp

12 Robert Walker, Grove Engineering

13 Douglas, Walters, Pennsylvania Power & Light

14 Patrick Ward, Grove Engineering

15 Frank Weigand, Ernst & Young

16 John L. White, TU Electric

17 Robert A. Wiesemann, Westinghouse NATD

18 Andrew J. Wolford, EG&G Idaho INEL

19 Denise Wolniak, Niagara Mohawk

20 Terry Woods, TVA-Nuclear Power

21 Gilbert Ziglar, Science & Engineering

22 Ray Zogran, MPR Associates

23

24

25

P R O C E E D I N G S

1
2 MR. BECKJORD: My name is Eric Beckjord. I'm
3 director of the office of research in the Nuclear Regulatory
4 Commission and I want to wish you good morning, ladies and
5 gentlemen, and welcome to the NRC's public workshop on nuclear
6 power plant license renewal.

7 The purpose of the workshop is to elicit public views
8 on technical and policy considerations for nuclear power plant
9 license renewal.

10 I appreciate your interest in this meeting and I look
11 forward to the discussions and to obtaining your comments.

12 Extending the life of nuclear power plants beyond the
13 current 40-year license is a large and obvious economic benefit
14 for rate payers and for producers provided the entire operation
15 can be done safely.

16 Nuclear power, as you know, produces about 18 percent
17 of the kilowatt hours in this country and the net benefit of
18 extending plant life for 20 years is estimated to be about a
19 billion dollars per plant on the average so that's a very
20 important consideration.

21 The licenses of currently operating reactors begin to
22 expire about in the year 2000 and it's important now to
23 establish the terms and conditions for license renewal between
24 now and 1993 and 1994 to have the whole job done.

25 NRC has been working on license renewal for several

1 years and has actively sought public participation in the
2 process. On two previous occasions we have solicited public
3 comments through the Federal Register.

4 The first of these on seven major license renewal
5 issues was published in November of 1986. The second
6 solicitation was part of an advance notice of proposed
7 rulemaking published on the 29th of August of 1988.

8 The advance notice requested comments on Nureg 1317
9 entitled Regulatory Options for Nuclear Power Plant License
10 Renewal. We received over 50 responses to that request and for
11 those who are interested in reviewing these responses a summary
12 and analysis are presented in Nureg Contractor Report 5532. I
13 assume that's available or we can make it available to you.

14 The process of obtaining public input as the
15 Commission develops its plans for license renewal is continuing
16 with this workshop. I'll briefly review the agenda.

17 We have arranged the agenda to obtain views on the
18 technical and policy issues involved in license renewal. We
19 request your views on what we should address in the rule and
20 what we should include in regulatory guides to support the
21 proposed rulemaking.

22 This morning's plenary session will open with the
23 staff's presentation of regulatory philosophy and the approach
24 for license renewal. This will provide an overview of the
25 basis for developing technical, policy and legal positions

1 regarding a license renewal rule and the regulatory guides to
2 support the rule.

3 Following this presentation, we have posed a series
4 of questions in the material that you have received as a guide
5 to the presentation of comments. In this session we will
6 describe the conceptual rule as presented in the Federal
7 Register notice.

8 This morning the intent is to give an overview of the
9 material and there will be an opportunity to go into more
10 detail in the concurrent sessions to be held this afternoon and
11 tomorrow morning.

12 This afternoon's session will consist of four
13 concurrent meetings with the topics of reactor pressure
14 boundary, fluid and mechanical systems, straining systems
15 structures and components important to safety and a
16 continuation of session one.

17 The staff will make a very short introduction at the
18 start of each session which will be guided by the series of
19 questions for that session which is in your handout and then
20 followed by comments by parties who have previously notified
21 the Commission of their intent to make a statement. Additional
22 comments will be received by the session chairman as time
23 permits.

24 Tomorrow morning's sessions will consist of three
25 concurrent sessions with the topics of containment, electrical

1 systems and environmental effects and it will be conducted in
2 the same way.

3 Tomorrow afternoon a summary session will be held
4 with all participants. Each chairman of the individual
5 sessions will present a brief summary of his session. This
6 will enable all participants to get an overview of the entire
7 workshop. This will be followed by a general session for
8 comments and conclusions.

9 For your information, a verbatim transcript will be
10 taker of all sessions and it will be available about at the end
11 of this week. The address to write is Ann Riley and
12 Associates, 1612 K Street N. W., Suite 300, Washington, D.C.,
13 and there has to be a zip on there. I guess it's 006.

14 For the benefit of you who may not be familiar with
15 the NRC's program on aging research, I would like to say a few
16 words about it because it's an important contributor to license
17 renewal.

18 For a number of years NRC has been carrying out a
19 program of aging research. Much of this effort can be directly
20 applied to assuring the continued safety of operating nuclear
21 plants for which extended licenses may be granted.

22 The principal concern of the aging research is that
23 plant safety could be compromised if the degradation of key
24 components or structures and the effects of such degradation on
25 system operation were not detected and mitigated well before a

1 loss of functional capability.

2 The technical safety issue here is that age-related
3 degradation could result in a reduction in defense in depth.

4 An example would be pumps in parallel trains where
5 some aging mechanism could cause the possibility of undetected
6 failure in this redundant system and then the result of that
7 could obviously be that more than one safety system might be
8 unavailable when it was needed.

9 So the NRC aging research effort is directed toward
10 gaining an understanding of degradation processes within
11 nuclear power plants. This is a hardware-oriented engineering
12 program. It's a rigorous and systematic investigation into
13 potentially adverse effects of aging on 30 or more plant
14 components, systems and structures during the period of normal
15 licensed plant operation, as well as the potential period of
16 extended life for license renewals beyond 40 years.

17 The emphasis is on identifying and characterizing the
18 mechanisms of material and component degradation during service
19 and on using research results in the regulatory process.

20 The research includes evaluating methods of
21 inspection, surveillance, condition monitoring and maintenance
22 as a means of managing aging effects that may impact safe plant
23 operations.

24 The specific goals of the program are the following
25 three: To identify and characterize aging effects that could

1 cause degradation of components, systems or structures.

2 To identify methods of inspection, surveillance and
3 monitoring and to evaluate residual life of components, systems
4 and structures that will ensure timely protection of
5 significant aging effects before loss of safety function.

6 To evaluate the effectiveness of storage,
7 maintenance, repair and replacement practices in mitigating the
8 rate and the extent of degradation caused by aging.

9 Those are the objectives. I expect the results of
10 this program will be reflected in the sessions to be held
11 during the workshop.

12 Additional information on the aging research programs
13 can be obtained in the proceedings of the 17th Water Reactor
14 Safety Information Meeting which was held toward the end of
15 October and the proceedings of that are available. If you
16 would like a copy and don't have one, let us know.

17 There is a great deal of information also available
18 in other publications of the Nuclear Plant Aging Research
19 Program.

20 Returning to the agenda, I look forward to a
21 stimulating meeting and dialogue and to a productive two days.
22 I want to emphasize that license renewal is one of the top
23 priority Nuclear Regulatory Commission programs and it will
24 receive all the attention needed to get the NRC's part of the
25 job done.

1 I also want to stress the importance that we place on
2 your input to the process leading to a license renewal rule.
3 We intend to do this job right the first time and you can help
4 us do just that.

5 I appreciate the opportunity to open this important
6 workshop. Thank you.

7 We will hear next from Mr. Sniezek.

8 MR. SNIEZEK: Good morning. Thank you, Eric.

9 Good morning, ladies and gentlemen. My name is Jim
10 Sniezek. I'm the Deputy Director, Office of Nuclear Reaction
11 Regulation.

12 I'm pleased to see the good turnout this morning at
13 this most important workshop. As Eric mentioned, the first
14 license will expire the year 2000 and about 43 percent of the
15 current licenses will expire by the year 2010. As you can
16 see, we have no time to waste. We have to get a license
17 renewal program in place because we recognize that a utility
18 needs 12- to 15-year lead time for planning purposes so, even
19 though the licenses aren't expiring tomorrow, for all practical
20 purposes they are.

21 Today and tomorrow you will hear from representatives
22 of the Office of Research, Office of Nuclear Regulation and the
23 Office of General Counsel who will be able to respond to your
24 questions and receive the comments and concerns you have
25 regarding the approach we may be taking.

1 I will be talking about setting the stage for the
2 future discussions today and tomorrow. The four basic topics I
3 will touch on are the purpose of the workshop, briefly on the
4 background and the history of our effort to date, the
5 regulatory philosophy -- I should say the staff's regulatory
6 philosophy regarding the license renewal process and the
7 program plan for license renewal to ensure we can get the
8 process in place promptly.

9 What are we doing here today. We want to inform the
10 industry and the public of the staff concept for license
11 renewal. We want to make sure that you walk away with a good
12 understanding of the approach the staff intends to take.

13 I think it's important for you to realize also that
14 the Commission has not yet endorsed the staff approach. They
15 are awaiting the results of this workshop before they decide
16 whether or not the staff approach is the correct approach for
17 license renewal.

18 We need to obtain feedback on the technical and
19 policy issues which we will discuss today. Based on the
20 feedback we receive from you, we may change our approach in
21 various areas so it's important that you question and you
22 comment.

23 We have provided you a framework of the regulatory
24 language. You should understand that this is the initial
25 attempt to place the staff philosophy and concepts in

1 regulatory language

2 It's important for us to get feedback on whether or
3 not this regulatory language captures the philosophy and
4 concepts that we will be talking about today.

5 We also need to determine whether we have missed some
6 important issues, important issues from a safety standpoint,
7 important issues from a process standpoint, so we will need
8 your comments especially in that area.

9 Eric talked quite a bit about the background so I'm
10 going to pass over it quite quickly.

11 As you can see from the slide, we haven't just
12 started this process. It's been in existence for three or four
13 years and I'm sure various portions of the industry have been
14 thinking about it for a lot longer time than that.

15 From the work we've done so far, we've progressed to
16 the point where initially we were going to issue a policy
17 statement followed by a rule to where we are now we are ready
18 to go into a proposed rulemaking stage.

19 The staff has identified three major policy issues
20 which must be addressed by the Commission prior to issuance of
21 a proposed rule: The license renewal basis and scope, severe
22 accident treatment and environmental impact treatment.

23 The staff has reached a preliminary position in each
24 of these major areas. They will be discussed in depth during
25 this two-day workshop. I will now highlight the general staff

1 approach in each of these areas.

2 I should remark at this time that I have the easy
3 job. What I'm doing, I'm setting up the rest of the speakers
4 for a lot of detailed questions.

5 The license renewal philosophy. That's probably the
6 most important aspect of this whole workshop. What is it and
7 how will it be implemented?

8 There are two fundamental precepts from which
9 implementation should flow. The first is that the current
10 licensing basis is sufficient for adequate protection of public
11 health and safety.

12 The key words here are current licensing basis. It's
13 defined in the regulatory language in Section XX3A and will be
14 the subject of quite a bit of follow-on discussion.

15 The second basic principle is that we intend to
16 maintain the current level of plant safety during the extended
17 plant life. What does that mean? It means that the plant will
18 be as safe at year 60 as it is at year 39 as it is at year
19 five.

20 We do not intend to let safety degrade. On the other
21 hand, the license renewal process will not call for an enhanced
22 level of plant safety. We expect the same level of safety at
23 year 60 as year 39.

24 What's the approach for maintaining the current level
25 of plant safety? First, ensure that the systems, structures

1 and components important to safety will perform their intended
2 function.

3 I used the term "important to safety" -- systems,
4 structures and components important to safety. That's defined
5 in the proposed regulatory language, Section XX3C.

6 It's also important to mention that this term
7 structures, systems and components important to safety only
8 applies to the license renewal process. There is no intended
9 further regulatory application of that term as defined in this
10 regulatory language.

11 We need to focus attention on the managing of age-
12 related degradation unique to extended life. The key word here
13 is "unique," unique to extended life. That means that we
14 intend to focus our attention on those degradation mechanisms
15 that are specifically applicable during the years 40 through
16 60.

17 If there are other degradation mechanisms that are
18 applicable during the years one through 40, we should be
19 applying those now so the key is those degradation mechanisms
20 unique to life extension.

21 We intend to take credit and you may take credit for
22 ongoing regulatory and utility programs. What does that mean?
23 That means in controlling degradation, in monitoring
24 degradation, in responding to potential degradation that the
25 existing programs you have in place and that we have in place

1 may be sufficient in some cases.

2 We do not intend to do a completely de novo review
3 for the license renewal application. For example, the
4 emergency preparedness program in place today should be
5 adequate for license renewal. The QA program in place today
6 should be adequate for license renewal. Your technical
7 specifications in place today should cover many of the areas
8 important to license renewal. The same way with your IST
9 program, your ISI program, fire protection program.

10 There is an area that when we did our initial work to
11 look at the technical issues that we identified as needing more
12 attention and we saw that as greater attention in the
13 maintenance area of the plant, what processes are in place to
14 really detect degradation and to correct it before it has a
15 negative impact on the safety of plant operations.

16 We intend to use to the extent possible the industry
17 technical studies, the studies under the auspices of NUMARC for
18 resolution of issues on a generic basis.

19 We envision that the NUMARC topical report, NUMARC
20 studies technical reports will be treated as topical reports
21 and SERs will be issued. Once the staff would write an SER on
22 a NUMARC technical report it means it's there to be referenced
23 by the licensee and that should complete the licensee's
24 required submittal in that area unless they have plant unique
25 features that go beyond the NUMARC technical report.

1 Eric gave a brief rundown on the research program in
2 the area of aging. We would intend to use the research program
3 findings for development of NRC acceptance criteria as a
4 guidance which the NRC will be issuing in the license renewal
5 process.

6 The focus of that, of course, is on age-related
7 degradation, especially the degradation unique to license
8 renewal.

9 Severe accidents, the second issue that the
10 Commission must address before it issues the proposed rule.

11 The staff concept is that the severe accident issues
12 will be resolved under the terms of the current license. That
13 means that prior to submittal of the license renewal
14 application, we would expect to see the IPE conducted and
15 submitted to the staff, the results submitted to the staff. We
16 would expect to see the accident management program in place.
17 Any corrective actions identified by the utility as a result of
18 the IPE program would be identified to the staff and agreed to
19 by the staff and the NRC would have approved schedules for
20 corrective actions for those actions that had not been
21 completed by the time of the application submittal.

22 The third major area that has to be addressed by the
23 Commission is the treatment of the environmental impacts in
24 compliance with NEPA.

25 First off, for the rulemaking that we're about now,

1 addressing the technical and procedure requirements for license
2 renewal, we would at a minimum have to issue an environmental
3 assessment.

4 For the actual relicensing of the plants, we would
5 need to either have an environmental assessment or
6 environmental impact statement. It's not clear yet which was
7 we'll be going.

8 Our intent is to handle as many issues as possible
9 under NEPA in a generic manner. We may be able to do that in
10 the environmental assessment or we may be required to have a
11 generic environmental impact statement but the intent is to
12 handle as many issues as we possibly can in a generic manner.

13 Regarding the plant licensing, we will need a plant
14 specific environmental report as a supplement to the existing
15 environmental report. We would envision that that
16 environmental report would only have to address changes to the
17 existing environmental report and items outside the scope of
18 the generic environmental impact statement or the generic
19 environmental assessment, whichever way we go.

20 The license renewal program plan. It's got five key
21 aspects and all of them need to come together if the program is
22 to be successful and implemented in a timely manner.

23 Both the NRC and the industry have a lot to do. We
24 need the rulemaking. We need the generic treatment of the NEPA
25 issues. We have to develop the regulatory guidance in the form

1 of reg guides, standard review plans or potentially SERs on
2 industry technical reports.

3 We need the industry under the leadership of NUMARC
4 to develop the technical reports. An example of a very
5 important technical report would be a report on the acceptable
6 screening criteria, what criteria will the industry use to
7 determine what is in and what is out of the license renewal
8 program.

9 Then of course we have the lead plant program. We're
10 on a very tight schedule. It's quite ambitious but it's doable
11 if we all do our role. We expect by June of next year to
12 publish the proposed rule for comment and this is where this
13 workshop is so important, to get the feedback from you, the
14 industry and the public, whether or not you believe we are
15 going in the right direction, what issues need to be addressed
16 that we haven't thought of yet.

17 By December of next year we expect to publish the
18 proposed key regulatory guides, standard review plan sections
19 and the generic environmental assessment or generic
20 environmental impact statement.

21 June of '91 we expect the first lead plant
22 application followed by the next year, in April of '92,
23 publishing the final rule, the key reg guides and when we talk
24 about key reg guides we're thinking of such things as the
25 format and content of the application and potentially

1 acceptable screening criteria but that may be an SER if NUMARC
2 develops a technical report on that issue.

3 We expect to have the standard review plans in place
4 and the final generic environmental treatment. We would like
5 to have everything in place at one time so that we the staff
6 and you the industry will know the total scope and depth of the
7 task in front of us. We don't want to come up piecemeal with
8 the key documents.

9 There may be some additional regulatory guidance in
10 the less important areas that would come out about a year
11 later, a year after the publication of final rule and the key
12 regulatory guidance.

13 We also expect to be in a position in June of 1993,
14 assuming the June 1991 schedule holds, of issuing the SER on
15 the first pilot plant.

16 With those tasks behind us, by June 1993 you would
17 understand the full scope and depth of the process for license
18 renewal and then we believe it could proceed in a very orderly
19 fashion for which other plants elected to come in for license
20 renewal.

21 That concludes the overview remarks that I wanted to
22 make. At this time I would turn the meeting over to Frank
23 Gillespie, who with the help of some other individuals will be
24 discussing in more detail the regulatory approach and concept.

25 MR. GILLESPIE: I'm going to duplicate a lot of the

1 information that Jim went through. What I would like to do is
2 go through a presentation of the content of the rule as we have
3 it conceptualized and what you saw in the Federal Register
4 notice.

5 I will not go through the lengthy questions. People
6 who preregistered in the mail got a question package of the
7 types of questions that we're very, very interested in having
8 answers to. Session one has a very lengthy set of questions.
9 We are deliberately going to overflow into session five, which
10 is a smaller sessions, to give people a chance to talk to us
11 more in a smaller setting, but also to touch on one of two key
12 elements to the whole procedure and that's maintenance,
13 maintenance trending, record keeping, testing, surveillance, so
14 this afternoon in session five we want to start getting into
15 that because the rule itself, as you probably read it, didn't
16 have a lot of meat in there.

17 As Eric said, one of the major things we would like
18 very much to get out of here today and tomorrow is an idea of
19 how much information should be in the rule and how specific it
20 should be and how much should be in guidance and where do we
21 draw the line.

22 We've drawn the line in maintenance and screening at
23 one point in here and there are several points of view. One is
24 to put the details in the regulatory guide, put the details in
25 an SER approving an industry approved topical report.

1 Another is put some of that in a rule. We've put it
2 in a rule, it's clear and hopefully everyone understands it and
3 you know what the rules are and we know what the rules are. A
4 guide, though, is easier to change as technology changes, so
5 something we really could use some input on is how much do you
6 want to see in the rule and how much should we have in the
7 guide.

8 Important timing. Jim put up a schedule with our
9 milestones. It is a very ambitious schedule but in the process
10 we're going through it's important also if we're successful in
11 coming out a proposed rule is getting the industry on an
12 ambitious schedule also and not just the plants.

13 As you can see, we've got some momentum up. We're
14 working on a rule now to get it out. We're working on
15 guidance. We're reviewing industry technical reports.

16 If we have two pilot plants come in and then have a
17 five- or six-year lull, we very well could find ourselves doing
18 this all over again so it's reasonably important to us
19 organizationally and in a way of continuity to get on with the
20 process that's well defined, well understood, to encourage
21 people who are going to take advantage of it to cue up early.
22 Otherwise, we're all going to be left in the lurch with a
23 certain high level of uncertainty.

24 Let me go on to the rule itself. I tend to go
25 through the rule fairly quickly and then to take about a half

1 an hour to answer questions. This is not for the statements
2 people who were preregistered we're going to allow them to
3 make, but to answer questions on the intent of what you read.

4 It's important that the articulation in the rule be
5 understood by both you and us the same way and if we have a
6 different understanding of what we wrote than you did when you
7 read it, it's important for us to understand your comments to
8 have it in that context.

9 I'm going to go through all the major pieces of the
10 rule. Several questions which are not addressed in the rule
11 right now which we really do need some feedback on.

12 Renewal philosophy Jim just covered. Licensing basis
13 is fairly all-inclusive in what we have written right now. It
14 includes the entire docket.

15 Severe accidents. I'll raise a question we
16 internally have on the specific wording.

17 Content of the application, this is very important.
18 This could be too much for us to handle or so little that we
19 have to ask a lot of questions. Content of the application and
20 the philosophy of the whole process and in the rule you read,
21 there is a built-in screening process within the rule which
22 basically says evaluate your systems, come up with your systems
23 that are important to safety, within those systems identify the
24 components which allow that system to continue to function.
25 You can screen out the ones that are not necessary.

1 Within those components identify based on their
2 characteristics, material properties and their environment,
3 what degradation mechanisms would be taking place, what would
4 that component be seeing as far as degradation.

5 Then you could look to current ongoing programs and
6 say that program, that surveillance, that inspection, that
7 operational test is done frequent enough to catch a flaw, to
8 catch that degradation mechanism before failure and it is
9 appropriate to that degradation mechanism then no further
10 action should be necessary on that component.

11 On components where it is not currently in a program
12 or where the frequency or test is inappropriate, we expect that
13 it will either be added into the maintenance program, it will
14 be assigned a life, something extra will be done with it and
15 that's one of the things we want to get into very deeply in
16 session five this afternoon, what are the various options that
17 you see being done with it, could we expect the topical report
18 on something like that, can items be classed.

19 This is the information that we'll draw very heavily
20 on the research program and the insights on degradation versus
21 various classes of components and structures.

22 Standards for issuance. Standards for issuance are
23 in the rule and a question came up about a week ago and I was
24 asked to please explain as best I can the difference between a
25 standard and a prerequisite.

1 The standards for issuance I'll go over are those
2 measures, those topics against which a license will be
3 measured. If you fit the standards then we would issue a
4 license.

5 A prerequisite and the most notable prerequisite I
6 think in what we have written is severe accidents. Severe
7 accidents, completion of the IPE process before submission is a
8 prerequisite. It is not a standard against issuance of a
9 renewal license would be measured.

10 There are a number of prerequisites in the rule
11 itself that you see but are not reflected in the standards.
12 Our intent there was that the standards are the only thing that
13 we would see going into a litigation process if there was going
14 to be a hearing on a renewal license so the standards become
15 very, very important to focus on.

16 Are they the right standards? Are they all-inclusive
17 enough or are the too inclusive.

18 Backfit considerations. This has had any number of
19 people even on the staff who have read the rule came away with
20 a question mark and wanted to explain what they thought they
21 read and they were right.

22 Backfit does not apply to this rule as it's written.
23 This rule is on the issuance of a license. Backfit applies to
24 the existing license and once this license is issued backfit
25 then applies to this issued license.

1 Now to clear up any ambiguity, we propose a change to
2 5109 to make sure that that was clear and I think I said it
3 clearly enough people can understand it. We had a problem in
4 the articulation. It seems when people read this they didn't
5 understand that there's a void in this rule itself.

6 There will be additional requirements that come out
7 of this rule. There will be additional commitments. We all
8 know there are components out there that are going to have
9 extra things done to them. Those extra things to make up for
10 time related degradation would not be considered under the
11 backfit rule but once the issue is licensed 5109 is again in
12 effect.

13 Hearings. The hearing process you'll find is
14 generally absent from discussion because we feel that we'll be
15 going with the current hearing process. There are people who
16 have suggested other processes and Larry Chandler is here from
17 the Office of General Counsel and he'll be ready to take
18 questions and field comments on the hearing process.

19 Maintenance and records. Again maintenance and
20 records are very important. How it's going to be done, when
21 it's going to be done. How much data in advance should you be
22 collecting right now?

23 The two pilot plants which we've met with, they have
24 programs in place to collect data from surveillances that were
25 done, measurements were taken but measurements weren't recorded

1 but now they see that there's a fruitful body of information
2 there that by recording the measurements in order to use trend
3 analysis to justify component life versus just a go-no-go test.

4 We'll leave the details of maintenance for this
5 afternoon.

6 License renewal philosophy. The current basis is
7 sufficient for adequate protection of the public health and
8 safety and we're trying to maintain the current level of plant
9 safety during the extended plant life.

10 Everyone thinks of this concept differently. I'll
11 give you my thoughts since I've got the microphone.

12 If I had a line with a slope that went from the day
13 that plant started to 40 years and at 40 years all of that
14 design margin was conceivably used up and you throw the plant
15 away. The slope is now less. You're taking that dot at 40
16 years and you've moving it out to 60 years on the scale so that
17 the last day the plant operates with a 60-year life it should
18 be in the same condition as the last day it operates with a 40-
19 year life.

20 That conceptually is how I see this thing in my mind
21 and I think most of the people that worked on it see it that
22 way. Similar to what Jim said, at 39 years and at 60 years it
23 should be in the same condition.

24 Licensing basis. Establish the envelope of
25 regulatory compliance and enforcement for the renewal term.

1 Our licensing basis definition is all-inclusive.
2 I've already been told by the two pilot plants they don't like
3 it so inclusive so other people might also have opinions on it.

4 We do want the opinions. In order to get this
5 conceptual rule out and get something as a point of departure,
6 we made it all-inclusive. Virtually everything on the docket -
7 - one thing you'll find missing is compliance items.
8 Compliance is against current rules and it's a current problem
9 so you will not find on here anything related to inspection
10 reports or responses to inspection reports.

11 Regulatory programs not subject to review. There is
12 a list in the Federal Register notice. We are right now in the
13 process of developing a statement of considerations to support
14 this exclusion so expect this exclusion to be in the statements
15 of consideration.

16 Is this everything we should exclude? Our criteria
17 for exclusion was generally anything that was periodically
18 updated. If we're getting an annual update to something or
19 you're required to do an annual update, if there is ongoing
20 training then we would anticipate it being excluded from
21 coverage in this rule.

22 That does not mean that it's excluded from regulatory
23 oversight. Current rules continue to apply. That's a very
24 important aspect. In some other meetings with at least a state
25 representative got lost, he got very worried when we said we

1 were excluding these. He said you mean nothing is going to
2 apply to them.

3 Current rules currently apply and we have no reason
4 to believe in looking at these areas that current rules are not
5 fully adequate to take care of it.

6 With that, these are our exclusions and we are going
7 back -- there is a complicated problem in it and several of
8 these, the wording in the legislative history or the statement
9 of considerations for these areas had not anticipated license
10 renewal so we do have a procedural problem we're trying to
11 correct because in some of these areas it talks of the issuance
12 of a license. A renewal license is the issuance of a license
13 so we've got some procedural problems to get around.

14 As Jim said, initially we feel this will be resolved
15 under the current licenses. This is a prerequisite for
16 submitting an application.

17 I will point out a wording problem and feel free to
18 comment because this is where the articulation of what we've
19 written in ruling could become very important. Let me read
20 exactly what we have written.

21 Sufficient documentation showing that the individual
22 plant examination required by generic letter 88-20 has been
23 completed and approved by the NRC staff. That's pretty good.

24 And a description and technical basis for all staff
25 approved corrective actions. You may want to comment on that.

1 If we have in fact already approved corrective
2 actions and already reviewed it, in going back and re-reading
3 this I wasn't sure why we were going to ask you to submit it
4 all again.

5 It's important to look at the articulation and the
6 words. We were not perfect in getting this out.

7 While this can be a prerequisite, I am not sure that
8 we really need the technical basis for the staff's position to
9 be resubmitted.

10 Completion of the IPE. We do have it including
11 external events. Everyone knows external events are somewhat
12 delayed to the internal events. That should present us I think
13 only a problem with the two pilot plants and we believe we can
14 work around that with them. They'll either have it done
15 because of some things they've done in the past already or will
16 do something else.

17 Content of application. This starts getting into the
18 meat of how many trucks we do not want to see pull up at our
19 new building. Everyone knows who has been to our building we
20 have cubicles now so people are very limited to the amount of
21 paper they can store over their desk. They are only allowed
22 one set of shelves directly over their counters.

23 Content of application really bears on how we're
24 going to license, the process we're going to license as well as
25 the information you will need to develop to support the

1 license.

2 Every renewal is an operating plant. It's an
3 operating entity with a lot of information. If in fact we are
4 going to be asking within this rule that for each components
5 which falls out of a straining process that the component's
6 characteristics and material properties, the environment it
7 sees and the degradation mechanisms applicable be developed,
8 that's an extremely long list, 10, 20, 30,000 components.

9 I do not believe at this point in the content of the
10 application we would want 30,000 components worth of
11 information.

12 The application here, really we want to focus on how
13 you get there and enough insight with enough examples so that
14 we can understand the process and actually do a site visit if
15 we want to audit the rest of the components that are not part
16 of the application.

17 So in the application itself we would not necessarily
18 see copies of all the paper and all the analysis that would
19 have to get generated to support it. We would see the
20 screening process, a certification of the licensing basis
21 saying that this is what you think it is and you're in
22 compliance with it, a technical evaluation and the systems,
23 structures and components screening process, the process that
24 you use and describe.

25 We are currently reviewing the NUMARC screening

1 topical report and I could see from our first look at it than
2 on an individual plant basis the screening process would have a
3 need to go to a next level of detail down so there is a
4 possibility the screening process will need some description in
5 the application.

6 Degradation mechanism is covered. There is a list in
7 the rule -- One comment we've gotten already is on that list in
8 the rule we need to define them. I could put one in and take
9 one out and as long as I define it right I'll still cover the
10 whole spectrum of everything I want to cover.

11 You'll notice right now they are just named. Is
12 naming them good enough or should be putting definitions on
13 them? Is the term of art close enough or do we need a lot more
14 detail so that there's no ambiguities between the people doing
15 the reviewing and the requiring and the people trying to
16 comply.

17 The basis for conclusion that degradation is properly
18 monitored or corrected. There are two pieces to this. There
19 is components which are currently covered by programs already
20 in existence. We would expect something maybe more than a list
21 but something very close to a list of those components if it's
22 already covered.

23 If it's not already covered then it's going to
24 require a little more explanation, not necessarily on a
25 component by component basis but maybe on a class basis.

1 Technical specifications, environmental report
2 update. They're pretty straightforward.

3 The standards for the issuance of the license. As I
4 said, this identifies only those areas where the staff has to
5 make a finding. In those areas not included in the standards
6 we would not expect to make a finding and when you look at the
7 standards the standards focus very much on identifying
8 degradation mechanisms, systems, structures and components
9 involved and not on prerequisites.

10 The standards themselves. The first one I think is
11 relatively straightforward. We have an agreement on what the
12 current licensing basis is, how inclusive is it, how inclusive
13 is it not.

14 This is a standard that the licensing renewal
15 issuance would have to make a finding on.

16 The screening process. The systems, structures and
17 components important to safety adequately identified, not only
18 just the right ones but the process of identifying them is very
19 important.

20 What the rule does not have in it is a list of
21 components. Although there are certain components that
22 everyone has generally agreed upon will fall out.

23 Something that could be in the rule and we'll be
24 happy to take comments on, should the rule list certain major
25 components, components liable for degradation or components

1 where we have an uncertain knowledge about, should they be
2 listed in the rules specifically.

3 We've chosen not to. We've chosen not to. We've
4 chosen to go with the screening process that we would hope is
5 all inclusive enough to pick all the right components.

6 The degradation mechanisms that they've been
7 identified. The rule itself identifies and lists degradation
8 mechanisms. I think we probably do have to put some
9 definitions in to show that they are all-inclusive but for any
10 individual component where you've looked at the component's
11 material, its installation history and its operating
12 environment, have the appropriate degradation mechanisms been
13 identified with that component.

14 Appropriate actions taken or accounted for for
15 degradation. Type of flaw and rate of growth. There are two
16 elements that have to be accounted for. Surveillance, is the
17 inspection frequent enough and is it the right one.

18 An applicable program for trending and evaluating
19 degradation effects. The standards become extremely important
20 because that's what we have to make a finding on to issue a
21 renewal license.

22 Backfit I've already covered. It seems always to
23 evoke emotion so I'll go over it rapidly.

24 Someone made a comment to me when they were giving me
25 the comment on backfit and overlapping that there's two

1 overlapping lines and there's a void in the middle and this is
2 the void in the middle that takes us from one step to the other
3 and I said that's right but if you want to get that to change
4 you'll probably have to find an advocate on the staff for
5 putting a rule on ourselves. Jim Sniezek does this to us all
6 the time so anyone who wants to do that, write to Jim.

7 [Laughter.]

8 I'm not going to go through all the questions. There
9 was just so many of them that we came up with for session one.

10 In the Federal Register notice it does ask for
11 written comments by December 1st to help us with the proposed
12 rule. If you have a comment and it relates to any of those
13 questions, or if you have a comment that says no, I don't think
14 you should do this, they would be very much appreciated.

15 The broader spectrum of input we can get the better
16 off we're going to be in having a proposed rule that comes
17 closest to the mark the first time out.

18 I will hit a couple of the high points in the
19 questions and the approach overall.

20 Is there anything that exists, any technical reasons
21 that would argue against the approach taken in the rule? Is
22 there a good reason why the vessel should in fact be included
23 in the rule? Is there a good reason why --

24 Last week someone talked to me about weld overlays
25 and BWRs, should they be included in the rule.

1 I guess there's two different points of view and
2 we're looking for both of them. I don't know that there is
3 necessarily a right answer because those are exactly the kind
4 of components we would expect to fall out of a screening
5 process but there may be some other subtleties.

6 Is the philosophy implemented by the framework, the
7 wording in the conceptual rule. Does the articulation come
8 across in the rule that we put in the philosophy.

9 The philosophy in the Federal Register notice reads
10 like a misstatement of considerations. It's what we intended.
11 It's what our real hope was. Does the rule come across that
12 way or does the articulation in rule language with the
13 paragraph numbers and the little Xs and everything in there
14 come across wrong?

15 Does it look like more than the philosophy would
16 intend?

17 A good example of that would be what I just said
18 earlier, whether a component is currently covered by a program
19 or not there is still some basic information we would expect to
20 be developed for that component. You still have to have its
21 environment, its history, its material composition and define
22 what degradation mechanism it sees, which means it's not as
23 easy as saying this is already in my ISI program, that's good
24 enough.

25 Just being in the program would be this language not

1 be good enough to just dismiss it.

2 Is the schedule reasonable in light of public and
3 utility interests? Getting certainty in the process is very
4 necessary from our point of view. I know getting certainty in
5 the process is necessary from your point of view so we both
6 have a mutual interest.

7 I think we're on right now as optimistic a schedule
8 as we can be on and move forward.

9 One might ask are we moving too fast. The question
10 has come up why not just hold this rule and license the two
11 pilot plants on somewhat of an ad hoc basis and develop a rule
12 around the process that's used. That's a question that's been
13 asked in the last several weeks.

14 There's some merit to that. The two pilot plants may
15 not think there's a lot of merit to it.

16 It's a lot easier to deal with real pipes and vessels
17 than it is in a somewhat abstract atmosphere that we're in
18 here.

19 [Slide]

20 MR. GILLESPIE: The screening process important to
21 safety you will catch two things. We catch a lot of secondary
22 plant, balance of plant systems. And another way of saying it,
23 not only does this focus on mitigation systems, the traditional
24 safety systems, to a degree it also focuses on initiators.

25 So the screening process based on the definition of

1 important to safety as applied in this rule is a very broad
2 spectrum of systems. Was it intended to be that way when we
3 wrote it? Yes, it was. It was our starting point. If there
4 is any desire to narrow it down, not necessarily that we will
5 do it, but we would like to hear from you on it.

6 Should the degradation mechanisms be included in the
7 rule at all? Right now we have them included. If we're going
8 to include them we feel that we're probably going to have to
9 define them.

10 Another way of handling it is -- and it's just a
11 broad general statement -- define all degradation mechanisms
12 applicable. We can replace what we've got in there with that
13 kind of statement.

14 What's the adequate level of documentation concerning
15 data analysis and program changes?

16 This bears not only on the rule itself, but to a
17 large degree on the format and content of regulatory guide that
18 we see as somewhat crucial to the rule, which will address not
19 only the documentation required to be submitted in support of
20 the rule but we are going to have to address the documentation
21 expected to be developed and kept on site.

22 A lot of technical information will be developed, we
23 would foresee, that will not necessarily get submitted without
24 being requested to be submitted.

25 Is it clear how and why the certification of

1 compliance is an essential part of the application?

2 This would be a cop-out but I would bow to Larry
3 Chandler of OGC on that one. I think that's who we were
4 arguing with when we got that put in.

5 Is there a need for additional guidance?

6 Well, that's somewhat rhetorical. We feel that
7 there's a need for additional guidance. Maybe there isn't.

8 [Slide]

9 MR. GILLESPIE: The screening process is the meat of
10 it. The standards, measure, the screening processes
11 applicability.

12 Licensing basis: this captures a few of the types of
13 questions that were in there.

14 Is it clear how the requirements will be met?

15 At least I'll give Yankee some credit. I visited up
16 there, since they were one of the pilot plants and they've got
17 a room with this bookcase and if you ask them what their
18 licensing basis they point you to the bookcase. I would just
19 as soon they just list it and send it to us. But then again,
20 we may have to ask them for Xerox copies of everything.

21 What is the necessary level of documentation?

22 I kind of hit that already.

23 The exclusion programs: is there anything else that
24 should be excluded?

25 [Slide]

1 MR. GILLESPIE: Role of severe accidents. You can
2 sparse this up into the IPE; the accident management program.

3 Should severe accidents be addressed in this rule at
4 all?

5 Another comment we've gotten in the various points of
6 preparation is, well, it's obvious that we're all going to take
7 so long to get in for license renewal and with the short time
8 frame on the IPE process that there is no need to address it in
9 the rule.

10 Well, on the other side I could say, since it's all
11 going to be done, then addressing it in the rule is okay as a
12 prerequisite.

13 You could take either point of view. You can see
14 which one we took. I do have a question, as I said before, on
15 some of the words we have in there maybe requiring more than
16 just what a prerequisite would require.

17 [Slide]

18 MR. GILLESPIE: Standards for issuance. The
19 standards revolve around two things: screening the plant for
20 what components need to be addressed further technically; and
21 how you're going to address them. How they're going to be
22 maintained, surveilled, replaced.

23 The importance of the screening process has caused it
24 to have its own session. The importance of the maintenance
25 trending recordkeeping aspects of it has caused that also to

1 take on a major role in Session 5 this afternoon which is a
2 continuation of this one.

3 The next renewal. Should the next renewal be easier
4 than this one?

5 There has been some questions raised by people who
6 would like to renew for 30 years. The way our rule reads, the
7 way it's worded here it's a 20 year renewal. I can't say that
8 there is an actual scientific basis for the 20 years. It's as
9 far as we could see ourselves forecasting out technology.

10 If someone would want to come in with a 30 year
11 renewal package, although they would only get a 20 year renewal
12 a question would be: but would the NRC review it for 30? This
13 rule does not really make that provision, although this rule
14 does not provide a limitation that there can only be one
15 renewal.

16 But certainly, if you capture another or several
17 thousands of more components within current systems, then the
18 second time someone would want to renew you should not have to
19 go back and recapture those same components; we should somehow
20 be looking at the increment.

21 And that pretty much covers how we got to where we
22 are at. Some of the questions we have in our own mind on how
23 we can make this a better rule as we go to the proposed stage.
24 The questions are relatively extensive.

25 I would like to encourage everyone that can look at

1 the questions. The questions were developed on a consensus
2 basis within the NRC between the Office of Research and Reactor
3 Regulation. As those questions that we will have to address in
4 a statement of considerations to move forward.

5 So I would ask everyone that could, please look at
6 them. Send us a letter, address as many as possible.

7 Now, what I would like to do is -- we're pretty close
8 to being on schedule -- is take a few minutes and answer
9 questions that anyone would have on the intent of what we
10 wrote. I'm not trying to defend it, but I do think it's
11 important that you understand why we wrote what we did at least
12 to get something started that we can change to come up with a
13 good proposed rule. And then we will go on to the set speakers
14 and the speakers will be invited up to the podium to speak from
15 here.

16 Any questions on the questions that are in there?
17 The words in the rule?

18 Yes, in the back.

19 MR. O'DONNELL: One quick comment on your philosophy.

20 I'm Bill O'Donnell and I'm Chairman of the ASME
21 Subgroup on Fatigue.

22 I think that the philosophy has to be that you
23 maintain the current required level of safety, because if
24 you're going to continue to run the plant beyond 40 years, if
25 you have a fatigue usage factor of let's say of .2 or .3 at 40

1 years and that's going to get closer to 1 if you run another 20
2 years. You still are maintaining the current required level of
3 safety because the safety margin that's required is the usage
4 factor of 1.

5 You cannot maintain -- if you follow your earlier
6 philosophy -- you can't maintain the current level of plant
7 safety because you're going to continue to get fatigue damage.

8 MR. GILLESPIE: I agree with that. And I'm glad you
9 brought up fatigue. Fatigue was a major problem that we came
10 across when we went through a screening process ourselves in-
11 house. In fact, fatigue is the hardest element in the older
12 plants to address generally due to the lack of fatigue analysis
13 on some of these plants and the lack of detail.

14 I do agree with what you said.

15 MR. BOSNAK: I would like to add one thing.

16 MR. GILLESPIE: Yes, Bob.

17 MR. BOSNAK: In Sessions 2 and 3, if you look at your
18 questions, there are several questions on the fatigue issue. I
19 agree with what Bill O'Donnell has said. The margin that you
20 have is what is required rather than what you have at a certain
21 incident time.

22 MR. RASIN: I'm Bill Rasin with NUMARC.

23 Frank, you mentioned that you would defer to Larry
24 Chandler on the question of the need for certification of
25 compliance with current licensing basis and I wonder if you

1 could do that now. I'm dying to hear some of the rationale
2 behind that.

3 MR. CHANDLER: I always appreciate Frank's deference.
4 The questions that we asked ourselves about
5 certifications and compliance is really whether they -- what
6 and whether they add anything to the overall process.
7 Compliance will have to be established independent of whether
8 there is a certification.

9 The Staff has, I think, in recent years been looking
10 more to certifications by the utilities -- a fine typical
11 examples in generic letters -- as a way of providing a more
12 direct means of assurance that what has been requested, in
13 fact, has been done. It's an economy of resources, but I'm not
14 sure that from a legal perspective it adds much to what is
15 going to be required under the rule.

16 MR. GILLESPIE: Anyone else?

17 Because this is just a conceptual rule, we will
18 answer almost anything.

19 MR. CHANDLER: Let me add one thing to my response to
20 Bill on that. One of the things, of course, to bear in mind
21 is, there is a provision now in Part 5050.9 talking in terms of
22 completeness and accuracy of information.

23 The certification that utilities would provide, of
24 course, is something which -- let me turn it around. The
25 requirement that certifications be complete and accurate is

1 something obviously that would be of significance to us when we
2 look at it. That is one measure of assurance that it does
3 provide.

4 MR. GILLESPIE: I was going to say, if I didn't get
5 another volunteer I was going to throw something out and see if
6 I could get something stirred up here.

7 MR. CHANDLER: Somehow I knew it would be Joe Gallo.

8 MR. GALLO: My name is Joe Gallo from a law firm
9 called Hopkins and Sutter.

10 From your explanation, Mr. Gillespie, and I just want
11 to confirm it was the NRC's intent, apparently the content --
12 as I understand it, the content of the application contains a
13 number of information requirements. For example, a
14 demonstration of compliance with current licensing basis. But
15 the standard -- the standard section is something less than
16 what the application envisions being submitted because there is
17 no item in the standard that indicates that the current
18 licensing basis as demonstrated by the applicant in the
19 application is adequate for health and safety reasons.

20 Is my understanding correct of the intent of the NRC
21 Staff?

22 MR. GILLESPIE: Yes. Half yes.

23 [Slide]

24 MR. GILLESPIE: Let me see if I can reiterate it.
25 There was two questions, I think, in that question. One was:

1 the licensing basis has been completely and accurately defined.
2 That is one of the standards.

3 MR. GALLO: But the word "adequacy" is not i there.

4 MR. GILLESPIE: We are not addressing adequacy in the
5 renewal standards; that is a true statement. There is an
6 assumption that is in there that the current licensing basis,
7 in fact, surpasses adequate in most cases.

8 I think everyone knows "adequate" is a word we have
9 yet to define precisely as a set of rules. It's an integral
10 set of how a facility complied with this licensing basis.

11 So that was not a mistake; that was a definite
12 exclusion. We do not want to make that finding a second time.

13 MR. SNICZEK: Jim Sniczek.

14 To say it very succinctly, the Commission is
15 satisfied that the current licensing basis is adequate for
16 protection of public health and safety. And if you certify
17 that you meet the current licensing basis by definition, you
18 provide adequate protection to public health and safety.

19 MR. GILLESPIE: Let me throw something out and maybe
20 someone will respond to this. I'll ask a question. I would
21 assume everyone that read it realized that a PRA isn't required
22 by this rule right now.

23 Part of the thought process we went through -- and
24 it's one of the exclusions and if I have a minute I'll go
25 through it -- we found it difficult while PRA is a good

1 integral analysis of a facility, we found it hard to come up
2 with a regulatory purpose or a decision point that we would
3 make based on the PRA. It was not something that we would have
4 probably used.

5 Also, because the IPE process is anticipated to give
6 us most of the benefits of a PRA being done at each plant; and
7 the benefits were not seen as being those to the NRC but those
8 to the licensee. You will find that no PRA is required by this
9 rule. Of course, this is something that could change because
10 the Chairman about a month ago in a presentation said, let's
11 require a Level III PRA of every plant for license renewal.

12 So this is one where if you have a comment on the
13 exclusion or the inclusion it will be a valuable comment to
14 bring to bear on how the content of the rule finally ends up
15 on.

16 So please do not overlook those things which are not
17 mentioned, which you would like to continue to have not
18 mentioned or you would like to have included.

19 Any other questions?

20 MR. BOSNAK: Frank, I'd like to add one thing to what
21 you've said and maybe we could have some discussion from the
22 floor.

23 Is it possible to have a viable screening process
24 without doing APRE?

25 MR. GILLESPIE: Everyone's holding out for the

1 screening process meeting.

2 [Laughter.]

3 MR. BOSNAK: All right. Let me go to the speakers
4 then and in general, we had in the announcement allowed for 15
5 minutes for each speaker. We would ask that the speakers try
6 to keep to that amount of time. We have six speakers at 15
7 minutes each, gets us to about 11:30.

8 All right. I was just going to keep going. Let's
9 take a 10 minute break. It's now 10 to 10 and let's start
10 again at 10 o'clock and I will ask Terry Pickens of Northern
11 States Power to come to the podium.

12 [Recess.]

13 MR. GILLESPIE: Please, we'll give everyone a few
14 minutes to come in. While we're waiting for everyone to come
15 in, during the break I was asked a question which will be
16 covered in the environmental session but let me just throw it
17 out so people can think about it and that's the economic aspect
18 of life extension being considered, things like alternate power
19 supplies, the business advantages of going forth and extending
20 a life versus decommissioning right away.

21 In general, the same philosophy that we're
22 approaching the technical portion of the rule with, we're going
23 to approach the environmental session and Don Cleary will be
24 heading that group and I'll be there also tomorrow.

25 With the NEPA requirements being what they are, for

1 us to exclude something, to exclude looking at alternative
2 power supplies is in fact going to require a change to Part 51
3 which we are in fact anticipating and that's what Don's session
4 circles around.

5 So basically, the same philosophy of, if it's not
6 time dependent on 40 years, if it's not dependent on a
7 particular time of the license, we'll carry forward in the
8 environmental area also.

9 Don could use everyone's opinion if everyone is
10 willing to give it tomorrow at that session. The other thing
11 he's going to cover is how we intend to generically deal with
12 severe accident mitigation devices. That will also be covered
13 in that session.

14 Now I have to go back on my word. I have had
15 universal requests from all the utility people who had asked to
16 speak to please put NUMARC on first. I guess so, John, would
17 you like to come up and start off?

18 MR. DeVINCENTIS: Good morning.

19 [Slide.]

20 MR. DeVINCENTIS: Looking out at you, I'm sort of
21 reminded of a picture in the men's room of the Public Service
22 of New Hampshire's offices in Manchester. It's a picture of a
23 seedy old cowboy. The caption under the picture is, "They
24 never told me it was going to come to this if I signed up for
25 this outfit."

1 I've got a couple of general comments I'd like to
2 make before we start in with the presentation. The rulemaking
3 on plant life extension is a vital part of our Nation's
4 electricity supply. It is clear that as more nuclear plants
5 approach the end of their existing license, utilities will have
6 to make decisions on either to try to extend the license of
7 existing plants or build new power plants to replace those
8 whose licenses have expired.

9 It is quite clear that those plants whose performance
10 and operation's history that are not too good from the
11 standpoint of safety and cost will not be considered by the
12 utility as candidates for license extension. However, for
13 those plants who have good operating histories and whose
14 economics justify continued operation, the process that we are
15 attempting to establish here must be one that does not create
16 an obstacle to continued operation.

17 As a matter of fact, the process should facilitate
18 continued operation since as a matter of policy, nuclear power
19 must play an important part of the energy mix as we face the
20 next generation, especially with the threat of global climate
21 changes and the continued use of fossil fuels. In recognition
22 of this, the industry initiated efforts over 10 years ago to
23 prepare for plant life extension.

24 We are pleased to participate in this workshop. It's
25 a milestone event towards that goal. The next slide shows the

1 topics that I will be discussing.

2 [Slide.]

3 MR. DeVINCENTIS: You can see almost everyone of them
4 has been mentioned one time already today. The first few
5 slides focus on the current licensing basis. One of our major
6 comments is that the philosophical approach as outlined by the
7 previous speakers certainly seems to create a buy-in or
8 initiate a buy-in for most of us.

9 [Slide.]

10 MR. DeVINCENTIS: We do agree that the focus on
11 license renewal is the management of age-related degradation to
12 assure an adequate level of safety and that the current
13 licensing basis provides that adequate level of safety and that
14 same level of safety is adequate for the renewal. That's based
15 on in the philosophical section of the Commission's initial
16 findings, the Commission's continued oversight and regulatory
17 actions and the licensee's ongoing programs.

18 [Slide.]

19 MR. DeVINCENTIS: As I mentioned, the requirements in
20 the conceptual outline are inconsistent with the NRC's
21 philosophical approach. We at NUMARC do not believe that the
22 entire current licensing basis needs to be identified and
23 documented. It is already part of the licensing record. I do
24 not envision us thorough faxing complete copies of those
25 bookshelves that Frank mentioned when he was at Yankee Rowe and

1 supply them to the NRC.

2 The focus on license renewal is really on age-related
3 degradation and not the entire current licensing basis. We
4 should identify and document only those portions of the current
5 licensing basis which are pertinent to the management and
6 mitigation of age-related degradation and the exemptions which
7 are acknowledged to be time-dependent.

8 [Slide.]

9 MR. DeVINCENTIS: Certification of compliance with
10 the current licensing basis again is not necessary. The NRC
11 oversight and licensing programs ensure compliance is
12 recognized in the NRC's philosophical approach. For that
13 portion of the current licensing basis it is adequate to
14 consider submitting it under oath and affirmation for license
15 renewal applications.

16 With regard to Section 9(b), the analysis of the
17 entire current licensing basis is not necessary. Once again,
18 the analysis should focus on age-related degradation of
19 equipment and not the entire current licensing basis and only
20 that portion of the current licensing basis which is relevant
21 to age-related degradation of equipment should be considered.

22 Section 19(a), a complete and accurate description of
23 the current licensing basis is unnecessary. Again, I said this
24 -- I almost -- in the presentation, I almost thought of listing
25 the number of times we said it. The focus on license renewal

1 is age-related degradation of equipment. In 19(d), provides a
2 standard, a sufficient basis for a finding that an applicant's
3 facility will ensure the health and safety of the public.

4 We even believe that the definition of the current
5 licensing basis is not needed in the rule if it's adequately
6 defined in the statement of considerations.

7 [Slide.]

8 MR. DeVINCENTIS: I've got one slide up there that
9 should summarize what I've put together in the previous four
10 slides and that is that the NRC should find that the current
11 licensing basis for all operating reactors are an adequate and
12 sound foundation for continued operation under renewal
13 licenses.

14 This determination would be predicated on NRC's
15 ongoing regulatory activities and an analysis of present
16 regulatory requirements that we documented as part of a license
17 renewal rulemaking. Such a demonstration would make it
18 unnecessary to describe and examine and litigate the current
19 licensing basis for adequacy in individual license renewal
20 proceedings except for the effects of age-related degradation.

21 [Slide.]

22 MR. DeVINCENTIS: The next topic is structures,
23 systems and components. We are again in agreement with NRC's
24 philosophical approach to license renewal. Again, the focus is
25 on mitigation and management of age-related degradation and the

1 approach proposed by NUMARC and the methodology to evaluate
2 plant equipment for license renewal we feel does implement the
3 NRC's philosophy.

4 [Slide.]

5 MR. DeVINCENTIS: With respect to the contents of the
6 application, we feel the conceptual outline is inconsistent
7 again with the philosophical approach. 9(c) fails to take into
8 account existing plant inspection, refurbishment, replacement
9 programs, which adequately mitigate and manage age-related
10 degradation. If age-related degradation is adequately
11 addressed, there's no need to analyze design basis events. A
12 program for evaluating, trending the effects of all age-related
13 degradation mechanisms should not be required for components
14 which are repaired, replaced or refurbished on an acceptable
15 interval.

16 [Slide.]

17 MR. DeVINCENTIS: With respect to 9(e), technical
18 specifications are not an appropriate mechanism to control
19 programs which manage or mitigate age-related degradation.
20 Some of the tech specs may be appropriate if the particular
21 equipment that is degrading is identified under the
22 surveillance requirements of the appropriate tech spec.

23 [Slide.]

24 MR. DeVINCENTIS: With respect to the environmental
25 requirements, NUMARC supports the staff's determination that an

1 environmental assessment is required to satisfy NEPA in
2 connection with the license renewal application. An EIS need
3 only be prepared if an environmental assessment concludes that
4 significant environmental impacts result from a license
5 renewal. The environmental assessment, however, to the extent
6 practical, should be used to envelop generic environmental
7 effects. The schedule for completion of such an EA must
8 coincide with the rulemaking schedule to satisfy lead plant
9 needs. That's May of 1991.

10 That is to say, the scope of the environmental
11 assessment with respect to generic issues evaluated has to be
12 defined sufficient to meet the scheduled requirements, if not
13 for completeness, and the environmental evaluation support the
14 revision of Part 51, the so-called SX tables, should be
15 deferred until after the substantive requirements of license
16 renewal are issued as final regulations.

17 [Slide.]

18 MR. DeVINCENTIS: We do encourage the staff to modify
19 Part 51.20(b)(2) to allow preparation of an environmental
20 assessment as opposed to an environmental impact statement in
21 connection with individual plant license applications.

22 Continued plant oversight during a renewal period
23 should not result in significant environmental impacts and that
24 will be discussed further in the session on environmental
25 topics -- session 8, I believe.

1 [Slide]

2 MR. DeVINCENTIS: Our position with severe accidents
3 is severe accidents should not be part of license renewal
4 rulemaking. Industry is presently proceeding towards severe
5 accident closure in response to generic letter 88-20. Severe
6 accidents are outside the scope of license renewal, because
7 they are not a product of age-related degradation or even part
8 of the current licensing basis.

9 Accident management programs are currently being
10 addressed. NUMARC has a working group on severe accidents,
11 which is addressing definition and enhancement of existing
12 plant-specific accident management capabilities and has issued
13 draft guidelines for evaluating accident management
14 capabilities.

15 [Slide]

16 MR. DeVINCENTIS: With regard to standards for
17 issuance of license renewal, Section XX.19, we feel it is
18 necessary to make a generic finding similar to that in Part
19 57(a) that license renewal will not endanger the public health
20 and safety or common defense, as required by the Atomic Energy
21 Act. A generic finding, however, should be based on the
22 adequate level of protection provided by the current licensing
23 basis. A generic finding should be included in the statement
24 of considerations accompanying the license renewal rule.

25 We are continuing to evaluate the specific findings

1 or standards issued in the conceptual outline. For the next
2 couple of slides, all we would like to point out is that 19(d)
3 appears to be appropriate to provide reasonable assurance that
4 actions will be taken with respect to age-related degradation,
5 if it's modified slightly to have the words "important to
6 safety"

7 [Slide]

8 MR. DeVINCENTIS: That appropriate actions have been
9 taken or will be taken with respect to degradation of those
10 systems, adding "important to safety systems, structures, and
11 components, such that..."

12 [Slide]

13 MR. DeVINCENTIS: Now, with respect to the backfit
14 rule, we do support NRC's intention to remove ambiguity
15 pertaining to applicability of the backfit rule. That is, we
16 do believe that the backfit rule should apply during the
17 renewal period. However, we do also believe that the backfit
18 rule should apply during the renewal licensing process and
19 review of the license renewal application. We feel that the
20 staff has significant flexibility in the backfit rule itself to
21 take whatever appropriate actions are required because of age-
22 related degradation.

23 [Slide]

24 MR. DeVINCENTIS: With regard to issuance of a
25 renewal license, we feel that there should be an opportunity to

1 apply for license for more than 20 years, as provided in the
2 conceptual outline, since there is no technical basis for the
3 20 years. However, we do agree that the applicant must
4 demonstrate the technical basis supporting the additional
5 operation for the renewal term.

6 We feel that the reference to "estimated useful life"
7 in Section 21(b) should be deleted. "Useful life" is an
8 economic determination that should be made by the licensee, and
9 the NRC should explicitly provide for subsequent renewal terms
10 upon expiration of existing license renewal terms. Frank
11 mentioned that the rule didn't negate that possibility, but it
12 should specific provide for it so there will be no question.

13 [Slide]

14 MR. DeVINCENTIS: With respect to the timely renewal
15 doctrine, 3 years prior to expiration of the existing license
16 is a reasonable lead time for filing a license renewal
17 application. However, we feel the staff should provide some
18 flexibility for subsequent filings less than 3 years if the
19 applicant demonstrates an appropriate circumstance that
20 required it.

21 [Slide]

22 MR. DeVINCENTIS: With respect to decommissioning and
23 rated fuel management, we support the NRC's postponement of
24 compliance with the decommissioning and rated fuel management
25 requirements until a final determination of renewal application

1 has been made by the Commission. However, we have a problem with
2 the last bullet, in that the decommissioning plan be filed no
3 later than 1 year after expiration date of the operating
4 license. We feel that should be deleted, because we feel it
5 would be improper to have to interrupt the potential litigation
6 to prepare a preliminary decommission plan and that we're not
7 sending the best of messages to employees in the public and the
8 stockholders.

9 We do feel that the 5-year interval specified in Part
10 50.75, part 50.54(bb), and the 2-year interval in 50.52, that
11 they should be based on the license renewal expiration date and
12 specifically stated to do so.

13 [Slide]

14 MR. DeVINCENTIS: The next topic, exclusion of
15 regulatory programs from review -- NUMARC endorses the concept
16 of excluding those regulatory programs which govern safe plant
17 operation and are not time-dependent from review for licenses
18 renewal. An evaluation submitting and providing the basis for
19 such an exclusion has been submitted to the NRC by NUMARC.
20 Regulatory programs excluded from review will continue to be
21 met during the license renewal term. Documentation of all
22 licensing programs which implements the regulations and
23 commitments, as required by XX.9(a) is inconsistent with this
24 approach.

25 [Slide]

1 MR. DeVINCENTIS: The next subject is probabilistic
2 risk assessment. I've got to end this soon; I'm running out of
3 water.

4 Insights from probabilistic risk assessments are
5 useful and may be beneficial but should not be used as the sole
6 consideration for regulatory decisionmaking.

7 PRAs should not be required for license renewal.
8 State-of-the-art PRA does not permit quantifying age-related
9 degradation. No consensus acceptance criteria for evaluation
10 of PRAs for licensing decisions currently exists.

11 [Slide]

12 MR. DeVINCENTIS: Frank mentioned Level I and II PRAs
13 are currently being performed in the IPEs. They will describe
14 vulnerabilities to core damage and these will be addressed
15 appropriately with the staff.

16 We feel there is no programmatic value in requiring a
17 Level III PRA for license renewal. Focuses of a Level III on
18 off-site risks are not relevant to age-related degradation.
19 Off-site risks are accommodated in ongoing, existing programs
20 that are established as part of the current licensing basis.
21 However, we do feel that the option for using probabilistic
22 risk assessments in the future should be preserved for those
23 license-renewal applicants who may find it useful, at that
24 time, in the evaluation of their system structures and
25 components.

1 [Slide]

2 MR. DeVINCENTIS: My final topic is the maintenance,
3 surveillance, and recordkeeping, which I guess we'll get into
4 much deeper later on this morning or this afternoon.

5 We feel that the equipment to be addressed should be
6 limited to that important to safety, subject to age-related
7 degradation as a result of license renewal.

8 Maintenance, surveillance, tests, and recordkeeping
9 activities should be done in accordance with current practices
10 and controls, as supplemented by those activities necessary to
11 manage the age-related degradation.

12 Supplementary items necessary to manage age-related
13 degradation for license renewal will be controlled by NRC
14 commitments and by administrative controls put in place to
15 insure appropriate reviews are done prior to changing those
16 particular documents.

17 Regulatory mechanisms to address maintenance,
18 surveillance, and recordkeeping beyond those related to
19 managing of age-related degradation should not be treated in
20 the license-renewal regulation or process.

21 That concludes my presentation.

22 MR. GILLESPIE: Okay. Thank you, John. Some good
23 comments there, some things we had probably not thought about.
24 You're going into the -- you nicely went into the next level of
25 detail down in some of the rule areas, and the other thing is,

1 if you could send us a copy of your slides.

2 Let me go on to -- several people who were on our
3 speakers list have deferred to John, so we let John take a
4 little more time.

5 Terry, do you want to go on now?

6 Terry Pickens from Northern States Power.

7 [Slide.]

8 MR. PICKENS: Good morning. My name is Terry Pickens
9 from Northern States Power. I would like to just present a few
10 perspectives from NSP's viewpoint on what has been going on in
11 license renewal and plant life extension, as we've participated
12 over the years.

13 [Slide.]

14 MR. PICKENS: Monticello is currently participating
15 as the lead boiling water reactor plant in a program that has
16 been active since 1984, when we started our own internal
17 activities at NSP and then went on to become a pilot study
18 plant for plant life extension, and then moving on as a lead
19 plant. And that is our current status right now.

20 Co-funding through this whole program since about
21 1985 has been provided by the Electric Power Research Institute
22 and the Department of Energy through Sandia National Labs. The
23 lead plant program is being done in support of the NUMARC
24 NUPLEX program, so that we as an industry can move forward in
25 some coordinated fashion, instead of acting in isolation.

1 I just wanted to say that Northern States Power, in
2 participating with the NUMARC organization, endorses fully the
3 positions that are taken by the NUMARC organization throughout
4 the workshop. In fact, later on, I will be speaking again as
5 NUMARC in the screening methodology session.

6 [Slide.]

7 MR. PICKENS: Northern States Power, in reviewing the
8 proposed philosophy of the rule and the conceptual outline,
9 found that it agreed with the philosophical approach that was
10 proposed. We agree completely that the current licensing basis
11 provides a level of safety which has been found adequate during
12 the initial license period, and that that same level of safety
13 is also adequate for any continued period of operation.

14 We think that the license renewal policy and
15 regulations must provide assurance that the level of safety
16 provided by the plants, by the current licensing basis, will
17 not degrade during that renewal period.

18 [Slide.]

19 MR. PICKENS: Some of the activities which ensure the
20 adequate safety again are the licensee's programs, and the
21 Commission's continuing oversight of these programs, and the
22 resulting regulatory activities.

23 The challenge to the continued safe operation from
24 the plant is only from age-related degradations of the
25 structure, systems and components which provide that safety.

1 The programs which are not associated with the
2 mitigation or management of age-related degradation will be
3 continued by Northern States Power into the renewal period, and
4 we feel do not need to be reviewed as part of the license
5 renewal.

6 [Slide.]

7 MR. PICKENS: Those programs which do mitigate and
8 manage the age-related degradation should be reviewed, should
9 be the focus of the license renewal regulation.

10 [Slide.]

11 MR. PICKENS: Now, I would like to offer a few
12 perspectives from where we have been coming from as we have
13 gone into this.

14 What we are doing right now is not a new license
15 application. The plants that are seeking renewal, by the way
16 that you have structured your proposed philosophy, will have a
17 minimum of 20 years of operating history behind them, and a
18 demonstration of their operating history, the adequate level of
19 safety that is provided, and those levels of safety are
20 adequate to protect the health and safety of the public. They
21 have been established, and the ability to maintain these levels
22 has been demonstrated successfully, or else we wouldn't be able
23 to continue operating.

24 These provisions again should not need to be reviewed
25 unless they are affected by age-related degradation.

1 [Slide.]

2 MR. PICKENS: Utilities today have to be concerned
3 about safety and economics. Safety is and always will be the
4 top priority that we need to be concerned with. And that is
5 the primary focus of the rule. But as we put together the
6 process and the rule, and what we need to supply, and all the
7 different parts of the application and what we do as we go
8 through litigation and all those types of things, we must
9 remember that we have to focus the resources to the issues
10 pertinent to the health and safety of the public, and not
11 provide a process that is a burden or requires excess
12 information to be provided.

13 [Slide.]

14 MR. PICKENS: General comments on the conceptual
15 outline of the rule:

16 We found, much like John DeVincentis covered for
17 NUMARC, that the conceptual outline seemed to be inconsistent
18 with the philosophy. It seemed to me to ask for us to provide
19 a great deal of information that is not necessary to determine
20 the effect of age-related degradation on the plant. In the
21 area of the current licensing basis, it required a submittal of
22 a description, finding of completeness and accuracy. When
23 already in our existing programs for utilities, we are doing
24 things like commitment tracking, updating our FSAR on an annual
25 basis, we have a correspondence log, we have many activities

1 going on internal to our plant which help us to ensure that we
2 are meeting all of the things that we have ever said to the
3 regulators.

4 Those types of things, with the continuing NRC
5 oversight that is provided by the regions and NRR, in our
6 feeling, should be adequate for everybody to feel comfortable
7 that we know the current licensing basis and what we need to be
8 going to meet that.

9 We are interpreting the conceptual outline to also
10 require information on the structure, systems and components in
11 excess of those provided under the original licensing basis.
12 It appears to us that what we are asking for is, just by brief
13 description, that all structures, systems, and components
14 important to safety, that there is a whole litany and list of
15 information that you are asking to be provided: design basis,
16 environmental conditions, degradation mechanisms, programs for
17 addressing those. And that seems to be a lot of information to
18 provide when, with much less information you can make the same
19 determination for adequate safety being provided.

20 If we can find ways to pare down the amount of
21 information that is required to make the finding that age-
22 related degradation does not impact safety, we should seek to
23 find that. And it requires activities beyond those necessary
24 to mitigate and manage age-related degradation, those things in
25 the areas of severe accidents.

1 [Slide.]

2 MR. PICKENS: Some suggestions for the future
3 proposed rule that we would like to see are, we would like to
4 see the findings restructured such that the findings that were
5 made to issue the initial license would be carried forward,
6 except those that would be affected by age-related degradation.
7 I think with a little bit of restructuring, those found in
8 XX.9(d) would be adequate to make that finding on the effect of
9 age-related degradation.

10 We should limit the content of the application of
11 those items necessary to ensure age-related degradation does
12 not result in a decrease below the level of adequate safety
13 already established, and to provide only that information that
14 is necessary to make that finding. We will be able to go into
15 that a little bit further today during the screening session.

16 Another item which we discussed a great deal
17 internally when we saw things is, do we want a general rule, do
18 we want a very prescriptive rule, do we want to get into a lot
19 of detail?

20 Our feeling on this is that we do not think that it
21 would be beneficial to provide specific prescriptive methods in
22 the rule for managing aging. There are many options available
23 out there for how you are going to manage age-related
24 degradation and to what extent. And from utility to utility,
25 there is going to be decisions made as to whether or not they

1 just want to replace something, whether or not they want to
2 trend it, whether or not, you know, how they want to handle it.

3 I think that we should be allowed the flexibility in
4 determining those methods and allow the flexibility between
5 utilities to decide those, and I think with that realization
6 also comes the fact that the burden would then be on the
7 utilities in the application to provide the information for the
8 NRC to make the findings that we are adequately aging that, and
9 I think that NSP would say that we are prepared to take on that
10 burden of demonstrating that we are managing age-related
11 degradation sufficiently.

12 [Slide.]

13 MR. PICKENS: In summary, the NRC philosophy is
14 technically sound. It results in a finding of adequate health
15 and safety to the public with what they have described.
16 However, the conceptual outline requires work and documentation
17 beyond that necessary to support that finding. I think a much
18 more limited amount of information can be provided. The
19 resources need to be focused. The focus on age-related
20 degradation and not opening other areas is justified based on
21 the extensive operating history.

22 I think the screening methodology which the industry
23 has put forward goes a long way in focusing the resources that
24 we want to apply. I would like to see us revisit the need for
25 the extent to which we need to document the current licensing

1 basis, and that a specific prescriptive rule does not allow the
2 needed flexibility. And again, the burden would be on the
3 licensee to demonstrate the adequacy of its approach in its
4 application.

5 I guess I would like to comment on the schedule which
6 I saw put up this morning which now has a rule being issued in
7 April of 1992, and state that we do have a concern that, as we
8 went into this lead plant program, it was intended to be a
9 demonstration. And I guess it was our hope and understanding
10 that the regulation would be issued prior to the time that our
11 application would go in, so that our application would indeed
12 be a demonstration of the regulatory process.

13 We would like to urge and see if we can work with the
14 Staff to see if there is a way to accelerate their already
15 ambitious schedule such that it would coincide with the planned
16 submittal of the lead plant application anywhere from June to
17 December of 1991.

18 That's all my comments. Thank you very much.

19 MR. SNIEZEK: I have a question.

20 You mentioned that you would rather have a general
21 rule, not a detailed, prescriptive rule. The current proposal
22 that the Staff has before you, where would you put that as far
23 as a general or prescriptive?

24 MR. PICKENS: I think that the amount of information
25 that you are asking for, say on the structure, systems, and

1 components, where you are looking for an actual submittal of,
2 as I understand it, component-by-component in all systems and
3 structures identified for safety, and looking for each piece of
4 information -- design basis, environmental conditions,
5 degradation mechanisms -- I would put that into the category of
6 being very detailed requirements and a large amount of
7 information to be submitted.

8 MR. GILLESPIE: Now, if I can figure out who
9 cancelled and who still wants to go.

10 Joe Gallo?

11 Some people chickened out because it was such a big
12 crowd. They saw you guys at coffee and they all got
13 intimidated.

14 MR. GALLO: I introduced myself when I asked the
15 questions, but my name is Joe Gallo from Hopkins and Sutter.
16 The lights can stay on, because I don't have any slides. I
17 would just like to provide and underscore several of the points
18 made by the previous speakers with respect to what I think is
19 an important aspect.

20 I think the NRC should be guided by at least one
21 axiom, and that is that the scope of the application should not
22 require information beyond that which is needed to support the
23 findings or, as set out in the proposed regulations, the
24 standards that are going to be made with respect to the
25 issuance of a renewal license.

1 The proposed regulation -- let me back up a minute.
2 If one accepts that axiom as a good thing and appropriate, then
3 the proposed regulation violates that axiom in two respects.
4 The easiest example is severe accidents. If it is not intended
5 that a finding or a standard be established that would address
6 severe accidents, then why is it necessary in the application
7 for a renewal license to submit a description and technical
8 basis for all staff to approve correction actions, including
9 accident management program, and also an approved schedule for
10 any items that were not implemented at the time and maybe are
11 still yet to be implemented.

12 That information, it seems to me, was settled and
13 dealt with, as I think Mr. Gillespie recognized, as a part of
14 the separate IPE examination and severe accident examination,
15 and it should be unnecessary to resubmit it in the context of a
16 renewal application. It's just an inviting target, in my
17 opinion, for an issue in the hearings that might be held in
18 connection with a renewal license.

19 I think an Atomic Safety and Licensing Board may well
20 have a difficult time excluding an issue on severe accidents
21 when the central topic of the application is that very item.
22 If it's intended to be a prerequisite, then perhaps the current
23 licensing basis could be defined to include addressing severe
24 accidents.

25 That might be a way for the NRC to assure that

1 renewal applications -- before they are submitted -- address
2 this issue. The second area that I think is a violation of my
3 axiom is the current licensing basis. XX.9 says that in
4 addition to certifying this current licensing basis, the
5 applicant must submit a description and analysis of how the
6 facility complies with the CLB. That's jargon for the Current
7 Licensing Basis.

8 Now, that doesn't say that the NRC staff is going to
9 look at the adequacy of the current licensing basis, but it's
10 only a couple of millimeters away. If an applicant submits a
11 description and analysis of how his facility meets the current
12 licensing basis, what is the staff supposed to do with that
13 information?

14 Are the staff reviewers simply supposed to note that,
15 indeed, that has occurred, or is the staff going to look to see
16 if that analysis and description is adequate? I submit that
17 that's a tantalizing temptation that shouldn't be put before
18 staff reviewers.

19 [Laughter]

20 MR. GALLO: What about the intervenors? What are
21 they supposed to do with this description and analysis of how
22 the CLB is supposed to -- the facility meets the CLB? What are
23 the intervenors supposed to do with that? Are they supposed to
24 refrain from contesting whether or not the CLB is adequate,
25 based on the description that's been supplied in the

1 application?

2 What about the licensing boards themselves? Are they
3 to ignore that showing? These questions are couched to point
4 out what I see as the difficulty in requiring that kind of
5 submission. I think it's extrinsic to the renewal application,
6 as has been pointed out the by the previous speakers. The real
7 concern and focus ought to be age-related degradation.

8 I would reinforce the point made by John DeVincentis,
9 that the generic finding should be made in the context of the
10 rulemaking; that if the Commission, as Mr. Sniezek indicated,
11 believes that the current licensing basis is an adequate, safe
12 basis for license renewal, then the place to find that the
13 current licensing bases for the existing population of plants
14 is safe and adequate for license renewal is in the license
15 renewal rulemaking itself.

16 That finding could be made in the statement of
17 considerations to support the final rule. It then, in my
18 opinion, would be unnecessary to describe the CBL; to describe
19 how the facility meets the CLB; show how it complies, and,
20 indeed, even certify. It seems to me it's inherent in the
21 process, the regulatory oversight process that has gone on for
22 the past 30 years, to be able to conclude that the current
23 licensing basis is adequate.

24 I think it's also reinforced by the point that
25 through the inspection process and the inspection programs that

1 the NRC has initiated and conducted over the years, that this
2 is a type of verification of the current licensing basis, and
3 it should be unnecessary to certify it.

4 I have to say this one thing to my friend, Larry
5 Chandler:

6 I heard him answer the question by Bill Rasin. It
7 seems to me that Larry was saying that it might be a matter of
8 policy or staff convenience. I did not hear Larry saying that
9 it was necessary to certify the current licensing basis because
10 of some legal requirement.

11 Finally, details of the regulation; should they be in
12 the Reg Guide or should they be in a rule? Well, that can be
13 debated, and I think appropriately left to the engineers.

14 I do want to make this one point: if a detail -- for
15 example, if the screening methodology were incorporated into
16 the license renewal rule, then that item would not be subject
17 to litigation in an Atomic Safety and Licensing Board hearing
18 on license renewal.

19 That is a real benefit. The downside -- and there may
20 be downsides -- should be weighed against that benefit. That
21 completes my remarks. Thank you.

22 MR. GILLESPIE: Thank you, Joe. Larry, do you want a
23 chance to -- ?

24 MR. CHANDLER: No.

25 MR. GILLESPIE: I just thought that with a room full

1 of engineers and maybe the only two lawyers here, we'd have --

2 [Laughter.]

3 MR. CHANDLER: I think the odds are about even.

4 [Laughter.]

5 MR. GILLESPIE: I guess two lawyers could word-out
6 200 engineers. For Yankee Atomic, John Haseltine.

7 [Slide.]

8 MR. HASELTINE: Good morning. My name is John
9 Haseltine from Yankee Atomic. As most of you know, we are the
10 lead plant for the PWR, that is, our Yankee Rowe plant.

11 Today, I'd like to discuss four topics from the
12 conceptual approach and then later on in another session,
13 Jackie will be discussing much more.

14 [Slide.]

15 MR. HASELTINE: The first one, which has been
16 discussed already three times, is Current Licensing Basis, but
17 I'm going to come at it from a little different flavor. The
18 flavor is; how do we do it? I'd like to present that approach.

19 First, let's get some definitions. The Current
20 Licensing Basis defines the structures, systems and components
21 that uniquely meet NRC regulations for each plant. Second, the
22 current licensing basis is the basis upon which the NRC
23 determines that the plant is safe to operate.

24 Licensing programs and NRC regulatory oversight
25 assure that the current licensing basis is maintained. Now, we

1 want to go into the license renewal. For the purpose of
2 license renewal, the current licensing basis is defined in the
3 FSAR, the technical specifications and other documents which
4 define the structures, systems and components to assure
5 compliance to the NRC regulations.

6 Providing the Current Licensing Basis beyond that
7 required for the SSCs is not necessary for license renewal. A
8 listing of the documents used to put together the Current
9 Licensing Basis for the SSCs will be provided in our
10 application for clarity and completeness.

11 The methods for identifying the documents and
12 updating that list will also be provided so you can see that
13 this is an ongoing list and it is an ongoing commitment by
14 Yankee. The listed documents will then be reviewed for time
15 dependencies. Any dependency that we find will be analyzed for
16 the 20 year renewal period and also documented in the
17 application.

18 Any important-to-safety SSCs subject to aging will be
19 evaluated to assure that their Current Licensing Basis is
20 maintained. Reanalysis of the current licensing basis beyond
21 time dependency and assurance of the current licensing basis
22 for aging SSCs is not necessary because it already part of the
23 licensing record and it applies at all times.

24 I believe that is a kind of a doable way to do
25 Current Licensing Basis and document it.

1 [Slide.]

2 MR. HASELTINE: The next topic I'd like to talk about
3 is the licensing process itself. The licensing process is
4 obviously key to license renewal. The hearing process cannot
5 be as open-ended as currently exists for operating licenses.
6 Yankee recommends that the renewal rule itself state specific
7 time schedules for the hearing process which are applicable to
8 the licensee, the NRC, the intervenors and the hearing boards.

9 Also, we recommend that the renewal rule should state
10 a specific limit on the number of contentions and
11 interrogatories, and restrict them only to age-related issues.

12 [Slide.]

13 MR. HASELTINE: My third topic is timing the rule.
14 The present schedule of Spring, 1992 is too late. It leaves
15 lead plants in regulatory limbo; that is, we've got
16 applications in but no rule. The two advance notices of
17 proposed rulemaking, this workshop, and the proposed rule
18 schedule for May of 1990 will have afforded sufficient
19 opportunity for comment.

20 The final rule should be issued in May of 1991. I
21 think it can be done if we work at it.

22 [Slide.]

23 MR. HASELTINE: The fourth and final area I'd like to
24 discuss today are the regulatory guides. Two regulatory guides
25 have been proposed; one on the format and content of the

1 application and the other on the screening process. We would
2 agree with both of them, and we'd like to urge that they be
3 published by June of 1990 for use by the lead plants in their
4 applications.

5 Also, the need for further guides should be based on
6 the experiences gained through the lead plant applications.
7 That finishes my presentation.

8 MR. BOSNAK: I would like to ask a question with
9 respect to time dependencies. Those things mean different
10 things to different people. Would you like to see a definition
11 some place of what are time dependent processes? Where do we
12 draw the line, in other words, in the rule, the reg guide?

13 MR. HASELTINE: I believe it should be defined. I
14 know from a practical point of view here what I'm considering
15 time dependency; it would be a licensing agreement or
16 documentation that says that whatever it is is good for 32
17 effective full power years. Obviously, if that's up, in the
18 renewal period, we'll have to address that for the whole
19 renewal period.

20 There are others like that in all of our current
21 licensing bases that will have to be addressed. But it's an
22 actual time dependency that's built right in.

23 MR. BOSNAK: But there are many things. You have to
24 go back to the original design basis. For instance, we
25 mentioned fatigue earlier. How much of the fatigue leg have

1 you used up, and those kinds of things. In other words, it's a
2 time dependent thing, but it depends on the first 40 years of
3 operation. How much money do you have left in the bank, so to
4 speak, when the time comes for license renewal.

5 So to me, time dependent processes are very important
6 and there should be some agreement on what they are and how
7 they should be covered.

8 MR. GILLESPIE: Let me cover one point which has been
9 touched on. I was kind of left a little confused on it, both
10 from our side and from the other side. That's on the need for
11 a generic environmental impact statement versus an
12 environmental assessment; one of the topics of tomorrow's
13 session.

14 The question we, as the staff, have been asked by the
15 Commission to address and we brought to the Commission's
16 attention was really an option which would have us doing a
17 generic environmental impact statement, but not have it tied
18 with the cause and effect relationship with the technical rule;
19 meaning that the first plants who come in, if we do not have a
20 generic environmental impact statement finished, take on a
21 larger burden than those plants that come in later when we do
22 have it finished.

23 Now, one of the problems that we identified in our
24 last submittal to the Commission and we very much would like
25 comments on it, so I'd like people to think about this before

1 they go to tomorrow's session, is that need to disconnect the
2 rule from the generic environmental impact statement in a cause
3 and effect way.

4 One of the things on the schedule that has us going
5 until April 1992, and, Don, correct me if I'm wrong, but that
6 original schedule date to a large extent was driven by
7 connecting the generic environmental impact statement to the
8 rule. In fact, the technical rule may be ready to go sooner,
9 but the GEIS portion was going to take longer.

10 And we have been asked to come back to the Commission
11 and specifically address that point. So please, when you go
12 back from this and you're writing in, if it's not in the
13 transcript or it's not in the written record we get and the
14 comments we're collecting, you can't do a whole lot with it.
15 So please send in your opinions on how you think that should
16 go.

17 We've finished the speakers. I'd please ask that all
18 the speakers give a copy of their slides to the Reporter, if
19 possible, if you have an extra set, if you could. That way
20 we'll have them on record.

21 Now, if there are no other questions, we're done
22 slightly earlier. Would anyone else like to make a statement?
23 We had several people on for the afternoon.

24 MR. COWAN: I'm Bart Cowan. I'm with the law firm in
25 Pittsburgh of Eckart, Seamans, and I'm here today representing

1 Westinghouse Electric Corporation.

2 I have a couple of questions and then a little
3 statement. What is the justification for the elimination of
4 the backfit rule in connection with plant life extension? Why
5 should all aspects of the plant be open to changes without
6 analysis as to whether, given the 20 year renewal term, the
7 benefits of making the change outweigh the cost?

8 Requiring definition of the current licensing basis
9 and eliminating the backfit rule as part of plant life
10 extension is going to lead to major problems. You're looking
11 for certainty in the process. We're looking for certainty in
12 the process. Yet, you introduce the ultimate in uncertainty by
13 eliminating the backfit rule in determining plant life
14 extension.

15 The purpose of the backfit rule was not to prevent
16 required changes. Rather, the purpose of the backfit rule was
17 procedural, to provide a rationale decision-making process to
18 instill a discipline, if you will, on the determinations as to
19 when changes are required in regulatory requirements above the
20 minimum and in changes to the plant.

21 As applied to plant life extension, it should apply
22 that discipline in connection with what is required to those
23 things that are central to plant life extension, namely age-
24 related degradation. The backfit rule would require a hard
25 analysis of the benefits to be derived from proposed changes to

1 the plant that relate to age-related degradation, and the cost
2 of implementing those changes.

3 There is no justification for requiring backfits that
4 can't be justified and there is no justification for opening up
5 the entire plant to backfits without the backfit rule.

6 Now, there may, of course, be some things that may be
7 required as a minimum regulatory requirement, in which case the
8 cost benefit aspect of the backfit rule would not apply.
9 Beyond this, however, and that is contemplated by the backfit
10 rule, you should not gut the rule in connection with plant life
11 extension.

12 One other comment on the backfit rule. The rule
13 applies to the rulemaking the Commission will be undertaking as
14 part of plant life extension. It applies to all Commission
15 rule makings. Thus, it will be necessary to justify why and
16 how the suspension of the backfit rule, for example, meets the
17 test of the backfit rule before the new plant life extension
18 regulations can go into effect.

19 You will have to analyze the proposed rule in order
20 to set out the gains from the approach being proposed, as well
21 as the costs, in order to do the analysis that the backfit rule
22 calls for. This will be true in other aspects of the plant
23 life extension rule which is proposed, except for those aspects
24 which establish minimum regulatory requirements, the cost
25 benefit analysis will not be required.

1 MR. GILLESPIE: Everyone is shaking their heads no.
2 I'm not going to argue. Actually, philosophically, I think, if
3 you looked at the philosophy that we had there, I don't think
4 the philosophy is necessarily inconsistent with what was just
5 said, and it's a useful comment.

6 It's going to receive -- I think that's one area
7 where we're going to receive a lot of attention when we do go
8 to the Commission in two or three weeks, Don, we're supposed to
9 go with a summation of the meeting here.

10 Any other questions, comments, anyone who'd like to
11 speak? This is the last time you get to speak to the whole
12 group. How about the NRC staff? We've got a lot of people
13 here. I know we've got generally the Engineering Branch chiefs
14 and the Systems people from NRR. Do you have any questions for
15 the industry speakers?

16 [No response.]

17 MR. GILLESPIE: Nothing. All right. Then I think
18 what I'm going to do is opt for adjourning a half-hour earlier
19 and we'll start this afternoon's session at 1:15 in accordance
20 with the calendar. Thank you.

21 [Whereupon, at 11:18 o'clock, a.m., Session 1 was
22 adjourned.]

23

24

25

REPORTER'S CERTIFICATE

This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission


in the matter of:

NAME OF PROCEEDING: Session 1 Public Workshop

DOCKET NUMBER:

PLACE OF PROCEEDING: Reston, VA

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.



MARILYNN NATIONS
Official Reporter
Ann Riley & Associates, Ltd.

**PUBLIC WORKSHOP
ON
TECHNICAL AND POLICY CONSIDERATIONS
FOR
NUCLEAR POWER PLANT LICENSE RENEWAL**

November 13 - 14, 1989

Reston, Virginia

U.S. NUCLEAR REGULATORY COMMISSION

APPROACH TO ESTABLISHING SCOPE OF TECHNICAL ISSUES

1. **DEFINES A PROPOSED SCREENING PROCESS FOR EQUIPMENT AND STRUCTURES TO BE REVIEWED**
2. **DEFINES STRUCTURES, SYSTEMS, AND COMPONENTS FOR EVALUATION**
3. **DEFINES SPECIFIC SET OF DEGRADATION MECHANISMS FOR EVALUATION**
4. **DEFINES REQUIREMENTS FOR CORRECTIVE ACTION WHEN DEGRADATION IS NOT BEING MONITORED**

LICENSE RENEWAL WORKSHOP

SESSION 3

FLUID AND MECHANICAL SYSTEMS

1. ADDITIONAL CRITERIA FOR PERIODIC SURVEILLANCE AND PREVENTATIVE MAINTENANCE TO ENSURE OPERABILITY OF MECHANICAL EQUIPMENT BEYOND INITIAL DESIGN LIFE
2. AUGMENTED INSPECTIONS/ANALYSIS TO ADDRESS AGING MECHANISMS IN PUMPS AND VALVES
3. FUNCTIONAL TESTING OF SYSTEMS AS A PREREQUISITE FOR LICENSE RENEWAL
4. LONG TERM EFFECT OF FATIGUE ON CLASS 1 COMPONENTS
5. RESIDUAL FATIGUE LIFE FOR CLASS 3 AND 3 PIPING AND COMPONENTS
6. EFFECTS OF WATER ENVIRONMENT AND ELEVATED TEMPERATURES ON FATIGUE OF PIPING AND COMPONENTS
7. PROOF TESTING AND HOT FUNCTIONAL TESTING TO DEMONSTRATE INTEGRITY AND OPERABILITY

NRC LICENSE RENEWAL WORKSHOP

November 13, 1989

<u>Time</u>	<u>Subject</u>	<u>Session Leader(s)</u>	<u>Place</u>
7:30 am	Registration		Foyer of Room A
8:30 am	Introduction	E. Beckjord	Rooms A, B, & C
8:45 am	Regulatory Philosophy and Approach	J. Sniezek	Rooms A, B, & C
9:30 am	Session 1 - Overview of Conceptual Approach to a License Renewal Rule	F. Gillespie, R. Bosnak, L. Chandler	Rooms A, B, & C
10:00 am	Break		
10:15 am	Session 1 Continued		Rooms A, B, & C
12:00 am	Lunch		
1:15 pm	Concurrent Sessions		
	Session 2 - Reactor Pressure Boundary	J. Richardson, L. Shao	Room C
	Session 3 - Fluid and Mechanical System	J. Wermiel, M. Vagins	Room B
	Session 4 - Screening Methodology for System, Structures and Components Important to Safety	A. Thadani, M. Cunningham	Room A
	Session 5 - Overview of Conceptual Approach and Regulatory Framework - continued discussion from Session 1	C. Thomas, R. Bosnak, L. Chandler	Room 5
2:45 pm	Break		
3:00 pm	Sessions 2, 3, 4, and 5 Continue		
5:00 pm	Adjourn		

NRC LICENSE RENEWAL WORKSHOP

November 14, 1989

<u>Time</u>	<u>Subject</u>	<u>Session Leader(s)</u>	<u>Place</u>
8:00 am	Registration		Foyer of Room A
8:30 am	Concurrent Sessions Session 6 - Containments Session 7 - Electrical Systems Session 8 - Environmental Effects	J. Richardson, L. Shao A. Thadani, M. Vagins F. Gillespie, D. Cleary	Room C Room B Room A
10:00 am	Break		
10:15 am	Sessions Continue		
11:45 am	Lunch		
1:15 pm	Summary of Concurrent Sessions	T. Speis, All Session Leaders	Rooms A, B, & C
2:45 pm	Break		
3:00 pm	Comments and Discussion	T. Speis, All Session Leaders	Rooms A, B, & C
4:00 pm	Summary and Conclusion	T. Speis	Rooms A, B, & C
4:30 pm	Adjourn		

SPEAKERS AND SESSION LEADERS

WORKSHOP ON LICENSE RENEWAL

OFFICE OF NUCLEAR REGULATORY RESEARCH:

Eric S. Beckjord, Director

Themis P. Speis, Deputy Director for Generic Issues

Lawrence C. Shao, Director, Division of Engineering

Robert J. Bosnak, Deputy Director, Division of Engineering

Milton Vagins, Chief, Electrical and Mechanical Engineering Branch,
Division of Engineering

Mark A. Cunningham, Chief, Probabilistic Risk Analysis Branch,
Division of Systems Research

Donald P. Cleary, Senior Task Manager, Reactor and Plant Safety
Issues Branch, Division of Safety Issue Resolution

OFFICE OF NUCLEAR REACTOR REGULATION:

James H. Sniezek, Deputy Director

Frank P. Gillespie, Director, Program Management, Policy
Development and Analysis Staff

James E. Richardson, Director, Division of Engineering Technology


Ashok C. Thadani, Director, Division of System Technology

Jarad S. Wermiel, Section Leader, Plant Systems Branch,
Division of System Technology

OFFICE OF THE GENERAL COUNSEL:

Lawrence J. Chandler, Assistant General Counsel for
Hearings and Enforcement

HOTEL FACILITIES



OTHER AREA RESTAURANTS
- Plaza Level -
Dominos Pizza
A Taste of the World Deli
Charlie Chiang's

U.S. NUCLEAR REGULATORY COMMISSION PUBLIC WORKSHOP
ON NUCLEAR POWER PLANT LICENSE RENEWAL
RESTON, VIRGINIA
NOVEMBER 13-14, 1989

Eric S. Beckjord, Director
Office of Nuclear Regulatory Research
U.S. Nuclear Regulatory Commission
Washington, D.C. 20555

Good morning ladies and gentlemen. I want to welcome you to the U.S. Nuclear Regulatory Commission's Public Workshop on Nuclear Power Plant License Renewal. The purpose of this workshop is to elicit public views on technical and policy considerations for nuclear power plant license renewal. I appreciate your attendance at this meeting and look forward to the discussion and obtaining your comments.

Extending the life of nuclear power plants beyond the current 40 year license period has the potential to save the country considerable energy resources. Nuclear power now produces about 18% of our electrical energy needs. By safely extending the life of a typical nuclear power plant by 20 years, it is estimated that the net benefit for each plant is about \$1 billion. Since the licenses of the current operating reactors will start to expire by the year 2000, it is important to establish the terms and conditions for license renewal by the early 1990s.

The NRC has been working on license renewal for several years and has actively sought public participation in this process. On two previous occasions, public comments have been solicited through the Federal Register. The first solicitation on seven major license renewal issues was published in November, 1986. The second solicitation was part of an advance notice of proposed rule-making published on August 29, 1988. The advance notice requested comments on NUREG-1317 entitled Regulatory Options for Nuclear Power Plant License Renewal. Over fifty written responses to NUREG-1317 were received. For those who are interested in reviewing the responses, a summary and analysis are presented in NUREG/CR-5532. The process of obtaining public input as the Commission develops its plans for license renewal is continuing with this workshop.

For the benefit of you who may not be familiar with the NRC's program on aging research, I would like to describe briefly this program since it is an important contributor to license renewal. The NRC has for a number of years been carrying out a program of aging research. Much of this effort can be directly applied to assuring the continued safety of operating nuclear plants for which extended licenses may be granted. The principal concern of the NRC's aging research is that plant safety could be compromised if the degradation of key components or structures and the effects of such degradation on system operation were not detected and mitigated well before a loss of functional capability. The technical safety issue here is that age-related degradation could result in a reduction of defense-in-depth.

The NRC aging research effort is directed toward gaining an understanding of degradation processes within nuclear power plants. This hardware-oriented engineering program is a rigorous and systematic investigation into the potentially adverse effects of aging on plant components, systems, and structures during the period of normal licensed plant operation, as well as the potential period of extended plant life for license renewals beyond 40 years.

The emphasis is on identifying and characterizing the mechanisms of material and component degradation during service and on using research results in the regulatory process. The research includes evaluating methods of inspection, surveillance, condition monitoring, and maintenance as a means of managing aging effects that may impact safe plant operation. Specifically, the goals of the program are

- o Identify and characterize aging effects that could cause degradation of components, systems, and structures.
- o Identify methods of inspection, surveillance, and monitoring, and evaluate residual life of components, systems, and structures that will ensure timely detection of significant aging effects before loss of safety function.
- o Evaluate the effectiveness of storage, maintenance, repair, and replacement practices in mitigating the rate and extent of degradation caused by aging.

I expect that the results of this program will be reflected in the sessions to be held during this workshop. Additional recent information on the aging research program can be obtained in the proceedings of the Seventeenth Water Reactor Safety Information Meeting.

I wish to review briefly the agenda for this workshop. The agenda has been arranged to obtain views on the technical and policy issues involved in license renewal. Input is requested as to what should be appropriately addressed in the rule and what should be included in regulatory guides to support a proposed rule. This morning's plenary session will open with the staff's presentation of regulatory philosophy and approach for license renewal. This will provide an overview of the basis for developing technical, policy and legal positions regarding a license renewal rule and the regulatory guides to support the rule. Following this presentation a series of questions which have been made available in the handout will be used to guide the presentation of comments. This session will generally track the conceptual rule as presented in the Federal Register Notice. The intent is to complete an overview tour through this material so that only a limited time will be spent on individual parts. This overview will then be expanded on in the concurrent sessions to be held this afternoon and tomorrow morning.

This afternoon's sessions will consist of four concurrent meetings with the topics being Reactor Pressure Boundary, Fluid and Mechanical Systems, Screening Systems Structures and Components Important to Safety and continuation of session one. The staff will make a very short introduction at the start of

each session, which will be guided by the series of questions for that session presented in the handout, followed by comments by parties who have previously notified the Commission. Additional comments may be allowed at the discretion of the individual session chairmen as time permits. Tomorrow morning's sessions will consist of three concurrent sessions with the topics being Containments, Electrical Systems and Environmental Effects and will be conducted in a similar manner. On tomorrow afternoon, a summary session will be held with all participants. Each chairman of the individual sessions will present a brief summary of his session. This will enable all participants to get an overview of the entire workshop. This will be followed by a general session for comments and conclusions. For your information, a verbatim transcript will be taken of all sessions, and will be available about the end of this week.

I wish to emphasize the importance that we place in obtaining your input to the Preliminary Regulatory Philosophy and conceptual approach to a License Renewal Rule. Thank you again for your attendance and participation in this workshop.

REGULATORY APPROACH AND PHILOSOPHY

by

**JAMES H. SNIEZEK
DEPUTY DIRECTOR
OFFICE OF NUCLEAR REACTOR REGULATION**

**PUBLIC WORKSHOP ON LICENSE RENEWAL
NOVEMBER 13, 1989**

Session 1
Overview of Conceptual Approach
to a License Renewal Rule

Public Workshop
on Technical and Policy Considerations
for Nuclear Power Plant License Renewal
U. S. Nuclear Regulatory Commission
November 13-14, 1989, Reston, Virginia

SESSIONS 1 AND 5

OVERVIEW OF A CONCEPTUAL APPROACH TO A LICENSE RENEWAL RULE

I. Approach

1. Is the approach taken reasonable in light of known technical information?
2. Are the two principles stated in the philosophy discussion supported by the rule wording?
3. Are there any known technical or safety issues that would argue against the selected approach?
4. What areas of the philosophy need additional clarification?
5. Is the schedule for the rulemaking adequate to permit utilities to consider license renewal as an option for assuring adequate electrical supply?

II. Definition of the Licensing Basis

1. Has the current licensing basis been adequately defined?
2. What requirements, if any, should be included or deleted?
3. Are the requirements clear and is it clear how the requirements will be met?
4. What type and amount of documentation should be required as part of a renewal application?
5. What are the problems or issues in meeting the proposed requirements and is regulatory guidance needed in this area?

III. Exclusion of Regulatory Programs from Review

1. Should any identified programs or any other programs be included or excluded from review during a renewal application review? If so, identify those programs or issues and provide the technical or safety basis for the need to review or for exclusion from review.
2. Is it clear how the regulatory requirements of the programs excluded from review will continue to be met during a renewal term?

Sessions 1 and 5 Continued

IV. Envelope of Structures, Systems and Components to be Considered

1. Is equipment "important to safety" adequately defined and comprehensive?
2. Is it clear how the requirements will be met and what problems exist with establishing the envelope of "important to safety?"
3. Is it clear that this rule requires the review of mild environment electrical equipment in systems important to safety to the identified degradation mechanisms?

V. Degradation Mechanism

1. Are there any additional known degradation mechanisms which should be included in a license renewal rule? If so, identify the mechanism and cite references to technical information describing the mechanism.
2. Is it clear how the requirements for identifying the mechanisms will be met or is there a need for additional regulatory guidance in this area or are definitions needed for the categories of the degradation mechanisms?
3. Should definitions of the mechanisms be included in the rule?

VI. Severe Accidents

1. Should the staff require a completion of the Individual Plant Examination as a precondition to submission of a renewal application?
2. Should severe accidents have any additional role in a decision on renewal of an operating license?
3. Are the requirements clear and is it clear how the requirements can be met?
4. What are the problems or issues in meeting the proposed requirement and is additional regulatory guidance needed in this area?
5. Should the Accident Management Program be required to be in place?

VII. Content of Application

1. Are the requirements for what should be submitted clear and is it clear how those requirements are to be met?
2. Should a new FSAR be submitted in support of a renewal application or an addendum to the existing document?

Sessions 1 and 5 Continued

3. What amount of documentation of data, analyses and program changes should be provided in the application? Should the rule propose the types of information that can be retained in auditable forms at applicant locations?
4. Is additional regulatory guidance needed in this area and should publication of additional guidance in this area be linked to publication of the final rule?
5. Is more detail needed to provide a regulatory framework in the conceptual rule for a well-defined and acceptable screening process?

VIII. Certification of Compliance

1. Is the requirement clear and is it clear how the requirement will be met?
2. Should the NRC require applicants for renewal licenses to describe deviations from the SRP as is required of initial OL applicants?

IX. Environmental Information

1. Should the staff prepare a generic environmental statement which would discuss and envelope as many environmental issues as possible and which would then be used as a cited reference and preclude litigation in any relicensing proceeding?
2. Need for Separate rulemaking on Part 51 separate or with proposed rule?

X. Standards for Issuance of a Renewed License

1. Is it clear what the standards require and how the standards can be satisfied?
2. Do the specified standards provide reasonable assurance that a facility can be operated beyond its initial time or subsequent renewal terms? If not, what additional standards should be established for the issuance of renewal licenses?
3. Should a limit be placed on the number of renewals permitted at any one facility?

XI. Postponement of Compliance in the area of Decommissioning and Fuel Managements

1. Should a license renewal rule include an automatic postponement of the existing requirements or should it be necessary to have the renewal applicant specifically request a postponement or exemption from the stated requirements?

**OVERVIEW OF CONCEPTUAL APPROACH
TO A LICENSE RENEWAL RULE**

F. GILLESPIE, NRR (POLICY ISSUES)
R. BOSNAK, RES (TECHNICAL ISSUES)
L. CHANDLER, OGC (LEGAL ISSUES)

**PUBLIC WORKSHOP ON LICENSE RENEWAL
NOVEMBER 13, 1989**

Sessions 1 and 5 Continued

2. Is the postponement period reasonable or should it be more limited in time, e.g. for one year or 2 years only?

XII. Maintenance, Surveillance and Recordkeeping

1. What, if any, maintenance practices should be required by a license renewal rule? (such as reliability centered maintenance.)
2. What type of process should be required by this regulation to assure that future changes in the maintenance or surveillance programs do not reduce the effectiveness of these programs in monitoring plant degradation mechanisms?
3. What specific standards for maintenance practices should be developed and issued in a regulatory guide related to license renewal?
4. What types and amount of documentation of existing or newly proposed maintenance practices should be submitted as part of a renewal application?
5. What types of documentation can provide a verification of insitu equipment condition and how much onsite inspection should be performed to validate the documentation?
6. What, if any, use and participation in NPRDS should be required in a license renewal application?
7. What steps should be required as part of a license renewal to assure that programmatic aspects of an enhanced maintenance program are effectively implemented?
8. What credit, if any, should be given for voluntary adoption and implementation of an industry standard for maintenance?
9. What type of information should be included or required of maintenance records for license renewal?
10. What specific requirements should be included for monitoring aging effects on specific critical components?
11. Should the proposed license renewal rule require a program for tracking maintenance records (performance trending) on specific safety-related equipment in order to monitor system performance, and how soon prior to submittal of the licensee renewal request should such a program be implemented?
12. When inspections have not been made or operating history records and trending information documentation have not been maintained, what alternative measures can be taken to justify extended life?
13. Can components which are "routinely maintained" be excluded from license renewal considerations unless there are agreed upon reliability goals for these components?

LICENSE RENEWAL PROGRAM PLAN

- o Rulemaking
- o GEA/GEIS
- o Regulatory Guidance Development
- o Industry Technical Report Program
- o Lead Plant Program

OVERALL SCHEDULE

- o Publish proposed rule for comment June 1990
- o Publish proposed key Regulatory Guides SRP Sections, and GEA/GEIS December 1990
- o Pilot plant application June 1991
- o Publish Final Rule, key RGs, SRP and GEA/GEIS April 1992
- o Publish additional RGs or SRP, as necessary April 1993
- o Issue SER on Pilot Plant application June 1993

SEVERE ACCIDENT TREATMENT

- o Resolved prior to submittal of license renewal application
 - IPE completed and submitted to staff
 - Accident Management Program in place
 - Corrective actions identified and agreed to by staff
 - Approved schedule for corrective actions

ENVIRONMENTAL IMPACT TREATMENT

- o Comply with NEPA requirements
 - Rulemaking to specify technical and procedural requirements
 - Actual relicensing of plants

- o Handle issues in generic manner
 - Environmental Assessment
 - Environmental Impact Statement

- o Plant-specific Environmental Reports

LICENSE RENEWAL PHILOSOPHY

- o Current licensing basis is sufficient for adequate protection of public health and safety
- o Maintain the current level of plant safety during the extended plant life

APPROACH FOR MAINTAINING CURRENT LEVEL OF PLANT SAFETY

- o Ensure that systems, structures and components will perform intended functions**
- o Focus attention on managing age-related degradation unique to extended life**
- o Credit given for ongoing regulatory and licensee programs**
- o Use industry technical studies for resolution of issues on generic basis**
- o Use NRC research findings for development of acceptance criteria**

BACKGROUND

- o **FRN on License Renewal Policy Development, November 6, 1986**
- o **SECY-87-179, Status of Staff Activities and Report on Public Comments - July 21, 1987**
- o **Advance Notice of Proposed Rulemaking and NUREG-1317, "Regulatory Options for Nuclear Plant License Renewal," August 29, 1988**
- o **NUREG/CR-5332, "Summary and Analysis of Public Comments," March, 1989**

**MAJOR ISSUES REQUIRING RESOLUTION
PRIOR TO PROPOSED RULEMAKING**

- o License Renewal Basis and Scope**
- o Severe Accident Treatment**
- o Environmental Impact Treatment**

PLANNED DISCUSSION TOPICS

- o Purpose of the workshop
- o Background
- o Regulatory Philosophy
- o Program Plan for License Renewal

PURPOSE OF THE LICENSE RENEWAL WORKSHOP

- o To inform the industry and public of the staff concept for license renewal
- o To obtain feedback on technical and policy issues
- o To obtain feedback on the framework regulatory language
- o To determine whether there are additional issues which should be dealt with in the regulatory process

Session 2
Reactor Pressure Boundary

Public Workshop
on Technical and Policy Considerations
for Nuclear Power Plant License Renewal
U. S. Nuclear Regulatory Commission
November 13-14, 1989, Reston, Virginia

SESSION 2

REACTOR PRESSURE BOUNDARY

1. Since the surveillance programs required by Appendix H of 10 CFR 50 to monitor radiation embrittlement of reactor vessels generally have been designed for a 40 year period, what additional requirements should be implemented to comply with this Appendix for the extended life?
2. In view of the uncertainties involving the material properties of aged cast austenitic stainless steel, what measures are needed to assure safe operation of components manufactured of this material during extended plant life?
3. Do the current ISI and IST programs adequately address aging mechanisms in the reactor pressure boundary systems and components?
4. Many operating plants with piping which cracked due to IGSCC have had weld overlay repairs. While this repair is safe for current operations, NDE is difficult and stress patterns have been changed in the piping system. What bases exist to permit the continued use of such piping for extended plant life?
5. Since plants have used less efficient NDE techniques than are available today, should they be re-baselined with modern techniques? Should ISI intervals and extent of sampling remain the same? Considering loss of toughness with aging, should flaw acceptance standards be modified? Because of uncertainties in the level of degradation and in the effectiveness of ISI, should continuous monitoring NDE techniques be applied during extended life?
6. Existing fatigue requirements do not take into account the accelerated damage caused by water environment and higher temperatures of LWR plants. What provisions should be required to permit operating life to be safely extended without more definitive knowledge of this effect and how should these provisions affect the application of Miner's rule and the S-N curves applied in the ASME design code incorporated by reference into the NRC regulations? Should NDE techniques be used that give measures of remaining fatigue life and levels of toughness?
7. Are there any kinds of tests that should be done to demonstrate integrity and operability to qualify for extended life?

ROLE OF SEVERE ACCIDENTS

- o Should completion of IPE be an precondition of application?**
- o Should an Accident Management Plan be required?**
- o Should the question of severe accidents have any role in a license renewal decision?**

STANDARDS FOR ISSUANCE

- o Do the specific standards provide reasonable assurance that a facility can be operated safely for an extended term?
- o Should a limit be placed on the number of renewals?
- o Should a process for renewal of a renewal license be different than that for the first renewal and what would be a reasonable approach?

SCREENING PROCESS AND CONTENT
OF APPLICATION

- o Is equipment "important to safety" adequately defined?
- o Should degradation mechanisms be included in the rules?
- o What is an adequate level of documentation concerning data, analyses and program changes?
- o Is it clear how and why the certification of compliance is an essential part of application?
- o Is there a need for additional guidance?

LICENSING BASIS

- o Has licensing basis been adequately defined?
- o What is the necessary level of documentation in application?
- o Is it clear how the requirements will be met?
- o Are other regulatory programs candidates for exclusion from review for license renewal?

BACKFIT CONSIDERATIONS

- o Requirements specified in rule are not covered by backfit rule
- o Previous decisions on backfit for some technical issues may be revisited to determine if additional life significantly affects previous position
- o Backfit rule to apply after issuance of renewal license

LICENSE RENEWAL APPROACH

- o Are there any known technical or safety issues that would argue against the selected approach?
- o Is the philosophy implemented by the wording of the framework?
- o Is the schedule reasonable in light of public and utility interests?

STANDARDS FOR ISSUANCE OF LICENSE

- o Identifies only those areas on which the staff must make findings in order to issue a renewal license**
- o Regulatory areas not identified are not basis for issuance of renewal license**

STANDARDS FOR ISSUANCE (CONT.)

o Standards include:

1. Licensing basis has been completely and accurately defined
2. SSC important to safety have been identified
3. Applicable degradation mechanisms have been identified
4. Appropriate actions have been or will be taken to account for degradation
5. Acceptable program for trending and evaluation degradation effects

SEVERE ACCIDENTS

- o Subject to be resolved under initial license**
- o Precondition in rule to assure completion prior to application**
- o Completion includes:**
 - IPE including external events**
 - Accident Management Plan**
 - Approved schedule or completion of licensee proposed modifications**

CONTENT OF APPLICATION

- o Definition of licensing basis**
- o Certification of licensing basis**
- o Technical evaluations and SSC screening process**
- o Degradation mechanisms covered**
- o Basis for conclusions that degradation is properly monitored or corrected**
- o Technical specifications**
- o Environmental Report update**

LICENSING BASIS

- o Establishes the envelope of regulatory compliance and enforcement for the renewal term
- o Includes: Regulations of 10 CFR
 - Orders
 - License Conditions
 - Exemptions
 - Adjudicatory decisions
 - Technical Specifications
 - NRC Bulletins
 - Generic Letters
 - Docketed Correspondence

**PROPOSED REGULATORY PROGRAMS NOT
SUBJECT TO REVIEW FOR LICENSE RENEWAL**

- o Programs excluded:
 - Staffing and training programs
 - Operational QA programs
 - Health physics and ALARA programs
 - Security programs
 - Approved ISI and IST programs
 - Containment testing programs
 - Emergency plans
 - EQ covered by 10 CFR 50.49

- o Compliance concerns with above programs
to be treated under 10 CFR 2.206

TOPICS OF DISCUSSION

- o **Renewal philosophy**
- o **Licensing basis**
- o **Severe accidents**
- o **Content of application**
- o **Standards for issuance**
- o **Backfit considerations**
- o **Hearings**
- o **Maintenance and records**

LICENSE RENEWAL PHILOSOPHY

- o Current licensing basis is sufficient for adequate protection of public health and safety
- o Maintain the current level of plant safety during the extended plant life

Session 3
Fluid and Mechanical Systems

Public Workshop
on Technical and Policy Considerations
for Nuclear Power Plant License Renewal
U. S. Nuclear Regulatory Commission
November 13-14, 1989, Reston, Virginia

SESSION 3

FLUID AND MECHANICAL SYSTEMS

1. What additional criteria should the proposed license renewal rule and associated regulatory guidance contain regarding periodic surveillance and preventative maintenance to ensure the operability of mechanical equipment important to safety and fluid system performance beyond their initial design life?
2. What type of augmented inspections and/or analyses are needed to address aging mechanisms in pumps and valves, such as:
 - detection of degradation in pump and valve internals (e.g., erosion and corrosion due to flow turbulence and chemical attacks)
 - detection of possible cumulative fatigue of pump shafts which may lead to cracking.
 - detection of possible cumulative fatigue effects to valve discs and hinges due to cyclic stresses and impact loading from valve operation and flow excitations.
3. What should the proposed license renewal rule require regarding functional testing of systems important to safety as a prerequisite for license renewal, recognizing that such functional testing may not have been performed previously as part of the original licensing basis?
4. In light of the great variability in the treatment of fatigue in the design of Class I (or quality group A) piping and components, there is a need that license extension requirements be based on operating history of individual plants. How should the NRC confirm that Class I components have not exceeded their original fatigue design requirements? Also, should the industry address this issue in a topical report?
5. How can the residual fatigue life for Class 2 and 3 piping and components be determined for license renewal?
6. Existing fatigue requirements do not take into account the accelerated damage caused by water environment and higher temperatures of LWR plants. What provisions should be required to permit operating life to be safely extended without more definitive knowledge of this effect and how should these provisions affect the application of Miner's rule and the S-N curves applied in the ASME design code incorporated by reference into the NRC regulations? Should NDE techniques be used that give measures of remaining fatigue life and levels of toughness?
7. Are there any kinds of proof tests or hot functional tests that should be done to demonstrate integrity and operability to qualify for extended life?

PUMPS

- o CUMULATIVE FATIGUE EFFECTS TO SHAFT
- o BEARING WEAR
- o DEGRADATION OF SEALS, GASKETS AND PACKING
- o EROSION AND CORROSION OF INTERNALS
- o DISTORTION OF SUBCOMPONENTS
- o LOOSENING OF PARTS

VALVES

- o CUMULATIVE FATIGUE EFFECTS TO DISC AND CONNECTIONS
- o SEAT WEAR
- o DEGRADATION OF SEAL AND MOTOR INSULATION
- o SET POINT DRIFT
- o EROSION AND CORROSION OF INTERNALS
- o DISTORTION OF INTERNAL PART
- o STEM AND GEAR WEAR
- o DISC/SEAT BINDING
- o WORN OR BROKEN BEARINGS
- o TORQUE SWITCH OR LIMIT SWITCH BINDING

STEAM GENERATOR TUBES

- o PRIMARY SIDE STRESS CORROSION CRACKING
- o SECONDARY SIDE STRESS CORROSION CRACKING
- o FATIGUE (FLOW INDUCED VIBRATIONS)
- o DENTING (SUPPORT PLATE CORROSION)
- o INTERGRANULAR ATTACK
- o FRETTING & WEAR (FOREIGN OBJECTS)
- o PITTING
- o WASTAGE
- o STEAM GENERATOR PLUGS

PIPING

- o INTERGRANULAR STRESS CORROSION CRACKING (IGSCC)
CAUSED BY - SENSITIZED MATERIALS
 - RESIDUAL STRESSES
 - OXYGEN CONTENT AND IMPURITIES IN COOLANT WATER

- o EMBRITTLEMENT DUE TO AGING AT OPERATING TEMPERATURE
(PWR CAST S.S.)

- o THERMAL STRATIFICATION

- o EROSION/CORROSION

PRIMARY PRESSURE BOUNDARY

- o REACTOR VESSELS
- o STEAM GENERATORS
- o PIPINGS
- o PUMPS
- o VALVES

REACTOR VESSEL

- o NEUTRON IRRADIATION EMBRITTLEMENT OF BELTLINE MATERIALS
- o REGULATORY GUIDE 1.99, REV. 2 PROVIDES COMPUTATION METHOD FOR CALCULATING EMBRITTLEMENT
- o COPPER, NICKEL, NEUTRON FLUENCE AND IRRADIATION TEMPERATURE ARE IMPORTANT VARIABLES AFFECTING EMBRITTLEMENT
- o THERMAL FATIGUE
- o IRRADIATION ASSISTED STRESS CORROSION CRACKING OF VESSEL INTERNALS AND CORE SUPPORT STRUCTURE

Session 4
Screening Methodology for Systems, Structures and
Components Important to Safety

Public Workshop
on Technical and Policy Considerations
for Nuclear Power Plant License Renewal
U. S. Nuclear Regulatory Commission
November 13-14, 1989, Reston, Virginia

SESSION 4

SCREENING METHODOLOGY FOR SYSTEMS, STRUCTURES AND COMPONENTS IMPORTANT TO SAFETY

1. Is the scope of the systems covered by the conceptual rule adequate to assure safety?
2. Are the requirements clear?
3. Is it clear how the screening process in the rule works and is it clear how the requirements of the rule will be met?
4. Should the regulation permit the use of screening methods that are based on probabilistic risk assessments? If yes, describe the type of assessment and the specific rule of the risk assessment. If no, provide an explanation for your answer.
5. Should experimental aging models be required in probabilistic risk assessments to estimate aging degradation effects?
6. What are any additional issues or problems that might arise in meeting the proposed requirements and how can these concerns be dealt with through regulatory instruments?
7. Can defense in depth be incorporated into the screening methods?
8. How should the NRC judge the adequacy of an aging data model for use in PRA?
9. What, if any, should be the role of a mandatory plant-specific data base in license renewal?
10. What types of data analysis should be used to detect increasing failure rates of components?
11. It is well known that the data used in PRAs can change the results as well as the ranking of the contributors to core damage frequency. If a PRA is used in license renewal, what role should plant specific data play in this area? How much data are required for plant specific applications?
12. PRAs normally do not include passive components as basic events in the logic models. How should passive components be treated in PRA for license renewal?
13. If a PRA is used in a screening process for license renewal, how should the human error probabilities be treated so that the PRA reflects the design and not the human actions?

Session 4 Continued

14. To what level of detail does a PRA need to be for use in license renewal? Does specific guidance exist for performing a PRA for license renewal?
15. What is the role of Level I PRA in license renewal? Level II? Level III?

APPROACH TO ESTABLISHING SCOPE OF TECHNICAL ISSUES

1. DEFINES A PROPOSED SCREENING PROCESS FOR EQUIPMENT AND STRUCTURES TO BE REVIEWED
2. DEFINES STRUCTURES, SYSTEMS, AND COMPONENTS FOR EVALUATION
3. DEFINES SPECIFIC SET OF DEGRADATION MECHANISMS FOR EVALUATION
4. DEFINES REQUIREMENTS FOR CORRECTIVE ACTION WHEN DEGRADATION IS NOT BEING MONITORED

LICENSE RENEWAL WORKSHOP

SESSION 4

SCREENING METHODOLOGY FOR SYSTEMS, STRUCTURES
AND COMPONENTS IMPORTANT TO SAFETY

1. THE ADEQUACY OF THE SCOPE OF SYSTEMS COVERED BY
THE PROPOSED RULE
2. THE CLARITY OF REQUIREMENTS IN THE RULE
3. THE CLARITY OF THE SCREENING PROCESS
4. THE APPLICABILITY OF PRAs
5. THE NEED FOR EXPERIMENTAL AGING MODELS
6. THE RESOLUTION OF POTENTIAL ADDITIONAL PROBLEMS
IN MEETING THE PROPOSED REQUIREMENTS
7. INCORPORATION OF DEFENSE IN DEPTH

LICENSE RENEWAL WORKSHOP

SESSION 4 - CONTINUED

SCREENING METHODOLOGY FOR SYSTEMS, STRUCTURES
AND COMPONENTS IMPORTANT TO SAFETY

8. THE ADEQUACY OF THE AGING DATA MODEL
9. THE ROLE OF MANDATORY PLANT-SPECIFIC DATA BASE
10. DATA ANALYSIS TO DETECT INCREASING FAILURE RATES
11. THE ROLE OF PLANT-SPECIFIC DATA IN PRAs USED IN LICENSE RENEWAL
12. THE TREATMENT OF PASSIVE COMPONENTS IN PRAs USED IN LICENSE RENEWAL
13. THE TREATMENT OF HUMAN ERROR PROBABILITIES IN PRAs USED IN LICENSE RENEWAL
14. THE LEVEL OF DETAIL AND THE NEED FOR SPECIFIC GUIDANCE FOR PRAs USED IN LICENSE RENEWAL
15. THE ROLE OF LEVEL I THRU III PRAs IN LICENSE RENEWAL

Session 5
Overview of Conceptual Approach
and Regulatory Framework
(continued discussion, see
Session 1 questions and notes)

Public Workshop
on Technical and Policy Considerations
for Nuclear Power Plant License Renewal
U. S. Nuclear Regulatory Commission
November 13-14, 1989, Reston, Virginia

Session 6
Containments

Public Workshop
on Technical and Policy Considerations
for Nuclear Power Plant License Renewal
U. S. Nuclear Regulatory Commission
November 13-14, 1989, Reston, Virginia

SESSION 6

CONTAINMENTS

1. What additional measures should be taken to monitor and address anticipated and unanticipated structural degradations (including the loss of prestressing forces) such that an acceptable level of safety is maintained during the extended life?
2. For what additional degradation environments or mechanisms should containments be monitored or inspected? Also, how can detrimental long term chemical interactions in concrete containment be measured and predicted in the future?
3. Prior to granting a license renewal, should the licensee be required to implement (a) containment leak rate qualification test, (b) containment structural integrity test, and (c) containment configuration (including foundation) surveillance? For other Category I structures (including ultimate heat sink, water retaining structures), what type of surveillance should be required for detection of likely degradations during extended license?

SESSION 6

CONTAINMENTS

Background

- **Defense-In-Depth Concept**
Last Barrier To Contain Uncontrolled Release Of Fission Products In A Multiple Overlapping Successive System

- **Regulatory Design Requirements In 10 CFR 50, APP. A**
 - **Establishment Of A Leak-Tight Barrier**
 - **Assurance Of Not Exceeding Design Requirements For Postulated Accident Conditions**

TYPES OF STRUCTURAL DEGRADATIONS

- **Loss Of Tendon prestress in prestressed Concrete Containments**
- **Corrosion Of Tendons**
- **Corrosion Of BWR Mark I Drywell Shell**
- **Corrosion Of BWR Torus**
- **Corrosion Of PWR Ice Condenser Containment**
- **Potential Corrosion Of Rebars In Reinforced Concrete Containments**
- **Corrosion Of Rebars And Spalling Of Concrete In Intake Structures**

Session 7
Electrical Systems

Public Workshop
on Technical and Policy Considerations
for Nuclear Power Plant License Renewal
U. S. Nuclear Regulatory Commission
November 13-14, 1989, Reston, Virginia

SESSION 7

ELECTRICAL SYSTEMS

1. What should the proposed licensee renewal rule and associated regulatory guidance contain regarding additional criteria for testing, analysis, or replacement of electrical equipment currently included in the 10 CFR 50.49 Equipment Qualification Program which is qualified for a life less than the original license term plus the renewal period but is not subject to periodic replacement?
2. What additional programs are necessary to address aging degradation issues associated with electrical equipment important to safety but located in mild environments? What should the proposed license renewal rule or other associated regulatory guidance require with regard to additional qualification or operability verification for electrical equipment in mild environments which has a design life less than the license renewal period but which is not subject to periodic replacement?
3. Licensees have identified electrical components important to safety that have been assumed to have a life expectancy of 40 years but have been found to fail, or otherwise become unreliable, after 5 to 10 years in service. To what extent has the industry identified electrical equipment that is known to exhibit high failure rates in less than 40 years and what should be done to ensure reliable equipment performance to support license renewal?
4. Most cable has been qualified by manufacturers for 40 years. The 40 year life was predicated on certain installed and application conditions (including environmental stressors, cable electrical loading and cable mechanical loading) for which the cable was designed. Given that manufacturers have provided certain important initial parameters for new cable, what kind of program should be proposed that could be instituted to establish the insitu condition of cables and the potential degradation that would take place beyond the current design life? In addition, what insitu monitoring methods would be useful for an aging assessment of circuit breakers, relays, reactor protection systems, and electrical distribution systems?
5. What requirements should NRC issue as part of a license renewal rule for electrical equipment important to safety?
6. What should the proposed license renewal rule require regarding functional testing of electrical equipment important to safety as a prerequisite for license renewal, recognizing that such functional testing may not have been performed previously as part of the original licensing basis?

APPROACH TO ESTABLISHING SCOPE OF TECHNICAL ISSUES

1. DEFINES A PROPOSED SCREENING PROCESS FOR EQUIPMENT AND STRUCTURES TO BE REVIEWED
2. DEFINES STRUCTURES, SYSTEMS, AND COMPONENTS FOR EVALUATION
3. DEFINES SPECIFIC SET OF DEGRADATION MECHANISMS FOR EVALUATION
4. DEFINES REQUIREMENTS FOR CORRECTIVE ACTION WHEN DEGRADATION IS NOT BEING MONITORED

SESSION 8

ENVIRONMENTAL EFFECTS

1. Is there any compelling reason not to permit the NRC the option of preparing an environmental assessment rather than an environmental impact statement (or supplement to) in individual relicensing actions as now required in 10 CFR 51?
2. To what extent might a generic environmental impact statement reduce the number and scope of environmental issues which would need to be addressed in individual relicensing actions?
3. What are the advantages and disadvantages of concurrent NEPA (10 CFR 51) and health and safety (10 CFR 50) rulemakings? Should these rulemakings be combined and pursued on the same schedule?
4. What are the potential sources of environmental effects from relicensing?
5. What are the potential magnitudes and significances of such environmental effects?
6. What experiential knowledge, studies and data are available to perform generic evaluations of potential environmental effects?
7. To what extent would such environmental effects differ from those experienced during the initial term of operation?
8. What should be the focus and scope of analysis of severe accident consequences in a generic environmental impact statement?
9. Should plant specific Level III PRA's be required in the NEPA severe accident consequence analysis?
10. To what extent should future availability of spent fuel storage capacity be a consideration in the generic environmental impact statement?
11. What should be the focus and scope of analysis of alternatives to relicensing the current generation of LWRs?
12. What role might utilities and Federal and State agencies play in the process of developing a generic environmental impact statement?

LICENSE RENEWAL WORKSHOP

Session 8

Environmental Effects

- **NEPA Review Is Required for:**
 - **License Renewal Rule -- NOW!**
 - **License Renewal Actions -- NOW or LATER?**
- **Alternative NEPA Documents**
- **Schedule Implications**
- **Sources of Environmental Effects**
- **Analysis**

LICENSE RENEWAL WORKSHOP

SESSION 7

ELECTRICAL SYSTEMS

1. ADDITIONAL CRITERIA FOR ELECTRICAL EQUIPMENT INCLUDED IN THE E.Q. PROGRAM BUT NOT PERIODICALLY REPLACED
2. ADDITIONAL PROGRAMS TO ADDRESS AGING DEGRADATION OF ELECTRICAL EQUIPMENT LOCATED IN MILD ENVIRONMENTS
3. PROGRAMS TO ESTABLISH THE INSITU CONDITION OF CABLES AND COMPONENTS AND THE POTENTIAL FOR FUTURE DEGRADATION
4. REQUIREMENTS WITHIN THE RULE FOR ELECTRICAL EQUIPMENT IMPORTANT TO SAFETY
5. FUNCTIONAL TESTING OF ELECTRICAL EQUIPMENT AS A PREREQUISITE FOR LICENSE RENEWAL

Session 8
Environmental Effects

Public Workshop
on Technical and Policy Considerations
for Nuclear Power Plant License Renewal
U. S. Nuclear Regulatory Commission
November 13-14, 1989, Reston, Virginia

LICENSE RENEWAL WORKSHOP

Session 8

Environmental Effects - Continued

- **Significance of Effects**
- **Severe Accident Consequences**
- **Spent Fuel Storage Capacity**
- **Alternatives to Relicensing**
- **Contribution of Federal and State Agencies to a Generic Review**

Lunch noon - 1:00
continued thru

SESSION 1

*T-7
-D get them
late -
Will help*

OVERVIEW OF CONCEPTUAL APPROACH TO A

LICENSE RENEWAL RULE

**PRESENTED BY
JOHN DEVINCENTIS,
CHAIRMAN, NUMARC NUPLEX WORKING GROUP**

NOVEMBER 13, 1989

TOPICS TO BE ADDRESSED

- 0 CURRENT LICENSING BASIS
- 0 STRUCTURE, SYSTEM, COMPONENT EVALUATIONS
- 0 ENVIRONMENTAL REQUIREMENTS
- 0 SEVERE ACCIDENTS
- 0 STANDARD FOR ISSUANCE OF RENEWAL LICENSE
- 0 BACKFIT RULE
- 0 ISSUANCE OF RENEWAL LICENSE
- 0 TIMELY RENEWAL DOCTRINE
- 0 DECOMMISSIONING
- 0 EXCLUSION OF REGULATORY PROGRAMS FROM LICENSE RENEWAL REVIEW
- 0 PROBABILISTIC RISK ASSESSMENT
- 0 MAINTENANCE, SURVEILLANCE, & RECORDKEEPING

CURRENT LICENSING BASIS

- o **NUMARC IN AGREEMENT WITH NRC PHILOSOPHICAL APPROACH TO LICENSE RENEWAL**
 - **FOCUS OF LICENSE RENEWAL IS MITIGATION AND MANAGEMENT OF AGE-RELATED DEGRADATION TO ENSURE ADEQUATE LEVEL OF SAFETY**
 - **CURRENT LICENSING BASIS PROVIDES ADEQUATE LEVEL OF SAFETY AND THAT SAME LEVEL OF SAFETY IS ADEQUATE FOR RENEWAL GIVEN:**
 - * **COMMISSION'S INITIAL FINDING OF ADEQUATE PROTECTION**
 - * **COMMISSION'S CONTINUING OVERSIGHT AND REGULATORY ACTIONS**
 - * **LICENSEE'S PROGRAMS**

CURRENT LICENSING BASIS (CONTINUED)

- 0 REQUIREMENTS IN CONCEPTUAL OUTLINE ARE INCONSISTENT WITH MRC'S PHILOSOPHICAL APPROACH
 - XX.9(A): ENTIRE CURRENT LICENSING BASIS NEED NOT BE IDENTIFIED AND DOCUMENTED
 - * IT IS ALREADY PART OF THE LICENSING RECORD
 - * FOCUS OF LICENSE RENEWAL IS AGE-RELATED DEGRADATION IDENTIFY AND DOCUMENT ONLY:
 - + THOSE PORTIONS OF CURRENT LICENSING BASIS WHICH ARE PERTINENT TO THE MANAGEMENT AND MITIGATION OF AGE-RELATED DEGRADATION
 - + EXEMPTIONS WHICH ARE TIME DEPENDENT

CURRENT LICENSING BASIS (CONTINUED)

- **XX.9(B): CERTIFICATION OF COMPLIANCE WITH CURRENT LICENSING BASIS IS NOT NECESSARY**
 - * **NRC OVERSIGHT AND LICENSEE PROGRAMS ENSURE COMPLIANCE AS RECOGNIZED IN NRC'S PHILOSOPHICAL APPROACH**
 - * **FOR THAT PORTION OF CURRENT LICENSING BASIS SUBMITTED, OATH OR AFFIRMATION IS SUFFICIENT FOR LICENSE RENEWAL APPLICATION**

- **XX.9(B): ANALYSIS OF ENTIRE CURRENT LICENSING BASIS IS NOT NECESSARY**
 - * **FOCUS OF LICENSE RENEWAL IS AGE-RELATED DEGRADATION OF EQUIPMENT**
 - * **ONLY THAT PORTION OF CURRENT LICENSING BASIS RELEVANT TO AGE-RELATED DEGRADATION SHOULD EVEN BE CONSIDERED**

CURRENT LICENSING BASIS (CONTINUED)

- **XX.19(A): A COMPLETE AND ACCURATE DESCRIPTION OF THE ENTIRE CURRENT LICENSING BASIS IS UNNECESSARY**
 - * **FOCUS OF LICENSE RENEWAL IS AGE-RELATED DEGRADATION OF EQUIPMENT**
 - * **XX.19(D) PROVIDES A SUFFICIENT BASIS FOR A FINDING THAT AN APPLICANT'S FACILITY WILL ENSURE THE PUBLIC HEALTH AND SAFETY**

- o **NUMARC BELIEVES THAT XX.3(A) IS UNNECESSARY FOR LICENSE RENEWAL**
 - **DEFINITION OF CURRENT LICENSING BASIS IS NOT NEEDED IN THE RULE IF CURRENT LICENSING BASIS IS ADEQUATELY DEFINED IN STATEMENT OF CONSIDERATIONS**
 - **CURRENT LICENSING BASIS IS NOT UNIQUE TO LICENSE RENEWAL**

STRUCTURES, SYSTEMS & COMPONENTS EVALUATION

- o **NUMARC IS IN AGREEMENT WITH NRC'S PHILOSOPHICAL APPROACH TO LICENSE RENEWAL**
- **FOCUS OF LICENSE RENEWAL IS THE MITIGATION AND MANAGEMENT OF AGE-RELATED DEGRADATION OF EQUIPMENT TO ENSURE AN ADEQUATE LEVEL OF SAFETY**
- **THE APPROACH PROPOSED BY NUMARC IN THE METHODOLOGY TO EVALUATE PLANT EQUIPMENT FOR LICENSE RENEWAL IMPLEMENTS THE NRC'S PHILOSOPHY**

STRUCTURES, SYSTEMS & COMPONENTS EVALUATION (CONTINUED)

0 REQUIREMENTS OF CONCEPTUAL OUTLINE ARE INCONSISTENT WITH NRC'S PHILOSOPHICAL APPROACH

- XX.9(c): FAILS TO TAKE INTO ACCOUNT EXISTING PLANT INSPECTION, REFURBISHMENT, AND REPLACEMENT PROGRAMS WHICH EFFECTIVELY MITIGATE AND MANAGE AGE-RELATED DEGRADATION
- XX.9(c): IF AGE RELATED DEGRADATION OF EQUIPMENT IS ADEQUATELY ADDRESSED NO NEED TO RE-ANALYZE DESIGN BASIS EVENTS
- XX.9(c)(5): A PROGRAM FOR IDENTIFYING, EVALUATING AND TRENDING EFFECTS OF ALL RELEVANT DEGRADATION MECHANISMS SHOULD NOT BE REQUIRED FOR COMPONENTS WHICH ARE REPAIRED, REPLACED OR REFURBISHED ON AN ACCEPTABLE REPLACEMENT INTERVAL
- XX.9(e): TECHNICAL SPECIFICATIONS ARE NOT THE APPROPRIATE MECHANISM TO CONTROL PROGRAMS WHICH MANAGE OR MITIGATE AGE-RELATED DEGRADATION

ENVIRONMENTAL REQUIREMENTS

- o NUMARC SUPPORTS STAFF'S DETERMINATION THAT AN EA IS REQUIRED TO SATISFY NEPA IN CONNECTION WITH LICENSE RENEWAL RULEMAKING.
- AN EIS NEED ONLY BE PREPARED IF EA CONCLUDES THAT SIGNIFICANT ENVIRONMENTAL IMPACTS RESULT FROM LICENSE RENEWAL.
- THE EA TO THE EXTENT PRACTICAL SHOULD BE USED TO ENVELOPE GENERIC ENVIRONMENTAL EFFECTS.
- SCHEDULE FOR COMPLETION OF SUCH AN EA MUST COINCIDE WITH THE RULEMAKING SCHEDULE TO SATISFY LEAD PLANT NEEDS: MAY, 1991
- ENVIRONMENTAL EVALUATION TO SUPPORT THE REVISION TO PART 51, GENERIC TREATMENT OF ENVIRONMENTAL EFFECTS FOR LICENSE RENEWAL, SHOULD BE DEFERRED UNTIL AFTER THE SUBSTANTIVE REQUIREMENTS OF LICENSE RENEWAL ARE ISSUED AS FINAL REGULATIONS
- o A GENERIC EIS IS NOT NECESSARY TO ENVELOPE GENERIC ENVIRONMENTAL EFFECTS.

ENVIRONMENTAL REQUIREMENTS (CONTINUED)

- 0 NUMARC ENCOURAGES STAFF TO MODIFY 10 C.F.R. 51.20(b)(2) TO ALLOW PREPARATION OF EA, AS OPPOSED TO EIS, IN CONNECTION WITH INDIVIDUAL LICENSE RENEWAL APPLICATIONS SINCE
 - CONTINUED PLANT OPERATION DURING RENEWAL PERIOD SHOULD NOT RESULT IN SIGNIFICANT ENVIRONMENTAL IMPACTS.

SEVERE ACCIDENTS

T-8

- o **SEVERE ACCIDENT CLOSURE SHOULD NOT BE PART OF THE LICENSE RENEWAL RULEMAKING**
 - **INDUSTRY IS CURRENTLY PROCEEDING TOWARDS SEVERE ACCIDENT CLOSURE IN RESPONSE TO GENERIC LETTER 88-20.**
 - **SEVERE ACCIDENTS ARE OUTSIDE OF THE SCOPE OF THE LICENSE RENEWAL RULEMAKING BECAUSE THEY ARE NOT A PRODUCT OF AGE-RELATED DEGRADATION.**
- o **ACCIDENT MANAGEMENT PROGRAMS ARE CURRENTLY BEING ADDRESSED**
 - **NUMARC WORKING GROUP ON SEVERE ACCIDENTS - ADDRESSING DEFINITION AND ENHANCEMENT OF EXISTING PLANT-SPECIFIC ACCIDENT MANAGEMENT CAPABILITIES**
 - **DRAFT "GUIDELINES FOR EVALUATING ACCIDENT MANAGEMENT CAPABILITIES" RECENTLY ISSUED FOR COMMENT**

STANDARDS FOR ISSUANCE OF RENEWAL LICENSE

- o IT IS NECESSARY TO MAKE A GENERIC FINDING SIMILAR TO THAT IN 10CFR50.57(A), THAT LICENSE RENEWAL WILL NOT ENDANGER THE PUBLIC HEALTH AND SAFETY OR COMMON DEFENSE, AS REQUIRED BY THE ATOMIC ENERGY ACT.
- GENERIC FINDING SHOULD BE BASED ON THE ADEQUATE LEVEL OF PROTECTION PROVIDED BY CURRENT LICENSING BASIS.
- GENERIC FINDING SHOULD BE INCLUDED IN THE STATEMENT OF CONSIDERATIONS ACCOMPANYING THE LICENSE RENEWAL RULE.
- o THE FINDINGS CONTAINED IN XX.19 SHOULD BE MODIFIED SINCE IT IS ONLY NECESSARY TO MAKE FINDINGS REGARDING THE MANAGEMENT AND MITIGATION OF AGE-RELATED DEGRADATION

STANDARDS FOR ISSUANCE OF RENEWAL LICENSE (CONT.)

- o XX.19(a) SHOULD BE DELETED FROM THE CONCEPTUAL OUTLINE BECAUSE IT IS UNNECESSARY TO FIND THAT THE ENTIRE CURRENT LICENSING BASIS HAS BEEN COMPLETELY AND ACCURATELY DESCRIBED SINCE IT IS ALREADY PART OF THE LICENSING RECORD.
- ONLY THAT PORTION OF CURRENT LICENSING BASIS RELEVANT TO MITIGATION AND MANAGEMENT OF AGE-RELATED DEGRADATION SHOULD BE SUBJECT OF FINDING.
- XX.19(d) PROVIDES A REASONABLE ASSURANCE THAT APPROPRIATE ACTIONS HAVE OR WILL BE TAKEN WITH RESPECT TO AGE-RELATED DEGRADATION.
- o XX.19(b) SHOULD BE DELETED AND XX.19(d) MODIFIED AS FOLLOWS:
 - XX.19(d) APPROPRIATE ACTIONS HAVE BEEN TAKEN OR WILL BE TAKEN WITH RESPECT TO DEGRADATION OF THOSE IMPORTANT TO SAFETY SYSTEMS, STRUCTURES, AND COMPONENTS, SUCH THAT...

- o XX.19(c) SHOULD BE DELETED SINCE IT IS SUFFICIENTLY COVERED IN XX.19(d)**
- o FINDING REQUIRED BY XX.19(e) IS ALSO COVERED IN XX.19(d) AS AN APPROPRIATE ACTION**
- o XX.19(d) MAY BE A SUFFICIENT FINDING FOR INDIVIDUAL APPLICANTS FOR LICENSE RENEWAL**

BACKFIT RULE

- 0 NUMARC SUPPORTS NRC'S INTENTION TO REMOVE AMBIGUITY PERTAINING TO APPLICABILITY OF BACKFIT RULE.
- 0 BACKFIT RULE SHOULD APPLY THROUGHOUT LICENSE RENEWAL PROCESS INCLUDING THE PROMULGATION OF THE RULE AND REVIEW OF LICENSE RENEWAL APPLICATIONS.

ISSUANCE OF A RENEWAL LICENSE

- o LICENSE RENEWAL APPLICANTS SHOULD BE ALLOWED TO REQUEST MORE THAN 20 YEARS IN ADDITION TO THE YEARS REMAINING UNDER THE EXISTING LICENSE.
- THERE IS NO TECHNICAL BASIS FOR THE 20 YEAR LIMITATION IN XX.21(b).
- APPLICANT MUST DEMONSTRATE TECHNICAL BASIS SUPPORTING PLANT OPERATION DURING RENEWAL TERM.
- RENEWAL TERM NOT TO EXCEED 40 YEARS.
- o REFERENCE TO "ESTIMATED USEFUL LIFE OF THE FACILITY" IN XX.21(b) SHOULD BE DELETED.
- USEFUL LIFE IS AN ECONOMIC DETERMINATION AND SHOULD BE MADE BY THE LICENSEE.
- o NRC SHOULD EXPLICITLY PROVIDE FOR SUBSEQUENT RENEWAL TERM(S) UPON EXPIRATION OF EXISTING LICENSE RENEWAL TERM.

TIMELY RENEWAL DOCTRINE

- o **THREE YEARS PRIOR TO EXPIRATION OF THE EXISTING LICENSE IS A REASONABLE LEAD TIME FOR FILING A LICENSE RENEWAL APPLICATION AS REQUIRED IN XX.5(F).**
- o **STAFF SHOULD CONSIDER ACCEPTING LICENSE RENEWAL APPLICATIONS IN LESS THAN THREE YEARS PROVIDED FOR IN XX.5(F) IF**
 - **LICENSEE DEMONSTRATES A CHANGE IN CIRCUMSTANCES.**
 - **RENEWAL APPLICATION WAS MADE AS SOON AS REASONABLY POSSIBLE AFTER CHANGE IN CIRCUMSTANCES.**

DECOMMISSIONING

- o NRC SHOULD POSTPONE COMPLIANCE WITH DECOMMISSIONING REQUIREMENTS UNTIL A FINAL DETERMINATION ON A RENEWAL APPLICATION HAS BEEN MADE BY THE COMMISSION.
- 5 YEAR INTERVAL SPECIFIED IN 10CFR50.75(F) SHOULD BE BASED UPON THE LICENSE RENEWAL EXPIRATION DATE
- REQUIREMENT IN XX.13(a) THAT DECOMMISSIONING PLAN BE FILED WITH NRC "NO LATER THAN ONE YEAR AFTER THE EXPIRATION DATE OF THE OPERATING LICENSE CURRENTLY IN EFFECT," SHOULD BE DELETED.

EXCLUSION OF REGULATORY PROGRAMS FROM REVIEW

- 0 NUMARC ENDORSES THE CONCEPT OF EXCLUDING THOSE REGULATORY PROGRAMS WHICH GOVERN SAFE PLANT OPERATION AND ARE NOT TIME DEPENDENT FROM REVIEW FOR LICENSE RENEWAL.
- AN EVALUATION, JUSTIFYING AND PROVIDING THE BASIS FOR SUCH EXCLUSION, HAS BEEN SUBMITTED TO NRC.
- REGULATORY PROGRAMS EXCLUDED FROM REVIEW WILL CONTINUE TO BE MET DURING THE RENEWAL TERM.
- DOCUMENTATION OF LICENSEE PROGRAMS WHICH IMPLEMENT REGULATIONS AND COMMITMENTS AS REQUIRED BY XX.9(A) IS INCONSISTENT WITH THIS CONCEPT

PROBABILISTIC RISK ASSESSMENT

- o **INSIGHTS FROM PROBABILISTIC RISK ASSESSMENTS ARE USEFUL AND MAY BE BENEFICIAL BUT SHOULD NOT BE USED AS THE SOLE CONSIDERATION OR REGULATORY DECISION-MAKING MECHANISM.**

- o **PROBABILISTIC RISK ASSESSMENT SHOULD NOT BE REQUIRED FOR LICENSE RENEWAL.**

- **STATE OF THE ART PROBABILISTIC RISK ASSESSMENT DOES NOT PERMIT QUANTIFYING AGE-RELATED DEGRADATION.**

- **NO CONSENSUS ACCEPTANCE CRITERIA FOR EVALUATION OF PROBABILISTIC RISK ASSESSMENT FOR LICENSING DECISIONS EXIST**

PROBABILISTIC RISK ASSESSMENT (CONTINUED)

- o LEVEL I & II ARE CURRENTLY BEING PERFORMED AS PART OF THE INDIVIDUAL PLANT EXAMINATIONS (A SEPARATE PROGRAM)
 - VULNERABILITIES TO CORE DAMAGE WILL BE IDENTIFIED
 - VULNERABILITIES WILL BE ADDRESSED
- o NO PROGRAMMATIC VALUE IN REQUIRING A LEVEL III PROBABILISTIC RISK ASSESSMENT.
 - FOCUS ON OFF-SITE RISKS NOT RELEVANT TO AGE-RELATED DEGRADATION
 - OFF-SITE RISKS ARE ACCOMMODATED IN ON-GOING, EXISTING PROGRAMS THAT ARE ESTABLISHED IN CURRENT LICENSING BASIS.
- o OPTION OF USING PROBABILISTIC RISK ASSESSMENT IN THE FUTURE SHOULD BE PRESERVED FOR THOSE LICENSE RENEWAL APPLICANTS WHO FIND IT USEFUL IN THE EVALUATION OF SYSTEMS, STRUCTURES, AND COMPONENTS.

MAINTENANCE, SURVEILLANCE & RECORDKEEPING

- o EQUIPMENT TO BE ADDRESSED SHOULD BE LIMITED TO
 - IMPORTANT TO SAFETY EQUIPMENT, SUBJECT TO AGE-RELATED DEGRADATION AS A RESULT OF LICENSE RENEWAL
- o MAINTENANCE, SURVEILLANCE, TESTS AND RECORDKEEPING ACTIVITIES SHOULD BE DONE IN ACCORDANCE WITH THE CURRENT PRACTICES AND CONTROLS, AS SUPPLEMENTED BY THOSE ACTIVITIES NECESSARY TO MANAGE AGE-RELATED DEGRADATION
- o SUPPLEMENTARY ITEMS NECESSARY TO MANAGE AGE-RELATED DEGRADATION FOR LICENSE RENEWAL WILL BE CONTROLLED BY:
 - NRC COMMITMENTS
 - ADMINISTRATIVE CONTROLS PUT IN PLACE WILL ENSURE APPROPRIATE REVIEWS ARE DONE PRIOR TO CHANGES BEING MADE
- o REGULATORY MECHANISMS TO ADDRESS MAINTENANCE, SURVEILLANCE, RECORDKEEPING BEYOND THOSE RELATED TO THE MANAGING OF AGE-RELATED DEGRADATION FOR SYSTEMS IMPORTANT TO SAFETY SHOULD NOT BE TREATED IN THE LICENSE RENEWAL REGULATION OR PROCESS



UNITED STATES
NUCLEAR REGULATORY COMMISSION
WASHINGTON, D. C. 20555

NOV 21 1989

MEMORANDUM FOR: Public Document Room
Nuclear Documents System

FROM: Donald Cleary, Senior Task Manager
Reactor and Plant Safety Issues Branch
Division of Safety Issue Resolution

SUBJECT: NUCLEAR REGULATORY COMMISSION, PUBLIC WORKSHOP ON TECHNICAL
AND POLICY CONSIDERATIONS FOR NUCLEAR POWER PLANT LICENSE
RENEWAL, SESSION 1 - 9

Enclosure are 9 Volumes of NRC Workshop Official Transcript of Proceedings, from November 13 - 14, 1989 and a copy of the workshop handout for placement in the Public Document Room. These documents are associated with rulemaking on license renewal. A set of these documents have also been submitted for placement in NUDDCS, Code 3914.04.

Donald P. Cleary

Donald Cleary, Senior Task Manager
Reactor and Plant Safety Issues Branch
Office of Nuclear Regulatory Research

*DF03
1/1*