

OFFICIAL TRANSCRIPT OF PROCEEDINGS

Agency: Nuclear Regulatory Commission

Title: Public Workshop on Technical and
Policy Considerations for Nuclear
Power Plant License Renewal:
Containments

Docket No.

SESSION 6

LOCATION: Reston, Virginia

DATE: Tuesday, November 14, 1989 **PAGES:** 1 - 67

*DF03
0/1*

ANN RILEY & ASSOCIATES, LTD.

1612 K St. N.W., Suite 300
Washington, D.C. 20006
(202) 293-3950

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

- - - - -

PUBLIC WORKSHOP ON TECHNICAL AND
POLICY CONSIDERATIONS

FOR NUCLEAR POWER PLANT LICENSE RENEWAL

- - - - -

SESSION 6

CONTAINMENTS

SHERATON HOTEL

11810 Sunrise Valley Drive

RESTON, VIRGINIA

Tuesday, November 14, 1989

8:30 a.m.

1 SESSION LEADERS:

2 Jim Richardson, Director, Division of Engineering
3 Technology

4 Larry Shao, Director, Division of Engineering, Office
5 of Research

6 PARTICIPANTS:

7 Len Katz, Westinghouse
8 Joe McCumber, Yankee Atomic
9 Goutam Bagchi, NRC
10 Ken Bauer, NRC
11 Mr. Landover, No Affiliation
12 Richard Burke, EPRI
13 Mr. Siderick, No Affiliation
14 Tim Bailey, Northern States Power
15 Bob Nickill, EPRI
16 David Jeng, NRC
17 Melvin Lapidés, EPRI
18 Jim Costello, NRC
19 Ms. Mitchell, No Affiliation
20 Neil Haley, Illinois Department of Nuclear Safety
21 Jim Statton, Bechtel

22

23

24

25

P R O C E E D I N G S

[8:30 a.m.]

1
2
3 MR. RICHARDSON: Good morning. My name is Jim
4 Richardson. I am the Director of the Division of Engineering
5 Technology, Office of Nuclear Reactor Regulation. My co-
6 chairman is Larry Shao, Director, Division of Engineering in
7 the Office of Research.

8 This is Session 6, where we are going to talk about
9 issues related to license extension and license renewal,
10 associated with containments and, perhaps, expand a little bit
11 to other Category 1 structures. Just as a way of introduction,
12 I think it is good to remind ourselves of what we are facing
13 and why we are interested in the integrity of the containment.

14 Of course, the containment is the final barrier in
15 the Defense-In-Depth Concept. It is that last barrier that
16 prevents release to the public. In our Code of Federal
17 Regulations in Appendix A, it requires the containment to
18 establish a leak-tight barrier, and that assurances be provided
19 that the design basis requirements for postulated accidents not
20 be exceeded.

21 Several types of degradations that can occur over
22 time in containment - and here we have listed certainly not an
23 exhaustive list but some of the more obvious mechanisms
24 including loss of tendon prestress, corrosion of tendons, Mark
25 1 Drywell shells, BWR Torus, PWR Ice Condenser containments.

1 These are cases where we have seen this mechanism in the recent
2 past. Of course, one must watch out for corrosion of rebar in
3 reinforced concrete containment and corrosion of rebar and
4 spalding of concrete in intake structures and other Category 1
5 structures.

6 I am hoping that today we can generate some
7 interesting feedback from you all. The real objective of this
8 workshop, I remind you again, is to get feedback from you in
9 helping us to formulate the proposed rule that we are putting
10 together. I think it is essential that we hear your views. We
11 have in your handout, three questions that the Staff has put
12 together. There are, I am sure, other issues that need to be
13 addressed.

14 What we are going to do this morning is go through
15 the three questions that the Staff has raised to see what
16 responses we get from you regarding those questions. After
17 that, we have four speakers that have asked to make
18 presentations, and then we will open it up for anybody else who
19 would like to make a presentation.

20 I think Larry Shao is going to monitor the first
21 questions.

22 MR. SHAO: The first question is, what kind of
23 additional measures should be taken to monitor the degradation
24 of containment. As you know, there are three kinds of
25 containment: steel containment, reinforced concrete

1 containment, and prestressed concrete containment. Right now,
2 the ASME Code have issued two sections, the IWL for inspection
3 of steel containment and inspection of concrete containment and
4 IWE, the inspection of steel containment.

5 The question is whether this Section 11 Code is
6 sufficient to monitor the degradations. Right now the code has
7 been issued, but NRC has not endorsed the code yet. We are in
8 the process of endorsing the code. The question is whether IWL
9 and IWE is sufficient to monitor the degradation of the
10 containment.

11 I would like to have some comments from the floor.

12 [No response.]

13 MR. SHAO: Containment is two kinds of tests; one is
14 structure test and one is a leak test and also the inspection.
15 Right now, so far, the containment has not really been
16 inspected except when we see some problems like some kind of
17 corrosion in containment. Then we do a very, very detailed
18 inspection. But in general, it is mostly a visual type of
19 inspection.

20 MR. KATZ: Len Katz, Westinghouse. I have been
21 around Section 11 for a good number of years. One of the
22 things that we have been disappointed in is the fact that the
23 NRC has waited this long to adopt IWE and IWL. We think it is
24 a document that can do the job and can do the job for the
25 future as well.

1 I guess I would like to ask you a question. What has
2 been the reluctance on the part of NRC to adopt that?

3 MR. SHAO: I cannot agree with your comment here
4 today. IWE I think was issued in 1981, and has been a long
5 time. We will try to endorse as soon as possible, especially
6 IWL that has come out. I think I have no excuses to make for
7 NRC. We are just slow.

8 MR. MCCUMBER: Joe McCumber, Yankee Atomic. To add
9 to what Len just said, I think the sections of the Code are
10 designed to maintain a continuous level of safety that should
11 be equally applicable to the current license going on and to
12 the future.

13 MR. SHAO: It should be, but you discuss somehow
14 degradation may go beyond for the years because it is possible
15 the rebar may have some kind of corrosion and the tendon may
16 lose the tendon forces beyond your control after the 40 years.
17 The steel containment is only - it may have a tendency to
18 corrode, and any corrosion can be significant give to the steel
19 liner.

20 MR. KATZ: In answer to that just generally, I know
21 that the subgroup containment in Section 11 has been studying -
22 first of all, they are studying the IR's for the moment. They
23 just came out and they have been studying the results of the
24 pilot studies on containment. They have on their agenda, at
25 least three or four items to augment what is already in there

1 to cover it.

2 So, things are moving ahead in 11, and I think that
3 could be a Code very soon.

4 MR. SHAO: So, your comment is that IWE and IWL, it
5 is sufficient to monitor degradation?

6 MR. KATZ: Yes.

7 MR. BAGCHI: I am Goutam Bagchi, with the Staff of
8 the Structural and Geosciences Branch. I would like to observe
9 that IWE, the welding inspection has nothing to do with
10 inspection of the base metal. It does not address that kind of
11 problem. I think we need to have some effort in that
12 particular area.

13 MR. SHAO: That's a good comment. In Section 11,
14 usually inspection mostly during the wells, but steel
15 containment in the area because they are so thin. Not only the
16 well but the base metal, because any corrosion to the base
17 metal can be very severe. If you only have one-fourth of an
18 inch that erode away, it can be very important.

19 So, you want to give some comment on Bagchi's
20 comment?

21 MR. KATZ: Only to say that I think some of the
22 additions that are to be looked at address that very issue now.
23 Maybe they are not in there yet, but they will be.

24 MR. BAGCHI: Well, I have looked at the draft.

25 MR. SHAO: You mean the Code will have to try to

1 inspect the base metal?

2 MR. SHAO: Yes, they are just items on your agenda
3 at the moment but you don't see the draft yet.

4 MR. BAGCHI: That's right. My point is that this
5 really doesn't serve the purpose as yet, and I urge the
6 Committee to look into the current day problems.

7 MR. SHAO: Okay.

8 MR. BAGCHI: On the reinforced concrete, I might like
9 to make one more comment. On the reinforced concrete, the
10 visual examination of the reinforced steel line containments
11 does not receive any attention. Also, for the prestressed
12 concrete containment, I have not addressed the prestressed
13 concrete containment entirely and does not address the other
14 part.

15 It misses certain things. We are seeing leakage
16 outside of the prestressed concrete containment, and that has
17 not been addressed. Part of the reason why the endorsement has
18 been somewhat slow is because of the activity that has been
19 going on at 135 which deals with prestressed concrete
20 containment stress surveillance.

21 I think we very much look forward to the industry
22 participation and the Section 11 work that has gone on. We
23 wholeheartedly endorse that, but we would like to encourage
24 that group to address that kind of problem.

25 MR. SHAO: Also, I understand the Code has a section

1 in IWE to suggest also future corrosion problem, a couple
2 months now.

3 MR. BAUER: Ken Bauer, ASME. I just wanted to
4 amplify what Mr. Katz was saying. We recently at subcommittee
5 level, passed a revision column to cover examination of base
6 metal containment and should be coming out in an addendum in
7 Section 11. They are addressing a lot of the concerns that the
8 NRC has expressed.

9 MR. SHAO: How about corrosion of reinforcing bar, is
10 there a possibility for not only the containment but for
11 concrete when there is water there?

12 MR. BAUER: I don't know if all the subgroups are
13 contained in there, but I assume in looking at this that they
14 are working pretty closely with Len's group in identifying
15 complex issues. Basically, Len's special working group on
16 extension is an issue that is significant and daily contact is
17 with Section 11 subgroups to have them look at it in further
18 detail to determine whether additional changes should be made
19 to the code.

20 In terms of what you said, as I said, I haven't
21 really looked at the entire subgroup, but I am sure that they
22 are looking at this issue.

23 MR. RICHARDSON: Any other comments?

24 MR. SHAO: In some, the steel liner, the water
25 cannot go through the steel liner. But in other structure

1 where there is no liner, the concrete is permeable and any
2 water can go through the rebar and cause corrosion in rebar.

3 Any more comments?

4 MR. LANDOVER: I have one comment. You raised the
5 question of local corrosion, of some thinning. Have you also
6 assessed just how important that is?

7 MR. SHAO: Yes.

8 MR. LANDOVER: A local area that would be thinned?
9 Because when you think - my comment is directed because in many
10 we talk about hydrostatic testing as being for materials so
11 important, there are so many materials that have local spots
12 that are very thin and still withstand a test.

13 MR. SHAO: Yes. I don't know that you are familiar
14 with Austin Creek corrosion issue. They have a lot of thinning
15 because of some kind of water coming from the outside. They
16 show stress tests to show, but they keep on eroding. They keep
17 on eroding, as a matter of time, another 10 years or 20 years.
18 Even local thinning is getting more and more. It is a question
19 that we have to address.

20 MR. BAGCHI: May I amplify one more point? Not only
21 did we look at that, we had to use material strength to justify
22 this existing condition.

23 MR. SHAO: I think the license here to do three
24 dimensional test okay, it's not just two-tier. You do a so-
25 called, reinforcement of corroded part to show containment.

1 Any more comments?

2 [No response.]

3 MR. SHAO: If not, let me summarize the conclusion
4 here. The conclusion is, the general feeling is that IWE and
5 IWL will do the job. NRC should get off its dead ass to
6 endorse the IWE and IWL. There was one comment that IWE only
7 just the one part of it they should address, the inspection of
8 base metal. The Code is working on this issue.

9 There was some concern about corrosion of rebar where
10 there is a water source. Those NRC individuals are going to
11 look into this.

12 MR. RICHARDSON: The second question is that we have
13 talked about corrosion in the environment. The question is,
14 what additional environments or degrading mechanisms could be
15 present that would affect the integrity of the containment.

16 At least a subset of that question is, how can
17 detrimental long term chemical interactions in concrete
18 containment be measured and predicted, as one example of an
19 additional degradation of environment and mechanism.

20 Do you have any thoughts on what other environments
21 or mechanisms should be considered in containment integrity?
22 Specifically, how do we handle chemical interactions of
23 concrete.

24 MR. KATZ: Len Katz, Westinghouse. One of the issues
25 which came up I remember in the pilot study on plant life

1 extension was the question of whether or not one of the most
2 important challenges to the containment is the testing that is
3 required. The question of fatigue and whatever happens as a
4 result of this testing was an issue that was raised.

5 Do we consider the degradation that could occur as a
6 result of too much testing?

7 MR. SHAO: You mean the structure test?

8 MR. KATZ: Right.

9 MR. BAGCHI: The structural test is only done once.

10 MR. RICHARDSON: The one that is repeated.

11 MR. BAGCHI: I would like to address some part of
12 that. You are probably aware that these tests are done hardly
13 ever as a full accident stress test. There are containment
14 that have gone through full pressure tests, perhaps only once
15 in life. How can you say that pressure test that may be 25,
16 30, 40 percent of the design strength is going to be causing
17 degradation.

18 MR. KATZ: I am not saying that. I am just saying it
19 is a potential -

20 MR. BAGCHI: It is a concern that has been expressed,
21 and I just don't know the real technical reason for expressing
22 that concern. What stress level do you think could cause
23 degradation?

24 MR. SHAO: The structure test. The 1.4, 1.5, right?

25 MR. KATZ: That's only once.

1 MR. SHAO: During the retest, the pressure is more
2 powerful.

3 MR. BAGCHI: No. If they can do it at a reduced
4 pressure and predict the leakage rate at the design pressure
5 and that is mostly what they do.

6 MR. SHAO: At what reduced pressure?

7 MR. BAGCHI: I said mostly. Most of the time 20, 25,
8 PSI.

9 MR. SHAO: Twenty-five percent pressure.

10 MR. BAGCHI: Probably not more than 50 percent.

11 MR. SHAO: If it is only 25 percent of the pressure,
12 I can't understand the point.

13 MR. KATZ: I wasn't aware that it was only 25 percent
14 pressure.

15 MR. RICHARDSON: The form here is not to debate the
16 issue, but get to the question of what is the issue.

17 MR. KATZ: It's another challenge.

18 MR. BAGCHI: What I should express is that what
19 percentage of design pressure could cause a potential to be
20 concerned? I don't see it.

21 MR. KATZ: Somebody should look into that question.
22 I don't know what it is.

23 MR. RICHARDSON: Thank you.

24 MR. BURKE: My familiarity with Region 1, at least
25 with water reactor contingent in the region, all tests were

1 conducted, the periodic tests at Pa Sub A which is 44 pounds of
2 the design accident pressure. In fact, I conducted over four
3 of those tests on positive effect.

4 MR. BAGCHI: I know about that, the tests that were
5 done. Let's not say Region 1. Maybe it is from some types of
6 containments.

7 MR. RICHARDSON: I would love to get into a good
8 debate, but not on resolving the issues but merely what are the
9 issues. This is something that we ought to at least pay
10 attention to.

11 MR. SIDERICK: I think the EPRI study that you
12 mentioned Len, suggested that additional use could be made of
13 every core that is drilled, every core that is taken. I don't
14 know if that is something that is done or not. I see value in
15 those core plugs that are removed for different modifications.
16 You could analyze concrete and rebar a little bit first hand
17 once you have such a scrap.

18 MR. RICHARDSON: Any other response to this question?

19 MR. BAGCHI: I would like to endorse that point,
20 because some do take core samples and look at the decrease of
21 the concrete as a measure of degradation of concrete over the
22 period of years. I think that is an excellent suggestion.

23 MR. RICHARDSON: Are there other comments?

24 [No response.]

25 MR. RICHARDSON: This one will be easy to summarize.

1 There are two observations. One, we need to at least be aware
2 that certain tests and perhaps a periodic test could challenge
3 the containment to the point where life may be degraded,
4 something that we need to at least look at.

5 Secondly is to make better use of core samples to
6 take advantage of that material becoming available to detect
7 degrading mechanisms.

8 Larry, you have number three.

9 MR. SHAO: The third question is, before granting a
10 license renewal, should the licensee be required to perform a
11 continuing leak rate test, a continuing structure test,
12 continuing configuration surveillance; that is first part of
13 question.

14 The second part of the question is, or other Category
15 1 structures where there is a water source, what kind of
16 surveillance should be required for detection of likely
17 degradation during extended license?

18 Any comment?

19 MR. BURKE: Rich Burke, EPRI. Numarc Industry will
20 report on Class 1 structures - it is being worked on at this
21 point, that will address other than containments. Concrete
22 structures in general, including those that would see water
23 like at the intake and discharge structures, et cetera that are
24 of a safety class nature. That IR is presently scheduled to be
25 submitted to the NRC by June of 1990.

1 MR. SHAO: Let me ask a general question here. For
2 other structures, other than containments, what is the
3 inspection requirement right now; do we have any inspection
4 requirement?

5 MR. KATZ: No.

6 MR. SHAO: What has licensee been doing for
7 inspecting the structures for the last 20 years, in the range
8 of 20 years. Do we look at degradation of structures at all,
9 is there a vision inspection? Does the Code do any work in
10 this area?

11 MR. KATZ: In Section 11 is not looking at general
12 concrete structures, et cetera, containment area.

13 MR. SHAO: Not through ASME but remember the
14 containment code was written that the ACI and ASME, 349. Does
15 ACI do any work in this area? What about the steel structures,
16 the steel frame structures, does that belong to the AISC.

17 MR. MCCUMBER: Joe McCumber from Yankee Atomic. I
18 think in general, I just hate to hear silence. I think in
19 general, I think all licensees may have a major investment in
20 the structures of their plant. I think in general, there are
21 walk downs, there are upgrades, there are touch ups here and
22 there to handle degradation as it is required.

23 The ACI codes give all kinds of guidance for what you
24 should do to look for types of degradation and how to correct
25 it. So, I think in general, structures of the plant are being

1 kept at a good level.

2 MR. SHAO: I realize that. Some licensee may do a
3 good a job and some licensee might not do a good job, but there
4 is no requirement. Maybe the question is, since there were no
5 inspection requirement for other Category 1 structures, both
6 concrete and steel, should we have baseline inspection, visual?

7 MR. RICHARDSON: Let me turn the question around and
8 see if I can stir up some controversy here. Let's assume that
9 the NRC is going to, as part of its license renewal criteria-
10 let's for argument sake assume that the NRC is going to require
11 a re-baselining of the containment, a structural integrity
12 test, leak surveillance test, configuration control test; that
13 is, walking down, visual examination of dimensions and that
14 sort of thing.

15 If those requirements are imposed, I am gathering
16 from this audience at least if it is representative of the
17 industry, that I am going to get a shrug of the shoulders
18 saying okay. Is that true? You need to say something.

19 MR. BURKE: Rich Burke, EPRI. I don't work for a
20 utility, but the industry reports that we are writing look at
21 degradation mechanisms, look at current practices. If there is
22 something that is deficient within any of these IRs, whether it
23 be concrete structures that see water or containments,
24 recommendations will be made where it is justified that for
25 greater than 40 years the current programs are insufficient.

1 As you recall, the NRC had Commission studies on
2 concrete over the years but the NOW study shows that concrete
3 was inherently rugged. To say that proof tests, walk downs,
4 new certifications are needed seems a bit capricious when one
5 looks at it where there is no real technical bases.

6 I would ask the NRC - maybe posing a question that
7 was asked earlier - why were there never any requirements
8 imposed upon the licensees for the last 30 years on these, if
9 you didn't believe that they were inherently rugged?

10 MR. SHAO: Section 11, the ACI, they will do some
11 work. In my view - it is not NRC view - is that there some be
12 some time inspection for other structure. They can be visual
13 or whatever. But you cannot let this structure go 30 or 40
14 years without any inspection requirement.

15 MR. BAGCHI: Sixty years, 70 years.

16 MR. SHAO: Fifty or 60 years.

17 MR. BAGCHI: I would like to make one comment.
18 Industry has said that there is no reason for doing inspection
19 control. They have been lot of foundation degradations.
20 Control, lining is extremely important. Containment capacity
21 could be highly affected by what the foundation had done over
22 the last 40 years or so. We haven't looked. We have already
23 experienced those kinds of cracks.

24 MR. SHAO: This is beyond the question. I have no
25 comment on the question of this here. Should we have a

1 structure test before license renewal? I would like comment on
2 that?

3 MR. MCCUMBER: Joe McCumber from Yankee Atomic. I
4 wanted to read - I don't know if this came out in other
5 sessions. There is a task force that looked into the need for
6 supplemental for baseline test in Section 11. I just want to
7 read the results of that which basically were, Section 11
8 should not develop special supplemental requirements related to
9 license renewal. That would include re-baseline inspection.
10 Section 11 should continue to play a proactive role in
11 addressing degradation. This should include code changes when
12 technically justified on a time scale relevant to the
13 particular aging process.

14 If there is a concern, I see no justification waiting
15 for the year 40.

16 MR. SHAO: In answer to this question you said there
17 should be no pre-baseline, so there would be no additional
18 test.

19 MR. MCCUMBER: Not tied to a calendar year.

20 MR. SHAO: That is a answer to the question. How
21 about for those structures where there was no inspection
22 before? You cannot call then re-baseline. There is no data at
23 all, then what do you do about that?

24 MR. MCCUMBER: I think each licensee is going to have
25 to demonstrate a program to show that his structures are

1 continuing to keep at level of safety, and it may vary
2 depending on the structure.

3 MR. SHAO: The answer is the licensee should have a
4 program to inspect other Category 1 structure, right?

5 MR. MCCUMBER: Right.

6 MR. SHAO: Do you want to report this or not?

7 MR. BURKE: Yes. We are working on a Class 1
8 structure that will be out again, in June of 1990. I can't
9 give you the results of work that has not been completed. You
10 will hear about some of the other work that was done.

11 MR. SHAO: Is this Class 1 structure, Class 1
12 concrete structure.

13 MR. BURKE: Class 1 concrete structures.

14 MR. SHAO: How about Class 1 steel structures?

15 MR. BURKE: Can you define one for me?

16 MR. SHAO: Tanks and wraps.

17 MR. BURKE: There may be some tanks.

18 MR. SHAO: Tanks and frames.

19 MR. BURKE: Yes.

20 MR. SHAO: We have the whole thing, not only half of
21 it.

22 MR. BAILEY: Tim Bailey, Northern States Power. As
23 part of the Monticello plant life extension pilot study, we did
24 numerous visual inspection tests throughout both concrete and
25 steel structures. We really didn't find the need from those

1 results to do a lot of these extensive qualification tests that
2 you are suggesting here.

3 It is quite easy by visual examination to identify
4 any significant configuration problems such as settlement,
5 cracking of the structures and that kind of thing. Those are
6 the kinds of tests that --

7 MR. SHAO: When I say inspection, I didn't exclude
8 visual inspection. Visual inspection may be sufficient.

9 MR. BAILEY: I think as Joe mentioned, the utilities
10 will be expected to prove that their programs do a decent job
11 of these kinds of inspections. I think typically, visual
12 inspections will be the key item.

13 MR. RICHARDSON: You don't think that you are in any
14 danger of not picking up things because of inaccessibility;
15 there are parts of the structure that you just can't see?

16 MR. BAILEY: The other thing that I should point out
17 is both in the pilot study and in the IRs, particularly in the
18 containment, there will be selected areas of special concern
19 you might say. For those particular areas where there might be
20 a significant potential for corrosion on the steel liner or
21 something like that, then both the IRs and the plant-specific
22 reports will identify those as activities that need to happen
23 and indeed they will happen.

24 MR. SHAO: The last question is, what about the
25 structures that are in contact with water like ultimate heat

1 sink, water retaining structures. Any particular maintenance
2 that is required to make sure that the rebar is not corroded?
3 Are there comments on this?

4 MR. MCCUMBER: Joe McCumber, Yankee Atomic. I think
5 that would be covered pretty much by what Tim just expressed,
6 that you will do a level of checking out depending on what the
7 concern is. I guess we will see that the structure would be
8 looked at.

9 MR. SHAO: I see normal checking out would be
10 maintenance, to make sure water - you have to do a little bit
11 more than just inspection. You have to do maintenance, to make
12 sure that - checking out to see sufficient year to see that
13 maintenance and present what it does to the rebar.

14 MR. MCCUMBER: You will have to do whatever is
15 necessary to do that.

16 MR. SHAO: Is that going to be covered in your
17 report?

18 MR. BURKE: Yes.

19 MR. BAILEY: Maybe I could just expound on that.
20 When you do your visual inspections of these structures you
21 will find any potential problems where the water might get to
22 the rebar and that will typically be fairly large cracks. If
23 those cracks are not there, then you really don't have a
24 concern.

25 MR. SHAO: Yes and no though, if permeable. If you

1 have water there for 40 years or 50 years, somehow the water
2 will get in.

3 MR. BAILEY: The water might be permeable, but it is
4 shown by the ACI codes that cracks of only certain depths. The
5 chemistry of the concrete is such that it protects the steel
6 rebar.

7 MR. SHAO: Yes, but in the compressor area, the
8 tension area, the cracks. Suppose you have a concrete that is
9 subjected to maybe 400 PSI somewhere and it cracks there.

10 MR. BAILEY: What you are saying is the tension area?

11 MR. SHAO: Yes, the tension area.

12 MR. BAILEY: You are suggesting ACI covers that.

13 MR. SHAO: Right.

14 MR. BAGCHI: May I make an observation. The test has
15 come to maturity and that can be used in concrete structures as
16 has been shown by experiments to reveal cracks that may not be
17 that accessible at all, because they are in contact with the
18 foundation or there is something else that you cannot access.

19 There has to be a consensus and a systematic way of
20 looking at degradation, looking at the structures and looking
21 at the high stressed area. There has to be a systematic method
22 of looking at that. Without that, we are not going to find
23 anything.

24 MR. BAILEY: I believe the IRs that Rich is talking
25 about will address those particular issues.

1 MR. SHAO: Let me summarize this. No re-baselining,
2 is a general comment that I get. No re-baselining necessary
3 and no additional retest of structure test. For other Category
4 1 structures, the concern was that there was no inspection
5 requirement at all. The licensee should have an inspection
6 program after he is working on concrete structure but also
7 working on steel structure.

8 Hopefully, the licensee will follow this inspection
9 program. For structures that faces water some special
10 attention should be made, especially on the retention side to
11 make sure the water doesn't get into the rebar.

12 MR. RICHARDSON: I have to confess, that portion of
13 the workshop was singularly uninspiring. Maybe that was to be
14 expected.

15 PARTICIPANT: Can I make one comment on the
16 conclusion. You make it as though water shall not get in. If
17 water does get in, then an evaluation is necessary.

18 MR. SHAO: Yes.

19 PARTICIPANT: It is not a black and white.

20 MR. SHAO: Water will get in and there is corrosion.

21 MR. RICHARDSON: We may now be getting into the more
22 interesting part of the workshop. That is, the presentations
23 by the four organizations that asked to be on the agenda;
24 Numarc, EPRI, Northern States and Yankee. Is Numarc going to
25 make a presentation this morning?

1 MR. NICKILL: I am going to do it.

2 MR. RICHARDSON: Bob Nickill is going to - you are
3 representing whom?

4 MR. NICKILL: I am representing Numarc. I am Bob
5 Nickill from EPRI, and I am here today representing the Numarc-
6 Nuplex working group. That is the group that has
7 responsibility for endorsing, reviewing and endorsing the
8 industry reports that Tim addressed yesterday to some extent in
9 the general session, in the pressure bounding portion of this
10 workshop.

11 I should make a little prefatory remark, to the
12 extent that the program at Numarc includes not only the IRs but
13 also two other legs of a three piece stool. That is, the
14 industry is taking a fairly comprehensive approach toward
15 license renewal. The three parts of it are a general
16 methodology document intended to cover the evaluation
17 procedures for components, system components and structures
18 that do not wind up in our IRs.

19 [Slide.]

20 That methodology document has been discussed in
21 another portion of the workshop, methodology to evaluate plant
22 equipment for license renewal. The procedures that are
23 contained in that document are roughly parallel to those that
24 we use in the industry reports. So, there is a solid base of
25 consistency between those two legs of the stool.

1 The third leg is the demonstration of the license
2 renewal process, and that's the two lead plant projects that we
3 are all familiar with, the PWR at Yankee Atomic and the PWR at
4 Monticello.

5 Today, I am only going to talk about a few industry
6 reports, those that are directly relevant to containment or to
7 Class 1 structures. One of those IRs has already been
8 completed and forwarded to the Nuclear Regulatory Commission,
9 that is the PWR containment that is shown on this slide. The
10 Class 1 structures and the PWR containment IRs are scheduled
11 for submissions around June of 1990. The work on the Class 1
12 structure IR is proceeding on a pretty good pace. We already
13 have a draft. I would say that it will probably be in somewhat
14 reasonable shape by about March of 1990. The PWR containments
15 is proceeding on an accelerated scale that has really only
16 gotten underway a few weeks ago.

17 The next viewgraph, please.

18 [Slide.]

19 A bit about IRs. The purpose of the IRs are shown on
20 this particular viewgraph. We have a fundamental formatting
21 and procedural way of dealing with degradation mechanisms; that
22 is, to identify all of the plausible age related degradation
23 mechanisms for particular structures, systems and components,
24 and we attempt to dispose of those issues or define additional
25 requirements in a very systematic way.

1 We first of all go through an exercise trying to
2 determine whether a given system structure or component is
3 important to safety. If it is, then it winds up having to be
4 evaluated for the plausible aging degradation mechanisms.
5 Those are then defined, and we determine whether or not
6 particular aging degradation mechanisms are covered by current
7 plant programs. By plant programs, we include not only those
8 mandated by the NRC and those mandated by the ASME code, but
9 also those that are self-imposed by the applicant themselves.

10 There are a number of programs in place at plants for
11 dealing with aging degradation that are not imposed by
12 regulation and are not imposed by code requirements, and are
13 simply a part of good management practice at the utility.
14 Where a deficiency is observed, we try to recommend strategies
15 or options for aging degradation management. I will show you
16 on the next couple of viewgraphs - not quite yet - how that
17 logic follows through.

18 I must also point out that it is intended that these
19 IRs are supposed to close out issues generically to the extent
20 possible, and can therefore be used in a reverential way by
21 license renewal applicants. They have a responsibility to
22 demonstrate whether or not in their particular plant, there are
23 plant specific design features or operational procedures or
24 whatever that might tend to defeat the conclusion that has been
25 reached by the industry on a generic basis.

1 The next viewgraph please.

2 [Slide.]

3 As I said before, the IRs have a well defined
4 structure. They are all going to look exactly alike, at least
5 in format, certainly not in total content. We have an
6 executive summary in the very beginning that is intended to
7 provide a synopsis of all of the issues that are closed and
8 those that remain open throughout the document.

9 We have a section two that provides the definition of
10 the scope, any exclusions or supports included or not, or steam
11 generators in or out, whatever that might be, and any special
12 considerations such as whether some form of risk base
13 assessment is included in the document.

14 Section three then provides the first meaty part of
15 the document. It includes three sections; system component
16 descriptions, a second where we describe the design bases of
17 the generic design bases that tell us what requirements are
18 being laid on this particular system, structure or component,
19 all of the standards and regulations that apply to that
20 particular system structure. And, in some cases there is a
21 wide variation so this description in Section 3.2 can be quite
22 extensive depending on the variation that exists out there in
23 the world.

24 Finally, 3.3 contains a description of operating and
25 maintenance history, evidence that gives us information that

1 guides us toward defining the plausible aging degradation
2 mechanisms.

3 Next viewgraph, please.

4 [Slide.]

5 Further need is provided then in our logical
6 progression as we try to close out issue. In Section 4, we
7 define the degradation mechanisms and do an evaluation of their
8 significant to the extent that we can on a generic basis, and
9 this is primarily a qualitative evaluation. Temperatures are
10 sufficiently low that we don't have to worry about freeze.
11 Flow rates are so low that we don't have to worry about
12 erosion. Neutron flux is so low that we don't have to worry
13 about the radiation.

14 Those are the kinds of qualitative judgments that can
15 be generically and readily made for those particular systems
16 and components. Then we jump into Section 5. For those that
17 cannot be closed are then evaluated against existing plant
18 programs. Those plant programs can be inspection based,
19 testing based, analysis based. Those plant programs are then
20 used in an attempt to find out whether or not they are valid
21 not only in the 40 year term but also in the license renewal
22 period.

23 We believe that the continuation of the current
24 requirements for Appendix J type A integrated leak rate testing
25 has extended into the license renewal period and will still

1 remain valid for exposing any utility which will see ultimate
2 containment structure. That determination was, in fact, made.
3 Other kinds of quantitative evaluations are provided; fatigue,
4 et cetera.

5 Finally, we are left with a number of issues in
6 general that cannot be closed generically on the basis of
7 current plant programs. We have to drop into Section 6, where
8 we have to describe the options that are available for that
9 aging degradation.

10 Next viewgraph, please.

11 [Slide.]

12 You will see that when you read these IRs, the
13 terminology is potentially significant for significant aging
14 degradation. This is the definition that we use. It is a part
15 and parcel of our whole process. You will get a copy of this
16 in the proceedings. We use it extensively in all the IRs. The
17 important thing to note here is that if the degradation is
18 allowed to continue without mitigation or whatever, then it
19 could become significant. If you can show based on standard
20 accepted practices that you confine the deterioration within
21 established limits, and that it is no longer potentially
22 significant then it is not significant.

23 Next viewgraph, please.

24 [Slide.]

25 We tried to identify the responsibilities in the IR.

1 The responsibilities for the industry as a whole when we close
2 out an issue and the responsibility of the license renewal
3 applicant who may choose to reference this document in a
4 submittal. Industry, in the case of those conclusions that
5 arise from Section 4 of the IR, the industry has a
6 responsibility to define their assumptions, define on what
7 grounds that they close an issue, and the applicant has the
8 responsibility to make sure his plant design feature does not
9 defeat the assumptions and the conclusion reached in the IR.

10 Next viewgraph, please.

11 [Slide.]

12 The same is true for Section 5. Industry is quite
13 clear about what evaluation procedures and testing programs and
14 inspection programs are used to close out an issue. The
15 applicant has the responsibility to determine whether those
16 established programs are in effect and in use at his plant so
17 that that conclusion can be taken advantage of.

18 Finally, I am now ready to talk about a particular
19 IR. As Rich Burke has pointed out, we only have one that we
20 have in. The other two are in the process of being prepared.
21 In some cases, we are not ready at this point to define the
22 industry conclusions as to what might happen, for example, for
23 water retaining structures that are Category 1 equipment.

24 I would like to talk, however, about the conclusions
25 that were reached in the PWR containment IR today. PWR

1 containment industry report takes advantage of four pieces of
2 evidence upon which to base its conclusions. There are other
3 pieces of information as well, but these are the four. First
4 of all, there is historical performance of related structures
5 that show that 40 years is a rather artificial requirement or
6 limit being placed on the life of these structures. Many of
7 these kinds of reinforced and prestressed concrete structures
8 last ever so much longer.

9 Secondly, there are construction quality standards
10 that apply to the Nuclear Industry that provide additional
11 protection over and above standard construction on which this
12 historical performance is based. Third, we have available to
13 us a number of inspection and testing requirements, either
14 through the ASME code, the regulatory guides and other means,
15 to ensure that these structures continue to maintain their
16 performance during their intended life.

17 Finally, and importantly, there have been a number of
18 test programs - many of them conducted by the NRC and their
19 contractors - that demonstrate the tremendous amount of
20 capacity margin that these structures have available and,
21 therefore, they are resistant to small amounts of degradation
22 that do not inflict any harm on that capacity margin.

23 In the PWR containment IR, we found that based on
24 current plant programs, primarily again IWE, IWL, Reg Guides
25 such as 1.35 and other things like the integrated leak rate

1 testing, the Type A as well as the B and C, that we can
2 dispense with a number of issues. Corrosion of grounded and
3 ungrounded pre-stressing tendons primarily based on Reg Guides
4 and on IWL, progressive reductions in the level of tendon
5 prestress which is an item that was pointed out in one of your
6 questions. It was felt by the industry group that prepared
7 this IR that that was a manageable form of degradation; that it
8 would be detected and managed with current plant programs.

9 Degradation of exposed concrete surfaces, and I
10 emphasize the word exposed; that are accessible for visual
11 inspection. The IR is also very careful to point out those
12 regions that are not readily accessible for visual inspection
13 and proposes alternative strategies for those.

14 General corrosion of concrete containment liners and
15 free-standing steel containment shells again, especially in
16 visually accessible areas. To some extent, even in visually
17 inaccessible areas because of the ability of the integrated
18 leak rate testing, could expose potential problems. Finally,
19 fatigue damage of free-standing steel containment expansion
20 bellows, which was called out as a potentially significant item
21 but was felt to be able to be treated by an extension of
22 existing fatigue analysis requirements.

23 Next viewgraph, please.

24 [Slide.]

25 The issues that were left open that require

1 degradation management are listed on this viewgraph, and there
2 are three of them. We were concerned about aggressive chemical
3 attack on below grade or inaccessible portions of the
4 containment. That, by the way, also included such things as
5 ice condenser systems and there are potential areas there that
6 you might want to consider as well.

7 We were concerned about floor beneath the concrete
8 floor slab which could corrode without being observed
9 initially. We were concerned about the degradation of coatings
10 used to try to mitigate corrosion. I am going to go through
11 briefly here on my last viewgraph, the kinds of options that
12 the industry has prepared for applicants to use at their
13 discretion.

14 You will recall in Section 6 we tried to offer
15 options, strategies. It is up to the individual plant
16 applicant for these open issues to define a program for closing
17 out that issue. The industry has attempted to close out issues
18 generically in Sections 4 and 5 of the IR, but in Section 6 we
19 merely provide options. This is an example.

20 With regard to the possibility of aggressive chemical
21 attack on portions that are not accessible for visual
22 inspection, one thing you might consider doing is monitoring to
23 find out whether or not you have aggressive conditions
24 sufficient to cause problems in the first place. If you don't,
25 no further requirements are in place. Therefore, you might

1 consider the possibility of just providing some sort of
2 monitoring system for your groundwater. If the groundwater
3 turns out to be aggressive, then it throws you into a different
4 category.

5 You could consider the possibility of mitigating the
6 possible corrosion through some sort of protective system,
7 including such things as coatings - that is a choice. Finally,
8 you might wish to take advantage of the robustness of the
9 integrated leak grade testing to try to determine whether or
10 not you can tolerate the potential leak that might be caused by
11 excessive degradation, corrosion in an inaccessible region.

12 These are merely three options. They are described
13 in somewhat greater detail in the IR. It gives you a flavor of
14 the kind of approach that the industry has taken for providing
15 options to the individual plant applicants for license renewal.

16 Thank you.

17 MR. RICHARDSON: Does anyone have comments or a need
18 to clarify?

19 MR. BAGCHI: I would like to ask one question. You
20 have mentioned a number of aging degradation mechanisms. Those
21 are dealt with as important or not important, based on what you
22 studied.

23 MR. NICKILL: Yes. Significantly is the term, yes.

24 MR. BAGCHI: Significant or not significant. Did you
25 consider foundation settlement and relative displacement as

1 being a potential aging degradation mechanism?

2 MR. NICKILL: No, we did not. For the moment, we did
3 not consider it in the IR.

4 MR. BAGCHI: Do you think that is a potential
5 degradation mechanism?

6 MR. NICKILL: I think it is a potential degradation
7 mechanism. On the other hand, it is not unlike some of the
8 other degradation mechanisms that were closed out in Section 5
9 on the basis of current plant programs. We probably could have
10 considered it and still closed it out. This was not included
11 in our scope.

12 MR. BAGCHI: I would just like to offer one thought
13 though, that containment is designed for accident pressure
14 which it really doesn't see, and most of the leak rate tests
15 are done at a much lower pressure. Therefore, some of the
16 stress is particularly - could be imposed on the map of the
17 foundation could be exacerbated by this foundation problem.
18 You would not see it from the report.

19 MR. NICKILL: That's right.

20 MR. SHAO: Does it include very active within the
21 lead plant program? What about the ACI 349, are they doing any
22 work in the lead plant program?

23 MR. NICKILL: To my knowledge, they are not. If that
24 is something that we need to look into, we would. We have used
25 ACI documents extensively in the IRs for providing the basis

1 for some plant programs not mandated by the NRC. For example,
2 condition monitoring. To the extent that condition monitoring
3 as described right now by ACI, is insufficient. It would
4 probably be wise to go back for additional help.

5 I think the lead plant program might be the place
6 where we could find out whether those conditioning monitoring
7 suggestions and recommendations are effective. We will
8 probably be checking with Monticello as to whether or not those
9 ACI conditioning monitoring suggestions are useful and are
10 being implemented.

11 MR. BAGCHI: Another question is, how about the
12 foundation, the soil conditions, the sediments and 60 year
13 life; would that be an issue for the extension? Are you going
14 to look into the soil conditions for the next 20 years?

15 MR. NICKILL: The soil condition, we looked at. Not
16 movement so much as, we were very concerned about the
17 possibility of aggressive groundwater. That kind of soil
18 condition we were concerned about.

19 MR. BAGCHI: I think of soil in general.
20 Groundwater, differential settlement.

21 MR. NICKILL: I think if differential settlement
22 winds up being an issue that regulators raise, it certainly
23 gets the attention from industry.

24 MR. JENG: I am David Jeng, NRC Staff. In regard to
25 the excessive relaxation, I saw your slides. You put into the

1 category of measurable relaxation. My specific question is,
2 these tendons are designed for 40 years life, and at the end of
3 the 40 years they are expected to reach the minimum design
4 forces. Now, we are talking 20 years extension.

5 Does your recommendation include at the beginning of
6 the 41st year, to retention to the tendon to such an extent
7 that they will provide additional 20 year extension; is that
8 your recommendation or not?

9 MR. NICKILL: I think the recommendation was that for
10 low monitoring programs to find out whether or not excessive
11 relaxation would occur in the current 40 year period. That was
12 examined to see whether or not those programs were effective.
13 It was determine that not only were those programs in place and
14 being used, but that excessive relaxation would be observed and
15 they would be retention - yes.

16 MR. JENG: Are you aware that --

17 MR. NICKILL: It was decided that the current plant
18 programs would be worrying about retentioning in the current
19 license period and they would extend those same procedures on
20 into the past 40 year.

21 MR. JENG: There is not a requirement to bring up the
22 notch to allow the next 20 year relaxation. There would be no
23 such requirement?

24 MR. NICKILL: I would interpret what we have in the
25 IR as meeting that requirement. It was not determined to be an

1 exact 40 years as required during the current license period.

2 MR. LAPIDES: How about corrosion tendencies, it is
3 possible --

4 MR. NICKILL: The recommendation made by the industry
5 group in this case was that the Reg Guide that is in place and
6 the IWL were sufficient to --

7 MR. LAPIDES: To prevent corrosion.

8 MR. NICKILL: Yes. Both grounded and ungrounded
9 tensions.

10 MR. JENG: One more questions. On the containment
11 inspection, I wasn't quite clear. Are you recommending
12 inspection program to the effect that even in the regular
13 structures like bridges on highways - the bridge department do
14 interviews there in a regular period, inspection of the
15 structures, beams and painting and so on.

16 MR. NICKILL: Right.

17 MR. JENG: I am a bit concerned about the fact we
18 have weaker structures which, in some cases, have not been
19 inspected for 40 years life and maybe the industry want to
20 think about possibility of some inspection of some kind,
21 particularly containment.

22 MR. NICKILL: You mean, over and above what we
23 already have?

24 MR. JENG: As far as the containment structures, yes,
25 some region inspection I presume is in place, but not on other

1 Category 1 structures. For that reason, I am concerned.

2 MR. NICKILL: For Category 1 structures, in that
3 particular case, we are well aware of the fact that integrated
4 leak rate testing which was a large part of our justification
5 for not requiring additional inspection on the containment
6 structures - that is not available to us for Class 1, Category
7 1 structures.

8 Therefore, we intend to look carefully at additional
9 or augmented inspection programs. That has not been finished
10 yet. We have no industry position at this time. We will keep
11 you informed as it develops.

12 MR. JENG: One more question, last one. You
13 categorize one item as non-significant. Could you elaborate a
14 bit what criteria judging, asserting degradation to be non-
15 significant. Is that qualitative or is there some guidance?

16 MR. NICKILL: There tends to be some qualitative, but
17 there is a little bit of a mixture. For example, we considered
18 freeze-thaw damage and we looked at a weathering index which is
19 quantitative in a sense, but it tends to be barely
20 quantitative. And, we dismissed freeze-thaw damage as being
21 non-significant because of the weathering index considerations.

22 They tend to be qualitative and not quantitative.

23 MR. JENG: I would like to recommend when you issue a
24 report for the staff for review, to the extent that you can,
25 please try to be quantitative or for those reasons you have a

1 basis to be so.

2 MR. NICKILL: We tend to be qualitative when we think
3 it is a judgment call. That is clearly working in our favor.
4 We tend to be quantitative when we require evidence to support
5 our contention.

6 MR. JENG: Thank you.

7 MS. MITCHELL: Josslyn Mitchell, NRC Staff. I was
8 interested to see the calculations of large margin in the
9 capacity of the containment used to justify the fact that it
10 will really support the design bases loading. I want to know,
11 did those kinds of calculations that have been submitted to
12 bolster the idea that they really could withstand much larger
13 than design basis modes. Would you care to comment on how we
14 should view those in the future?

15 MR. NICKILL: Yes. They are not only calculations,
16 of course, they are test results as well. The way the industry
17 used those was to demonstrate the fact that perturbations in
18 the current state and configuration would not cause that
19 margin to erode significantly. Therefore, we attempted to take
20 advantage of that.

21 It is only one part of the whole story, of course.
22 The way we would like to do it - the way we used it in the IR
23 was to merely reference and quote significant results from
24 specific reports such as those contained in the laboratories.
25 We have not made any intention at this point to submit those in

1 some form in any docket at this time. Our intention was that
2 they are accessible to the NRC and many of them were produced
3 by the NRC as a part of the research programs.

4 However, is your question related to whether or not
5 further testing is required, further analysis?

6 MS. MITCHELL: No. It was just that the tests at the
7 International Laboratory have been used to say relative to
8 severe accident world, that the capacity of the containment is
9 two to three times what the design basis is. Now I see those
10 same tests saying look, since it has all that capacity if it is
11 degraded, it really will have its one time design basis.

12 MR. NICKILL: You are surprised at that? We found it
13 instructive and informative and useful.

14 MR. RICHARDSON: Any other comments?

15 MR. COSTELLO: I am Jim Costello of the NRC Staff. I
16 hope I am not intruding on what someone else has already said.
17 I couldn't help but notice that - perhaps it is not surprising
18 - the difference in viewpoint appropriate to the type A test.
19 On the one hand, Dr. Nickill and his associates find comfort in
20 the fact that the Appendix J test is done presumably at full
21 pressure because less pressure is less likely to give you any
22 kind of a tell tale of performance.

23 On the other hand, Mr. Katz and his associates are a
24 little concerned about the full pressure of the test. I didn't
25 realize that there may well be these differences of viewpoint.

1 MR. NICKILL: May I comment?

2 MR. COSTELLO: Sure.

3 MR. NICKILL: I comment by saying that in the early
4 draft of the IR on PWR containments, we were carrying along a
5 concern about the possibility of repeated integrated leak rate
6 testing, defeating the crack width assumptions that we were
7 making as a result of ACI 318. We were going to try to make a
8 claim on the retention side that the cracks are relatively
9 narrow and the water can't make its way in because you have
10 satisfied the reinforcement spacing requirements and coverage
11 requirements.

12 Then you start doing cyclic loading on a fairly
13 frequent basis and you might defeat that. We haven't done the
14 analysis to support it, but there has been some kind of back of
15 the envelope look at that problem to indicate that we don't
16 think that cyclic loading of the type that people are now doing
17 is going to exacerbate that problem. We probably ought to look
18 at it a little further. At this time, we consider it to be a
19 non-problem at this time.

20 MR. JENG: David Jeng, NRC staff again. Bob, I
21 forgot to ask you one more question that I thought was
22 important. In regard to the liner at the bottom of the
23 containment normally covered with two feet concrete, because of
24 the most likely cracking of some concrete on those two feet
25 portion there should be some water deposited. That is my

1 belief, okay.

2 Based on our experience at Oyster Creek, when the
3 liner is in contact with stagnated water, the chance of
4 corrosion and thinning of the base metal will be very highly
5 likely. Given this experience, I wonder if your Committee
6 looked into the specific means of looking into potential
7 thinning of the base liners by potential rate on the part of
8 concrete and come to some kind of specific recommendations.
9 Could you elaborate a bit?

10 MR. NICKILL: That particular issue was shown on one
11 of my viewgraphs as being a Section 6 issue. It was a non-
12 closed issue requiring options and strategy. The IR merely
13 contains a number of recommendations. We consider it to be
14 something that each license renewal applicant is going to have
15 to address on their own, but we provided some recommendations
16 going all the way from trying to prevent it from happening to
17 trying to just see if we could take advantage of the integrated
18 leak rate testing to expose the problem.

19 I don't know whether Mel wishes to address that in
20 any more detail or not. The issue here is, to what extent the
21 strategies contained in Section 6 directly address the floor
22 covering degradation and potential addressing to that is to the
23 staff.

24 MR. LAPIDES: I think you said it correctly. In
25 some plant-specific issues, some of them for example, have

1 excellent de-watering systems and shouldn't have such a
2 requirement. Some of them have protection systems that would
3 preclude it. All that has been given is a Section 6 conclusion
4 which lists about eight or nine different criteria which lead
5 you to a preferred option for managing that.

6 I can't imagine how you would give a single
7 recommendation, and I think that is what bothers you.

8 MR. NICKILL: Therefore, what you do is, it's a
9 utility base to decide whether they want to prevent it or try
10 to live with it, or they try to dig it up and repair it and so
11 forth. Those options are all presented in the IR. The
12 industry takes no position as to which one is preferred, we
13 merely provide the option.

14 MR. JENG: Thank you.

15 MR. RICHARDSON: We are going to, after the break, we
16 are going to - since the room is getting crowded, we are going
17 to switch rooms. They are going to allow us to have Room A,
18 which is a bigger room. We have two other speakers. My
19 question to you is, after those two speakers, do we have others
20 that would like to make any kind of presentation?

21 I am trying to balance in my mind, what our time
22 constraints are. Is there anybody that would desire to make
23 additional presentations?

24 [No response.]

25 MR. RICHARDSON: Seeing none, since we only have two

1 left and we are getting near break time, I am going to suggest
2 that we take a little extra time for break. Let's reconvene at
3 10:15 in Room A.

4 [Brief recess.]

5 MR. RICHARDSON: We might as well get started. We
6 have a larger room and it looks like fewer people. We have two
7 other presentations to be made; Tim Bailey from Northern
8 States Power and Joe McCumber from Yankee Atomic. If you have
9 questions or comments to make, I would ask that you use the two
10 microphones at the center aisle so that the reporter will pick
11 them up. I will call on Tim Bailey of Northern States Power.
12 If you will come up, Tim to make a presentation.

13 MR. BAILEY: I am Tim Bailey, and I am representing
14 Northern States Power. I would like to give an overview of the
15 Monticello pilot study, results on the primary containment.
16 Since Monticello was one of the pilot plants, we chose to do an
17 extensive examinations to support our technical evaluations.

18 [Slide.]

19 One of the things that I would like to show here is
20 that those extensive examinations haven't resulted in any
21 significant findings for our primary containment system. Our
22 overall conclusion of our evaluations to date and examinations
23 is that our primary containment is in very good condition and
24 is expected to provide the structural and leak integrity well
25 beyond the current period of the initial operating license.

1 The scope of the evaluation that I would like to talk
2 about is the drywell metal shell, the suppression chamber shell
3 and vent system, and the penetration assemblies. On this next
4 sketch, we can see that Monticello is a PWR-3, Marc I
5 containment. The lightbulb shape structure is the drywell, and
6 as you can see above the concrete floor of the drywell, there
7 is two inch gap between the steel structure and the concrete
8 structure.

9 Then you can see that there is a vent line that goes
10 down to the suppression change. Of course, the suppression
11 chamber is the donut shaped structure that we can see here. I
12 would like to point out a couple of features that we took
13 special examinations of. That is, right below the surface of
14 the concrete floor in the drywell on the exterior side of the
15 shell, there is what is known as the sand pocket region. This
16 is a transition zone between the free drywell space above it
17 and, of course, a vessel which allows for thermal expansion of
18 the drywell. That is one feature.

19 Of course the other feature is that we have the vent
20 line going into the torus, and the downcomer vent header region
21 there. We found it particularly important to take close
22 inspections of those areas to assure corrosion is not going to
23 be a problem in the long term future.

24 Our evaluation determined there to be two potentially
25 significant degradation mechanisms; that being corrosion of the

1 shell, including the embedded portion that I just spoke of, and
2 mechanical and thermal stress fatigue of the suppression
3 chamber shell and the vent line bellows. Conclusions of our
4 evaluations were that the drywell shell is capable of an
5 expected life well over 100 years. The main degradation
6 mechanism that we are concerned about there is corrosion.

7 The vent line and vent header is capable of at least
8 76 years. Again, corrosion is the main degradation mechanism.
9 The vent line bellows is expected to see at least a 95 year
10 life, and the main degradation mechanism here is fatigue.
11 Then, for the suppression chamber we expect well over 100
12 years, and the main degradation mechanism there is, of course,
13 corrosion.

14 There are several surveillance and maintenance
15 activities that were in place at Monticello prior to our life
16 extension evaluation. I would just like to make note of those.
17 They are that we typically visually examined the interior shell
18 coating of both the drywell and the torus on a cyclic basis to
19 ensure that the coating is sufficient. Of course, we have in
20 the past and will continue to maintain this coating as
21 degradation is observed. Of course, the other key thing is
22 that we do the containment leakage test for the tech-spec and
23 ASME code.

24 As a result of our study, we decided to do additional
25 examinations. I have listed here some of those examinations and

1 the results of those examinations. We did decide to expand our
2 visual condition survey of the suppression chamber by including
3 the interior visual examinations of the vent system on a cyclic
4 basis. We also instituted a wall thickness measurement program
5 to ensure that general corrosion of the drywell shell and the
6 suppression chamber doesn't become a long term problem. You
7 might say this is an aging management decision.

8 We also removed a section of concrete floor in the
9 drywell and performed wall thickness measurements. The result
10 of that inspection was that there was no significant
11 degradation found. This examination included excavation of a
12 three by three foot section of the concrete floor, and when
13 that examination was completed we just replaced the concrete.

14 We also, since corrosion of the exterior of the
15 drywell shell was a potential concern and since it cannot be
16 readily visually examined, we took a boroscope in a couple of
17 the penetrations of the drywell and verified that there was no
18 significant erosion going on in the exterior of the drywell
19 shell.

20 Another concern for BWR's is the potential existence
21 of moisture in the sand pocket region. One of the activities
22 that we took on was to inspect the sand pocket drains to ensure
23 that there isn't water standing on the backside of the shell.
24 Again, we inspected several hot piping containment penetration
25 bellows for any observable damage. Again, we found no

1 significant findings. Another potential source of water for
2 the sand pocket zone might be a leak in the drywell bellows.
3 This past outage, we went and did a visual examination of those
4 bellows and did find them to be in good condition.

5 A controlling degradation mechanism that we were
6 concerned about there was corrosion of a center spool plate
7 between the bellows convolutions. We observed that indeed,
8 very little corrosion was going on in that region. The
9 thickness of the quarter inch spool plate is still greater than
10 a quarter of an inch. We also, as a result of the pilot study
11 recommendations, examined the vent line bellows and, again, we
12 found no significant damage or problems to those bellows.

13 We came up with three expectant aging management
14 activities that we plan to pursue in the future, the first
15 being taking periodic wall thickness measurements and trending
16 those results of both the suppression chamber and the drywell
17 shell. We also plan on implementing ASME, Section IWE and
18 service inspections once we have our 10 year roll over period.
19 We think that will enhance our ability to detect any
20 degradation mechanisms of any significance.

21 We are also planning on monitoring the sand pocket
22 drains for water flow, since corrosion of the shell and the
23 sand pocket region appears to be the main degradation of
24 serious consequence for the primary containment structure.

25 That concludes my presentation. Are there any

1 questions?

2 MS. MITCHELL: Could you clarify when you said that
3 you had expected lifetimes of 100 years or 75 years or 95
4 years, what criteria were you looking at to get those numbers?
5 Was it a pressure capacity and, if so, what pressure capacity
6 was it?

7 MR. BAILEY: It was mainly in the case of the
8 corrosion where we determined corrosion was the degradation
9 mechanism of significance, we used general textbook type
10 numbers for corrosion rates for the particular material and
11 assumed that the material was not in a coated environment. So,
12 we took the service life and that anticipated corrosion rate
13 and thereby came up with the expected life.

14 In that case, we feel that is conservative because we
15 are going to continually inspect our structures and do coating
16 maintenance to upgrade those situations where we might have
17 coating degradation. As far as fatigue concern, we took a look
18 at the typical ASME evaluations of using a fatigue factor of
19 one and then plotting those out with our anticipated cycles
20 through the rest of the plant life. That is how we came up
21 with, in the case of the suppression chamber, of well over 100
22 years anticipated fatigue life.

23 I might say that even if we did approach one as a
24 usage factor, there would be other alternatives to determine if
25 fatigue really is a concern. But in this case, it appears that

1 our original design was very conservative and we can justify
2 extended life on that basis.

3 MS. MITCHELL: I don't think I made the question
4 clear. I can understand that from a corrosion point of view,
5 you evaluated that it might corrode by a certain number of
6 mills a year. But when you get down to a minimum thickness a
7 certain number of mills a year, you will be able to tolerate a net
8 metal thickness of a certain amount.

9 On what value was that based? Did you say if I have
10 a quarter of an inch or half inch that it will withstand a
11 certain pressure? Was the answer that you were looking for was
12 that it will be design pressure, will take a design pressure?

13 MR. BAILEY: Yes, I think I can answer that.
14 Basically, there was no original corrosion allowance in the
15 original design of both the drywell and the corrosion
16 structure. We found out that the actual design pressure of the
17 vessel turns out to be significantly higher than the reanalyzed
18 design pressure, which is 41 psi. Basically, we were able to
19 take that difference and develop a conservative corrosion
20 allowance that would account for that. That is really, you
21 might say, the threshold of corrosion that we could withstand.

22 MR. SHAO: I have a question here. You keep on
23 mentioning fatigue and containment. In my experience, fatigue
24 and containment usually is not a major factor, mainly because
25 the temperature is quite low in the containment and wall

1 thickness is very thin. Usually the fatigue should not be a
2 major problem in containment. I am surprised to hear you with
3 such a large fatigue factors aside from bellows.

4 MR. BAILEY: It is mainly localized areas that we are
5 talking about.

6 MR. SHAO: You are talking the main shell?

7 MR. BAILEY: We are talking about very large fatigue
8 life, expected life in the shell. Then there are some areas
9 such as the vent line headers which might have higher stresses
10 due to the Marc I loads where fatigue might be of more concern.

11 MR. SHAO: After one of the ASME code Section 3, that
12 is one time requires 15 hours for containment. Are there any
13 ASME Code people here? At one time they don't even require 15
14 hours of containment because of the thick shell and low
15 stresses.

16 MR. BAILEY: Again, I guess one thing that should be
17 pointed out is that the pilot study just went and re-evaluated
18 everything on its --

19 MR. SHAO: You go beyond ASME Code?

20 MR. BAILEY: Right, just to make sure that there
21 aren't any problems. Our conclusion is that there are no
22 potentially significant degradation mechanisms with the kind of
23 cyclic pattern we expect to see in the future.

24 MR. BAGCHI: In your evaluation of the life, it
25 appears as though the major emphasis was on the accident

1 pressure load, which is what it should be. But, there are
2 other concerns, other loading conditions. For example in
3 external load earthquake, have you looked at the possibility
4 that if you lose certain sections you have significantly
5 reduced the margin or, perhaps, the capability to resist those
6 kinds of loads?

7 MR. BAILEY: I am not real sure of the question. Is
8 the question that there may be portions of the structure that
9 might be degraded due to something like corrosion and that an
10 earthquake could therefore result in the kind of stresses that
11 might do damage and thereby lose part of the structure?

12 MR. BAGCHI: That is correct.

13 MR. BAILEY: I would say we didn't specifically look
14 at that, because the results of our inspections and the results
15 of our evaluations determined that the containment structure is
16 still well within its design parameters, including accidents
17 such as design basis earthquakes.

18 MR. SHAO: Goutam, I think this may not be an aging
19 issue. It may not be a license issue but a severe accident
20 issue.

21 MR. BAGCHI: My concern really is, when one is
22 looking at containment category in one structure in all of
23 these things, if you have significant creep and shrinkage
24 cracks in concrete structures, the capacity to resist the
25 design base in loading including the earthquake in external

1 loading may have been significantly reduced. This is something
2 that should be looked at as well.

3 MR. BAILEY: I would say the one thing that we did do
4 that partially addresses your question is, we did do a thorough
5 visual examination of all the structures involved including the
6 base mat and found no evidence of degradation that would lead
7 to a configuration problem that you might be concerned about if
8 you did have an earthquake and things were not symmetrically
9 aligned.

10 MR. BAGCHI: Corrosion in the Mark I wet well
11 supporting structure, for example, could significantly reduce
12 your earthquake. Those are the kinds of things I would think
13 you would want to look at.

14 MR. BAILEY: One of the items that I didn't list is,
15 we also did a visual inspection of the supporting structures on
16 the exterior of the suppression chamber and believe that it is
17 in good shape and will continue to be in good shape, due to the
18 fact that we have inspection programs in place that will call
19 for coating maintenance as it is required.

20 MR. JENG: My questions are trying to understand your
21 recommendations clearly. In your recommendation that you are
22 going to propose a check of the thickness of the shells, does
23 that check include opening up that you did - concrete areas to
24 look at the base metal containment. Is that included in your
25 part of a consideration?

1 MR. BAILEY: Yes. We did an initial inspection, and
2 we haven't yet set the frequency for the doing that inspection
3 again. I expect that it will include at least an additional
4 inspection prior to going into license renewal.

5 MR. JENG: In your future recommendations, you would
6 include a proposed frequency of such a check; that check would
7 include a scope of a check in the basement or the bottom?

8 MR. BAILEY: Yes.

9 MR. JENG: Second question. Are those separate
10 inspections that you did for renewal purposes?

11 MR. BAILEY: Yes.

12 MR. JENG: Which have not been done in the past is
13 part of your existing program, do you recommend that some of
14 them be carried out in the extended life, say first five years
15 in a 40 years or 50 years, some items which you have not been
16 doing which you do feel should be recommended for
17 implementation in the extended life period of years. What are
18 those items?

19 MR. BAILEY: I think that's a good question. We do
20 plan as part of our license renewal project to re-evaluate the
21 inspections that have been done and determine which ones should
22 be continued on a regular frequency. I would say that those
23 recommendations that I identified under the expected aging
24 management are the ones that I can tell you right now, we do
25 intend to do in the future.

1 The other ones, we have not completed a review on,
2 and selected ones of those will be done. In some cases, we
3 have already upgraded our surveillance procedures to include
4 many of the visual examinations, such as structures outside the
5 suppression chamber, such as vent header and vent lined visual
6 examinations, those kinds of things.

7 MR. JENG: Last question. In our past experience,
8 the anchor bolts opened identified one potential deficiencies
9 in pilot plants such as the lose of bolts or loss of tension
10 which in design consideration is very important.

11 In your current effort as a pilot program, did you
12 make a consensus effort to look into such potential
13 deficiencies and, if yes, what did you find? Do you think you
14 need consider just one items for future renewal inspection or
15 not?

16 MR. BAILEY: As part of the primary containment
17 system, I don't believe we identified any anchor bolts that
18 were of special concern as far as a pre-tension situation.

19 MR. JENG: In particular, torus anchor?

20 MR. BAILEY: As part of the exterior visual
21 inspections I mentioned, we do periodically inspect those for
22 any type of --

23 MR. JENG: Visual, right?

24 MR. BAILEY: Yes.

25 MR. JENG: Tension.

1 MR. BAILEY: On those particular ones, we haven't
2 committed to check the tension on those particular ones. We
3 believe by visual examination we can determine if they are
4 loose.

5 MR. JENG: Thank you.

6 MR. HALEY: Neil Haley from the Illinois Department
7 of Nuclear Safety. Would you describe for us over at
8 Monticello's operating history, what kind of corrosion control
9 and chemistry control program that you have had in your torus
10 water and, if as a result of your investigations were any
11 changes made in those programs?

12 MR. BAILEY: I know we do take a look at the torus
13 water as part of the pilot study. We did do an evaluation of
14 that chemistry and basically confirmed that there was no
15 chemistry problems that would lead to accelerated aging of
16 either the containment coating or the steel structure itself.

17 I guess what I would summarize is, we didn't identify
18 any significant problems there. Like I mentioned, typically on
19 a cyclic basis we go in and inspect the suppression chamber.
20 If, on occasion we might find some crud buildup or some sort of
21 problems like that in the torus, then we would take corrective,
22 pro-active actions to mitigate that in the future.

23 MR. HALEY: Do you use a corrosion inhibitor in --

24 MR. BAILEY: No, we don't.

25 MR. RICHARDSON: Are there other comments?

1 [No response.]

2 MR. RICHARDSON: Thank you, Jim. Our final
3 presentation is going to be by Joe McCumber of Yankee Atomic.

4 MR. MCCUMBER: Good morning. My name is Joe
5 McCumber, representing Yankee Atomic. Today I would like to
6 talk a little bit on the containment and go a little but
7 further into plant structures, and then I would like to tie
8 that into the general process that is depicted in the Rule,
9 focusing on the scope and actual methods of flexibility and
10 implementing it.

11 [Slide.]

12 As was discussed in previous presentations, it was
13 recognized that the containment has key safety importance
14 within the plant. Because of that, it was determined to do a
15 detailed evaluation. The industry report has been issued for
16 PWRs. In that, that report pretty much confirmed the inherent
17 adequacy that is involved with the containment structure. It
18 also determined the generic degradation issues that need to be
19 considered.

20 The potentially significant issues that were
21 determined to require further review were liner corrosion and,
22 also, coating degradation. Again, in addition to that, each
23 licensee has to look at the results of that report and
24 demonstrate applicability to their own site. Also, address any
25 plant-specific issues that may arise.

1 With respect to plant structures again, just in their
2 inherent design, there is a lot of generic aspects to them.
3 Depending on whatever structure you look at it is basically
4 comprised of steel, concrete, roofing materials and the like.
5 Because of that, there is a chance of doing some generic
6 coverage as far as assessing what are the concerns. There are
7 several management programs in place at plants today. For
8 instance, masonry wall inspections, ISI of piping supports and
9 several others that are plant-specific.

10 As far as Yankee's own review of structures, we have
11 performed generic assessments of the materials involved with
12 the different buildings and the buildings themselves to try to
13 determine what is the potential for degradation and how would
14 that degradation manifest itself. We then are doing very
15 focused plant walk downs, using the results of those
16 assessments and going out and looking for signs of degradation.
17 Based on what we find there may be actions taken, one of which
18 could include trending as appropriate to either follow a crack
19 that may be found or something of that nature.

20 Again, it is also understood that there are several
21 areas that will require plant-specific evaluation. I think as
22 was brought up in other discussions, the level of this plant-
23 specific review is going to depend a lot on the plant-specific
24 conditions. For instance, what the groundwater is like, if you
25 are dealing with a soil plant versus a rock plant, the whole

1 concerns with settling and cracking would be different. There
2 is a very key plant-specific evaluation that has to be
3 involved.

4 I would like to turn now to the proposed rule and tie
5 in the whole review process. What is expressed in the
6 philosophy statement in the rule right now seems to kind of
7 exemplify a focused approach in trying to determine and get
8 down to where are the real degradation concerns. However, if
9 you look at the proposed rule wording in Section XX.9, it seems
10 to go much further than that. We are required to identify
11 design conditions, functions and environmental conditions, as
12 well as identify degradation mechanisms, and programs to manage
13 that degradation for all equipment important to safety; that
14 is, all structures, components and systems is the way the rule
15 is worded right now.

16 We feel that this is unnecessary. It is well
17 recognized that all components aren't subject equally to
18 degradation and should not be given the same extent of coverage
19 within an application. There are many factors that affect this
20 rate of degradation. That would be design considerations,
21 benign environmental conditions, inspection, maintenance that
22 is performed, actual refurbishment or replacement that is
23 undertaken. The process needs to consider these factors so
24 that resources can be put where the real attention is needed.
25 Also, the level of review and documentation of the whole

1 process should be tied in only as necessary to support whatever
2 determination that you need to show that the degradation is not
3 a concern.

4 We feel again the wording in the rule has to better
5 show a screening process so that you can efficiently reduce the
6 scope of equipment for license renewal to those components
7 important for safety in which degradation is a concern. We
8 feel the process has to be comprehensive and comprehensive
9 needs to be defensible, clear and consistent, very much so in
10 the scope of coverage. There can't be any ambiguity insofar as
11 what needs to be in and what is out. There needs to be an
12 efficient process to give you flexibility in the method of
13 implementing it or managing degradation. And again, only to
14 require the information necessary to support the technical
15 basis.

16 On degradation mechanisms, especially in the civil
17 area that we are dealing with here, they are well understood
18 based on years of experience. What we are seeing though, is
19 this understanding tends to grow with experience as far as
20 different material environmental interactions. Some examples
21 are the concern with boric acid attack based on leaking, in
22 attacking support components. There is a new emphasis on that
23 today, and it is being taken care of.

24 One that was mentioned earlier had to deal with
25 vibration-induced structural damage or supports loosening up.

1 Again, there is an added awareness to that right now, and I
2 think the appropriate steps are being taken.

3 The existing programs in place today monitor,
4 maintain, refurbish and replace components and equipment. They
5 have been proven during the original licensing term, they are
6 continuously updated based on experience, and we feel that the
7 rule should allow or give credit for these programs.
8 Furthermore, we feel that license renewal should not be pushed
9 on to impose new requirements over and above the existing
10 programs that are not tied specifically to degradation. An
11 example of that would be the maintenance rule.

12 We feel there are several methods available for
13 managing degradation. This is where I was alluding to the
14 flexibility in implementation. The best way that you deal with
15 that degradation depends on the actual conditions or the
16 degradation that you are dealing with. They include further
17 analysis to demonstrate that the projected degradation is
18 acceptable, demonstrating that the current programs in place
19 are adequate, possibly by procedural enhancements, or including
20 trending where appropriate, modifying operating practices where
21 necessary and even going as far as replacing or refurbishing
22 the component.

23 As far as additional administrative controls to
24 assure that the actions that we take are continued, we feel
25 that these should only be applicable to those actions necessary

1 to manage age-related degradation for the license renewal term.
2 And that, such actions become licensing commitments for license
3 renewal. We do feel very strongly that you don't want to
4 overburden your existing tech-specs and the like, and that
5 these things can be covered by existing administrative
6 programs.

7 In summary, we feel Section XX.9 does need to embody
8 this screening process to be consistent with NRC philosophy so
9 that you can focus on the important safety components which
10 unresolved aging issues have been identified. Also, we feel
11 that the rule needs to allow the flexibility for you to manage
12 that degradation appropriately.

13 That is it. Are there any questions?

14 MR. JENG: Joe, you mention about coating or
15 containment. Did you find particularly troublesome indication
16 in your Yankee containment; is that the basis of your
17 recommendation?

18 MR. MCCUMBER: No. Where I commented on the coating,
19 that was the result of one of the potential areas that needs to
20 be looked at based on the industry report. Based on our own
21 inspections, the coating looks very well. In addition to that,
22 our design allows you to do both an internal and external
23 review. No, we haven't found any concerns.

24 MR. JENG: Another question is, did you take an
25 effort to look into the potential corrosion of water structures

1 and to ensure that no unacceptable corrosion has been going on
2 in your case?

3 MR. MCCUMBER: As I stated, what we first do is look
4 at generically at the type of structure and what it is
5 fabricated of, and determine what are the potential for
6 degradation. For intake structures, it was clearly shown that
7 the potential for erosion and degradation of rebar if you get
8 water inside, are concerns. Based on that assessment, we have
9 identified what you should look for to identify those concerns,
10 and that is included in the walk downs that we do of those
11 structures.

12 So, yes, we were looking for those types of problems.

13 MR. JENG: Your essence of recommendation is that one
14 should take a specific walk down of these important structures
15 and take whatever action that is consistent with the license
16 renewal. That is your basic assumption, recommendations?

17 MR. MCCUMBER: Yes, that each plant will have to look
18 at these type of concerns on a plant-specific basis, with a
19 focus directed on where their own site may show concerns. For
20 example, a site like ours with very clean water, a rock-based
21 site may not have the same concerns others may have, but maybe
22 we have a little bit different. So, yes, I agree.

23 MR. JENG: Thank you very much.

24 MR. RICHARDSON: Are there other questions?

25 MR. STATTON: My name is Jeff Statton. I am with

1 Bechtel Power Corporation. I would just to further comment on
2 that, that Joe is making. We are currently under contract to
3 EPRI for the preparation of an industry report on Class 1
4 structures. Some points and items came up earlier, and I would
5 like to reconfirm for your own information, the scope of what
6 we are intending to review within the industry report.

7 Specifically what came up several times is the area
8 of Class 1 structures and structures exposed to flow-in water.
9 That definitely is under the review of the report. In
10 addition, we are looking at tanks and tank foundations.
11 Another issue separate from what Joe mentioned is the
12 settlement issue. It is being addressed in that Class 1
13 structures report, as well as a last miscellaneous item of
14 steel structures.

15 Those are being address. That plant schedule, I
16 think Bob Nickill advised you a little earlier, submittal to
17 you is toward the middle of 1990.

18 As a footnote to that though, I would add and spring
19 boarding off yesterday's plenary session, that the scope of the
20 review of the license renewal issue is those degradation
21 mechanisms unique to the renewal term. Of all of the issues
22 that we are wrestling with at this time, we haven't found
23 degradation in any of the Class 1 structures that we are
24 dealing with that is strictly unique to the renewal term.

25 MR. RICHARDSON: Thank you. Are there other

1 comments?

2 [No response.]

3 MR. RICHARDSON: That concludes the presentations by
4 those that requested. I would open the floor up. Is there
5 anybody else that would like to make any type of presentation
6 or comment in the area of containment or structures as related
7 to license renewal?

8 [No response.]

9 MR. RICHARDSON: If not, we will adjourn until 1:15,
10 at which time we will all come back together in a plenary
11 session here to sort of wrap the whole thing up here from the
12 different working sessions and see what conclusions can be
13 drawn.

14 Thank you.

15 [Whereupon, at 11:05 a.m., the meeting adjourned.]

16

17

18

19

20

21

22

23

24

25

REPORTER'S CERTIFICATE

This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission


in the matter of:

NAME OF PROCEEDING: Session 6 Public Workshop

DOCKET NUMBER:

PLACE OF PROCEEDING: Reston, VA

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.



Mary Rosenberg
Official Reporter
Ann Riley & Associates, Ltd.

**SESSION 6
CONTAINMENTS**

**R. E. NICKELL
EPRI**

**PUBLIC WORKSHOP ON TECHNICAL AND POLICY
CONSIDERATIONS FOR NUCLEAR POWER PLANT
LICENSE RENEWAL**

**NOVEMBER ~~13~~-14, 1989
RESTON, VIRGINIA**

SESSION 6 **CONTAINMENTS**

NUMARC NUPLEX Working Group Industry Reports

- PWR Containments Completed August 1989
- Class I Structures June 1990
- BWR Containments June 1990

PURPOSE OF NUMARC NUPLEX INDUSTRY REPORTS (IRs)

- Identification and evaluation of age related degradation for major plant systems and structures
- Disposition of age related degradation issues:
 - Non-significant
 - Adequately managed by current evaluation programs
 - Enhanced aging management may be required on a plant-specific basis
- Intended to be referenced in individual plant license renewal applications to the NRC

INDUSTRY REPORT OUTLINE

SECTION 1 EXECUTIVE SUMMARY

- Elements of License Renewal
- General Considerations (if needed)
- Specific Conclusions -- Section 4
 -- Section 5
 -- Section 6

SECTION 2 INTRODUCTION

- Scope (Systems/Components, Exclusions)
- Degradation Mechanisms Addressed
- Special Considerations

SECTION 3 SYSTEM/COMPONENT EVALUATION BASIS

- System/Component Descriptions
- Design Bases, Standards, Regulations
- Operating and Maintenance History

INDUSTRY REPORT OUTLINE

continued

SECTION 4

DEGRADATION MECHANISMS

- General Mechanism Descriptions
- Specific System/Component Considerations
- Significance to Systems/Components
(Regulatory Conclusions)

SECTION 5

COMPONENT LIFE EVALUATION

- Description of Established Evaluation Procedures
- Accepted Limits of Degradation
- Quantitative Results for Systems/Components
(Regulatory Conclusions)

SECTION 6

AGING/DEGRADATION MANAGEMENT

- Recommended Prevention, Mitigation and Improved Assessment Strategies
- Level of Existing Demonstration
- R & D, C & S Recommendations
- Generic And/Or Plant-Specific Actions
(Regulatory Conclusions)

SIGNIFICANT AGING DEGRADATION

Significant aging degradation is such that, if allowed to continue, the capability of the system, structure or component to perform its intended function during the license renewal term would be compromised. In that case, additional generic or plant specific evaluation or aging management options shall be pursued for license renewal. The evaluations may be based upon standard and accepted practices, with the deterioration found to be within established limits; otherwise, some form of improved assessment or preventative/mitigative action may be required.

INDUSTRY REPORT REGULATORY CONCLUSIONS

Section 4

The first set covers issues that are considered to be generically resolved for all _____, on grounds that the aging degradation mechanism under consideration does not cause significant degradation (for particular systems, components, or structures). Applicants seeking license renewal need not evaluate these issues, beyond assuring that no plant unique features exist that would preclude the applicant from verifying the conclusion in the IR.

INDUSTRY REPORT REGULATORY CONCLUSIONS

continued

Section 6

A final set of issues remain in which significant aging degradation cannot be addressed on a generic level by the industry as a whole. For these issues, aging management recommendations are suggested in the IR for use. The applicant or group of applicants for which these aging mechanisms are applicable are responsible for implementing an effective approach for resolving these issues.

PRESSURIZED WATER REACTOR CONTAINMENT STRUCTURES

LICENSE RENEWAL INDUSTRY REPORT

PWR CONTAINMENTS

Concrete and free-standing steel containments will continue to provide structural and leak-tight integrity, well beyond the period of the initial operating license, as demonstrated by

- Ultimate capacity assessments (margin)
- Historical performance of related structures
- Construction quality standards
- Current testing and inspection standards

PWR CONTAINMENTS

Potentially significant age-related degradation mechanisms that are adequately managed by current effective programs

- Corrosion of both grouted and ungrouted prestressing tendons
- Progressive reductions in the levels of tendon prestress
- Degradation of exposed concrete surfaces
- General corrosion of concrete containment liners and free-standing steel containment shells
- Fatigue damage of free-standing steel containment expansion bellows

PWR CONTAINMENTS

Potentially significant age-related mechanisms that require plant specific evaluations and may require an effective management methodology:

- Acid attack on below-grade portions of the containment that may be exposed to sulfate-bearing soils or acidic ground water
- Floor liner plate beneath the concrete floor slab which could corrode without being observed and could result in a potential leak path
- Interior containment coatings which are used to mitigate general corrosion of steel liners and free-standing steel containment shells

SESSION 6
CONTAINMENTS

MONTICELLO PILOT STUDY
PRIMARY CONTAINMENT OVERVIEW

TIM BAILEY
NORTHERN STATES POWER COMPANY
MONTICELLO LEAD PLANT
PROJECT TECHNICAL DIRECTOR

MONTICELLO PRIMARY CONTAINMENT

Monticello's primary containment will continue to provide structural and leak-tight integrity, well beyond the period of the initial operating license as demonstrated by the pilot study evaluation.

SCOPE OF SERVICE LIFE EVALUATION

Drywell Metal Shell

Suppression Chamber Shell & Vent System

Penetration Assemblies

POTENTIALLY SIGNIFICANT
DEGRADATION MECHANISMS

Corrosion - Shell Including Embedded Portion
Mechanical & Thermal Stress Fatigue - Shell,
Vent Line Bellows

EXPECTED LIFE

Drywell Shell Over 100 Years - Corrosion

Vent Line & Vent Header 76 Years -
Corrosion

Vent Line Bellows 95 Years - Fatigue

Suppression Chamber Shell - Greater Than
100 Years Corrosion

**SURVEILLANCE & MAINTENANCE
ACTIVITIES**

Visual Examination of Interior Shell Coating
Each Cycle

Coating Maintenance as Required

Containment Leakage Tests per Tech Specs

IMPLEMENTATION ACTIVITIES SINCE STUDY CONFIRM EVALUATION RESULTS

Expanded Interior Visual Examination to
Include Vent System

Wall Thickness Measurement Program -
Actual Thickness Exceeds Design Wall
Thickness

Removed Section of Concrete Floor in
Drywell & Performed Wall Thickness
Measurements in Sand Pocket Region - No
Significant Corrosion

Boroscopic Examination of Exterior Drywell
Shell Through Concrete Penetration - Loss of
Coating, No Metal Thinning

IMPLEMENTATION ACTIVITIES SINCE
STUDY CONFIRM EVALUATION RESULTS
(Cont.)

Inspected Sandpocket Drains

Inspection of Selected Hot Piping
Containment Penetration Bellows - No
Significant Findings

Performed Visual Examination of Refueling
and Drywell Bellows - Good Condition

Visual Examination of Vent Line Bellows - No
Damage to Exterior Identified

**EXPECTED AGING MANAGEMENT
ACTIVITIES (additional)**

Take Periodic Wall Thickness Measurements
and Trend Results

Implement ASME IWE Inservice Inspections

Monitor Sandpocket Drains for Water Flow

**NRC WORKSHOP ON LICENSE RENEWAL
NOVEMBER 13-14, 1989
SESSION 6**

**PRESENTATION
ON
CONTAINMENT AND PLANT STRUCTURES**

**BY
JOSEPH T. MCCUMBER
YANKEE ATOMIC ELECTRIC COMPANY**

CONTAINMENT

- DETAILED EVALUATION DETERMINED NECESSARY
- INDUSTRY REPORT
 - CONFIRMED INHERENT DESIGN ADEQUACY
 - DETERMINED DEGRADATION ISSUES
- POTENTIALLY SIGNIFICANT ISSUES REQUIRING PLANT SPECIFIC REVIEW:
 - LINER CORROSION
 - COATING DEGRADATION

PLANT STRUCTURES

- **GENERIC APPROACH POSSIBLE**
- TYPICAL MATERIALS OF CONSTRUCTION
- **SEVERAL MANAGEMENT PROGRAMS IN PLACE**
EX: MASONRY WALL INSPECTIONS
ISI OF EQUIPMENT SUPPORTS
- **ASSESS DEGRADATION POTENTIAL AND**
FORM OF MANIFESTATION
- **FOCUSED WALKDOWNS WILL TAKE CARE OF**
MOST CONCERNS
- **AUGMENT PROGRAMS AND TREND AS**
APPROPRIATE

NRC EXPRESSED PHILOSOPHY

“Those structures, systems, and components that are effectively covered by existing ongoing NRC requirements and/or licensee programs, or are not subject to aging mechanisms need not be addressed in the application (and need not be within the scope of the hearing process).”

PROPOSED RULE SECTION XX.9 REQUIRES

- IDENTIFICATION OF DESIGN REQUIREMENTS, FUNCTIONS, AND ENVIRONMENTAL CONDITIONS
- IDENTIFICATION OF DEGRADATION MECHANISMS
- PROGRAM TO IDENTIFY, EVALUATE, AND TREND EFFECTS OF RELEVANT DEGRADATION

FOR ALL EQUIPMENT IMPORTANT TO SAFETY

SECTION XX.9 SCOPE UNNECESSARY

- WELL RECOGNIZED THAT DEGRADATION CONCERNS DO NOT EXIST FOR MANY COMPONENTS BECAUSE
 - DESIGN CONSIDERATIONS
 - BENIGN ENVIRONMENTAL CONDITIONS
 - INSPECTION AND MAINTENANCE
 - REFURBISHMENT OR REPLACEMENT
- PROCESS NEEDS TO CONSIDER THESE FACTORS SO THAT RESOURCES CAN BE FOCUSED ON THE AREAS WARRANTING ATTENTION

RULE NEEDS TO REFLECT A SCREENING PROCESS

**TO EFFICIENTLY REDUCE THE SCOPE OF
EQUIPMENT FOR LICENSE RENEWAL TO ONLY
THOSE COMPONENTS IMPORTANT TO SAFETY
FOR WHICH UNRESOLVED AGING DEGRADATION
ISSUES HAVE BEEN IDENTIFIED.**

NECESSARY SCREENING PROCESS FEATURES

- **COMPREHENSIVE**
- **CLEAR AND CONSISTENT**
- **EFFICIENT**
- **FLEXIBLE**
- **REQUIRE ONLY INFORMATION
NECESSARY TO SUPPORT TECHNICAL
BASIS OF SCREENING DECISION**

DEGRADATION MECHANISMS

- IDENTIFIED AND GENERALLY WELL UNDERSTOOD
BASED ON YEARS OF CIVIL EXPERIENCE
- UNDERSTANDING OF ENVIRONMENTAL/MATERIALS
INTERACTIONS CONTINUE TO DEVELOP
 - BORIC ACID INDUCED DEGRADATION
 - VIBRATION INDUCED STRUCTURAL
DAMAGE

EXISTING PROGRAMS

- MONITOR/MAINTAIN/REFURBISH/REPLACE
- PROVEN DURING ORIGINAL LICENSING TERM
- CONTINUOUSLY UPDATED BASED ON INDUSTRY EXPERIENCE
- CONCLUSION - RULE SHOULD ALLOW FOR CREDIT OF THESE PROGRAMS

SEVERAL METHODS AVAILABLE FOR MANAGING DEGRADATION

- FURTHER ANALYSIS TO DEMONSTRATE THAT THE PROJECTED DEGRADATION IS ACCEPTABLE THROUGH THE RENEWAL PERIOD
- CURRENT PROGRAMS ARE ADEQUATE TO ASSURE DEGRADATION MECHANISMS DO NOT IMPACT SAFETY
- PROCEDURAL ENHANCEMENTS MAY BE NECESSARY FOR THE RENEWAL PERIOD
 - e.g., Trending, As Appropriate
- MODIFICATIONS TO OPERATING PRACTICES
- COMPONENT REPLACEMENT OR REFURBISHMENT

ADDITIONAL ADMINISTRATIVE CONTROLS

- ONLY APPLICABLE TO SPECIAL ACTIONS NECESSARY TO MANAGE AGE RELATED DEGRADATION IN SUPPORT OF LICENSE RENEWAL
- SUCH ACTIONS BECOME LICENSE COMMITMENTS FOR LICENSE RENEWAL

SUMMARY
MODIFY SECTION XX.9 TO:

- **INCLUDE SCREENING PROCESS TO FOCUS EFFORTS ON AREAS WARRANTING ATTENTION**
 - ** IMPORTANT TO SAFETY COMPONENTS FOR WHICH UNRESOLVED AGING DEGRADATION ISSUES HAVE BEEN IDENTIFIED ****
- **ALLOW FLEXIBILITY IN DETERMINING OPTIMUM METHOD OF MANAGING DEGRADATION**