

# OFFICIAL TRANSCRIPT OF PROCEEDINGS

**Agency:** Nuclear Regulatory Commission

**Title:** Public Workshop on Technical and  
Policy Considerations for Nuclear  
Power Plant License Renewal:  
Environmental Effects

**Docket No.**

SESSION 8

**LOCATION:** Reston, Virginia

**DATE:** Tuesday, November 14, 1989 **PAGES:** 1 - 34

*DF-03  
0/1*

**ANN RILEY & ASSOCIATES, LTD.**

1612 K St. N.W., Suite 300

Washington, D.C. 20006

(202) 293-3950

1 UNITED STATES OF AMERICA

2 NUCLEAR REGULATORY COMMISSION

3 - - - - -

4  
5 PUBLIC WORKSHOP

6 ON

7 TECHNICAL AND POLICY CONSIDERATIONS

8 FOR

9 NUCLEAR POWER PLANT LICENSE RENEWAL

10 - - - - -

11  
12 Session 8

13  
14 - - - - -

15 Sheraton Resort Hotel

16 Conference Rooms A, B and C

17 11810 Sunrise Valley Drive

18 Reston, Virginia

19  
20 - - - - -

21 Tuesday, November 14, 1989

22 8:30 o'clock a.m.

23 - - - - -

24

25

## 1       SESSION LEADERS

2                   Donald P. Cleary, Senior Task Manager, Reactor  
3                   and Plant Safety Issues Branch, Division of  
4                   Safety Issue Resolution

5                   Frank P. Gillespie, Director, Program Management,  
6                   Policy Development and Analysis Staff

## 7       PARTICIPANTS:

8                   Don Edwards, Yankee Atomic Power Co. for NUMARC  
9                   Jay Silberg, Shaw, Pittman, Potts & Trowbridge for  
10                  Northern States Power Company  
11                  Jane Grant, Yankee Atomic Power Co.  
12                  Joseph Gallo, Hopkins & Sutter  
13                  Geary Mizuno, NRC  
14                  Themis Speis, NRC  
15                  Jim Chapman, Yankee Atomic Power Co.  
16                  Bill Rasin, NUMARC

17

18

19

20

21

22

23

24

25

## P R O C E E D I N G S

[8:30 a.m.]

1  
2  
3 MR. CLEARY: Shall we get started? I'm Don Cleary  
4 from the NRC staff. This is Session 8 on Environmental  
5 Effects. With me at the table, Frank Gillespie, who you all  
6 know from yesterday; and Geary Mizuno from the Office of  
7 General Counsel.

8 I'm going to request that when you speak, please use  
9 the microphones and give your name and affiliation so that we  
10 can get it in the transcript.

11 I'm going to start off by providing a summary of the  
12 questions that have been already distributed, and then open it  
13 up to the speakers that have indicated an interest in making  
14 comment. I'll just identify the ones that we have on the list  
15 now; NUMARC, Northern States Power, Yankee Atomic, and Joe  
16 Gallo from Hopkins, Sutter.

17 [Slide.]

18 MR. CLEARY: The basic framework that we're looking  
19 at is that we're in the process of a rulemaking, license  
20 renewal, which requires a NEPA analysis. That rulemaking will  
21 provide some specifications for future individual plant  
22 relicensing actions which, in turn, will require a NEPA  
23 analysis.

24 One of the major things that we're trying to come to  
25 grips with is whether these two requirements should be tied in

1 any way. Our approach so far has been, relative to the  
2 rulemaking, to take a fairly narrow view of the rule. There is  
3 already a rule on the books and legislation permits  
4 relicensing.

5 We look at this rulemaking as providing greater  
6 detail in terms of what's required in an application and the  
7 standards that we'll use in reviewing the application and  
8 making our determination. The rule, in itself, does not lead  
9 to anything significantly different from what's already  
10 permitted.

11 We can take a narrow view if we also assume that in  
12 individual relicensing actions that there will be a NEPA  
13 analysis done. Last spring, there was mounting concern within  
14 NRC that perhaps we should be taking a close look at looking  
15 into the future in terms of the individual relicensing actions  
16 and perhaps taking a generic approach which would limit the  
17 scope and systematize the individual relicensing actions when  
18 they came up.

19 The extreme hope was that essentially all of the NEPA  
20 issues could be put to rest generically through what would be a  
21 separate rulemaking, a Part 51 rulemaking. That raises the  
22 question of the relationship of a Part 51 rulemaking, a generic  
23 exercise versus a more limited exercise, NEPA analysis for the  
24 narrow purposes of what is basically a Part 50 rule.

25 The Commission has asked us to report back to them

1 with recommendations as to whether the generic environmental  
2 document should be undertaken and whether it should be tied to  
3 the Part 50 rulemaking. In essence, it would then support the  
4 Part 50 rulemaking, in addition to the purposes of a Part 51  
5 rulemaking, which would narrow the scope of relicensing  
6 reviews, NEPA reviews in the future.

7           One of the major considerations is schedule. It will  
8 take time to do a generic analysis. Basically, a generic  
9 analysis would have to do a fairly convincing job of bounding  
10 all of the significant issues that could come up on a site-  
11 specific basis, site-specific plant-specific basis.

12           I think the staff generally believes that the Part 50  
13 rule could proceed on a faster schedule than would be permitted  
14 if it were tied to a generic NEPA exercise. As you know, we  
15 are proposing to publish proposed rule at the end of May, early  
16 June. If it is not tied to -- if it's just supported by a  
17 narrowly scoped environmental document, it's conceivable that  
18 the final rule could be published about a year later.

19           If it is tied to a generic environmental document and  
20 a Part 51 rulemaking, it would take a considerable number of  
21 months longer to reach the point where everything comes  
22 together and the final license renewal rule could be published.  
23 At the moment, that final date, if everything is done together,  
24 is April of 1992 on our schedule.

25           In addition to the question of what documents we

1 generate now and later and the schedule implications, we'd like  
2 to look at some substantive questions in terms of what are the  
3 environmental effects that can be anticipated from this rule  
4 from relicensing; are there any really significant ones or, as  
5 may people believe, are they within the realm of experience and  
6 rather innocuous.

7           There are questions of analysis; after you have  
8 scoped the issues that you want to look at, how you would go  
9 about collecting information. This would be a very large task  
10 in a generic exercise because the objective, as I said, would  
11 be to bound, in a convincing way, all of the site- and plant-  
12 specific potential impacts.

13           There is a question of data, information, where it's  
14 not all in NRC files. There's a considerable amount of stock  
15 of knowledge in NRC, but it's not systematic, it's not easily  
16 retrievable, and it's not necessarily always convincing.

17           The question of where the data and information would  
18 come from, the open literature; to what extent would industry  
19 have to be involved in such an exercise; to what extent is  
20 there information, data located within state agencies; expert  
21 knowledge located within state and Federal agencies; and, to  
22 what extent could we tap such information and data.

23           [Slide.]

24           MR. CLEARY: The conclusions that one would draw from  
25 analyses on specific issues are not purely objective. They

1 reflect changing scientific standards in terms of what is  
2 environmentally significant over time; reflect changing  
3 societal standards in terms of what is significant over time.

4 We need to address this. Our analysis may not be on  
5 the standards we apply in making decisions as to what the  
6 analysis shows us. It may not be the same in all cases as it  
7 was ten years ago or fifteen years ago. Ten or fifteen years  
8 from now, if the analysis were done then, it may not be exactly  
9 the same as if it were done right now. So this is an area  
10 that we have to look at.

11 If we go to a generic environmental document, there  
12 would be required a significant public scoping process, and  
13 this is one of the areas that we'd be pursuing in that scoping  
14 process. Then there are several areas, topical areas, issue  
15 areas that are of particular interest, either in terms of what  
16 the appropriate scope is, the policy implications, the  
17 relationship to existing regulations, to existing policy, and  
18 also some of the analytical concerns.

19 These are severe accident consequences, how would we  
20 treat these generically. As most of you may realize, in NRC,  
21 environmental impact statements for individual plants, since  
22 the late 1970's, severe accident consequences have become a  
23 major portion in terms of total number of pages coverage.

24 There is spent fuel storage capacity. We have waste  
25 confidence rule which should provide some restraints on what



1 we're focusing on, but there are broader issues, uncertainties,  
2 and to what extent can we -- under those uncertainties in terms  
3 of availability and the timing of availability of off-site  
4 storage facilities for spent fuel come into consideration.

5           According to Part 51 relicensing, license renewal is  
6 an operating license action. Under Part 51, we needn't  
7 consider alternatives. However, for the programmatic approach,  
8 which would be that which narrowly supports the relicensing  
9 rule, the Part 50 aspects of it, we do have to look at  
10 alternatives to relicensing and how much that is -- is it  
11 fairly clear to everyone that relicensing relative to the  
12 alternatives is pretty clearcut, that the benefits are warrant-  
13 free licensing or are there controversies in that area?

14           Finally, something that I mentioned before; if we do  
15 go into generic exercise, those of us who have given thought to  
16 what has to be done believe that we will need considerable  
17 cooperation in the process of developing a generic document  
18 from Federal and state agencies, as well as industry.

19           With that, I'd like to move on to comments from those  
20 who have prepared them, and then open this to the floor for  
21 discussion. NUMARC is first on the list.

22           MR. EDWARDS: Good morning. My name is Don Edwards.  
23 I'm speaking on behalf of the NUMARC/NUPLEX Working Group. I  
24 appreciate your comments this morning. Don, we've been  
25 thinking a great deal about this. In fact, the review of

1 environmental effects has been a matter of great discussion and  
2 spirited opinion-giving for some time in the Working Group.

3 In fact, as late as last night, we were revisiting  
4 the issue of our position and, in fact, it's only through the  
5 heroic efforts of a couple of very dedicated people that we  
6 have slides to share with you today. So I will explore with  
7 you these slides and see if we can describe our position.

8 [Slide.]

9 MR. EDWARDS: Basically, at the present time, NUMARC  
10 believes there needs to be two environmental assessments done.  
11 First, an environmental assessment specifically to support the  
12 rulemaking. The major Federal action involved is the  
13 implementation of the Atomic Energy Act which says that you can  
14 renew licenses.

15 The scope need only address the impact of the  
16 rulemaking and we believe it can be done in the same timeframe  
17 as the renewal rule, which is a draft in May of 1990 and a  
18 final in May 1991. That says May there. We also believe that  
19 an environmental impact statement for license renewal is  
20 probably not necessary and we believe that for license renewal  
21 purposes that an EA is an appropriate first step.

22 NUMARC has conducted a study of environmental impacts  
23 on a generic basis for renewal on the basis of a rule that we  
24 had formulated which assumed continued operation of the plants  
25 under the present operating conditions. And the conclusions we

1 reached were that the environmental impacts were minimal.

2 In addition, we believe that the high level waste  
3 confidence findings are going to incorporate renewal and,  
4 therefore, one of the major reasons for EIS has probably been  
5 removed.

6 [Slide.]

7 MR. EDWARDS: In conjunction with the rulemaking, we  
8 believe that NRC should change 51.20(B)(2) to permit an  
9 environmental assessment on an individual plant basis. We  
10 believe the licensee filing will be merely an update of  
11 existing reports. We believe this change is consistent with  
12 the regulatory philosophy that's already been proposed for this  
13 workshop. Again, the NUMARC study supports that.

14 I mentioned a second environmental assessment, and  
15 this one would be focused at changing Part 51. This would  
16 address the full scope of environmental issues needed to  
17 support the issuance of licenses. We believe the work we've  
18 done can be geared so the results can be used in individual  
19 cases, individual filings. And we're looking very much at  
20 schedule.

21 Don, you mentioned the concern about schedule. We  
22 believe the resolution of the broad scope of environmental  
23 issues needs to be balanced against the need to have the  
24 licenses issued. We think if this is done in a timely fashion,  
25 that staff resources can be saved for all plants. And we

1 believe that if it isn't done in a timely fashion, that staff  
2 resources are going to be devoted to litigation, at least on  
3 the lead plants.

4 [Slide.]

5 MR. EDWARDS: So this concurrent environmental  
6 assessment and Part 51 revision must not constrain either the  
7 rule itself or the lead plant applications.

8 The license renewal rule, as we said, we needs to be  
9 final in May 1991 before lead plants file, and we believe that  
10 that change to Part 51 can be made. We believe that the  
11 separation needs to take place because the Part 51 rulemaking  
12 could be held up if they're coupled.

13 [Slide.]

14 MR. EDWARDS: With regard to topics, the  
15 NUMARC/NUPLEX study assessed in generic terms the environmental  
16 effects resulting from heat discharges; chemical and biocide  
17 discharges; routine radiologic emissions, gaseous, liquid and  
18 solid; decommissioning and dismantling; radiological emissions  
19 due to accidents; the uranium fuel cycle; and, construction at  
20 the plant site.

21 Now, for the purposes of construction at the plant  
22 site, we considered modifications at about the same level that  
23 are being undertaken at the present time during operation.  
24 During our study, we did not identify other initiators.

25 [Slide.]

1           MR. EDWARDS: This study, as I said, found minimal  
2 impacts. Routine radiological impacts from gaseous and liquid  
3 releases are comparable to the experiences from currently  
4 operating plants. We took a look at population density and  
5 assumed a two percent per year increase, and then looked at the  
6 risk because of that. We found that to be small and, in fact,  
7 within the range of variability between sites and within the  
8 overall uncertainty.

9           Non-radiological releases were found to be not  
10 significant. We used generic data; one set of data was the  
11 compilation of release records from all the operating plants.  
12 We used fairly conservative assumptions. And we recognize that  
13 our study needs to be verified in terms of its applicability to  
14 an individual plant, but we concluded that the continued  
15 operation of existing power plants would not produce  
16 environmental effects different from those experienced during  
17 the initial term.

18           We have listed in the report, and will provide with  
19 our written comments, the studies that we identified. I'm sure  
20 that NUMARC would like to explore, in another conversation, if  
21 there's other initiatives we could undertake to support your  
22 data collection efforts in this regard. That's all the slides.

23           With regard to the questions, we believe that the  
24 discussion of severe accidents that was done recently for  
25 Limerick and Comanche Peak could provide sufficient detail to

1 permit treatment of severe accidents in this undertaking. As  
2 was demonstrated for Comanche Peak, the information from a  
3 Level 3 PRA is not necessary for the discussion of severe  
4 accidents.

5 We believe that spent fuel storage considerations are  
6 currently being addressed by the high level waste confidence  
7 proceeding and we think that the EA should adopt those results.

8 Finally, we think the NRC should assure that the  
9 states and other Federal agencies are solicited for written  
10 comments on the draft environmental assessments as they're  
11 available in accordance with the schedule we recommended.

12 That concludes my remarks.

13 MR. CLEARY: Do we have a presentation by Northern  
14 States Power?

15 MR. SILBERG: We don't all have to sit in the dark  
16 because I don't have any slides. I'm Jay Silberg from the law  
17 firm of Shaw, Pittman, Potts & Trowbridge, speaking on behalf  
18 of Northern States Power.

19 I would generally like to agree with Don's comments.  
20 I think we support, in general terms, both the approach that  
21 the staff outlined and the approach that Don outlined. We  
22 start off with a most important consideration, and that is that  
23 the timing of the renewal rule must be consistent with the  
24 submission of the lead plant applications. Again, we're  
25 looking at this May 1991 schedule.

1           We believe that there should be an environmental  
2           assessment prepared for that rule. It should be an assessment  
3           which focuses on the Federal action of promulgating a rule  
4           which is looking towards the review of renewal applications.  
5           Preparation of environmental assessment limited to the rule  
6           would be consistent with what NRC has done when it has  
7           promulgated other amendments to 10 CFR Part 50.

8           We think preparation of such an environmental  
9           assessment can be done consistent with the schedule that is not  
10          outlined for issuance of the renewal rule. On a parallel path,  
11          we would urge the Commission to identify those environmental  
12          impacts for individual renewals that can be generically  
13          determined by scoping or by otherwise.

14          We would suggest that that be done in the same way  
15          that the NRC has generically determined the environmental  
16          impacts for activities, such as the back end of the nuclear  
17          fuel cycle and nuclear transportation, both of which are  
18          currently incorporated in 10 CFR Part 51 and Tables S-3 and S-  
19          4.

20          The process of preparing an environmental survey and  
21          incorporating the results of that survey in a rule through an  
22          administrative procedures, like rulemaking, have been blessed  
23          by the Supreme Court in the Vermont Yankee case, clearly a  
24          precedent which the NRC can have confidence in.

25          We think that that survey, environmental survey

1 process and the rule can be done on a parallel path and can be  
2 perhaps brought to completion soon after the May 1991 date, or  
3 certainly as soon as possible.

4 We would also urge that the Commission amend Part 51  
5 so that individual plant renewal applications will be  
6 accompanied by environmental assessments instead of  
7 environmental impact statements. From what we know so far,  
8 there is no indication that anything more than an updating of  
9 the information that was prepared for the environmental impact  
10 statements for the construction and operation of operating  
11 power plants will be necessary, and we think that that can be  
12 done in the context of an environmental assessment.

13 On some of the specific issues. Severe accidents, we  
14 think, can clearly be done generically. NRC has handled severe  
15 accident matters for environmental impact statements on nuclear  
16 power plants prior to the Limerick decision on a generic basis.  
17 We think based on the Limerick and Comanche Peak, that that can  
18 be done generically as well, and that those results can be  
19 incorporated in a table in Part 51, thereby avoiding the need  
20 to litigate those matters in each individual renewal  
21 proceeding.

22 Spent fuel storage, we think, has been adequately  
23 handled by the waste confidence proceeding, and those can also  
24 be incorporated in plant-specific environmental assessments.

25 In terms of consideration of alternatives, the



1 environmental assessment for the rule itself, we think, should  
2 consider alternatives to a renewal rule, and that alternative  
3 would be ad hoc consideration as opposed to consideration under  
4 an NRC rule. That alternative, we think, can be dealt with  
5 without upsetting the schedule for preparation of an  
6 environmental assessment.

7 For plant-specific alternatives, we think that those  
8 should be incorporated either in the plant-specific  
9 environmental assessments or, if the environmental survey  
10 process which I have described can come up with bounding  
11 analyses that will cover all plants, that it may perhaps be  
12 done on a generic basis. I think that's something that will  
13 have to depend on the outcome of the environmental survey.

14 Thank you.

15 MR. CLEARY: Yankee Atomic is next.

16 MS. GRANT: Good morning. My name is Jane Grant and  
17 I'm with the Yankee Atomic Electric Company. Let me first  
18 start by saying that at the present time, Yankee supports the  
19 positions that Don Edwards has just explained for NUMARC.

20 There is one point in particular, though, that Don  
21 made and Jay made it, as well, that Yankee believes is very  
22 important and, therefore, deserves repeating for the third  
23 time. That point has to do with the environmental assessment  
24 for the actual license renewal, the Part 50 rulemaking versus  
25 the Part 51 rulemaking.

1 [Slide.]

2 MS. GRANT: Yankee supports the use of an  
3 environmental assessment for the license renewal rulemaking for  
4 that Part 50. We believe that it satisfies both NEPA and the  
5 NRC requirements. Now, Yankee also supports the use of a  
6 comprehensive environmental assessment, something that is  
7 similar in scope to Regulatory Guide 4.2, to address generic  
8 issues.

9 We think that such a comprehensive environmental  
10 assessment will, indeed, bear out NUMARC's findings that it  
11 made in its recent study, which are that the impacts due to  
12 license renewal are, indeed, very small. Now, that  
13 comprehensive environmental assessment could then be used to  
14 envelope the generic environmental impacts, to reduce the scope  
15 and the number of issues that an individual plant would then  
16 have to address in its own application.

17 [Slide.]

18 MS. GRANT: However, a comprehensive environmental  
19 assessment to address generic issues and then to support a Part  
20 51 rulemaking really should be done separately, as was  
21 mentioned, but in parallel to an environmental assessment that  
22 is needed to support the Part 50 rulemaking.

23 If NRC resources are so limited that this approach,  
24 this parallel approach cannot be done, then we would urge the  
25 Commission to initially focus its environmental assessment

1 efforts on meeting the rulemaking schedule, on getting a rule  
2 out before the lead plants apply. And we're looking at a  
3 schedule of a proposed rule in May 1990 and a final rule in May  
4 of 1991.

5 As mentioned several times in this workshop, Yankee  
6 will be submitting its application in June of 1991 and, as far  
7 as we're concerned, regulatory limbo is just not a good place  
8 to be. So we really need a final rule out before June of 1991.

9 [Slide.]

10 MS. GRANT: The final point that I'd like to make,  
11 and this really has to do with the scope of the applicants'  
12 environmental reports, is that the objective of the  
13 environmental review for license renewal should be to submit  
14 sufficient information in the application to demonstrate that  
15 there are no significant impacts on the environment due to  
16 continued operation.

17 In other words, just as age-related degradation  
18 should be the focus of license renewal on the safety side, so  
19 should only those incremental environmental effects associated  
20 with the renewal term, be the focus of license renewal on the  
21 environmental side.

22 That concludes my remarks.

23 MR. CLEARY: Joe Gallo.

24 MR. GALLO: My name is Joe Gallo with the law firm of  
25 Hopkins & Sutter. I would like to focus my brief remarks on

1 one aspect of what the previous speakers addressed. That is, I  
2 agree that an EA is an appropriate document to support the  
3 promulgation of the Part 50 rule; that is, the license renewal  
4 rulemaking.

5 I think that EA should be properly scoped in  
6 accordance with the Commission's regulations, with particular  
7 attention to that regulation in Part 51 that spells out the  
8 contents for an environmental assessment. I also agree with  
9 the statement made by the NRC that alternatives should be  
10 considered.

11 There is one aspect of the alternatives and their  
12 consideration for the license renewal regulation that I'd like  
13 to emphasize, which I think is a potential problem. Over the  
14 months -- by now, it's the years -- that license renewal has  
15 been in activity, I've heard some speak in terms of an  
16 alternative of no license renewal.

17 That is that one alternative to a license renewal  
18 rule is not to renew operating license at all. That is not an  
19 available alternative, in my opinion. The NRC has the  
20 authority to renew licenses, but what they're about is  
21 implementing that authority and the existing set of regulations  
22 would permit the renewal of a license.

23 There is not a structure for how that should be done,  
24 but it could be done on an ad hoc basis within the existing  
25 structure. Therefore, alternatives to be considered in this

1 environmental assessment for purposes of the Part 50 rule are  
2 the present proposal, the current licensing basis, the  
3 application of new plant requirements, no regulation at all;  
4 that is, just maintain the status quo; and, finally, some of  
5 the variations that were discussed by the staff in NUREG 1317.

6 I think if these alternatives are addressed, then  
7 that will be an adequate discussion for purposes of the  
8 environmental assessment that would support the issuance of the  
9 license renewal rule. In my judgment, although I've not done  
10 the analysis, it would seem that the staff is on the right  
11 track with the alternative that they've proposed.

12 Thank you.

13 MR. MIZUNO: After the presentations by the various  
14 participants, I'm wondering whether we should just pack up our  
15 bags and go. Actually, there are three questions that I wanted  
16 the industry to address; if not here, then certainly in written  
17 submissions that I believe that the industry intends to submit.

18 The first is what is the baseline for comparison of  
19 either an EA or an EIS for an individual license proceeding;  
20 whether it is the environmental impacts at the site without a  
21 facility; in other words, the original site situation; or is  
22 the baseline operation under the initial operating license?

23 To restate it another way, when you are comparing the  
24 impacts of renewed operation, are you comparing it against the  
25 operation under the previous operating license or are you

1 looking at the impacts as compared to the original site  
2 condition?

3 When you address this, we would like to have you  
4 address not only -- not only to give your position, but to also  
5 present the policy and legal basis for your position on this  
6 question.

7 MR. GILLESPIE: Just for maybe completeness, and I'll  
8 ask this question not being a lawyer, but it seems the only  
9 alternative to not renewing the license is let the site sit  
10 there and get decommissioned. So the real world baseline is if  
11 you don't renew the license, the facility is going into a safe-  
12 store and decommissioning mode. So, in fact, the baseline  
13 should never be, I wouldn't think, an empty site because an  
14 empty site is not what will be there.

15 So the environmental impacts have to start with the  
16 real world alternatives. I suggest if you do write in, satisfy  
17 a non-lawyer, give me a sentence on what happens if you let the  
18 site sit there and rust and decommission it, because that's  
19 what's going to happen if you don't renew it. To me, that  
20 seems like the real baseline that we're working from.

21 MR. MIZUNO: The second question is what is going to  
22 be necessary from the NRC's standpoint of preparing either an  
23 EIS or an EA for those facilities where an EIS was not prepared  
24 at either the original CP or the original OL stage?

25 I understand that there are a number of facilities, a

1 minority, I believe, where there are no EISs for these  
2 facilities. So the question is given the fact that we are now  
3 going to be renewing the operating license, what does the NRC  
4 have to do at this point to satisfy NEPA? Specifically what  
5 we're looking for is an idea of the scope of issues and the  
6 detail that is necessary and how the NRC will fulfill its  
7 responsibility in that area.

8 I would suspect that, as part of answering that  
9 question, you will also have to address the type of  
10 information, the scope and the depth of information that would  
11 have to be submitted by the licensee in their supplementary  
12 environmental report or whatever document that they intend to  
13 submit to support the renewal application.

14 MR. GALLO: I'd like to take a crack at that  
15 question. My name is Joe Gallo from Hopkins & Sutter. As I  
16 understood the question, and correct me, Geary, if I don't  
17 restate it correctly, but what is the significance or  
18 importance of a situation where an operating license is up for  
19 renewal and it has not been the subject of a prior EIS with  
20 respect to NEPA considerations.

21 He's nodding in the affirmative that I've restated  
22 the question properly. In my opinion, and we've looked at this  
23 question recently, the significance is really nil because the  
24 proper scope in terms of license renewal are the impacts of the  
25 proposed action.

1           The proposed action is, let's assume, 20-year license  
2   renewal. It's a forward-looking, 20-year license renewal and  
3   the impact of that continued operation, for that particular  
4   reactor, for that 20-year period are the impacts that ought to  
5   be looked at. For purposes of conducting your evaluation, the  
6   status quo should be taken; that is, this plant has been  
7   constructed, this plant has been operated for a long number of  
8   years. The status quo should be taken at the time that the  
9   renewal license is being up for consideration and is being  
10  submitted for NEPA evaluation.

11           I'm not sure just where you draw that line in time,  
12  but at some point you do. Existing environmental information  
13  for those plants exists because the NRC has required monitoring  
14  and surveys to be done of the environmental effects. For  
15  example, radiological impacts, thermal discharges, and all  
16  those impacts have been monitored and that information has been  
17  documented and maintained, just like all the other plants that  
18  were required to do so even though they had an EIS that was  
19  prepared in support of the operating license.

20           Now, there is one significant legal reason; actually,  
21  there are two legal reasons. The law says for NEPA that the  
22  impacts of concern are those associated with the proposed  
23  action. That's point one. If you were to look back and  
24  somehow assess the previous impacts and evaluate those to some  
25  extent, in my opinion, that would be the retroactive



1 application of the National Environmental Policy Act, which the  
2 cases are quite long on, but that's inappropriate.

3 And I don't think here we have a situation where the  
4 exceptions to that rule apply. Now, that's a general answer to  
5 your question. You're really looking for some citation in  
6 support of those conclusions and I would propose that we would  
7 submit that to you in response to the written answers to  
8 questions.

9 MR. MIZUNO: If I could amplify my question. I guess  
10 an important thing to also address is the question of, I guess,  
11 the practicalities of conforming with NEPA where an existing --  
12 a plant which has an exiting EIS can merely, in a sense, tier  
13 on their past environmental report and the NRC can tier on the  
14 past EIS, whereas a plant which does not have preexisting EIS,  
15 there is no baseline or a base document to tier off of.

16 Therefore, there might be certain analyses that need  
17 to be performed or certain data to be collected which will  
18 entail a greater resource effort for those plants which do not  
19 have an EIS prepared as opposed to those plants that do have an  
20 EIS.

21 MR. SILBERG: Jay Silberg from Shaw, Pittman. Let me  
22 support Joe's position. The issue of tiering, I think, is not  
23 relevant from a legal standpoint. It may be from a practical  
24 standpoint. The issue that the NRC has to look at is whether  
25 the renewal action is a major Federal action significantly

1 effecting the quality of the human environment, the magic words  
2 out of NEPA.

3 And you do take as the baseline what exists at the  
4 time you're making the action or, at least, not earlier than  
5 the time that the application comes in. You don't go back to a  
6 green site. I think that answers your first question.

7 You don't have to reinvent where we were when  
8 Columbus discovered America. We take the environment as it  
9 exists when the Federal Government is taking its action. I  
10 agree with Frank that the appropriate alternatives to look at  
11 are not whether you return the site to a nice wooded area, but  
12 you have a power plant that hasn't been renewed.

13 It may well be that that alternative can be resolved  
14 generically, the same way that the Commission resolved  
15 generically the issue of considering need for power at the  
16 operating license stage.

17 The Commission had a rulemaking and decided that that  
18 was not a realistic alternative. And the Commission may well,  
19 in the survey process that I outlined, be able to make that  
20 same determination for renewal plants. That's a factual  
21 question and I'm not willing to say that the Commission must  
22 come out that way, but it certainly is within the realm of  
23 possibility that they can do that, particularly based on the  
24 early generic determination that the Commission made.

25 The question of tiering really is irrelevant. The

1 NRC has to look at the facts on a plant that did not have an  
2 environmental impact statement and determine whether there is  
3 significant impact to the human environment.

4 If you can make that finding that there are no  
5 significant impacts, whether or not there was an EIS the first  
6 time, then you properly would prepare an environmental  
7 assessment and not an environmental impact statement.

8 If you can't make that finding, if the conclusion  
9 from looking at the data that's available from whatever source  
10 is that there are significant environmental impacts, then you  
11 have to take the next step and prepare an environmental impact  
12 statement.

13 My guess is, based on EISSs and EAs that I've looked  
14 at, that you will be able to make no-significant-hazards, no-  
15 significant-impacts finding and prepare an EA even where there  
16 has not been an environmental impact statement prepared earlier  
17 in the process.

18 MR. MIZUNO: Thank you. My final question is not  
19 strictly a legal one as opposed to a practical and policy  
20 question. In this case, I would not expect legal comments to  
21 come out. It's just that I happen to be the attorney here.

22 MR. GILLESPIE: But they're okay, right?

23 MR. MIZUNO: Yes, they're okay. Specifically, what I  
24 would like to have is a discussion from a policy and a resource  
25 standpoint, the reasons why the industry feels that -- whether

1 there is insignificant difference in the amount of resources  
2 and differences in schedule impacts for doing an environmental  
3 assessment as opposed to doing EIS.

4 I guess specifically I'm thinking about the  
5 environmental assessment as opposed to EIS at individual  
6 licensing proceedings. You may also want to address that for  
7 the rulemaking, but my main interest is in the EIS versus EA  
8 area. Again, I would expect that your arguments would be  
9 largely practical and policy oriented as opposed to legal.

10 MR. GILLESPIE: We have a representative from the  
11 state of Vermont in the back and he raised an interesting  
12 question at a meeting one time on low level waste. The basic  
13 question was did states, at some point in the very near future,  
14 or something, become the owners of all the waste generated in  
15 their states and what happens if the state hasn't agreed to  
16 take the waste off-site and all that garbage starts collecting  
17 on the individual sites.

18 Is that something that's generically a problem across  
19 the board? It kind of surprised me at the meeting. I hadn't  
20 thought about it at all. Is low level waste and the ownership  
21 of it in the next ten years a major problem? Will it be or do  
22 most utilities feel very comfortable that the states have  
23 compacts that are going to be up and running and all the  
24 requirements of various acts are going to be complied with so  
25 that we don't have to deal with the environmental impacts of

1 low level waste being stored on nuclear power plant sites?

2 [No response.]

3 MR. GILLESPIE: Either no one thought about it,  
4 either, or no one knows. I don't know. That's why I asked.

5 MR. SILBERG: I'll take a shot at that. Jay Silberg.  
6 The issue of where individual compacts stand is clearly unique  
7 to each compact and I don't think you can make a generic  
8 determination that either all compacts will or all compacts  
9 won't be able to meet the various milestones that are set by  
10 the Low Level Waste Amendments Act.

11 The issue of the environmental impacts, I think, is a  
12 different one than the legal issue of who owns the waste. The  
13 question that you have to look at is what is the environmental  
14 impact of the waste that might be generated by plants, whether  
15 that waste is shipped off-site for disposal or stored on-site.

16 The shipment and the off-site storage has already  
17 been generically handled in one of the tables in Part 51, and I  
18 see no reason why the same impacts -- the impacts are  
19 essentially identical -- would apply whether that waste is on-  
20 site or off-site. In fact, there might be less impacts because  
21 you would have no transportation if the waste was stored on-  
22 site.

23 But I think that is an issue which can certainly be  
24 handled on a generic basis by scoping and bounding what the  
25 environmental impacts are for the waste storage and disposal.

1 I really think the Commission should not get into the mode of  
2 judging where compacts stand at any given point in time,  
3 because that's not the issue that you should be looking at.

4 The issue you should focus on is what are the impacts  
5 of the waste that would be generated.

6 MR. CLEARY: One of the things the Commission has  
7 requested us to report back to them on is the use of Level 3  
8 PRA. This has come up in other sessions and has been  
9 discussed. It seems to me that in the environmental analysis,  
10 we, indeed, do look at the off-site consequences of severe  
11 accidents. It's a focus of severe accidents within the context  
12 of NEPA.

13 Given that this is an issue, given that we do the  
14 analysis and have been doing the analysis, I raise the  
15 question, and I hope I get some response on this; given that it  
16 is a topic of concern under NEPA, does that analysis have any  
17 contribution to make to feed back into relicensing decisions?  
18 Is there, should there be any tie given that under NEPA we're  
19 concerned with this, whereas in the safety analysis we  
20 typically don't go to the off-site consequence level.

21 Do I have any response on that?

22 MR. EDWARDS: I'm Don Edwards. Let me reiterate the  
23 NUMARC statement I made in the slides in response to that. We  
24 feel if the information is available, it may be useful to use  
25 it. But your own work on Comanche Peak demonstrated you don't

1 need it to reach the conclusions you need to reach to deal with  
2 the issues.

3 So making it a requirement certainly isn't necessary  
4 and that's what was the intent of that bullet on the slide.

5 MR. GILLESPIE: Let me ask. Put your Yankee hat on  
6 for me now. You've come pretty close to, let me say, finishing  
7 your IPE and I sat through a presentation where I know you  
8 looked at various kinds of alternatives in mitigation kind of  
9 space.

10 MR. EDWARDS: Yes.

11 MR. GILLESPIE: One of the elements, be it a Level 3  
12 PRA or whatever, of the IPE program was to look at various cost  
13 effective alternatives in that kind of space. Would it be fair  
14 to say -- or let me throw out the question to say that the  
15 basic process we're going through now with the IPE, which does  
16 request alternatives to be looked at and a line be drawn.  
17 Would that be an appropriate fallback vehicle to say here's  
18 where there is more data than even existed for Comanche Peak,  
19 that the data is kind of already there and being generated?

20 MR. EDWARDS: If it's available. If it's available,  
21 yes. But to tie it together I thought was the question and I  
22 don't see --

23 MR. GILLESPIE: I'm asking a different question. I  
24 think what I'm asking is you can go through a very detailed PRA  
25 and a Level 3 and do crack calculations and all that, or you

1 can do something somewhat foreshortened, which is what the IPE  
2 program has people doing, looking at various alternatives.

3           Would, in general, those mitigation alternatives, do  
4 you think, fit the bill? I'm asking because I know you've gone  
5 through this and you've put a lot of thought into it. Would  
6 that evaluation of alternatives via the IPE actually be enough  
7 information to fit the disclosure requirements of NEPA of  
8 evaluating various alternatives for mitigation of severe  
9 accidents? And you're making judgment; some are worth doing  
10 and some aren't.

11           MR. EDWARDS: Probably.

12           MR. GILLESPIE: It just seems to me we're getting the  
13 same information through a different vehicle than needing to go  
14 through something else. Themis?

15           MR. SPEIS: I want to make sure that the IPE is  
16 asking for containment performance improvement alternatives,  
17 not necessarily to carry that into consequence space, but it's  
18 certainly the next logical space and that's what you --

19           MR. GILLESPIE: I don't know that full disclosure  
20 means looking at alternatives. I don't know that NEPA requires  
21 going all the way through to the consequence level if you know  
22 that the alternatives -- if you feel highly confident the  
23 alternatives you're evaluating will make it better, that  
24 there's really any need to quantify all the consequences.

25           I think we have a program in place that gives us



1 probably the information we need without doing something extra,  
2 is what I'm saying.

3 MR. EDWARDS: I'm going to let your PRA man come back  
4 at you.

5 MR. CHAPMAN: I'm going to qualify this. Jim Chapman  
6 from Yankee. Outside of NEPA -- let me address it outside of  
7 NEPA. Clearly, over the last ten years, we have investigated  
8 the plant and explored alternatives, sometimes considering  
9 Level 3, but mostly not considering it, because, in general,  
10 the Level 3 is not necessary to explore alternatives. So if  
11 that's responsive to the NEPA issue.

12 MR. GILLESPIE: Yes. I'm trying to get a reason why  
13 we don't have to do a Level 3 PRA, because if you do it, we've  
14 got to review it.

15 MR. RASIN: I'm Bill Rasin with NUMARC. Let me say a  
16 couple words about that. I think with regard to the IPES, that  
17 will certainly provide some valuable input. I don't think that  
18 you will see an approach that takes a standard systematic list  
19 of alternatives and deals with all of them. That's not the  
20 purpose of IPE.

21 I would remind you, though, that the NRC has some  
22 very extensive studies on which a lot of money was spent, and  
23 that's NUREG 1150. The industry has done and submitted to the  
24 NRC a lot of work under the IDCOR program, and while we had  
25 differences with some of the technical details with that, the

1 conclusions were amazingly similar with regard to many of the  
2 very specific alternatives that one looks at in the NEPA  
3 process.

4 I would just urge you to make maximum use of that  
5 information from both your studies and industry's and put it to  
6 use rather than looking to supplement it.

7 I'll make one final observation. We seem to have  
8 been able to deal with the severe accident question in the NEPA  
9 setting for many years before we all knew that we were smart  
10 enough to do Level 3 PRAs. So I don't think it's all of a  
11 sudden a requirement just because we have a new technique that  
12 now it has to be applied.

13 I believe those studies, in the past, were done  
14 pretty well and have stood up pretty well.

15 MR. CLEARY: I know there are a number of  
16 representatives from state agencies here. If any of you are so  
17 motivated, we certainly would appreciate any observations or  
18 comments that you might contribute to this dialogue at any  
19 time. Don't feel you have to jump up now, but anytime during  
20 the session.

21 Are there any further contributions from the floor,  
22 any observations or questions that we haven't probed or  
23 different perspectives on what has been discussed?

24 [No response.]

25 MR. CLEARY: I guess it's quite evident what happens

1 now. We're going to size up how the other sessions are going  
2 and if they're all finishing early, we'll take a close look at  
3 accelerating the program. We're adjourned.

4 [Whereupon, at 9:40 a.m., Session 8 was adjourned.]

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

REPORTER'S CERTIFICATE

This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission


in the matter of:

NAME OF PROCEEDING: Session 8 Public Workshop

DOCKET NUMBER:

PLACE OF PROCEEDING: Reston, VA

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.



---

Kevin Mahoney  
Official Reporter  
Ann Riley & Associates, Ltd.

## REVIEW OF ENVIRONMENTAL EFFECTS

- 0 **NRC SHOULD PERFORM AN ENVIRONMENTAL ASSESSMENT SPECIFICALLY TO SUPPORT THE LICENSE RENEWAL RULEMAKING.**
  - **FEDERAL ACTION IS IMPLEMENTATION OF AEA.**
  - **SCOPE NEED ONLY ADDRESS IMPACTS OF THE RULEMAKING.**
  - **CAN BE DONE IN SAME TIME FRAME AS THE RENEWAL RULE (I.E., 5/90 DRAFT 4/91 FINAL)**
  
- 0 **AN EIS FOR LICENSE RENEWAL IS PROBABLY UNNECESSARY.**
  - **AN EA IS THE APPROPRIATE FIRST STEP.**
  - **NUMARC STUDY SUGGEST NO SIGNIFICANT ENVIRONMENTAL IMPACTS.**
  - **HLW CONFIDENCE FINDINGS FOR RENEWAL ARE CURRENTLY BEING ADDRESSED.**

- 0 **NRC SHOULD CHANGE 10CFR51.20(B)(2) TO PERMIT AN ENVIRONMENTAL ASSESSMENT FOR INDIVIDUAL LICENSING ACTIONS.**
  - **LICENSEE FILING WILL MERELY BE AN UPDATE OF EXISTING REPORTS.**
  - **CONSISTENT WITH THE PRELIMINARY REGULATORY PHILOSOPHY AND APPROACH.**
  - **NUMARC STUDY CONCLUDED IMPACTS NOT SIGNIFICANT.**
  
- 0 **A PARALLEL ENVIRONMENTAL ASSESSMENT TO ADDRESS THE FULL SCOPE OF ENVIRONMENTAL ISSUES IS NEEDED TO SUPPORT ISSUANCE OF RENEWAL LICENSES.**
  - **COUNCIL ON ENVIRONMENTAL QUALITY GUIDELINES PERMIT TIERING OF ASSESSMENT RESULTS FOR INDIVIDUAL FILINGS.**
  - **RESOLUTION OF ISSUES MUST BE BALANCED AGAINST SCHEDULAR NEED TO SUPPORT ISSUANCE OF RENEWED LICENSES.**
  - **SURVEY CAN BE COMPLETED IN TIME TO SAVE STAFF RESOURCES ON ALL PLANTS.**
  - **STAFF RESOURCES ON LEAD PLANT LITIGATION WILL BE REQUIRED UNLESS NRC'S SCHEDULE FOR NEPA RULEMAKING ACCOMMODATES LEAD PLANT ISSUANCE OF SERs**

**0 THE CONCURRENT ENVIRONMENTAL ASSESSMENT AND PART 51 RULEMAKING MUST NOT CONSTRAIN ISSUANCE OF THE LICENSE RENEWAL RULE (10CFR50) OR REVIEW OF LEAD PLANT APPLICATIONS.**

- LICENSE RENEWAL RULE MUST BE FINAL IN MAY 1991 BEFORE LEAD PLANTS FILE.**
- MINOR CHANGE TO PART 51 20(B) (2) COULD BE COMPLETED IN MAY 1991.**
- LICENSE RENEWAL RULE, IF DEPENDENT ON PART 51 RULEMAKING, WILL BE HELD UP UNTIL COMPLETION.**

**0 NUMARC/NUPLEX "STUDY OF GENERIC ENVIRONMENTAL ISSUES RELATED TO LICENSE RENEWAL" ASSESSED IN GENERIC TERMS THE ENVIRONMENTAL EFFECTS RESULTING FROM THE FOLLOWING:**

- 1. HEAT DISCHARGES.**
  - 2. CHEMICAL AND BIOCIDES DISCHARGES.**
  - 3. ROUTINE RADIOLOGICAL EMISSIONS - GASEOUS, LIQUID AND SOLID.**
  - 4. DECOMMISSIONING AND DISMANTLING.**
  - 5. RADIOLOGICAL EMISSIONS DUE TO ACCIDENTS.**
  - 6. THE URANIUM FUEL CYCLE.**
  - 7. CONSTRUCTION AT THE PLANT SITE.**
- ADDITIONAL INITIATORS WERE NOT IDENTIFIED.**
  - IMPACTS OF PLANT CONSTRUCTION WERE TREATED IN CONTEXT OF PLANT MODIFICATIONS SIMILAR TO CURRENT OPERATION.**



- 0 THE NUMARC/NUPLEX STUDY FOUND MINIMAL IMPACTS.**
- ROUTINE RADIOLOGICAL IMPACTS FROM GASEOUS AND LIQUID RELEASES COMPARABLE TO CURRENTLY OPERATING PLANTS.**
  - INCREASES IN POPULATION DENSITY (ASSUMED 2%/ YEAR INCREASE) RESULTING CHANGE IN RISK SMALL IN COMPARISON WITH VARIABILITY BETWEEN PLANTS AND OVERALL UNCERTAINTY.**
  - NON RADIOLOGICAL RELEASES OF NO SIGNIFICANCE.**
  - IMPACTS ESTIMATED USING GENERIC DATA AND CONSERVATIVE ASSUMPTIONS.**
  - INDIVIDUAL PLANTS MUST VERIFY APPLICABILITY.**
- 0 AVAILABLE EXPERIENTIAL KNOWLEDGE AND STUDIES ARE IDENTIFIED IN THE NUMARC STUDY AND DATA WILL BE PROVIDED IN WRITTEN COMMENTS.**
- 0 CONTINUED OPERATION OF EXISTING POWER PLANTS WOULD NOT PRODUCE ENVIRONMENTAL EFFECTS DIFFERENT FROM THOSE EXPERIENCED DURING THE INITIAL TERM.**

**NRC WORKSHOP ON LICENSE RENEWAL  
NOVEMBER 13-14, 1989  
SESSION 8**

**PRESENTATION  
ON  
ENVIRONMENTAL EFFECTS**

**BY  
JANE M. GRANT  
YANKEE ATOMIC ELECTRIC COMPANY**

**ENVIRONMENTAL EFFECTS  
SESSION 8**

- o SUPPORT USE OF EA FOR LICENSE RENEWAL RULEMAKING - SATISFIES BOTH NRC AND NEPA REQUIREMENTS**
  
- o SUPPORT USE OF COMPREHENSIVE EA, SIMILAR IN SCOPE TO REGULATORY GUIDE 4.2, TO ADDRESS GENERIC ISSUES - WILL BEAR OUT NUMARC'S STUDY TO DATE WHICH CONCLUDED THAT IMPACTS ARE SMALL**
  
- o COMPREHENSIVE EA COULD ENVELOP GENERIC ENVIRONMENTAL IMPACTS TO REDUCE SCOPE AND NUMBER OF ISSUES.**

## **ENVIRONMENTAL EFFECTS**

### **SESSION 8**

- o COMPREHENSIVE EA TO ADDRESS GENERIC ISSUES SHOULD BE DONE SEPARATELY, BUT IN PARALLEL, TO AN EA FOR RULEMAKING**
  
- o INITIALLY, EA EFFORTS SHOULD FOCUS ON MEETING RULEMAKING SCHEDULE - PROPOSED RULE IN MAY 1990; FINAL RULE IN MAY 1991**

**OBJECTIVE OF ENVIRONMENTAL REVIEW  
FOR LICENSE RENEWAL**

- **SUBMIT SUFFICIENT INFORMATION IN APPLICATION TO DEMONSTRATE THAT THERE ARE NO SIGNIFICANT IMPACTS ON THE ENVIRONMENT DUE TO CONTINUED OPERATION**

**SESSION 8**

**ENVIRONMENTAL EFFECTS**

**PRESENTED BY  
DONALD EDWARDS,  
NUMARC NUPLEX WORKING GROUP**