

Transcript of Proceedings

Before

NUCLEAR REGULATORY COMMISSION

-----X
In the Matter of: :
PUBLIC WORKSHOP ON NRC :
CONVERSION TO THE METRIC :
SYSTEM :
-----X

DATE: November 14, 1989

VOLUME: 1

PLACE: Baltimore, Maryland

PAGES: 1 - 268

Capital Hill Reporting

Official Reporters

1825 K Street, N.W.

Washington, D.C. 20006

(202) 460-9500

*DF03
0/1*

8912140036 B91114
PDR MISC
8912140036 PNU

BEFORE THE

NUCLEAR REGULATORY COMMISSION

-----x

In the Matter of:

PUBLIC WORKSHOP ON NRC CONVERSION
TO THE METRIC SYSTEM

-----x

The above-entitled matter came on conference pursuant to notice before ZOLTAN ROSZTOCZY, Chairman at Holiday Inn Inner Harbor, at Howard & Lombard Streets, Baltimore, Maryland, Tuesday, November 14, 1989, at 8:15 a.m.

APPEARANCES:

MR. ZOLTAN R. ROSZTOCZY, Chairman
Nuclear Regulatory Commission

JAMES H. TURNER, JR.
U.S. Congressional Staff

GERALD J. UNDERWOOD
Department of Commerce

BRYAN W. BAKER
Amersham Corporation

JOE F. COLVIN
NUMARC

OSCAR FISHER
ASME

ROLAND FLETCHER
Colorado Department of Health

ROBERT NELSON
American Association of Physics Teachers

1 APPEARANCES (Cont'd.)
2
3 ERIC S. BECKJORD
4 Nuclear Regulatory Commission
5
6 JERRY N. WILSON
7 Nuclear Regulatory Commission
8
9 BRIAN A. MCINTYRE
10 Westinghouse
11
12 JACK BERGA
13 EPRI
14
15 LAWRENCE RUBY
16 Reed College
17
18 JOHN J. LARKINS
19 Nuclear Regulatory Commission
20
21 ROBERT E. HALL
22 Duke Power
23
24 THOMAS E. DONOHO
25 Baltimore Gas & Electric
26
27 CLEMENS R. HELTEMES, JR.
28 Nuclear Regulatory Commission
29
30 MARLOW J. STANGLER
31 FEMA
32
33 CHARLES R. FLYNN
34 Maryland Department of the Environment
35

P R O C E E D I N G S

1
2 CHAIRMAN ROSZTOCZY: Good morning, ladies and
3 gentlemen. My name is Zoltan Rosztoczy. I am the Deputy
4 Director of the Regulatory Applications Division of NRC,
5 and I will be serving as your Chairman for our workshop
6 for the next two days.

7 I would like to welcome all of you to NRC's
8 workshop on metrication, and the hope you all will have
9 an opportunity to express your views.

10 The purpose of the workshop is to gather
11 information on the possible metric conversion of NRC's
12 activities. It's important to emphasize here that we are
13 talking about NRC's activities, any conversion by the
14 industry is voluntary on the industry's part.

15 Conversion to the metric system appears to be
16 inevitable. Out of the 160 or 170 nations on the Earth
17 there are only three which are not on the metric system:
18 these are Liberia, Burma and the United States.

19 So sooner or later we all have to learn to
20 speak the same language and be able to communicate with
21 all of the other nations in the common language.

22 As you probably all know, a new law was passed
23 in summer of 1988 in the United States that declared the
24 metric system as the preferred system of the U.S.
25 Government and direct U.S. government agencies to try to

1 use the metric system in their activities.

2 We will go into a lot more detail at the
3 workshop, I am just mentioning it briefly now.

4 The same law also encourages government
5 agencies to encourage metric conversions by the industry.

6 But let me stop here on the conversion question
7 and leave that up to our speakers and instead take care
8 of some of the housekeeping activities.

9 You all received a folder and in the folder
10 there is an agenda for the two days. The first day,
11 today, is basically dedicated to nuclear power plant
12 related issues, after some introductory and policy type
13 of sessions.

14 Tomorrow will be dedicated to industrial and
15 medical uses of nuclear materials.

16 In today's session there is one change relative
17 to the printed agenda, the first item is going to be
18 NRC's grant practice and future plans, and then the
19 second will be the national policy which will include the
20 Act, will include government's policy, industry's policy,
21 codes and standards, state government's considerations
22 and also educational policy.

23 After that we are going to turn to nuclear
24 power plants. We are going to discuss both future power
25 plants and licensing issues for future power plants as

1 well as existing power plants -- communication and work
2 in connection with the existing plants.

3 To the extent that it is practical, we are
4 going to follow the agenda. At the same time we intend to
5 give the opportunity to all you to express your views and
6 we certainly we will find a way to do that.

7 In terms of the conduct of the workshop, it is
8 a public workshop. It is for everyone to express his
9 views, and we will provide an opportunity for that.

10 Today's program is a rather ambitious program.
11 We intend to keep it on schedule and at the same time,
12 you will still have the opportunity to express your
13 views.

14 Under each session outlined in the agenda,
15 first we have a few speakers who are going to make
16 introductory remarks and once the introductory remarks
17 are finished in the given area, then we are going to
18 follow with a discussion.

19 The discussion period, you can express
20 comments, you can ask questions from any of the
21 presentors or from anybody else.

22 You can also, if you wish, can submit written
23 questions and NRC people are sitting on my right at this
24 end of the table, and if you have any written questions,
25 what you us to pose, then please just drop it off at one

1 of them, and they will take care of the rest.

2 Should you find later on that you have some
3 additional thoughts that you didn't have a chance to
4 express here today, then please feel free to send it into
5 us. Send it either to the individuals who were listed on
6 the public announcement, the Federal Register notice or
7 send it directly to me and we will figure it into our
8 overall activities.

9 We have telephones available outside in the
10 hall so if any of you have to take care of some other
11 business that certainly can be done. We are also
12 answering the phones if any messages come in, they will
13 brought in here and we are going to bring it to your
14 attention.

15 There is a transcript of the meeting that is
16 being kept for NRC's purposes, just to make it easier for
17 us to recall what went on at the meeting. The young lady
18 at my left is keeping the transcript.

19 Additional copies of the transcript are
20 available from her, so if anybody would like to have an
21 additional copy, then please see her in the intermissions
22 and you can sign up for a copy.

23 In order to facilitate the transcribing, before
24 you make a remark or before you ask your questions,
25 please state your name and your affiliation and also

1 please speak up or use one of the microphones. We have
2 microphones scattered around in the room so there are
3 some available and close to everybody in the room.

4 I am also reminded that there are some of our
5 speakers who will have to leave at certain times during
6 the day, so they won't be able to stay here for the whole
7 day.

8 It is important that any questions or comments
9 that you have in a given session, please make it at the
10 end of that session while our speakers are still here and
11 they can respond to your questions.

12 We will try to accommodate everybody. If
13 anybody would like to make a comment about some of the
14 sessions that come up, let's say tomorrow or later in the
15 afternoon and you are not able to stay that long, we can
16 accommodate that also. Just please let me know and we
17 will find a way to squeeze in your question or comment
18 and we will put it down on the record, even if it's a
19 little bit out of order.

20 The only change in the agenda is that Dr.
21 Beckjord to talk on NRC's current practice and future
22 plans is going to be the first talk, right after that we
23 will entertain some questions and comments on his talk,
24 and following that we will go to the national policy.

25 Dr. Beckjord's talk is just about 15 minutes so

1 this will not make too much of a change in the rest of
2 the agenda.

3 With that much of an introduction, let me
4 introduce then our first speaker, Eric Beckjord, who is
5 Director of NRC's Office of Research. He personally is
6 responsible for the development of our policy on
7 metrication for the Commission's consideration.

8 Eric Beckjord?

9 DR. BECKJORD: Thank you, Zoltan, I just want
10 to check one thing. Good morning, ladies and gentlemen.
11 I want to welcome you to the workshop on metrication, and
12 we look forward to a productive two day meeting.

13 In recent years, this issue has become much
14 more important to the United States and in particular to
15 the nuclear industry.

16 As you saw in the Federal Register
17 announcement, the purpose of this workshop is to collect
18 information so that the NRC can develop a metrication
19 policy which will be in compliance with the Omnibus Trade
20 and Competitiveness Act of 1988 which Dr. Rosztoczy
21 already mentioned.

22 A little bit of background here, as you
23 undoubtedly know, the Nuclear Regulatory Commission is an
24 independent agency. It's mission is the regulation of
25 nuclear power, commercial uses of nuclear power and the

1 uses of nuclear materials.

2 Its job is to assure that the civilian uses of
3 nuclear materials in the U.S., whether in medical,
4 industrial or research applications are carried out in
5 the interests of public health and safety, of the
6 environment and of national security.

7 The main emphasis, of course, is to protect
8 public health and safety. In order to accomplish these
9 goals in a safe manner, the NRC must be receptive to the
10 concerns and the needs of the industry that it regulates
11 and the public at large as well.

12 Metrication is not a new concept. It's accepted
13 world-wide, taught in all of the engineering schools I
14 believe today, and if the U.S. is to stay competitive, it
15 will have to join the throng.

16 Therefore, as a federal agency, the NRC will
17 comply with the provisions of the 1988 Act and the
18 legislation and it will establish goals for orderly
19 conversion of its business related activities to metric
20 units in one form or another, preferably by 1992.

21 For those areas where conversion is
22 impractical, these will be identified in the policy
23 statement, and paralleling these conversion activities,
24 the NRC encourages voluntary conversion on the part of
25 industry's activities.

1 If I could have the next slide please. I will
2 talk for a minute about issues of concern, we are in sync
3 here. There are a number of complex issues affecting
4 metric usage by the NRC which have various ramifications:
5 political, technical and economic.

6 These issues have conflicting objectives and
7 needs that preclude a straightforward implementation of
8 full conversion to metric SI units under any scheme that
9 we have thought of.

10 The foremost political issue is the existence
11 of a legislative mandate and federal guidance to
12 accommodate conversion to SI units.

13 The U.S. is the last major nation, as Zoltan
14 has already said which is not committed to conversion to
15 SI, although I note, if you do any work on a car which
16 has been built in the last three years, you will find
17 that it's just about all metric, a car built in the U.S.
18 even.

19 The inevitability of such conversion at some
20 point, as well as the desirability of achieving
21 international uniformity seems to be generally
22 recognized; however it's highly desirable as well as
23 consistent with federal guidance, to assure that NRC
24 policy considers diverse viewpoints; that it does not
25 impose barriers to voluntary use of metric SI units; that

1 it precludes prejudice against metric goods and services
2 offered competitively to the government; and that it
3 provides for full public involvement in policy
4 development and implementation.

5 From a practical standpoint there are
6 limitations in the ability of federal agencies to cause
7 conversion to SI unit in the areas outside their
8 jurisdiction. For example, in the area of emergency
9 response, many state and local government entities have
10 economic, educational and safety reasons for resisting
11 change.

12 The primary technical issues affecting metric
13 conversion are those concerned with nuclear power plant
14 regulation, during design, procurement, construction,
15 training of crews and operators, licensing, operation,
16 inspection and public involvement.

17 These concerns cover for example the
18 information which identifies specific functions to be
19 performed by an instructor, system or component of the
20 facility and the specific values or ranges of values
21 chosen for controlling parameters, as reference for the
22 design; in other words, essentially the technical
23 specifications.

24 In addition, during the operation of a facility
25 all emergency plans and procedures would also be

1 expressed in metric units. These would include reports,
2 communication between the licensee and the NRC.

3 As to economic implications, they may be
4 positive for some and negative for others, depending on
5 whether the manufacturer has substantial current
6 international sales with customer requirements for SI
7 units.

8 To further complicate the situation from the
9 point of view of society, there may be additional costs
10 to conversion in terms of reduced public safety, the
11 possibility of reduced public safety arising from the
12 chance of errors of recording and interpreting data and
13 in public understanding.

14 In developing a policy for NRC, it should be
15 consistent with federal policy and guidance and tailored
16 to the mission of NRC and to interaction with licensees,
17 with other government entities, both federal, state and
18 local and foreign governments as well and the public.

19 Information and guidance available from various
20 sources will be used in the development of NRC's policy
21 statement. I will get into the schedule on that a little
22 later.

23 First, the Omnibus Trade and Competitiveness
24 Act of 1988, this Act contains, among other things, a
25 section on metric usage. The Act designates the metric

1 system as the preferred system of weights and measures
2 for U.S. trade and commerce.

3 It requires that by the end of 1992 all federal
4 agencies will have converted to the metric system of
5 measurement in procurements, grants, and business related
6 activities, except to the extent that such use is
7 impractical.

8 Is that what the legislation says? Those very
9 words?

10 CHAIRMAN ROSZTOCZY: Yes.

11 DR. BECKJORD: So there is some interpretation
12 there. With respect to the implementation of the 1988
13 Act each agency of the Federal Government is required to
14 establish guidelines to carry out the policy set forth in
15 the law.

16 In addition, as part of its annual budget
17 submission, each agency is instructed to report to
18 Congress on actions it has taken during the previous
19 year, as well as future actions to fully implement the
20 metric system in accordance with the policy.

21 Secondly, guidance provided by the Interagency
22 Committee on Metric Policy which is chaired by the Under
23 Secretary of Commerce for Technology, and the committee's
24 arm is the Metrication Operating Committee. These
25 committees were formed to coordinate federal interagency

1 activities, and to provide policy guidance to federal
2 agencies. The NRC has a representation on both of these
3 groups.

4 Third, the Department of Commerce proposed
5 rulemaking which would establish metric conversion policy
6 for federal agencies: the general policy calls for
7 agencies to plan and coordinate for the increase in use
8 of the metric system, consistent with the Metric
9 Conversion Act of 1975, and to support an environment
10 which can accommodate metrication.

11 Fourth: public comments received on previous
12 rulemakings: a request by the U.S. Council for Energy
13 Awareness in September 1988, asking the NRC to consider
14 the possibility of using rounded whole numbers which have
15 metric equivalents for package sizes. This request was
16 made because there are strong indications that countries
17 in the European economic community will convert from dual
18 units to metric units only.

19 When this is done it appears that the users of
20 radioactive materials will encourage suppliers to adopt
21 rounded units, since this will be a more convenient
22 measure.

23 Then a public comment on a proposed rule of 10
24 CFR 1051, early site permits, design certifications and
25 combined licenses argued that Part 52 should require all

1 technical information in license applications to be in
2 metric units.

3 The NRC believes that there was merit in this
4 proposal and drafted a requirement to be placed in the
5 appropriate section of Part 52 which required as follows:
6 an application filed after September 30, 1992 must
7 provide all technical information in the international
8 system of units, as modified for U.S. usage by the
9 Secretary of Commerce.

10 U.S. customary units should be included
11 parenthetically where it will help clarify.

12 This requirement was deferred until
13 establishment of a forthcoming NRC policy on metrication.

14 The next point: the approaches taken by the NRC
15 in developing its policy on metrication will have to take
16 into account the collective interests and concerns not
17 only of the NRC, but those of industry, state governments
18 and the public.

19 The auto and liquor industries are two examples
20 where metric conversion has already taken place and is
21 functioning very effectively in the marketplace.

22 The purpose of today's workshop is to solicit
23 your comments. Once the policy statement is formulated,
24 it will be issued then for public comment and you will
25 have a second opportunity to express your views.

1 In March of 1989 the NRC on its initiative,
2 formed a committee to consider how the provisions of the
3 Omnibus Trade Act might be best implemented, and to what
4 extent it was practical to implement them in the NRC.

5 The committee considered three areas of review.
6 First was to conduct a review of the NRC activities and
7 identify those which fall into the "procurement grants
8 and other business related activities" category addressed
9 in the Trade Act, and make a recommendation on which
10 activities would be practical to convert to the metric
11 system.

12 Second: to determine how NRC should implement
13 the conversion; decide what actions are needed for
14 conversion; what the schedule would be and to provide
15 recommendations on the conversion itself.

16 Thirdly: to develop recommendations on the
17 assignment on responsibilities, including coordinating
18 responsibility for the conversion plan and then to
19 prepare a final report to Congress.

20 The study, we completed this study in July of
21 this year and the results of the study indicated that
22 sudden conversion, that is saying that on one day we are
23 going to convert to metric units by the NRC is
24 impractical, but rather some gradual form is preferable.

25 Now we are going to talk about policy scope

1 here for a minute. The NRC in performing its regulatory
2 role conducts a number of activities which will require
3 familiarity with the metric system of weights and
4 measures, when conversion is finally implemented and a
5 policy statement developed.

6 The scope of the policy statement will cover
7 the following regulatory activities: first, licensing
8 activities, related to license applications, issuance of
9 licenses, amendments, regulatory review, hearings, test
10 specs, operator examinations, safety evaluation reports,
11 environmental impact statements and environmental
12 assessments.

13 Secondly: emergency response activities related
14 to emergency planning and to the operation of the
15 Emergency Response Center.

16 Thirdly: development of regulations with which
17 licensees must comply and regulatory guides which provide
18 some guidance in how licensees can comply with rules.

19 Fourthly: inspection activities that ensure
20 that the construction and operation of license facilities
21 meets license requirements, to identify conditions that
22 adversely affect public health and safety, provide
23 information used as the basis for issuance or amendment
24 of the permit or license, and to determine if applicants
25 and licensees have an adequate quality assurance program

1 in place.

2 Well, as you probably know, today the NRC does
3 not have an official policy on metrication. Nevertheless,
4 as an enforcement agency, such a policy is needed and it
5 must be a practical one so that the safety and efficiency
6 of the licensing process is not compromised.

7 At this time in all licensing activities the
8 NRC uses English units; however, if a licensee for one
9 reason or another wishes to use metric units, in the past
10 the NRC would have required the applicant to submit its
11 application with both units indicated, English units
12 followed by metric units in parentheses.

13 Is this requirement a burden on applicants?
14 Well, we don't -- we are not sure about that, but we
15 would like to know your views and also if you could tell
16 us what the reasons are for concluding that a dual system
17 is burdensome.

18 In the past consideration was given by NRC to
19 issuing new rules in dual units, but no policy on
20 conversion was adopted and the decision to use dual units
21 was determined case by case; as a result, just about all
22 our rules are in English units.

23 There are a few exceptions. Some of our rules
24 using radiation units are issued in dual units. Using
25 dual units in regulations has benefits and drawbacks.

1 The main benefit is that each application or licensee
2 will find in the regulations the units he is working
3 with; and one of the drawbacks is a higher potential for
4 error while dual units are used.

5 We would like to hear your preference and also
6 your reasons on that point.

7 Well, we are not only a regulatory agency, but
8 our work overlaps with other government agencies like the
9 EPA, Federal Emergency Management Administration,
10 Department of Energy and so forth, and since it appears
11 that the long term movement toward metrication in the
12 U.S. is inevitable, it would be beneficial to publish a
13 metrication policy for the NRC that is coordinated with
14 other agencies of government.

15 In this connection, plans are underway for the
16 NRC to hold meetings with other agencies of government in
17 order to promote coordination on this point.

18 Implementation of such a policy would define NRC
19 intentions and facilitate the transition for both the
20 regulated industry and others who have an interest.

21 Brief comments on conversion options: in
22 developing an NRC policy on metrication, there are
23 several options that could be followed.

24 These are, and in one particular order, first
25 to continue with the use of English units within the NRC

1 staff and if an applicant elects to use metric units the
2 application would have to include dual units to
3 facilitate staff review.

4 A second would be consideration to a single
5 step, one step conversion. In this case the NRC would
6 pick a time and convert all selected regulatory
7 activities to the metric system. From that date forward
8 NRC would conduct its regulatory affairs only in metric
9 units.

10 A third option could be gradual conversion, and
11 in this, the NRC would begin converting its regulatory
12 activities at a certain time; let's say, beginning Fiscal
13 '93.

14 The agency would then reflect dual units in its
15 business activities for a specific period of time,
16 perhaps several years. At the end of that period, dual
17 units would be discontinued and only the metric units
18 would remain.

19 The fourth option would be a partial
20 conversion. Under this option existing facilities would
21 be expressed, their tech specs would be expressed in
22 either English or metric units at the option of the
23 licensee.

24 New applications submitted after a certain date
25 would be expressed only in metric units. What this

1 option would do it to stretch out the total conversion to
2 the metric to some time well in the future.

3 Whatever the option that NRC decides on it will
4 consider the views of industry and the public at large in
5 making that decision.

6 So a few words about future plans: we expect
7 to complete the gathering of information in the next two
8 months. We will prepare a policy statement for the
9 Commission to consider and approve by March of the next
10 year.

11 During the development of the policy statement,
12 a parallel effort will be undertaken to assess the needs,
13 to issue a rule on metrication or to amend existing
14 regulations.

15 After the Commission's issuing of its policy
16 statement, the agency will develop an implementation plan
17 giving specific guidance for metric conversion; issue a
18 rule on metrication if that is needed; to revise existing
19 rules and reg guides so that they will read in metric
20 units; and to revise the standard review plans and then
21 to revise the appropriate inspection manuals.

22 An integral part of the implementation plan
23 could very well include establishing a training program
24 to assure consistency in the use of metric units
25 throughout the NRC.

1 Let's see, I should say a bit more about the
2 schedule. I think that the -- if the proposed policy
3 statement is issued in March, having been approved for
4 issuance by the Commission, we would then take public
5 comments and we would make the policy statement final in
6 the summer of 1990, after the appropriate time for
7 receiving comments and sifting through them and then
8 making the final decision.

9 Well, this finishes my remarks on this
10 important subject. I hope over the next -- today and
11 tomorrow that you will give your views and I assure you
12 that we will seriously consider all views expressed at
13 this two day meeting on metrication.

14 I thank you for your attention.

15 CHAIRMAN ROSZTOCZY: Thank you, Dr. Beckjord,
16 and now we would like to entertain comments or questions
17 on NRC's plans and NRC's current policy.

18 Any questions or any comments?

19 MR. GAT: Yes, I am Uri Gat from Oakridge
20 National Lab. I think it might be very helpful in this
21 area of radiation to very exactly specify the meaning
22 because the metric, many of the non-SI units are metric
23 units so there may be a little confusion when somebody
24 talks about it whether the -- for instance, the rad and
25 the rem are included, even the Curie might be included

1 and then calling the other units English, is that
2 synonymous to non-SI for the same reasons? So these
3 clarifications might be very helpful.

4 One other thing, there is one other option that
5 is possible, it's not very different from gradual
6 conversion, but that is phase-out of non-SI units. It is
7 very similar to what one normally means with conversion,
8 but it's much less painful from the point of view of the
9 user and gives a little bit more flexibility. So perhaps
10 that an option that one might wish to consider.

11 DR. BECKJORD: Yes, I think that's an important
12 comment, and it occurs to me, in thinking about that that
13 is one of the first things that we ought to do, like a
14 definition on the SI units, and about the rad and rem
15 units --

16 CHAIRMAN ROSZTOCZY: As far as our discussions
17 here today and tomorrow are concerned, frequently we are
18 using the metric units or metric system in a relatively
19 loose sense, but what it really means is the SI units,
20 the way they have been documented in the Bureau of
21 Standards document and in the U.S. Standard document that
22 we have on metrication.

23 MR. GAT: Even there there is still one
24 difficulty and that is specific to the electron volt
25 which is non-pure SI but permitted for use with SI and

1 it's very important in NRC, the discussions and
2 documents. So perhaps that one would at least need to
3 clarify that meaning very specifically.

4 CHAIRMAN ROSZTOCZY: Yes, thank you for the
5 comment.

6 Any other questions or comments?

7 Well, if there are no more questions or
8 comments, then we would like to turn to the next session
9 which is national policy and conversion to the metric
10 system.

11 Our first speaker is Jim Turner from the
12 congressional staff. Jim was briefly involved in the
13 formulation of the 1988 Trade Act and also the enactment
14 of the Trade Act and he is a real expert to tell us what
15 was Congress' intent when they enacted the Trade Act.

16 Hopefully it will help us to understand how can
17 we implement it. Jim?

18 MR. TURNER: Good morning. I guess that would
19 be a pretty tall order for anybody to explain what the
20 Trade Act was about, that was properly the thickest bill
21 I ever saw and there were 17 committees of the Congress
22 total that worked on it. So thank God, that's not my
23 assignment this morning.

24 This is hard enough. What I would say, a couple
25 of introductory remarks about myself and about my role

1 and how I fit into this and the conditions under which I
2 come and speak in forums such as this.

3 Necessarily, whenever we pass legislation of
4 this type we are not thinking so much of specific
5 agencies as of overall policies.

6 Coincidentally, I have a small amount of
7 nuclear background, having worked on our committee staff
8 in that area for four years during the 1970's, but I
9 would be the last one in the world to claim that I
10 understood the difference between SI nuclear units and
11 non-SI nuclear units. That's certainly beyond the pale
12 for me.

13 Also, I wanted to say at the beginning when I
14 come to a forum like this I try to be as candid as I
15 possibly can; but I do it under one condition: that
16 people consider the remarks unless I say them
17 specifically in another way as being my remarks rather
18 than attributing the views to any particular member.

19 On the Science Committee we have almost 50
20 different members, ranging from far right to far left and
21 everything inbetween, and it's pretty hard to say, well,
22 the committee thinks this or the committee thinks that.

23 If I slip and say that, it's really Jim Turner
24 thinks this or that.

25 Let's go into the subject at hand. Metric was a

1 long time in coming, and still is coming, but in a way we
2 are dealing with a Civil War issue. The first U.S.
3 Metric Act was passed in 1866, believe it or not, and
4 Congress I guess has proceeded with all deliberate speed,
5 as we often do.

6 We waited 100 years after we became an original
7 signatory of the treaty on the meter to pass the Metric
8 Conversion Act and even then we didn't convert to metric.
9 We used that Act more or less as a trial run, in some
10 ways what not to do if you wanted the country to go
11 metric.

12 Our trade situation became more and more
13 difficult during the 1970's. There was a certain amount
14 of concern building each year and probably the problems
15 that the Metric Conversion Act faced which I, and this is
16 Jim Turner's view, I don't want to hang this on anyone
17 else, but I think as much as anything, we were dealing
18 with what some people called "mass phobia," a certain
19 group of people who were scared by numbers, don't
20 understand numbers, prefer to think in terms of the
21 concepts you learn in English class rather than
22 engineering school.

23 The idea of going to the metric system, even
24 though it's -- from someone from my background is a much
25 simpler way of thinking, it was truly threatening to a

1 hard core of conservative congressmen.

2 Well, they retired one by one and the Trade
3 Bill came along the year after the biggest opponent of
4 metric retired. So both on the House and Senate, the
5 people who had been the major proponents decided the time
6 had come.

7 Our committee approached the trade bill in a
8 very strange way. We let the thing go by in the House and
9 ended up writing maybe seven to 10 percent of the bill by
10 the end of it.

11 This was sort of, because of serendipity and
12 because of a change in our committee that this happened.
13 We were given a deadline of, I believe, April 1st to have
14 bills reported out of the committee, this was April 1,
15 1987, about three months after the Congress convened, to
16 have anything that was going to be in the trade bill
17 reported out of committee.

18 We had just had a new chairman come in and we
19 were just really getting reacquainted with each other.
20 There was no way we could meet a deadline like that. So
21 we started working with our Senate counterparts on
22 deciding what, from science and technology point of view,
23 should be in the trade bill.

24 The deadline passed, there was floor
25 consideration on the 28th, 29th and 30th of April of 1987

1 on what the trade bill should look like from the House
2 point of view, and on the 30th the bill was passed.

3 In those same three days our committee held
4 hearings on what we might like to have in the trade bill.
5 So we were moving with all deliberate speed. We
6 eventually caught up.

7 In terms of the contents of our parts of the
8 trade bill, I think that they were perhaps as well
9 thought out or more thought out than other parts because
10 we just had a lot longer time to think about it.

11 As it happened, we had one of the longer
12 conferences of the 1980's, the trade bill took, oh, I
13 guess from the time we went into conference, it took
14 almost a year to work out the differences.

15 Well, lo and behold, the first conference
16 agreements to be reached between the HOuse and the Senate
17 was on the technology title and I guess it was because we
18 had worked our differences because the Senate had put the
19 provisions in and we worked them out from the beginning.

20 So I think that the provisions were worked out
21 with more of a sense of comity and less bitterness than a
22 lot of the other provisions of the trade bill.

23 The way metric actually came into the trade
24 bill was through Senator Clayborn Pell originally. He
25 had written resolution which had basically called for the

1 metric system to be the preferred system of measurement
2 within the United States.

3 It had a whole lot of good words and very few
4 teeth. I don't know -- wouldn't even help that bill.

5 The other bill that went through, in our
6 package that was moving through, was Congressman George
7 Brown of California wrote what was called the Metric
8 Usage Act and which was what eventually became part of
9 the trade bill.

10 Senator Pell offered his amendment for the
11 Senate and it was accepted unanimously. That gave metric
12 a position in the trade conference, and Mr. Brown's goal
13 was the one that was conferenced against Mr. Pell's
14 provision and the decision of the House and Senate
15 conferees was if you were going to do something in
16 metric, probably the Brown approach was the one that
17 would be taken.

18 I think there is a certain significance in
19 really the trade bill being the place where the metric
20 usage act finally became law and in that end, it was a
21 coincidence that we choose the year 1992 for
22 implementation.

23 I wish I had thought of Europe 1992 at the time
24 we were going through, but I would be liar if I said it
25 was either on Mr. Brown's or my mind at the time that we

1 were drafting this thing. Certainly, by the end of the
2 conference it clearly was, that there was great concern
3 about whether we had an unfair trade barrier that was
4 going to force us out of the combined Europe market, just
5 as it already is becoming -- the U.S. not using the SI
6 system of metric, is already hurting us in our trade with
7 Japan and that being one of the many excuses from my
8 point of view, that Japan is using for not throwing their
9 markets open to U.S. products in the same way that U.S.
10 products, and the way Japanese products just flood our
11 market.

12 We also, by the end of the trade conference had
13 seen or had certainly become a lot more aware than we
14 had in the past, that international standards other than
15 Europe 1992 were becoming much more important than they
16 had been in the past; that then the German's standard
17 organization, the French, the Japanese, even the
18 Australians had volunteers around the world working with
19 the various standards writing groups from various
20 countries.

21 For instance, Saudia Arabia probably had 20 or
22 30 volunteers from other countries helping them update
23 their standards codes.

24 Well, update is not a good word from an
25 American point of view because of the U.S. dominance in

1 the standards area in the 1960's, world standards to a
2 large extent meant U.S. standards.

3 These volunteers were bringing in new
4 standards, including metric that cut the U.S. out since
5 we had been passed by in terms of international
6 measurement.

7 So I just wanted to give you a feel for where I
8 think that those members who are concerned about the
9 metric bill were coming from in terms of the provisions
10 that they put forth and they the bill developed the way
11 it did and why there was so little controversy in putting
12 it through this time.

13 I think at this point I would like to look at
14 this, which I believe is in your package, I think this is
15 off Jerry's word processor, that it is a compilation of
16 the Metric Conversion Act, the 1975 attempt to go metric
17 and the Metric Usage Act, the amendments to that Act
18 which were included in the trade bill.

19 The provisions which are in lighter type are
20 the ones which survived from the original Act. The ones
21 which are in darker type are the ones that I would like
22 to focus on and those are the ones that we added in our
23 bill.

24 The first section, Section 2 is what we call
25 findings in writing legislation, pure and simple they are

1 speech. It's a way for members to get off their chest
2 what they really mean before they get into the fine
3 tuning and the things that actually have to be enforced.

4 It's a way for people to look back at the
5 legislation, other than digging out a committee report
6 which may be filed somewhere and try to figure out
7 exactly why the provisions were written the way they
8 were.

9 We didn't add a whole lot of findings.
10 Sometimes findings go on for pages, we added just five,
11 but I think those five really, especially the first four
12 of them say why the Congress did what it did.

13 As I said before, we saw world trade was
14 increasingly geared towards metric and we saw that the
15 U.S. was becoming at a competitive disadvantage because
16 of our non-standard metric system.

17 The American National Metric Council has for
18 three or four years been embarrassing us on the hill by
19 pointing out that we are in -- if we would just switch to
20 the Brunay system of measurement there would probably be
21 two of us who are using the same system of measurement
22 that was non-metric.

23 The whole rest of the world had changed and we
24 were there with Brunay and Borneo I believe as the three
25 countries which had not made a real strong commitment to

1 going metric.

2 I think there is a strong feeling of anyone who
3 had looked at the system, that if you -- I can't speak
4 for the metric units in the nuclear field, but in
5 general, metric units are much simpler to use than non-
6 metric units.

7 The fourth point is that there was a feeling
8 that there had to be a special responsibility exercised
9 towards small business that in terms of conversion, big
10 business is probably already using the metric system in a
11 large number of areas because they are world citizens as
12 much as they are U.S. citizens.

13 The burden would likely be on the small
14 businessman in terms of conversion and I guess we
15 occasionally we believe that we are from the government
16 here to help you, but we felt we would at least want to
17 be here from the government, not to hurt you in this
18 regard and therefore to ask each agency to look at how
19 small business would be affected, if we had made
20 legislative mistakes, oversights or omissions and we
21 should come back and do something to help small business.

22 We are certainly willing to do it in terms of
23 the implementation, and we felt the agencies and their
24 regulations and their programs should do the same.

25 At the bottom of this page there is a simple

1 declarative sentence that it's the policy of the United
2 States to designate the metric system of measurement as
3 the preferred system of weights and measures for United
4 States trade and commerce.

5 You would think that if you had an Act that was
6 called the Metric Conversion Act of 1975 that you could
7 read between the lines and figure out that the metric
8 system measurement was the preferred system of
9 measurement.

10 There was a tremendous amount of debate over
11 the 10 years after the passage of the Act, whether the
12 Act really meant what it meant, whether it meant anything
13 and whether those people who didn't want to convert said,
14 sure, it says metric conversion, but it doesn't say the
15 preferred system of measurement, we will go on doing what
16 we feel like doing.

17 It is clear now I think that preferred means
18 preferred. It's spelled with the same standard nine
19 letters that it usually is in the law right now and I
20 hope that that part of the debate is over.

21 At the top of page two is what is really the
22 meat of the Act. There is a requirement that each
23 federal agency by a date certain and to the extent
24 economically feasible, by the end of Fiscal Year 1992,
25 use the metric system of measurement in its procurements,

1 grants and other business related activities, except to
2 the extent that such use is impractical or is likely to
3 cause significant inefficiencies or loss of markets to
4 U.S. firms, such as when foreign competitors are
5 producing competing products in non-metric units.

6 I guess we have enough words that are
7 potentially confusing in there, to allow someone to win a
8 national debating championship over this clause; but let
9 me try to at least explain what we were trying to do
10 there.

11 The first thing that may not be absolutely
12 clear is what a federal agency is. We used the standard
13 definition of a federal agency as anyone independent or
14 not independent in the Executive Branch and as far as I
15 am concerned, if the Library of Congress wants -- we made
16 a mistake, we should have included them. The legislative
17 branch probably should convert as well as well as
18 everyone well. We meant federal agency to include
19 everyone.

20 By a date certain and to the extent
21 economically feasible, by the end of Fiscal Year 1992,
22 why that is in there is to give a little bit of
23 flexibility in the process. We choose Fiscal Year 1992,
24 the end of 1992, looking at Canada's conversion
25 experience.

1 It took them approximately five years to
2 complete their conversion. We were optimistic at the time
3 this bill was written in February 1977 that we would have
4 it signed into law by the end of the year. The trade
5 bill at that point was a top priority, it was on the
6 fastest tracks. It got on to some sidings along the way,
7 and it was signed into law probably nine months to a year
8 after it was expected to be signed into law.

9 So the period from date passage until the end
10 of 1992 was compressed to four-and-a-half years, but
11 that's really what the ball park is, that we are hoping
12 that for the most part the Federal Government conversion
13 could happen by the end of 1992.

14 However, we realized that there are over 40
15 agencies that will be going through conversion and
16 everyone of them is different and there may be special
17 circumstances, and we did not want to absolutely nail
18 into concrete that 1992, if there was a good reason to
19 finish it earlier or finish it later, that 1992
20 absolutely had to be the date for every agency.

21 However, we felt that nothing would happen if
22 there was not a goal toward which people were moving from
23 the beginning. So the word "date certain" is there, to
24 give the alternative to agencies to set 1991 as the first
25 day or June 1993 as the first date, but to set your

1 milestones and move towards that date.

2 The next clause is use of the metric system of
3 measurement in procurements, grants and other business
4 related activities. The question is what is a business
5 related activity?

6 I think that it in our mind it is whatever is
7 not -- it is sort of a double negative, it's not a non-
8 business related activity.

9 The reason that we used that word is that we
10 wanted to differentiate between things like B60 column
11 running or 100 yard dash and something that really makes
12 a difference in terms of world trade.

13 I think that probably the 1975 Act ran into a
14 tremendous number of red herrings, by first having the
15 first conversions being road signs on the road and people
16 worrying about things they could be 60 column or that
17 somehow their God given right to run 100 dash was being
18 taken away from them. But that really was not the concern
19 of this legislation.

20 The concern was to get the government on an
21 even business footing with the rest of the world, and so
22 I think business should be interpreted broadly but not
23 ridiculously.

24 The clause, "except to the extent that such use
25 is impractical and is likely to cause significant

1 inefficiencies or loss of markets to U.S. firms, such as
2 when foreign competitors are producing competitive
3 products in non-metric units," was thrown in there as the
4 price for certain Republican members who come from states
5 who are heavy in the aerospace industry. That was their
6 price for participation.

7 I think that's going to be much less of a
8 problem because the first agency to go metric turned out
9 to be the Department of Defense and since they are so
10 heavily linked to aerospace, I think that we will find
11 that the aerospace industry will be converting, but that
12 clause was put in there because the aerospace industry
13 was saying, looking, your goal is to aid U.S. business
14 overseas, in terms of at least of sales of commercial
15 airplanes we are very, very dominant and this is one area
16 where the U.S. standard is still the defacto world
17 standard, please don't burst our bubble for us
18 prematurely.

19 So we certainly weren't in the business of
20 hurting U.S. business, so that's why that clause went in.
21 It's not solely located to aerospace, we don't want it to
22 be such a big loophole that you could drive Mack trucks
23 through it. It is our attempt to put some flexibility
24 into it and realize there may be some situations where
25 even though an agency may be converting in 1992, that a

1 particular part of its constituency may need a little bit
2 longer to convert or there may be some areas where
3 eventually the system is not metric, but that was the
4 purpose for that.

5 The number three, from the beginning we felt
6 that education had to go hand and hand with metric
7 conversion. This is just a repetition of a goal from the
8 beginning. I would not be comfortable with metric, as
9 would some others in this room, had I not had a very
10 heavy dose of it when I went through the public schools.
11 In fact, my son is getting a much heavier dose than I did
12 and in certain classes he is not allowed to use English
13 units.

14 I think through education, that's how we get
15 people to the point where they really feel comfortable in
16 going metric.

17 I have already talked number four.

18 That takes over to, I think the very end of the
19 document on page seven, are the last things, and these
20 are the requirements that we placed on agencies.

21 We expected each agency to establish
22 guidelines, except for Section 3, which is the section we
23 just went through, and with each annual budget
24 submission, to report to the Congress on the actions that
25 they took during the previous as well as any actions that

1 they plan to take in the coming year.

2 The reason for this is very simple, this is our
3 second crack at going metric. It really didn't happen by
4 passing a law saying we have converted to metric, and it
5 would take -- it took more than that and we felt that
6 there really should be a congressional oversight and that
7 the process required a partnership of the Executive
8 Branch and the Legislative Branch and the members who
9 pushed for the change clearly intended to be in it for
10 the long haul until the conversion actually occurred.

11 I think that's probably evidenced by the
12 Interagency Committee on Metric Policy, the senior level
13 committee in the Executive branch, having their kick off
14 meeting not that long ago in metric and Congressman
15 George Brown going to that meeting, taking time off,
16 luckily he didn't miss any votes, taking time off from
17 his legislative schedule, going downtown and explaining
18 the Act to them as I am explaining it to you and giving
19 his pledge to do whatever is necessary for the Act to go
20 forward.

21 So that is one of two ways that we expect that
22 Congress will be involved. The second half is one of the
23 legislative branch agencies, the General Accounting
24 Office, we have asked them to be a partner in the
25 conversion as well.

1 Because of the lateness in the passage of the
2 Act, close to the end of the fiscal year, there was great
3 ambiguity as to when the first of the annual budget, the
4 first of the report coming out with an annual budget
5 submission should be, and a total of three out of 42
6 relevant agencies actually submitted a plan last year, a
7 couple of them were place holders.

8 We didn't want to lose another whole year or
9 1992 would become a crazy deadline to try to meet. So we
10 asked the General Accounting Office to survey agencies
11 and find out basically what would have been the contents
12 of the report if we had gotten one. What they were doing?
13 What they planned to do through the next year?

14 We felt -- we did this for two years, the one
15 that I just mentioned, and the second, to increase the
16 quality of the first report that comes to Congress, to
17 get the people in the new administration thinking about
18 what their responsibilities would be since you had new
19 assistant secretaries and above throughout the
20 government, at least the ones that have been appointed
21 and confirmed -- I guess ironically, the undersecretary
22 who would be the head of the metric program has not even
23 been named at this point, along with certain agencies;
24 but that was our intent in that as well.

25 The last thing here is more or less a wrap up

1 report from the Controller General of the General
2 Accounting Office, at the end of Fiscal Year 1992, to see
3 where we are and where we go from here.

4 So that's basically where we stand at this
5 point.

6 I guess I could mention one other thing, with
7 the General Accounting has been working very hard the
8 last two or three months on this issue, and they are
9 coming back to us informally next week and at this point,
10 just about every agency has compiled and has done serious
11 thinking, so there are meetings like this one that will
12 be happening all over town, all over the country, as the
13 various agencies grapple with what the Act means.

14 So you are certainly not alone and I look
15 forward to hearing if there are legislative problems
16 because I think there is already some thought being given
17 as to what might be the next legislative steps in this
18 process and in our attempt to look for ways to make sure
19 that people 100 years from now aren't coming up with
20 another metric bill, having metric finally go in as the
21 bicentennial metric instead of the centennial metric.

22 Thank you very much.

23 CHAIRMAN ROSZTOCZY: Thank you very much. Jim,
24 our plans are to have all seven of our speakers in this
25 session to complete their talk and then we will have a

1 discussion session which probably will be between 11:00
2 and 12:00. Will you be able to stay with us to be here
3 for that discussion session?

4 MR. TURNER: Maybe for part of it, I have to go
5 back to a late meeting.

6 CHAIRMAN ROSZTOCZY: In that case, then why
7 don't we entertain now some questions just on Jim's part
8 and we will then group the next six speakers together for
9 the following session.

10 Any questions? Yes, Dr. Ruby?

11 DR. RUBY: I have two questions for you, the
12 first concerns what happened during hearing on the
13 Omnibus Trade bill, the metric boosters of this country
14 all know that at hearings on the metric conversion act
15 there was considerable labor union opposition to that
16 bill and I was wondering whether on hearings here there
17 was any metric opposition and if so, from what category?

18 MR. TURNER: I would lie if I said we
19 publicized it as widely as we might have publicized the
20 1975 hearings. We did have, I guess one day of hearings
21 in -- on the 29th of April 1977 and we had a panel that
22 represented small business, the government and various
23 people who had been involved in the metric movement.

24 We had no requests from the unions to testify.
25 I can only remember one letter that we received during

1 the whole process and it was probably from one of your
2 favorite characters from 1975 expressing concern over the
3 bill, but that person never requested any meetings and
4 never requested to testify or get involved in any way.

5 I think there was a change in opinion in 10
6 years, talking to people who had been talk shows for
7 instance, dealing with metric, they could expect maybe
8 six, eight, 10 years ago to be torn apart by a handful of
9 callers. It's common knowledge to go through a talk show
10 appearance, having no negative comments whatsoever.

11 So I think there has been a change in attitude
12 to a certain extent, and I think it's partially that
13 anyone my age or younger understands metric because they
14 have learned it in school, so we have a majority of
15 people in the country who have grown up with metric,
16 although not using it in every measurement.

17 CHAIRMAN ROSZTOCZY: Yes.

18 MR. NELSON: Bob Nelson, University of
19 Maryland. You pointed out the possibility of continuing
20 legislation on this issue and I would like to bring to
21 everyone's attention and to you in particular that in
22 Title 15, Section 205 of the U.S. Code which deals with
23 metric issues, there is an authorized table of metric
24 equivalents and this table goes back to the original 1866
25 law which made the metric system legal in this country.

1 However, I would like to point out that these
2 equivalents are no longer correct, and further, there are
3 many terms in the table that are obsolete. I would like
4 to quote from the legislation. It says:

5 "The tables and the schedule annexed shall be
6 recognized in the construction of contracts and in all
7 legal proceedings as establishing, in terms of the
8 weights and measures on June, 22, 1874, and use in the
9 United States, the equivalents of the weights and
10 measures expressed therein in terms of the metric system.
11 The tables may lawfully be used for computing,
12 determining and expressing in customary weights and
13 measures, the weights and measures of the metric system."

14 The table then goes on to give an incorrect set
15 of metric equivalents which have been superseded by
16 international agreements. I would like to recommend to
17 you to bring to the legislators' attention the need to
18 correct this table in light of these more modern
19 equivalents.

20 MR. TURNER: We will be glad to work with you
21 on that.

22 CHAIRMAN ROSZTOCZY: Yes, sir?

23 MR. DeGRANGE: My name is DeGrange from Maryland
24 Weights and Measures. I am wondering if you folks at the
25 congressional level are contemplating doing anything with

1 the Fair Packaging and Labeling Act where your labeling
2 requirements are basically in the customary system,
3 although it does permit metric equivalents in
4 parentheses, rather than requiring metric as the basic
5 label, was possibly the customary measurement and the
6 parenthetical statement?

7 MR. TURNER: I have gotten a copy of the Act
8 and the legislative history on it. We are taking a look
9 at it, and it will depend on whether the problem is more
10 regulatory or regulations from the executive branch
11 implementing that or the Act itself, about what we will
12 do.

13 But we will take a look and see if there is
14 something that should be done there.

15 MR. DeGRANGE: I am sure you recognize that if a
16 packer labels strictly in the metric system, and he goes
17 into interstate commerce he is going to run into a
18 problem because it would be contrary to the requirements
19 of FPLA in some instances.

20 MR. TURNER: Yes, we will take a look at that.

21 CHAIRMAN ROSZTOCZY: Yes?

22 DR. BECKJORD: I just wanted to thank Jim for
23 his very enlightening discussion of the history of the
24 legislation and the considerations. I learned a lot from
25 that.

1 There was just one point I wanted to mention,
2 which is that I don't think there is any question about
3 the greater merit of the metric system, and if you
4 visualize it's use from the beginning, I mean, training
5 people to work for example in a nuclear power plant
6 control room, if they start out with metric there is
7 going to be no problem.

8 There is one unit that I think I would always
9 have to think about and that's pressure. I can relate to
10 every metric unit except Pascal's. That happens to be a
11 rather important one and that perhaps is an example why
12 we in regulation, we have some difficulties over the
13 transition period because pressure is a variable you
14 certainly wouldn't want anybody to make a mistake about.

15 MR. TURNER: I think that's also one reason why
16 we didn't press in areas like highway signs this time. I
17 think safety is of paramount concern.

18 CHAIRMAN ROSZTOCZY: Any other questions?
19 Yes, Mr. Colvin?

20 MR. COLVIN: Joe Colvin with NUMARC. I was
21 wondering if you might clarify the aspect of business
22 related activities a little bit, at least as it regards
23 the Nuclear Regulatory Commission.

24 I think from the industry's view, there is no
25 question that the NRC's business is regulating the

1 industry, and yet when you look at the intent of the bill
2 which is to promote trade and commerce, I am not sure how
3 that relates to the generation of power at least from the
4 commercial utility industry and whether there was intent
5 from Congress that NRC conduct its business of regulation
6 in metric units and that be pushed on the industry from
7 the standpoint of converting operations and the methods
8 of operations to the metric system.

9 MR. TURNER: I think there was a clear hope on
10 the part of the members who pushed this bill that the
11 country will go metric and the easiest way to get the
12 government -- the country going metric is get the
13 government going metric first.

14 It's two things, one if you are sort of putting
15 your money where your mouth is on the part of the
16 government and secondly, it's the government business
17 related activities are in so many aspects of our life
18 that once that happens I think the rest of the conversion
19 is likely to happen.

20 I think -- I would followup on what Eric was
21 saying a minute ago, that there was some thought in terms
22 of regulatory, most of it was in terms of trade, there
23 was some thought in terms of regulatory.

24 We choose not to be greatly specific there and
25 we realized there were some competing values like public

1 health and safety and if those become paramount then the
2 exceptions in the Act should be used, all things being
3 equal, metric should be used, that would be our attitude.

4 CHAIRMAN ROSZTOCZY: Any other questions or
5 comments?

6 Thank you very much, we certainly appreciate
7 your time.

8 As we heard by now, the various agencies of
9 the government are supposed to be working on metrication
10 and they are all equal within the government except there
11 is always one that has a little bit more responsibility
12 than the rest.

13 Within the U.S. Government, the agency that has
14 the increased responsibility is the Commerce Department.
15 The Commerce Department has a metrication office which is
16 dedicated to the metric conversion and also the Commerce
17 Department has a leading role on the interagency
18 committees, on the ICMP, the Interagency Council for
19 Metric Policy and on the MOP, the Metric Operating
20 Committee.

21 Our next speaker is Gerry Underwood from the
22 Commerce Department who is the Director of the
23 Metrication Office and he is also the Chairman of the
24 MOC. Gerry?

25 MR. UNDERWOOD: Thank you, Zoltan. Good

1 morning. It's always a pleasure to be on the program with
2 Jim Turner, who you have heard from the legislative side
3 and now we have the executive side.

4 But I just want to comment to you that we are
5 fortunate to have somebody on the hill who has the
6 background and the knowledge and the perseverance that
7 Jim has had on this issue.

8 I personally believe that had it not been for
9 him we wouldn't be nearly as far along as we are.

10 I do have the pleasure of meeting with a lot of
11 diverse groups and talking about the metric issue, and
12 most recently I think I found the strongest reception to
13 my comments when I emphasized the point that I think Jim
14 made earlier that in Monday "Quarterbacking" on the
15 1970's one could say that the failure to differentiate
16 between social metrication and industrial metrication did
17 us in.

18 When I look at the files of letters that came
19 to the government in that period of time, and
20 incidentally anybody who writes to the government about
21 the metric change, probably the letter winds up
22 ultimately in our office in Commerce; that is they write
23 the executive branch, and many of the letters to
24 congressmen come to us as well.

25 But those letters in the 1970's opposed and

1 were concerned with the invasion of one's personal
2 comfort zone, the social metrication was what made
3 everyone disinclined toward the change. Had we
4 differentiated between social metrication and industrial
5 metrication at that time, I think we might be much
6 farther along today.

7 The reception publicly that I get from
8 advancing industrial metrication separately from social
9 metrication is positive on all fronts. I think it has a
10 lot of to do with the reception that the issue has had.

11 Secondly, the wisdom of incorporating this
12 legislation in the Trade Act was subtle but extremely
13 valuable.

14 The argument that I go forward with now that
15 this is a trade issue makes it acceptable in quarters
16 that it would not have been acceptable in before,
17 including a community you all know a lot about, the
18 technical standards community.

19 All too often I think people have failed to
20 recognize that the metric system is a standard. It's a
21 standard and that standards are the vehicles by which
22 science and education and technology gets advanced,
23 that's the pathway, those are the highways.

24 They are terribly important and as the world
25 shrinks they are becoming increasingly important.

1 Let me make just a quick comment on that, just
2 to give you some insight, in 1970 the United States had
3 approximately 15 percent of the world's manufacturing
4 trade, our share of world manufacturing trade was about
5 15 percent in 1970.

6 At that time the Japanese had nine percent.
7 Today the United States has just a little over 10 percent
8 of the world's manufacturing trade, from 15 to 10 percent
9 and your mathematics will tell you what a drop that, and
10 Japan at the same time has gone from a little over nine
11 to over 13 percent.

12 More startling the east Asian tigers, you know
13 them, have gone from 2.3 percent in 1970 to 9.2 percent
14 in 1987, and of course, those trends are continuing and
15 that's a sign that we as a country are stepping back out
16 of our role of dominance in manufacturing and that has a
17 lot to do with our participation in the international
18 standards.

19 I wanted to open my remarks with that because I
20 think those are the compelling arguments that make it
21 necessary for us to be here and to have meetings like
22 this one.

23 Let me start quickly and reiterate what Jim
24 said about the driving factors on the law. I am not going
25 to repeat them, but those are the commentaries in the Act

1 which of course drove the Congress to accept the
2 legislation.

3 The obstacles to metrication in the United
4 States, as I mentioned, were essentially concerns about
5 social disorientation. There was a strong feeling of
6 nationalism, the United States was extremely dominant in
7 world trade and other areas, our competitors, other
8 nations didn't own our banks and didn't buy up our
9 factories like they are today.

10 We were in a much dominant position. We were
11 able to take a nationalistic approach and say, well it's
12 our system and we are the king of the mountain and
13 therefore we are going to stay with it.

14 That evidence was clear, there was a concern
15 about industrial disorientation. My background
16 incidentally, I worked 20 years with the John Deere
17 organization, working with them around the world, and I
18 can tell you that in switching to the metric system there
19 is a lot of industrial disorientation involved and it
20 takes effort to go out and do it right.

21 On the other hand, introducing inch products
22 into Europe was a tough job for me as well as Latin
23 America and other parts of the world, and in fact there
24 is a much serious disorientation because it was a
25 minority when we were trying to do that.

1 So one has to see that in the perspective of
2 disorientation. Obviously, the laws and the regulations,
3 just take the building codes for example, the things that
4 you are all going to grapple with, I incidently don't
5 diminish in any way the enormity of the task that faces
6 your industry and the specialties that you represent. I
7 think it's an enormously difficult task.

8 It's one thing to say let's not do it because
9 it's difficult, and it's another thing to say, let's not
10 do it because it's wrong.

11 I think everyone tends to agree that it's a
12 good thing to do, it's just how do we get there and
13 that's the task at hand.

14 Laws and regulations, I mentioned building
15 codes, but there are many others. Somebody mentioned
16 FPLA, the Fair Packaging and Labeling Act, that's a
17 complex issue, and invaded by both -- I say invaded in a
18 nice way, I think they are managed in one way or another
19 by the Food and Drug Administration and the Federal Trade
20 Commerce, but there are differences even among those
21 agencies to resolve the problems of packaging and
22 labeling.

23 To make U.S. goods acceptable in the world
24 markets, they are certainly not only going to have to be
25 labeled in metric, but as we heard earlier, very wisely I

1 think, they are going to be packaged in metric sets or
2 modules that are logical in other countries, not simply
3 translated, and of course, logical in our own country as
4 well.

5 I would like to mention in that regard also,
6 when you come to costs, time and again we hear enormously
7 overstated estimates of the costs of converting. I will
8 go back to the Chirpick report, the report on SI metric
9 radiation units that some of you may have seen, but there
10 are some cost estimates in there that echo those that I
11 have said seem for the last 15 years, orders of
12 magnitude, sometimes two orders of magnitude larger than
13 ultimate expenses that are involved.

14 So it's very popular to discard the notion of
15 going to metric simply because of the cost is
16 overwhelming.

17 Incidentally, I think unfortunately very seldom
18 do I hear the question, what are the costs going to be if
19 we don't? Perhaps that is the concern that needs to be
20 put in the same equation, very often it's ignored.

21 The options of course to the country and were
22 to evolve on a national basis. We have in the '75 Act
23 what I call "federal lip service" to metric. We could be
24 mounting a modest federal effort, let the government
25 stand by and let private industry push the whole thing.

1 The government might get very aggressive and
2 become very demanding on industry, or we could have, as
3 Jim alluded to, new legislation that is far more
4 compelling.

5 It is our own view that somewhere between three
6 and four is where the logic will be accepted by the
7 American public and that's the kind of program we have
8 mounted into what modest effort we give this matter in
9 the Department of Commerce.

10 Let me show you what we are doing. We said
11 there is a need for federal metric leadership. There is
12 a difference between leadership and mandate. We are not
13 mandating anything to the industry, but there is a need
14 for a partnership between government and industry, to get
15 together and say -- just as you are doing in a meeting
16 such as this, how can we work together to get this done
17 and what's the best schedule for us to do it and let's
18 get over the question of "whether" and start talking
19 about how.

20 That's the reason that we think that there is
21 this clear need for federal metric leadership because we
22 have heard for years, people would say, well, I would go
23 to metric if the law said we should do it, we would do
24 it, but as long as the law is flexible I am not going to
25 do it. So people sat there and watch each other while we

1 lose our share of the worlds' markets.

2 First of all, we are reorganizing the
3 Interagency Committee on Metric Policy which was
4 mentioned earlier, and reenergized the Metrication
5 Operating Committee, which is a member of that committee,
6 and it's meeting quarterly and its executive committee
7 which I also chair is meeting monthly.

8 We also have, and I will show you later, a
9 series of task forces established within that structural
10 group.

11 Now it's not the point of the ICMP or the MOC
12 to direct federal metrication. It's a body through which
13 the activities of the Federal Government can be
14 coordinated, so that, particularly to the public
15 perception, the government appears to be working in
16 concert and not in disarray as they approach the metric
17 issue.

18 We have set a series of tasks up for each of
19 the task force within the Metrication Operating
20 Committee, we have been examining and we have asked for
21 input from all of the members for any regulations, any
22 laws that are on the books that are not in keeping with
23 the current new legislation, they certainly have to be
24 resolved.

25 This is an excellent body through which that

1 can be achieved, and we have got to look at any federal
2 legal barriers. There are such things as in the weights
3 and measures area, there are things with regard to
4 building codes and other, EPA regulations, and certainly
5 those within your own organization, where there is going
6 to be conflict between local and national regulation and
7 law that have to be resolved.

8 This body hopes to be and tries to be a
9 clearinghouse for that kind of conflict.

10 I will just so you have quickly the make up of
11 the agency, this picture at least gives you some idea of
12 the diversity of concerns and problems and interests that
13 are expressed in an MOC meeting. It's almost difficult to
14 set an agenda for that meeting because each of these
15 people has a very, very different perspective and a whole
16 different set of problems to deal with.

17 We certainly don't try to understand all of
18 those in the committee, but to the areas in which they
19 overlap and which they have to interact, we hope that
20 having a committee such as this makes such interaction
21 more successful.

22 We made a very strong effort to get the Office
23 of Management and Budget participation. It may be
24 interesting for you to know that in its earlier life, the
25 Interagency Committee on Metric Policy didn't have a

1 member from the OMB.

2 The OMB sort of stood aside. We have been very
3 pleased to see them now come into the committee
4 aggressively and I have in my hand two documents which
5 have just been issued on the 30th of October to the
6 procurement community throughout the Federal Government
7 from Allen Berga, the Deputy Administrator and Acting
8 Administrator for the Office of Federal Procurement
9 Policy in the OMB.

10 These are the first two solidly pro-metric,
11 supportive documents coming out of the OMB that I have
12 ever seen and I think it comes from the fact that they
13 recognize the inertia that's building on the issue and
14 have come forward and taken a very positive and
15 supportive stand on perhaps modifying the Federal
16 Acquisition Register and certainly with a letter of
17 encouragement to support the legislation.

18 We are very pleased to see that we have a very
19 active member from the OFPP on our executive committee of
20 the MOC and I think that will help the agencies to know
21 that the OMB is giving them support.

22 I have mentioned the other points, the update
23 of measurement sensitive laws such as the FPLA, promote
24 state and local accommodation and we have also got to
25 take a view, I think some of you who are active in the

1 standards community recognize that the United States'
2 participation in the international setting process is not
3 as strong as it could be.

4 Jim Turner mentioned it. It is a very serious
5 concern that we do not carry the united voice in Geneva,
6 to the ISO, to the EC and also in Brussels to the EC
7 where the new standards are being drawn and should there
8 be a unification of East and Western Europe and should
9 that body of people be drawn into the SEN and SEN elect
10 body of standards, U.S. votes on international standards
11 would be enormously reduced in power and we might be
12 forced into metric in areas we hadn't thought about, such
13 as ICAO, the control of flight regulations.

14 The rest of the world very nice flies in feet
15 and altitude and one of these days they might insist on
16 flying in meters and I think when they have all the votes
17 they could do that. It's a good illustration of how our
18 own position in the world marketplace could be
19 influencing our ability to sustain the system as we might
20 like.

21 Certainly, it was mentioned, The American
22 National Metric Council, there is another organization,
23 U.S. Metric Association in California that focuses on the
24 social side of metrification more and on the educational
25 side, but the American National Metrification Council

1 represents U.S. Industry, it's membership is growing.

2 Their annual conference this year had the
3 largest attendance in seven years and it was very well
4 attended by government people as well.

5 We certainly try to work with the state and
6 local governments. The Secretary of Commerce has written
7 to all the governors and we have had very fine feedback
8 from them, indicating that the states and the Federal
9 Government should be working in concert as they implement
10 the trade act.

11 We don't have any problem recruiting the
12 technical community. When I meet with the technical
13 people, they all say, I understand the metric system,
14 it's great, it's marvelous and I am all for it, but not
15 too many of them are anxious to get out on the beat and
16 take the flack of getting involved in the change itself,
17 and there is an obligation on the science and engineers
18 in this country, and certainly I feel one as an engineer,
19 I ought to be out helping those who don't understand the
20 importance of this, to move it along a little faster.

21 The educational community has come back in
22 droves now that they see that the Federal Government is
23 serious about this and they see a much faster trend of
24 movement toward metric in the U.S. industry, educators I
25 think will respond quickly. They have always favored

1 metric, but they came strong and had to back off as
2 others did in the 1970's.

3 Of course, I mentioned the National Metric
4 Conference, first held this year and it was very
5 successful.

6 I have meeting regularly with SAE, ASTM, with
7 ASME and the other principal standards writing bodies as
8 well as NAFC, trying to get them to revise their own
9 internal metric policies. I just did an article in the
10 October issue of SAE's aerospace industries magazine and
11 as I said, three years ago they wouldn't even have talked
12 to me on the phone about.

13 So the standards community, the technical
14 standards community is changing their attitude toward
15 metric and they are becoming much more supportive and
16 much more proactive than they were.

17 Principal companies have always been active if
18 they were involved internationally. When you have
19 principal companies that are not involved
20 internationally, they have not been as supportive, but
21 now they are seeing the competition is not whether they
22 sell overseas, but who is taking their market here.

23 It is interesting, most of those products that
24 are taking their market here are selling metric products
25 and the American don't seem to mind them at all, so there

1 are some strategies occurring with major manufacturers,
2 even those who do not export.

3 We are trying to establish an industry advisory
4 function within the Commerce Department to keep an ear to
5 the ground and sort of an organized way and certainly, I
6 mentioned the concern about influencing the international
7 standards, as some of you know, a body of people
8 organized by the Secretary of Commerce just went to
9 Brussels and Paris recently to review our participation
10 in their standards activities and to see if we can't have
11 a larger voice in some of the formative stages of the
12 standards that are being generated in Europe now.

13 I won't dwell on this one, but obviously we do
14 have to get to the people who write texts and tests.
15 Teachers understandably are guided by those two documents
16 and tests and texts are critical. If the tests contain no
17 metric questions, there is not a great deal of incentive
18 for educators to make sure that the students are totally
19 competent.

20 They get in the work place and they are not
21 competent in metric, they are going to find themselves
22 disadvantaged increasingly.

23 So we have been trying to work with the tests
24 and text community and not just talk about it in science
25 and math and physics, but in geography and the social

1 sciences, in shop and in home economics, courses like
2 that, to introduce metric.

3 Incidentally, we don't argue for converting those
4 documents to metric only. We argue that we are going to
5 be a dual society for a long time and that we should --
6 people should come out of our school system totally
7 comfortable in both languages.

8 There is no reason why they can't, other
9 countries do a very good job of that in foreign language,
10 much better than we do and it doesn't seem to cause any
11 great confusion.

12 Small business is extremely important. The SBA
13 is represented on our committees very actively, but we
14 are also seeking other means of having small business
15 representation. It's very easy for a bigger company once
16 they get their chiller turned to start moving, but we
17 have to find ways to help the smaller people along, and I
18 think the larger companies are very important to that.

19 Many, many small companies make their living
20 selling to larger companies, so we hope to induce the
21 larger companies in the country to encourage and support
22 conversion of their smaller vendors and the small
23 companies on whom they impose their contracts. That's
24 also true of the government.

25 I might just mention quickly, the GSA has

1 published their own plan. It's a terribly important area
2 for all of us to recognize in terms of procurement. The
3 GSA has put forward a very progressive plan of their own
4 introduction of metric into federal procurement and they
5 are specifically putting provisions in to deal with
6 smaller businesses so that they don't get locked out of
7 government contracts.

8 I think the DOD's policy will have to be
9 strengthened in this area as well.

10 If special financing is going to be needed,
11 then I think there may be the possibility of some very
12 special legislation. Chairman Lafalse of the House
13 Committee on Small Business has already raised that issue
14 with us in terms of metric conversion costs for small
15 businesses.

16 Public awareness is something that we are not
17 doing very much of because that was one of the major
18 activities carried on by the U.S. Metric Board,
19 incidentally, that board still exists in the law you will
20 note, but it doesn't exist in fact. It has no budget.

21 The responsibilities of the U.S. Metric Board
22 were moved to the Commerce Department by President Reagan
23 and we have a small office in commerce that is doing
24 everything that that board tried to do. This is one of
25 the areas they worked in on a very large scale, we have

1 virtually nothing going on.

2 So the private sector and the individual
3 agencies are going to have to pick up this as a part of
4 their program to improve whatever public awareness is
5 necessary, they are going to have to do it, because the
6 Commerce Department is not budgeted, as was the U.S.
7 Metric Board, to deal with some broad scale general
8 public awareness programs.

9 Of course these are the kinds of things that
10 we would focus on as best we can. I deal a great deal
11 with the media and we think -- the media I am talking
12 about there is funding for printing and publishing and
13 that sort of thing, but I deal with the press to answer
14 questions and I would echo Jim's comments that interviews
15 I have on radio, newspapers, have all been on the plus
16 side in the last year where they used to be very, very
17 negative.

18 The subcommittees, just so you know what they
19 are, we will leave a handout with Zoltan in which we can
20 put in the minutes of this meeting which shows you what
21 the -- we have chosen as the principal overlapping of
22 common concern areas within the Metrication Operating
23 Committee. These are concerns that would tend to affect
24 many agencies. So we have established a subcommittee with
25 its own charter for each of these agencies with a

1 chairman coming from an area that's principally concerned
2 with that particular activity.

3 We have talked about making some additions and
4 changes to these in our meetings, but basically this is
5 it.

6 There is a document again which can be made
7 available to the federal community, it's available
8 through NTIS, it's the Metrication Handbook for Federal
9 Officials, it's in one document you do have all of the
10 necessary reference materials including federal standards
11 from the GSA and the various historical documents that I
12 think probably would be helpful to anyone in an agency
13 who is responsible for coordinating the metric program
14 within that agency.

15 I put this here as sort of a stimulating
16 question mark. The question really is what is going to
17 happen in this country with regard to metrication? This
18 is a projection. It represents a consensus that we have
19 made in talking with a lot of people and it's interesting
20 to see that we have shown the Federal Government
21 metrication as being the leader and I think you can see
22 that the industry and the general public will follow
23 government leadership.

24 I think -- to presume that the private industry
25 is going to lead the government in this thing was an

1 assumption made earlier which has not been successful and
2 I think that was made very clear in Jim Turner's
3 comments to you with regard to the need for federal
4 leadership.

5 I just want to take one more minute to talk
6 quickly about this document. I don't know, Zoltan, how
7 many people in this audience will have seen this report.
8 It is the report of the committee established in 1985,
9 the wrote the report in 1986 recommending the practice
10 with regard to SI units in the area of nuclear radiation
11 and nuclear science and I think -- I would just commend
12 it to anyone studying the issue to reread this report.

13 It cites the issues of safety, the issues of
14 problems of transportation of nuclear materials, the
15 problems that have been discussed with regard to costs.
16 But it does summarize in the end that the subject should
17 be revisited in five years.

18 It was written in 1985, I do recommend highly
19 that this group do something to promote the revisiting of
20 this report and updating of it in terms of current law.

21 CHAIRMAN ROSZTOCZY: Gerry, since you mentioned
22 that report, would you please read into the record the
23 exact title.

24 MR. UNDERWOOD: Yes, it is the Report of the
25 Committee on Interagency Radiation Research and Policy

1 Coordination on SI Metric Radiation Units, published in
2 December of 1986, and it was issued by the Office of
3 Science and Technology Policy, Bill Graham who was the
4 science advisor to the president at that time on December
5 31, 1986.

6 CHAIRMAN ROSZTOCZY: Thank you very much. Up to
7 now you heard from Federal Government representatives and
8 now we are going to turn the microphone over to the
9 industry.

10 The next two speakers represent various
11 sections or various segments of the U.S. industry. The
12 first speaker, Mr. Baker, is from Amersham Corporation
13 who represents basically the manufacturer in the
14 industrial uses of nuclear materials and that will be
15 followed by Joe Colvin who will be talking about the
16 nuclear power industry.

17 MR. BAKER: Thank you. Good morning. As you
18 heard, I am with Amersham and Amersham is an
19 international supplier of products used in life science
20 research, medicine and industry, and many of these
21 products are radioactive or the components of the
22 products are radioactive.

23 Our company is a member of the U.S. Council for
24 Energy Awareness (USCEA) specifically the radionuclides
25 and radiopharmaceuticals committee and this was formally

1 a committee of the Atomic Industrial Forum.

2 This is an industry committee and includes the
3 following companies: Amersham, Dupont, Mallinckrodt,
4 Medi+physics, Squibb and Syncor.

5 Most of these member companies are
6 international. I have been chairing a subcommittee of
7 this group looking at conversion to SI units, the
8 subcommittee has been in existence about two years.

9 For background information. I am a chemist by
10 training and have worked in the labs at Amersham making
11 radioactive chemicals before going into technical work
12 and then at the present time, regulatory affairs.

13 As you have already heard several times this
14 morning, most countries in the world have adopted the SI
15 as the primary system of measurement, including
16 measurement of radioactivity. Some countries, including
17 those of the European economic community had established
18 a certain date beyond which time only SI units could be
19 used.

20 The EEC, the European Economic Community had
21 originally established 1990 as the date when SI units
22 only would be permitted and then a couple of years ago,
23 they extended that date to 1992 but earlier this year,
24 they have proposed that dual labelling, the use of both
25 conventional and SI units would be permitted until the

1 end of the century.

2 That particular proposal has yet to be ratified
3 by the EEC but it does seem that this proposal is likely
4 to be adopted.

5 If some countries are going to require SI units
6 only and others are going to require conventional units
7 or both units, this will present a real problem for
8 international suppliers of radioactive materials.

9 It means having two sets of labelling for every
10 product and really preparing two batches for each
11 product. This is particularly a problem for the research
12 radiochemicals and organic compounds containing Carbon-14
13 or Tritium because batches of these materials can be
14 stored for a long period of time. Relabelling is not
15 really a viable option, particularly some more energetic
16 images because of the radiation dose that would be
17 received by the operators and it's difficult to forecast
18 for a market like this the actual number of packages
19 that would be supplied in say SI units and those that
20 would be required in conventional units.

21 This problem can be solved for international
22 suppliers if in fact the United States does adopt SI
23 units.

24 I turn now to awareness of SI units in the
25 markets that the companies are serving. There certainly

1 is an increasing awareness of SI units in the U.S.
2 scientific community. A number of scientific journals now
3 require the use of SI units in articles submitted to them
4 for publication. The companies in the USCEA group that I
5 had mentioned are using dual labelling, that is, SI units
6 and conventional units in the labelling of the products,
7 in the literature that accompanies the products and in
8 all aspects of labelling.

9 Our company, Amersham has been doing that for
10 12 years, but we still get questions from user of these
11 products. They want to know what is a Bq and what is a
12 becquerel.

13 So we do feel that there does need to be a
14 greater awareness of SI units in the United States before
15 a switch to SI units only is made, and the members of
16 that group, we do propose to continue using dual units
17 until the end of the century when they would not longer
18 be permitted in Europe.

19 The USCEA had developed an educational program
20 designed to be used over a three year period, prior to
21 that date, when SI units only would be used.

22 The core of that educational program is a
23 brochure and we may well proceed with the development of
24 that brochure, but we wouldn't plan to implement the
25 educational program itself until the late 1990's. We

1 still envisage a three year program at that time, that
2 would consist of mailings to editors of journals, to
3 users, people who would be ordering these materials, and
4 having information booths at scientific meetings.

5 To answer one of the questions in the Federal
6 Register publication, Amersham and the other member
7 committees of the USCEA committee on radionuclides and
8 radiopharmaceuticals are in favor to conversion to SI
9 units if you haven't already picked that from what I have
10 said, but as we already indicate, we feel that there
11 needs to be a greater awareness of these units before
12 they are used exclusively.

13 We had written to the NRC and agreement states
14 in September of 1988, requesting the use of dual units on
15 licenses and amendments. We had noted that dual units
16 were used in some places in the regulations and our first
17 request that these dual units then be used in the
18 issuance of licenses and amendments to help familiarize
19 users with these units.

20 At the time that letter was written we were
21 expecting to have to convert to SI only units
22 internationally in 1992 and we were proposing to go with
23 a straight conversion, in other words, a one mCi package
24 would be labelled and supplied as 37 megabecquerels.

25 However, we think it's quite likely that users,

1 particularly those in the life science area would favor
2 rounded units, but which we meaning increasing the one
3 mCi package, 37 megabecquerels up to 40 megabecquerels,
4 an eight percent increase.

5 Our company, Amersham has in fact used an eight
6 percent rounding in the radioactive standardized
7 solutions that we supply and these are used principally
8 for instrument calibration in the nuclear power industry.

9 We have been doing that for several years,
10 although these are admittedly nominal values, for
11 example, instead of supplying a 50 microCurie package, we
12 have been supplying a 2 megabecquerel package, instead of
13 5 microcurie, saying 200 kilobecquerels.

14 The microcurie equivalents are also provided on
15 the labelling and the accompanying literature.

16 We feel that the advantages rounding, it would
17 be easier to reference a multiple of 10, there would less
18 likely to be errors in working with a multiple of 10 and
19 it would certainly be easier for people requisitioning
20 material.

21 Our second request - I am going to discuss
22 industry perspective on SI conversion for medical and
23 industrial products in my talk tomorrow.

24 Our second request to the NRC and the agreement
25 states, was that when the licenses were issued or

1 renewed, that the licensed possession limits be increased
2 by eight percent in anticipation of the rounding up
3 package sizes. Thus, if a licensee was requesting to
4 possess and use five millicurie, that is 185
5 megabecquerels of a radionuclides, then we were asking
6 that that license be issued for 5.4 millicurie, 200
7 megabecquerels, with the eight percent rounding.

8 We envisage that these changes would help
9 familiarize licensees with SI units and facilities the
10 transition to SI units only.

11 Certainly one of the benefits in using SI units
12 in the life research area is the fact that a direct
13 conversion of count rate to becquerels when a correction
14 is made for efficiency of counting. So that's certainly a
15 benefit.

16 To summarize then, we do favor a conversion to
17 SI units. We do favor the use of the dual units until
18 the end of the century, and we feel that it would
19 facilitate the transition to have an eight percent
20 increase in licensed amounts to cover the rounding up of
21 package sizes.

22 CHAIRMAN ROSZTOCZY: Thank you very much, Mr.
23 Baker. Our next speaker represents the Nuclear Nuclide
24 Industry and Nuclear Manufacturers, basically in the
25 power industry, Joe Colvin from NUMARC.

1 MR. COLVIN: Thank you and good morning, ladies
2 and gentlemen.

3 I am Joe Colvin, Executive Vice-President and
4 Chief Operating Officer of NUMARC; and I am particularly
5 pleased to be here with you to talk a little bit about
6 the industry perspective on the conversion to metric
7 units.

8 I think it's appropriate for NUMARC to be
9 involved in this, and for those that don't know NUMARC,
10 let me take just a moment.

11 NUMARC, the Nuclear Management and Resources
12 Council is the organization, association for the industry
13 that coordinates the industry's resources to resolve
14 generic, operational and technical regulatory issues, and
15 to do so with the Nuclear Regulatory Commission and the
16 other government agencies.

17 So we are here trying to work for the utilities
18 primarily. We have 54 utility companies, that's 100
19 percent of the operating nuclear utilities in the United
20 States, along with the major architecture engineer firms
21 and nuclear steam system suppliers.

22 Before I make my comments however to give you
23 the disclaimer that Jim Turner gave you, it's interesting
24 the analogy between the industry and Congress, and I am
25 not sure I want to point that out too often, but like the

1 congressional committees, we have differing views from
2 the industry that go from the right to the left, between
3 the 54 utility companies and also from the manufacturers
4 and suppliers.

5 So for the most part, these views are my views,
6 or the views that people that we have talked to, and I
7 think we will present, if I can say, that the coordinated
8 industry viewpoint and the public, tying our comments to
9 the policy statement when that arises.

10 You are going to hear today for the most part
11 the recommendations for future plants and recommendations
12 for existing, and what I would like to do is just talk on
13 what I consider the overall industry perspective on
14 conversion, and you are going to hear from speakers that
15 know a lot more about this subject than I.

16 Tom Price is here with me from NUMARC and asked
17 me to speak, and it came down to the fact that everybody
18 else in the office that knew anything about this already
19 had a better excuse than I did, so I got the job.

20 Let me -- if we talk about the move to metric,
21 fundamentally, I think that at some time in the future
22 and it looks like we are moving in that direction, that
23 the world is going to function under one system of
24 measurement.

25 I was interested to find out that there are

1 only three basic countries, the U.S. being one, that
2 hasn't moved in that direction and it's clear that that
3 system is going to be the metric system and with the SI
4 units of measurement.

5 Most of the world already uses it, it's too
6 bad, most of the world has already used it for a lot of
7 years, longer than we have, so they had an easier choice.

8 Clearly, the United States Government has
9 indicated its belief that we should go metric to be
10 competitive and to encourage international trade and I
11 think that's the right way to go.

12 I also believe that the utility industry for
13 the most part agrees. Where there is a need and a
14 corresponding benefit, we are already moving in that
15 direction.

16 You have heard a little bit from Mr. Baker. We
17 also, in the area of international comparisons between
18 utilities, through the Institute of Nuclear Power
19 Operations, established a lot of overall industry
20 performance objectives.

21 We have been using international units in a few
22 areas already and that has caused some confusion in
23 radioactive waste when people tried to compare what they
24 thought were cubic feet of volume, of radioactive waste
25 disposed of or sent to the radioactive landfills when

1 actually the units were cubic meters and it caused
2 inordinate confusion among a number of utilities until we
3 pointed out that in fact we had already converted to
4 cubic meters so we could compare internationally.

5 There has been a lot more work in that area
6 done and I don't want to dwell on that, but we are
7 working with, the U.S. industry is working through the
8 Electric Power and Research Institute, INFO in Atlanta,
9 with the international utility organizations worldwide
10 through UNIPED and so on to establish some comparisons of
11 measurement utilizing international units, using the SI
12 units.

13 So I think we are clearly moving in that
14 direction, and I think it is only a matter of time. I
15 think the timing, as was said many times, is really
16 everything.

17 So when you look at going to the metric system,
18 I think we need to look at first of all, several
19 questions: Why should we convert? What's the driving
20 force for conversion? When should we do that and then
21 probably the most important is how do we get there from
22 here?

23 Perhaps an overview from the industry's
24 perspective on our national nuclear power program: we
25 developed that technology in the United States over the

1 past 30 years: the concepts, the designs, the
2 infrastructure, we have got computer codes, equipment and
3 everything was designed, constructed and operated under
4 U.S. standards under the English system of measurements.

5 We currently have 112 plants that licensed to
6 operate and we have a couple of more that are real close.
7 Today's article indicated that Seabrook Nuclear Power
8 Plant has been given the go ahead to commence full power
9 operations in January, so that will bring us up to 113
10 units.

11 We have got a huge infrastructure today, not
12 only to design and build, but to operate, maintain and
13 refuel the plants we have.

14 I want to underscore this by the fact that we
15 have a major multi-billion dollar industry out there and
16 we need to really consider seriously how we go about the
17 conversion to metric so that we don't impact that in any
18 negative way.

19 We have already heard about the driving force
20 from Congress. I think it's pretty clear. I still wish
21 Jim Turner was here, I still would like to understand the
22 issue a little bit more about business related and non-
23 business related. I think that's going to be an
24 interesting viewpoint as we proceed.

25 It's clear that the NRC is moving in that

1 direction and we are here for this workshop and I think
2 the NRC will be a driving force in the conversion of the
3 industry in many ways, but I think we want to help the
4 NRC how best to proceed in that area to minimize the
5 impact.

6 I think also the driving, like everybody has
7 mentioned, the driving force in this realistically is
8 going to be the international market, the competitive
9 market, and we have seen that even within the industry
10 from the supplier's side and we will hear more about that
11 later.

12 Let me take a second and get into existing
13 plants and the question of should we convert existing
14 nuclear power plants to metric or maybe when should we
15 convert.

16 I guess it's my point of view that we should
17 not move to convert existing power plants to metric. I
18 think that's one, inadvisable; and two, I don't think we
19 should consider it.

20 Let me make a couple of points as to why I
21 believe that. First of all, I don't think it's going to
22 enhance the safety or efficiency of the plants and in
23 fact, may have some negative potential in fact on safety.

24 Dr. Beckjord's comments about thinking in
25 Pascals is difficult. You know, from being an operator I

1 have the same concern. When we move in to try to get our
2 control room personnel and those that are actually
3 operating the units to think inherently in a different
4 way.

5 We have been working for many years on trying
6 to get the people that operate the plants to have this
7 understanding, this innate feeling, this engineering
8 judgment when they operate the plants and I think that
9 would be much complicated when all of a sudden the man
10 would look at his units and see liters per second and
11 say, gee whiz, how that does that convert to gallons per
12 minute or Pascals to pounds per square inch.

13 So when we look at that, just from an
14 operator's standpoint and the people that are operating
15 our existing plants, I think we need to carefully
16 consider the impact on them, on their training, that was
17 on the chart that Dr. Beckjord put up.

18 So I think that when we look at that, if we
19 could see a clear benefit to that conversion of both the
20 training, the labeling in the plant, the meters, the
21 system, then perhaps there would be some advantage.

22 I don't see that there is an economic advantage
23 to the U.S. utilities either, those that already have the
24 existing plants, and I think we need to look at the
25 question of backfit.

1 Do we really want to consider or should we
2 consider, when we are talking about existing plants,
3 backfitting the actual plants, the instrumentation, the
4 procedures, the training programs, the labeling, et
5 cetera and so on and so on.

6 Perhaps if we are talking about simply taking
7 the units or the reports that go into the Nuclear
8 Regulatory Commission, the mandatory report, need to be
9 converting those to metric, then obviously that's a
10 different thing.

11 I think it is much analogous to the examples of
12 the automobile. We have many automobiles that are built
13 with English units still on the road and we are not going
14 back and converting all the bolts and nuts in those
15 systems in those cars to metric; to do so is not
16 reasonable and it doesn't make good common sense.

17 So I think we have to perhaps view the existing
18 operating plants in the same way, and where there is a
19 benefit then we ought to convert.

20 I think in the areas of radiation protection,
21 radiation units, it's probably much easier to look
22 towards converting and many of our people are already
23 using international SI units in those areas as was
24 pointed out earlier.

25 In the area of future plants, you are going to

1 hear more about that from people who know more, I just
2 want to make a couple of points. The industry, through
3 the Electric Power and Research Institute is developing
4 the design criteria, the actual specifications for future
5 reactors, and in a set of guidance documents, the U.S.
6 utility industry working through EPRI is specifying to
7 the vendors and to the suppliers for the future exactly
8 what its needs are in many areas.

9 So that work is in progress. We have got a
10 number of new reactor designs being proposed by the
11 various vendors and you will hear more about that later.

12 In fact, the U.S. vendors that are marketing
13 U.S. plants overseas, my understanding is they have
14 already been doing this dual conversion units, but they
15 do the design in English units, do the computer codes in
16 English and they do all of that work in-house because
17 there is no benefit to go back and try to change the
18 codes for example, and to try to reverify and do all of
19 that, and yet, we are still coming out and the end
20 product is a design that is equivalent in metric units.

21 So again, I think the drive for conversion must
22 be balanced against what is the benefit versus the
23 impact.

24 I think from the -- I was really pleased to
25 listen to Dr. Beckjord's comments this morning about the

1 approach the NRC would use. Clearly, the NRC has at its
2 options, options from one end of the spectrum to the
3 other of mandating these requirements all the way to
4 encouraging their use and I think that if the NRC can
5 provide an open regulatory structure, as I think they are
6 intending to do, that's going to provide a lot of
7 benefits for the industry and the nation.

8 I think we are going to see the conversion
9 develop as the market dictates. We are going to see
10 domestic vendors change as they see the need. We are
11 going to see domestic utilities considering shifting
12 where that need gives them -- where that results in a
13 benefit, and I think we are going to see the safety and
14 efficiency of the operating plants continue with a
15 minimum of negative impact.

16 So I guess in conclusion, let me say I think
17 our existing plants ought to remain as far as the
18 operation and as far as the design and the backfitting
19 sides of our operating plants ought to remain in the
20 English units and perhaps our reporting could go to the
21 other -- to the new SI units.

22 I think that we will see how that approach
23 works in the future plants and I will leave that
24 discussion to others.

25 I thank you for the opportunity to talk to you

1 today, thank you.

2 CHAIRMAN ROSZTOCZY: Thank you, Joe. I think I
3 would like to propose now a coffee break, so we could
4 break for about 15 minutes and reconvene at 10:40, and
5 then we will finish up the remaining three speakers and
6 we will have our discussion on this session.

7 (Whereupon, a short recess was taken.)

8 CHAIRMAN ROSZTOCZY: Independently, what we
9 represent, the industry or government, we are all working
10 with codes and standards.

11 Fortunately, there are a number of
12 organizations who are very active in developing this code
13 and standards and updating them for our use.

14 We have one of these gentleman with us today,
15 Mr. Fisher from the ASME who is going to talk about codes
16 and standards.

17 MR. FISHER: Thank you, Zoltan. Good morning,
18 ladies and gentleman. It is indeed a pleasure to be
19 here.

20 It would be a pleasure even if I weren't to
21 talk about metrification and codes and standards; but since
22 I am going to talk about subjects I have a long time
23 interest in, it gives me double the pleasure as the
24 chewing gum advertisement says.

25 Metrification and codes and standards are

1 inextricably related since so many codes and standards
2 are measurement sensitive. It is great that the NRC has
3 seen first to conduct this workshop.

4 For too long this country has had an
5 isolationist view about metrication. I have heard people
6 say that we should say with our inch system and let the
7 rest of the world change to our way.

8 That view could never had validity, but now in
9 view of the rise of other country's expertise, it causes
10 it to be a ridiculous statement.

11 Generally, the world will accept the
12 measurement system of a country in a particular field if
13 that country initiates and dominates in the technology of
14 that field.

15 The United States is not in that position in
16 sufficient fields to have our products continue to be
17 accepted if they are built by what the rest of the world
18 considers an odd ball measurement system.

19 The argument has been that it is too difficult
20 to change. Well, I have news for those putting forth
21 that argument: the news that it will soon become too
22 difficult not to change and further, the longer we wait
23 the more difficult it will become.

24 The conversion of the U.S. to the metric system
25 is merely a continuation of a process which started in

1 medieval times. At one time, each fiefdom had its own
2 measurement system; however, when it became expedient to
3 trade with each other, they found it necessary to adopt a
4 common measurement system.

5 We now have the same reasons, plus others, such
6 as communication and travel. As the world shrinks due to
7 better transportation and communications, and as world
8 trade increases, it becomes essential that we all use one
9 measurement system.

10 When trading consisted mostly of bulk products
11 differences in measurement systems were not as
12 troublesome. Bulk products can much more easily be
13 converted than complex machinery in which dimensions are
14 important in every part.

15 EC '92, the European Common Market plan, to
16 eliminate all the trade barriers by the end of 1992 is
17 giving new impetus for the U.S. to go metric.

18 There is concern that when trade barriers are
19 taken down the Europeans will be able to trade with each
20 other so easily that U.S. goods will not be in as much
21 demand.

22 Their trading will be further facilitated by
23 the completion of the English Channel tunnel. Along with
24 this tunnel will be a high speed rail network with trains
25 running at speeds up to 185 miles per hour.

1 Therefore, we need to find ways to make our
2 products more desirable to the Europeans.

3 Twenty-three of our exports now go to Europe
4 and that could change, one of these is for our products
5 to be designed and manufactured in metric units.

6 U.S. codes and standards writers have generally
7 been in advance of industry with regard to metrication.
8 This is because is it easier to metricate a code or
9 standard than to metricate an industry.

10 There are various levels of metrication to make
11 coder or standard. So when you hear it said that a code
12 or standard has been metricated, that's not enough. You
13 have to ask questions to learn just what the speaker
14 means.

15 The simplest, which really can't be called
16 metrication, is to merely put conversion tables in an
17 appendix and let the user do the conversion. The next
18 step is to put the metric value in parentheses following
19 the customary value.

20 This can work but it usually leaves the user
21 with an odd metric value. Also, it's usually necessary
22 to include the proviso that in case of doubt or conflict,
23 the customary value controls.

24 Sometimes people will show both customary and
25 metric units in the hopes it would cause the user to

1 become familiar with the metric units.

2 This doesn't work since the user will merely
3 ignore the metric value unless he has a compelling reason
4 not to learn it.

5 The next step is to put the metric value first
6 and the customary value in parentheses. This is often
7 used when the code or standard was written originally in
8 metric.

9 Most U.S. standards now show English units with
10 metric in parentheses. Some merely have metric
11 conversion tables in an appendix, but others have been
12 hard converted.

13 ASME has been a leader in the conversion of its
14 codes and standards to the SI metric system. The major
15 effort was when a separate interfacing SI edition to the
16 boiler and pressure code was published in October 1983;
17 but unfortunately it was discontinued after September 30,
18 1986.

19 All sections, with the exception of parts of
20 Section 2 were issued in the SI addition. The SI edition
21 to the boiler and pressure vessel code was published --
22 excuse me, I have to talk some of this. This is really
23 cough medicine.

24 All sections, with the exception of parts of SI
25 Section 2 were issued in the SI edition. The SI edition

1 of the boiler and pressure vessel code was published, it
2 was a request from the Canadian Boiler and Pressure
3 Vessel Committee.

4 To accomplish this conversion, the ASME set up
5 an organization of 23 staff engineers and numerous main
6 committee members to prepare and review the conversion of
7 text, figures and tables over a three year period.

8 The review process by the committee of
9 volunteers was essential to verify the technical accuracy
10 of the final product. The SI version was discontinued
11 because the Canadian federal law that was intended to
12 implement SI regulation was not enacted.

13 Further, there was insufficient demand for SI
14 version from others, to warrant maintaining this version.
15 It could be revived, by ASME would need assurances that a
16 sufficient demand exists because this is a very expensive
17 process.

18 Some examples of what has been done by
19 standards writers are the National Fire Protection
20 Association, who show in the fire codes inch units
21 followed by metric, but state the inch units are the
22 required value, and the metric units are approximate.

23 The American Welding Society and the structural
24 welding code for steel, shows customary followed by
25 metric.

1 ASEM publishes some standards with no mention
2 of metric and other standards with customary first and
3 metric in parentheses.

4 Presently, the boiler codes show customary
5 units with conversion tables in the appendices.

6 This is also true of the Uniform Building
7 Codes. You may hear discussions concerning the old
8 metric versus SI. The codes and standards in the U.S.
9 that have been converted to metric, to our knowledge,
10 have been converted using SI.

11 Also, most foreign codes are in SI; however, in
12 commercial transactions, the old metric often persists.
13 The bar for pressure is often used, and it is not truly
14 SI, but since it represents 100,000 Pascals, the use of
15 the bar doesn't create a serious problem.

16 A conclusion one needs to draw is that the
17 modern day professional must be bilingual with regard to
18 measurement systems just as professionals in other
19 countries find that it is necessary to include English as
20 one of their languages.

21 Thank you for your attention.

22 CHAIRMAN ROSZTOCZY: Thank you very much, Mr.
23 Fisher.

24 Our next speaker was scheduled to Mr. Quillan,
25 who was unable to make it and instead of him we will have

1 Roland Fletcher from the state of Maryland, to make a few
2 remarks about states involvement in the metric conversion
3 and the difficulties that they have.

4 MR. FLETCHER: Well, many of the speakers have
5 been able to point out organizations that they
6 represented and then promptly disclaimed that any
7 comments that they made were a part of that organization,
8 I am here to represent at least three organizations. I am
9 not sure which one I am going to disclaim yet.

10 (Laughter.)

11 But the comments that I am making apply in
12 part to the Conference of Radiation Control Program
13 Directors which represents the 50 state radiation
14 programs.

15 The agreement states, which represent about 29
16 states which have an agreement with the Nuclear
17 Regulatory Commission to issue our licenses to
18 radioactive materials users and the state of Maryland.

19 Maybe I should explain that one, but since I am
20 the program administrator, they will have to live with
21 what I say.

22 One of the things that I have heard this
23 morning, and I think maybe in approaching the states you
24 may want to modify the approach that you are taking, it
25 would appear to a novice who might be sitting in here for

1 the first time that we all currently operating on a total
2 English system and we have a big conversion ahead of us
3 that is going to be monumental and we don't know how we
4 are going to do it.

5 Quite frankly, if we look at many of the things
6 that we are doing and looking at the base metric units,
7 we are already well into the metric system, and what we
8 are talking about now is a further conversion from where
9 we are to where we are going and I think that would sell
10 better with the states than to give the impression that
11 they have got this big mountain to climb and very little
12 tools with which to climb it.

13 I saw a slide that was used earlier today and I
14 am going to use that to kind of point out the areas of
15 state concern from my understanding that will have to
16 addressed.

17 One deals with licensing activities. As I
18 pointed out, Maryland is one of 29 agreement states. So
19 if the NRC made a rule to convert all activities, to
20 further convert or complete the conversion of all
21 activities including the use of becquerels, Sieverts and
22 Grays over rem, rad, renkin and curie, which everybody of
23 course has become very familiar with, 21 states have no
24 choice because they are a part of the Nuclear Regulatory
25 Commission and the Nuclear Regulatory Commission would

1 issue licenses in those 21 states, they would
2 automatically be on the same system.

3 But 29 other agreement states, as a part of the
4 agreement, would normally have a three year period within
5 which to implement the regulations that the NRC would
6 adopt. So you are talking about from the time the
7 regulation is issued by the NRC to the time that all 50
8 states should be onboard, a period of three years.

9 This would normally be considered an item of
10 compatibility with the Nuclear Regulatory Commission. We
11 get inspected of course or reviewed and if our programs
12 are in keeping with NRC programs, then we are considered
13 compatible with the NRC.

14 I am sure that any regulations for the total
15 conversion into the metric system would incorporate this
16 kind of compatibility.

17 So that's one aspect that the states would be
18 looking at in having to develop their own regulations to
19 meet those of the Nuclear Regulatory Commission.

20 As far as emergency response is concerned, I
21 see one area that I haven't heard yet, I hope someone is
22 perhaps going to address it, and that's the area of
23 instrument conversion.

24 We have got instruments of various kinds all
25 over the country and of various ages that reading renkins

1 and rems and rads and docimenters that do the same thing
2 and if you say suddenly, okay, those units are no longer
3 acceptable, you have got state programs with some money
4 problems and you have got emergency response activities
5 who either have to come up with some way of taping
6 something over the dials so they get the units right, or
7 coming up with some quantities of funds to make those
8 conversions. So that's another consideration.

9 Regulations, once again, as I said before,
10 regulation development would follow any rule adopted by
11 the Nuclear Regulatory Commission.

12 Inspection activities, I don't think there
13 would be any difficulty in adjusting any inspection
14 requirements. Once again, you are talking about
15 instrument conversion more than anything else,
16 particularly for surveys. It's education, education and
17 training of the staff. The NRC would adopting for
18 themselves, I don't know if they recognize this yet, but
19 they would be adopting for themselves a need to broaden
20 their own training base.

21 Right now we receive considerable training as
22 an agreement state through NRC sponsored courses. This
23 would require almost an reeducation of the most of the
24 agreement state staffs in order to conform to any
25 regulations you develop. So that's another consideration

1 that should be looked upon.

2 Now there is one thing that I haven't heard too
3 much of and I am concerned. I said I am representing the
4 Conference of Radiation Control Program Directors which
5 represents all 50 states, and when you think about all 50
6 states, think about the problems of interstate commerce
7 now.

8 Think about the impact of putting another
9 requirement and then not -- you know, if you say, each
10 state do it the way they see fit, you maybe be
11 complicating an already difficult interstate commerce
12 problem.

13 I am just saying this for consideration in how
14 this whole process might be implemented.

15 Quite frankly, that was all I wanted to say
16 this morning. Thank you very much.

17 CHAIRMAN ROSZTOCZY: Thank you very much, Mr.
18 Fletcher.

19 Our next speaker represents the education part
20 of the community. He is a Professor at Maryland
21 University and he is also a member of the American
22 Physics Teachers Association. He has been very active in
23 the metrication area and I understand he is writing a
24 book or has written a book on the subject. Mr. Nelson?

25 DR. NELSON: Thank you very much. It's a

1 pleasure to have the opportunity to participate at this
2 NRC conference.

3 In other to better understand how we go to
4 where we are today, I would like to first very briefly
5 review the history of the metric system; the legal basis
6 of standards of weights and measures in the United
7 States; and the evolution of the metric system to the
8 modern version that is known as the International System
9 of Units, abbreviated as simply SI.

10 Then I would like to mention my perception of
11 the need for metric education and conversion and discuss
12 units other than the meter and the kilogram that ought be
13 made familiar to the public.

14 The metric system was created by the French
15 Government during the French Revolution in 1795. This
16 reform was in response to public demand during the 18th
17 Century to simplify and standardize the system of weights
18 and measures then in use.

19 The values of units used measuring cloth,
20 produce and the like were so diverse and complicated that
21 fraud was prevalent and the specialized skills needed in
22 converting from one measure to another might be compared
23 to those of a tax lawyer today.

24 As defined in 1795, the new unit of length, the
25 meter, was a fraction of the circumference of the Earth

1 and new unit of mass, the kilogram, was the mass of a
2 specified volume of water.

3 The standards for the units were therefore
4 taken from nature. Also, the subdivisions and multiples
5 of the units were based on the decimal system.

6 Why was the metric system not immediately
7 recognized by the founding fathers of the United States
8 as a major scientific advance and adopted for use here at
9 that time?

10 First, unlike in France, the systems of weights
11 and measures inherited from the British was fairly
12 uniform if not completely logical.

13 Second, I imagine that the world viewed the
14 French Revolution and it's reign of terror with alarm,
15 much as we have witnessed the Iranian revolution in our
16 own generation.

17 Also, the allegiance to French or British
18 policies was a volatile contemporary issue.

19 Third, it was not clear that the metric system
20 would last even in France. It was not until 1840 that the
21 system was made permanent.

22 Nevertheless, an official review of the issue
23 was made by John Quincy Adams as Secretary of State in
24 1821. In an exhaustive study entitled, "Report Upon
25 Weights and Measures," Adams found that the measures in

1 use among the states were uniform and fair and there was
2 no compelling need to conversion.

3 He appreciated the metric system as an abstract
4 concept, but objected to the definition of the meter in
5 terms of the circumference of the Earth which required a
6 major scientific operation to reproduce it.

7 He also believed that the metric system had not
8 reached sufficient maturity in France to recommend its
9 adoption in the United States.

10 Domestic politics and the issue of states
11 rights also played a role.

12 Once made permanent in France, the metric
13 system proliferated through Europe in the middle 19th
14 Century. The metric system was made legal in the United
15 States in 1866.

16 A major advance in international cooperation
17 took place with the Treaty of the Meter in 1875.
18 Seventeen nations participated, including the United
19 States.

20 The treaty established a general conference on
21 weights and measures, the International Committee on
22 Weights and Measures and the International Bureau of
23 Weights and Measures.

24 At the first general conference in 1889, the
25 meter was defined by the length of a new meter bar made

1 of platinum iridium and the kilogram was defined by the
2 mass of a specific platinum iridium cylinder. These
3 standards were copied from the original French prototypes
4 representing the definitions. Secondary standards were
5 also distributed to the participating countries.

6 In 1893 the superintendents of the U.S. Coast
7 and Geodetic Survey in its Office of Weights and
8 Measures, the forerunner of the National Bureau of
9 Standards, Thomas C. Mendenhall authorized the adoption
10 of the meter and the kilogram standards in the possession
11 of the United States to be the fundamental standards of
12 the nation.

13 The yard was defined as 36 hundred over 3937
14 parts of a meter and the pound mass was defined as one
15 over 2.20462234 kilograms.

16 In 1959, the conversion factors in use among
17 the English speaking countries were unified by
18 international agreement. The new relations became one
19 yard equals .9144 meter and one pound mass equals
20 .45359237 kilograms exactly.

21 These definitions became legal by publication
22 in a Federal Register notice on July 1, 1959. A more
23 comprehensive list of equivalents was published on July
24 27, 1968.

25 It is paradoxical that our own customary units

1 are literally defined in terms of the metric units.

2 At this point I would like to remind you of my
3 observation before, that the Title 15, Chapter 6 of the
4 U.S. Code has not been updated to reflect these new
5 definitions and that should be corrected by future
6 legislation.

7 By 1948 the International Bureau of Weights and
8 Measures was responsible for the units and standards of
9 electricity, photometry and temperature, besides those of
10 length and mass.

11 Various scientific organizations recommended
12 the adoption of a comprehensive set of units to cover all
13 scientific measurements.

14 A revision of the definitions to reflect
15 advances in technology, the elimination of redundant
16 units and the simplification of terminology was also
17 recommended.

18 This modern revision of the metric system was
19 given the name International System of Units, SI, or
20 Systeme Internationale in the internationally agreed upon
21 French version, and was formally adopted by the 11th
22 General Conference on Weights and Measures in 1960.

23 In 1960 the meter was redefined as a certain
24 fraction of a particular wave length of light emitted by
25 the isotope Krypton-86. Measurements of wave lengths

1 eventually were capable of greater precision that the
2 reproduction of the Krypton standard itself.

3 So in 1983, the meter was given its present
4 definition in terms of the speed of light. The
5 definition of the meter implies that the speed of light
6 is 299792458 meters per second exactly by definition.
7 The standard of mass however has remained unchanged.

8 The United States, Burma and Liberia are the
9 only countries in the world that haven't converted to the
10 metric system as was pointed out earlier.

11 Progress toward metrication is slowly being
12 made. We heard before about the provisions of the Omnibus
13 Trade Act, Public Law 100-418. I would just like to add
14 that is poetic, that this important piece of legislation
15 was passed by the 100th Congress.

16 I would like to consider now issues concerning
17 metric literacy in this country. First, it should be
18 recognized that every child who studies science in the
19 public schools is exposed to the metric system.

20 Those who go on to study earth science,
21 biology, chemistry or physics obtain a detailed
22 understanding. Most people graduating from high school
23 today therefore have some recognition of metric units.

24 Understanding however is more than simple
25 recognition or familiarity and so therefore, we should

1 encourage our school systems to continue to do what they
2 have and to do even more and teach out students to use
3 the metric units with confidence.

4 Second, metric units are already used widely in
5 commerce. Soda comes in two liters bottles. The mass of
6 cereal boxes is given in grams. Automobiles have
7 speedometers calibrated in kilometers per hour besides
8 miles per hour and tools for automobile repair come in
9 metric sizes.

10 I think the analogy of what has been done in
11 the automobile industry is a good one and it has been
12 mentioned several times, and should serve as a model for
13 how conversion to the use of the International System of
14 Units might take place in other industries.

15 Science is down entirely with metric units.
16 The use of SI in particular is becoming universal and
17 older metric terminology is phased out.

18 All new physics textbooks are written entirely
19 in SI.

20 I would like to depart from my prepared words
21 here for a minute and talk about something about the fact
22 that textbooks today are using SI almost exclusively
23 within the science fields and that our educational
24 systems are doing a good job in testing students in the
25 context of the metric system.

1 However, the same cannot be said for
2 engineering. I think it is particularly unfortunate that
3 NASA and the National Institute of Standards and
4 Technology as the National Bureau of Standards is now
5 known, have not used their public positions to enhance
6 metric education.

7 Whenever we watch a launch of the space shuttle
8 on television, it is absurd to hear its altitude
9 described in nautical miles as though it were a ship at
10 sea.

11 The NIST has also refused to distinguish mass
12 and weight in its literature. Mass is the amount of
13 substance and is measured in kilograms. Weight is the
14 downward force of gravity due to the Earth.

15 You know, the way we think about things is
16 influenced by the language we use. The more precise our
17 language is, the more precisely we can think about
18 things, and I think not to be able to use the proper
19 terminology in the scientifically correct way in our
20 everyday literature tends to sell the public short, and
21 certainly NASA does have an opportunity to extend the
22 proper usage of terms to the public by using mass and
23 weight correctly along with the National Bureau of
24 Standards, NIST.

25 Let me just add also a possible definition of

1 weight that is an alternative to the statement of the
2 downward force of gravity due to the Earth. Namely, the
3 force required to support an object, this definition
4 would be consistent with the terminology as used in a --
5 would be consistent with the term "weightlessness" as we
6 use it in space environments and it would also be
7 consistent with subtle distinctions between various
8 definitions that do or do not take into account the
9 effect of the rotation of the Earth.

10 Now I would like to emphasize an aspect of
11 metric education usually overlooked in metric policy
12 discussions. The International System of Units goes well
13 beyond simply the meter and the kilogram.

14 There are other base units and a complete set
15 of derived units. The Newton is the unit of force and
16 weight. The Joule is the unit of energy. The Pascal is
17 the unit of pressure. These derived units have simple,
18 coherent relationships to one another.

19 The Newton is a kilogram meter per second
20 squared. The Joule is a Newton meter. The Pascal is a
21 Newton per square meter.

22 Units such as the calorie for heat energy and
23 the millimeter or mercury for pressure, although metric
24 in origin are obsolete.

25 These units are not only redundant but they are

1 imprecisely defined. For example, there are at least five
2 different definitions for the calorie and in connection
3 with units of pressure for example, the millimeter of
4 mercury and the tor which are often used interchangeably
5 in the literature are not in fact exactly the same as one
6 another if you follow through the way in which they are
7 defined in terms of other quantities.

8 These are examples of how the use of SI makes
9 language more precise.

10 Earlier it was mentioned that there are some
11 other units that are permitted for use with SI and I
12 would like to just mention them very briefly.

13 We have the units of the minute, hour and day
14 for time; the degree celsius for temperature; the degree,
15 minute and second of plane angle. Liter is not truly an
16 SI unit, but it is regarded as a unit to be accepted for
17 use with SI and the metric ton is also accepted for use
18 with SI.

19 There are two other units: the unified atomic
20 mass unit and the electron volt which are in the category
21 of units used with SI whose values are obtained
22 experimentally.

23 During the break I had a very brief
24 conversation in which it was pointed out that the pound
25 force is not properly defined legally anywhere. I think

1 in the revision to the table of metric equivalents this
2 issue might also be defined explicitly.

3 But the pound force is to be distinguished from
4 the pound mass. The pound mass is, as I said, defined as
5 a specified fraction of the kilogram. The pound force is
6 pound mass times the acceleration of gravity which
7 assumes for this purpose a conventional value of 9.80665
8 meters per second squared exactly and doesn't necessarily
9 correspond to any particular location on the surface of
10 the Earth, and therefore, using the fact that force is
11 mass times acceleration, the pound force happens to be
12 4.4482216152605 Newtons exactly.

13 This points out another example of how going to
14 SI units where we have the Newton, a very precisely
15 defined term; the Joule for energy, a very precisely
16 defined term, you get away from either the imprecision of
17 conversion factors or the lack of knowledge in the
18 general literature as to how these conversion factors
19 occur.

20 Now the entire set of electrical units with
21 which most people are familiar is part of SI. These
22 units include the amperes, the volt, the ohm and the
23 watt. The lumen used to measure illuminous flux of light
24 is part of SI. For example, a typical 100 watt lightbulb
25 is rated as 1700 lumens.

1 The unit of time, the second is also part of
2 SI. Historically, time was measured in terms of the
3 rotation of the Earth on its axis and later in terms of
4 the revolution of the Earth around the Sun. However, in
5 1967 the 13th General Conference on Weights and Measured
6 defined the second in terms of the transition of the
7 Cesium 133 atom as maintained by an atomic clock.

8 This year's Nobel Prize in physics was awarded
9 to Norman Ramsey for the development of this technique.

10 I would like to mention in passing an issue of
11 specific interest to the NRC. In SI there are two units
12 used in the field of radiation protection, the unit of
13 absorbed dose is the Gray and the unit of dose equivalent
14 is the Sievert.

15 Now as we have said earlier in this meeting,
16 these units are analogous to the older units rad and rem.
17 Does equivalent is obtained by multiplying absorbed dose
18 by a physiologically quality factor which is
19 dimensionless.

20 Therefore, the units, Gray and Sievert are
21 dimensionally equivalent and they are dimensionally
22 equivalent and the turn to the Joule per kilogram;
23 however, to avoid safety hazards, it is imperative that
24 everyone involved in radiation safety understand the
25 distinction between these two units even though in the

1 literature they are defined both as equal to the Joule
2 per kilogram.

3 One of the nice features about SI is that there
4 is a fairly extensive list of prefixes, and by the proper
5 use of prefixes one can go from an older type of unit to
6 the SI units in a fairly straightforward way.

7 For example, the rem is equal is .01 Sieverts
8 or 10 milliseiverts. Therefore, a millirem would be equal
9 to 10 microseiverts.

10 In an analogous way in the field of
11 spectroscopy we have the unit of the angstrom which is
12 an obsolete unit; but since the angstrom is 10 to the -10
13 meters or .1 nanometers, it is very convenient to go, to
14 specify a wave length say of 7,000 angstroms into an
15 equivalent value of 700 nanometers. The proper use of a
16 prefix can make things, make the transition fairly
17 acceptable.

18 Several times we have had the example of the
19 unit of pressure, Pascal mentioned today. One atmosphere
20 of pressure, 14.7 pounds per square inch approximately is
21 exactly by definition equal to 101325 Pascals, or in
22 other words, 101.325 kilopascals.

23 Now if you wanted to round that off to get an
24 order of magnitude bigger you could say tha 15 pounds per
25 square inch or one atmosphere is approximately equal to

1 100 kilopascals. That is a simple way of thinking about
2 it.

3 People who used to favor the older CGS form of
4 the metric system, based on the centimeter, gram and
5 second used to refer to the fact that the gram
6 represented the mass of one cubic centimeter of water and
7 that made it seem like a very simple way of defining the
8 relationships of the units there.

9 But similarly, in SI you can observe that the
10 density of air is just slightly more than one kilogram
11 per cubic meter.

12 So when we use the right prefixes and when we
13 make the right comparisons, I think that there are
14 advantages to SI that sometimes have not been pointed
15 out.

16 I would like to conclude with the following
17 observation: there is nothing instrincky difficult about
18 metric units. On the contrary, their decimal structure
19 and coherent relationships are designed to simplify
20 calculations.

21 The issue is merely one of familiarity and
22 acceptability. In the past 20 years we have witnessed
23 tremendous technological progress. The computer
24 revolution for example has enabled everyone of all ages
25 to have access to his or her own computer, for everything

1 to playing games to performing sophisticated calculates
2 and accessing vast data banks.

3 People are becoming computer literate. Should
4 it not also be possible for everyone to become metric
5 literate? This understanding would allow America to
6 better participate in the worlds' commerce and enable our
7 citizens to acquire a part of the language of science.

8 Thank you.

9 CHAIRMAN ROSZTOCZY: Thank you, Dr. Nelson. This
10 brings us to the end of the session and our discussion
11 period.

12 Taking the perogative of the Chairman, I would
13 like to ask the first question myself, and this question
14 is directed to Joe Colvin.

15 You have expressed interest earlier in the
16 definition of business related activities, and I would
17 like to turn the table and ask the same question from
18 you.

19 In order to make it a little bit easier, let me
20 throw in for the sake of discussion a potential
21 definition. For example, if NRC would say that after a
22 certain date in the future, NRC's everyday activities
23 should be done in metric with the exception of emergency
24 activities, which would stay in the language of the
25 licensee whom we are interfacing with, would that cause

1 any difficulty looking at it from your viewpoint?

2 MR. COLVIN: Well, Zoltan, I guess you put me
3 on the spot. I am not sure how to answer the question;
4 but let me give it a try.

5 I think that the real question is how that is
6 going to be interpreted and utilized in the regulatory
7 and licensing activities.

8 If I take for a second and consider an NRC
9 inspection that goes into review, some of the work that's
10 going on like the safety system functional inspections,
11 there are technical inspection modules that the region
12 and headquarters based staff use to go in and review the
13 design calculations and the parameters.

14 I guess I am not sure how, even though you
15 might have that changed over to metric, in order to
16 actually review the work that has been done historically,
17 you would have to go back and convert that back to the
18 equivalency and utilize that within the plan.

19 I think the same thing is true if you go into
20 the control room and observe licensee activities within
21 the control room. Unless we backfitted the requirements
22 in instrumentation as was pointed out and into the
23 operating procedures, emergency operating procedures,
24 then the inspector himself would have to do the
25 conversion. I think there is a chance for error.

1 So if we are talking about, on the other hand,
2 if we are talking about reporting requirements to the
3 Nuclear Regulatory Commission and radiation exposures or
4 volume of radioactive waste, or things of that nature,
5 where the conversion can be done by the individual
6 licensee and provided to the NRC so that then your
7 business from that point is conducted in SI units, then I
8 think the impact on the industry is much less than might
9 otherwise be.

10 CHAIRMAN ROSZTOCZY: Anybody else would like to
11 add to this subject? In that case, then the floor is open
12 for any questions or any comments on all the subjects you
13 heard about this morning.

14 MR. HALL: I have a question, I don't know
15 whether to address it to Oscar Fisher or Gerry Underwood:
16 in the field of codes and standards, I guess I will
17 address this to Oscar first: to what extent are U.S.
18 codes and standards now in metric or SI units, and if we
19 look forward -- I guess the second part of my question,
20 Gerry and you, Oscar can be thinking about it -- as we
21 look forward to the future to conversion to SI units,
22 in your perspective would this make existing codes and
23 standards go away and we will go into a more
24 international system or will we continue with the
25 existence or the conversion of our existing codes and

1 standards?

2 I guess that's a philosophical perspective I
3 don't appreciate.

4 CHAIRMAN ROSZTOCZY: Excuse me for a minute,
5 would you please state your name and affiliation?

6 MR. HALL: Excuse me, I am Robert Hall, Duke
7 Power Company.

8 MR. FISHER: I guess to answer the first one, a
9 very large portion of our codes and standards have been,
10 would be mostly what we would call "soft metricated," put
11 in parentheses the equivalent values, and probably not
12 everybody has done the same kind of work, done the same
13 thing with regard to how accurate it is and how many
14 decimal places they carry it out because you know, it
15 isn't exact, some will round more than others.

16 But a very large portion have been and
17 especially the ASME codes. The ASME has been a real
18 leader in metrication. In the early 1970's we did a lot
19 in metrication.

20 As I mentioned when I was talking about the
21 boiler and pressure vessel code, that was a -- it ran
22 into the millions to convert that, to write that new SI
23 version and yet it had to be laid aside. It was very
24 discouraging.

25 But nevertheless, the ASME has continued with

1 that and I would say, just about all ASME codes and
2 standards have been, would I could say here, soft
3 metrication, that term isn't always defined too well.

4 As far as -- I looked through and I mentioned
5 some of those that I looked at, but most have been in
6 this country, and how much good does that do? That's a
7 little questionable there because you really could do it
8 yourself as you are looking at a code, if you know the
9 conversion factors and most calculators now have them
10 already in and if they don't, if the one you want to use
11 isn't it in there you should put in the memory and just
12 keep in your memory in your calculator.

13 But as far as whether our codes and standards
14 are going to be obsolete, I don't believe that it would
15 be obsolete in the sense that you just can't use them,
16 that won't be. There may be some difficulties there, but
17 to say that we can't use this code now because this
18 country is metric, I don't think that can be. There is
19 just too much knowledge put into these codes and
20 standards.

21 If you ever stop and think about the tremendous
22 amount of knowledge of human kind that is put into the
23 body, to all the codes and standards, the thousands of
24 codes and standards that we have just in this country,
25 it's tremendous and it's a tremendous source of knowledge

1 and experience, and to say those are just obsolete, we
2 can't use them, I just can't picture that happening.

3 I think the rule of reason is going to be a
4 working all the time in this matter of metrication.

5 I was asked to be the metric coordinator in my
6 company way back in '72 and I always did what I thought
7 was best for the company. We had zealous people in the
8 company who wanted me to push metrication. They say, you
9 are the metrication coordinator, why don't you push it? I
10 said, I am going to do what's best for Babcock and
11 Wilcock, that's who I was with.

12 You know, nothing brings a smile more to you
13 boss's lips than to do what's best for the company. He
14 wants to hear that and that's what I always did and
15 that's how I kept my job so long.

16 (Laughter.)

17 This is in an industry where keeping your job
18 is difficult as you know --

19 MR. UNDERWOOD: I would like to echo pretty
20 much what he said, I have worked in standards for many,
21 many years and I think standards are kind of like people
22 and companies, they have quality, they have reputation,
23 they have essential integrity or they don't.

24 I have argued pretty loudly at ANSI and ASTM
25 and other organizations that the United States with its

1 enormous technological base, with its extremely strong
2 research and educational institutions, has developed some
3 of the finest standards in the world.

4 Those standards are used around the world,
5 many, many of them, particularly testing standards. I
6 think it's ironic that we haven't as a country, because
7 we have a very unique standards development mechanism
8 compared to any other major nation of the world,
9 Switzerland is the only country which has a similar
10 system, where we have so many varied standard
11 organizations with a very weak focal point to present
12 those standards in the international community, it has
13 put us at a disadvantage.

14 But in the long term, the integrity and value
15 of the standards will tend to prevail, depending on the
16 technology and the quality of the standard itself.

17 One of the ways that can be done is to soft
18 convert those standards and present them as international
19 standards, with the computational methods we have, with
20 sensible rounding where you can do that, you can move to
21 a metric value, an SI value that's totally acceptable to
22 the standard. If it's not you bring it to the point
23 where it is acceptable to the community.

24 Let me just illustrate my point. There are
25 probably more hours of experience on blind rivets in

1 aircraft than any other single hardware component I can
2 think of in terms of total hours of experience, and no
3 one else in the world has any experience that even
4 compares with that.

5 Why should we adopt a hard metric, blind rivet,
6 SI standard and present that to the world as the new wise
7 metric rivet standard for aircraft? Why not soft convert
8 the U.S. design, present it as a metric design. If any of
9 you are designers, you know that you wind up with all
10 kinds of peculiar numbers when you design odd shapes
11 anyway.

12 So I think that we are going to see
13 international standards in the future, the question is,
14 selecting the best ones and not worrying so much about
15 the logic of the numbers, especially with computing
16 systems that we have today. I don't think that's as
17 important as the integrity of the basic science behind
18 the standard and the experience that's behind the
19 standard.

20 But if the United States doesn't mount a
21 stronger effort in the international standards community
22 than it now has, we are going to see ourselves with less
23 quality standards being adopted in other countries, and
24 then ultimately forced on us.

25 CHAIRMAN ROSZTOCZY: Yes?

1 MR. TASCHER: May I ask on the same subject?

2 CHAIRMAN ROSZTOCZY: Would it be the same
3 subject?

4 MR. TASCHER: Yes. My name is John Tascher from
5 the Defense Department and your question from the man
6 from Duke Power Company, I would like to say a few words
7 about the DOD approach in the standards area.

8 I guess we feel that there are two reasons for
9 developing metric standards. One is put the document in
10 metric language so people who may not be familiar with
11 the inch and pound system can use these standards.

12 The other reason for metric standards is
13 international interoperability or obtaining metric
14 modules which can be used for international -- and so
15 what -- building on that, we have looked at -- we are now
16 looking at our 50,000 standards and specs that the DOD
17 has and what we are trying to do is find out how much
18 work or what kind of work we have to do in the DOD to
19 bring the DOD into a metric mode of operation.

20 One of the reasons for this is there has been a
21 long time perception among, not only in the DOD but in
22 industry and other areas as well, that the lack of metric
23 standards is the thing that is us holding back, that is
24 preventing the country or the DOD from going metric.

25 So we have -- one of the approaches we have

1 taken is we have gone out to ten top contractors and
2 asked them to identify all the respectives that they
3 would need to support a metric system, a typical weapons
4 system for example and we have gotten back something like
5 6,000 references of documents that they think we should
6 change, and we are now entering this all into a database,
7 and just from sort of a spot check of all of these
8 documents, I think there is a great many of these
9 documents that are already metric, at least for the DOD
10 purposes, they are already workable, will do the trick
11 for us.

12 But I think there is going to be something like
13 1,500 documents, just as a test, we have a work a lot
14 work to do on this, but maybe a 1,000 or 1,500 where we
15 need to come up with these, what we call hard conversion,
16 to achieve these metric modules for international
17 harmonization.

18 The rest of them I think, as long as they are
19 in metric language, soft conversion, are pretty much
20 useable the way they are right now.

21 I just might add that we have done sort of a
22 quick and dirty survey of the 50,000 documents, and we
23 find that approximately five percent of the documents for
24 DOD users are what we call hard metric, and my own
25 personal feeling, just to sort of wrap up, is that this

1 whole perception of standards being the thing that is
2 preventing us from doing metric has been exaggerated. I
3 think we are narrowing this thing down -- we are
4 identifying what really has to be done, and I think what
5 really has to be done is considerably less than what a
6 lot of people originally thought.

7 Thank you.

8 CHAIRMAN ROSZTOCZY: Thank you, John. Yes,
9 please.

10 MR. GAT: Uri Gat, I just would like to
11 emphasize with a couple of examples, a lot of standards
12 are metric. All pollution standards or pollution
13 standards in general are going by gram per cubic meter
14 and gram per liter and they don't need any conversions or
15 any changes.

16 There are some others, labeling for examples,
17 food labelings go by grams of protein and fat and so on
18 and they don't need conversion. They are in a little bit
19 of a ridiculous situation where you have grams per ounce,
20 which would require a little change.

21 To emphasize a point that Gerry made, not all
22 of them require changes. There are BIEN standards which
23 are the standards of Germany, Deutsche Industrie, which
24 have pipe sizes which they call, normally they call them
25 sole, and they have an odd dimension of 25.4 millimeters

1 and multiples of that, and they have lived with that for
2 the last 200 years or I don't know how long this
3 particular standard has been on.

4 So, it's not that extreme, we are not talking
5 really about the total changeover of everything. There
6 are a lot of things that will change and a few things,
7 and that's why I like, as I said before, a phase out of
8 the non-SI things as something to be considered very
9 carefully.

10 CHAIRMAN ROSZTOCZY: Thank you. Any other
11 comments or questions on any of the subjects this
12 morning?

13 MR. UNDERWOOD: Just one comment, I did mention
14 this federal handbook. One of the things that the
15 handbook has in it is a guide to regulators on what you
16 might call the sensible approach to selecting the values
17 for a given standard or regulation, and I commend that
18 and maybe we can extract that and provide it for the
19 minutes.

20 It talks about, for example, if you are going
21 to take soil samples and the regulation says, take a soil
22 sample every 10 feet for some particular reason. There is
23 no reason under the sun to soft convert that regulation.

24 It would seem to me, that unless I don't know
25 the whole scientific background for it, that you would

1 probably take the soil sample at three meters.

2 So it's this question of soft conversion, hard
3 conversion, going to an absolute this matter, and this is
4 a matter of a rational value selection.

5 So someone has said this morning, this thing is
6 more a matter of common sense than it is a matter of
7 technological stress, and I think that's certainly true.
8 All of this has to be taken in the context of common
9 sense.

10 The other thing I want to mention, Zoltan, I
11 have to leave also this noon. Our office is available to
12 you. We will make that our phone number and so is in your
13 minutes.

14 Jim McCracken who assisted me in my
15 presentation this morning is going to be staying here if
16 you have any communication to our office and what us to
17 do something for you, please let Jim know. Thank you
18 very much.

19 CHAIRMAN ROSZTOCZY: Let me mention here
20 something that I have forgotten to mention earlier, we
21 have received the copies of some of the speeches or some
22 of the slides which were presented this morning and if
23 you are specifically interested in one of those, then
24 please leave your name and address and also the subject
25 you are interested in with one of our NRC representatives

1 here, Joe Brien or Tony and then we will see to that that
2 we will send you a copy.

3 From some of them we have more than one copies,
4 so for a few of you we can give a copy right now, but
5 probably for most of you we would have to reproduce it
6 and then send it to you. But feel free to ask for it in
7 any specific areas if you are interested.

8 The same exists also if there are any names or
9 addresses, telephone numbers you are interested in and
10 you don't know it, we probably can help you out with
11 that.

12 Yes, Mr. Nelson?

13 DR. NELSON: I just want to point out the
14 existence of this document which I didn't mention during
15 my presentation.

16 This is the definitive description of the
17 International System of Units, which is a publication of
18 the International Bureau of Weights and Measures and was
19 translated from the original French by members of the
20 Department of Commerce and the title is "NBS Special
21 Publication 330," the latest edition is the 1986 edition.
22 It's called the "International System of Units, SI."

23 This contains all the tables of the basic
24 units, the derived units, prefixes, units to be used with
25 SI and the like, and also an appendix containing the

1 pertinent decisions made by the General Conference on
2 Weights and Measures since its inception, relating to the
3 exact definitions of the -- and I would recommend it
4 highly to anyone who wants a definitive statement of SI.

5 CHAIRMAN ROSZTOCZY: Any other questions or
6 comments?

7 MR. DeGRANGE: DeGrange from Maryland again. I
8 guess I would like to address my comments to Mr.
9 Underwood.

10 I am wondering what if any contact has been
11 made with the National Conference on Weights and
12 Measures? As you know, that's a body that's very active
13 in the weights and measures community and it consists of
14 state and local weights and measures officials and
15 members of industry, groups, on which weights and
16 measures activities impacts. So it would seem that that
17 would be a good forum in which to explore this
18 metrication issue, and in addition, I am wondering if
19 there is any thought being given at any level to
20 reactivating the National Metric Board which was in
21 existence I believe back in 1970's and I think was set up
22 to make an orderly transition from our system into the
23 metric system and consisted of members of government,
24 industry and other people with interest in metrication.

25 MR. UNDERWOOD: I will try to be very brief. The

1 National Conference on Weights and Measures is terribly
2 important, you are absolutely right.

3 In their annual meeting in Seattle this year, I
4 don't know if you attended that meeting, but we did
5 provide a substantial amount of literature to the group.

6 The director, the acting director of the
7 National Institute of Standards and Technology, the old
8 Bureau of Standards, Ray Camra was a principal speaker.

9 We provided Ray with some metric ammunition and
10 I don't know how much of it he used. I do know there were
11 several sessions on metrication there.

12 It certainly is an important body. We try to
13 keep them informed. We are a very small office in the
14 Commerce Department and we replaced the U.S. Metric Board
15 when it was defunded. Their budget was in the order of
16 magnitude of three million dollars a year, you couldn't
17 find -- we don't even represent a very, very minor
18 fraction of that budget.

19 But, I don't believe there is any intention of
20 reinstigating the Board, although it is still a law, it
21 still legally exists. The Conversion Act that Jim Turner
22 mentioned this morning did not disband that body, and
23 should it be necessary to reestablish it, I think the
24 government could. I don't believe they will do that.

25 We do have a metrication officer appointed in

1 every state of the union, appointed by the governor at
2 our request. So that's the body through which we deal
3 with the states; however, in many, many cases they are
4 the weights and measure officer for that state, in most
5 cases, and so that's the avenue with which we are
6 working, and I agree, it's a body that we should -- as
7 time goes on we are going to have to be working more
8 closely with them, and particularly as the local
9 building codes problems and the interstate transportation
10 problems surface.

11 CHAIRMAN ROSZTOCZY: Yes, please.

12 MR. GAT: Uri Gat, since SPC 30 was mentioned, I
13 think it's necessary to mention that there is standard
14 in the U.S.A., CM E380, the latest edition is 89A, it's
15 called, "The Standard Practice for Use of the
16 International System of Units, the Modernized Metric
17 System," which is the standard generally in use, the only
18 standard existing here.

19 That SPC30 is not a standard, it is the
20 description of the system. In that association, I would
21 like to make one more comment and that is just about
22 everybody has his favorite and disfavorite units, and we
23 heard, particularly the Pascal, some people don't like it
24 for some reason.

25 Mr. Nelson mentioned that one of the advantages

1 of SI is its coherency. If we give up on some of these
2 units as convenient as they may be, we give up on the
3 coherency and then we give up on one of the major
4 advantages and perhaps the most important reason to go
5 SI, so I urge not to give in on those units and this is
6 particularly sensitive in the radiation field because the
7 rad and the rem are related by a factor of 100, which is
8 just as convenient as a factor to 100,000 from the bow to
9 the Pascal, from the rad and rem to the Gray and
10 Sievert.

11 So I urge not to give in to those, and not to
12 deviate from either one of these two.

13 CHAIRMAN ROSZTOCZY: Yes, Dr. Rubin?

14 DR. RUBIN: As a professor, I can't resist
15 saying something about what seems to be a controversy
16 that is, whose publication on SI is really authoritative
17 here and I will have to agree with Bob Nelson about what
18 he says because the law passed by Congress in 1975, the
19 Metric Conversion Act, is unmistakable about fixing the
20 responsibility for saying what is SI in the United
21 States.

22 Here I am referring to Section 4, paragraph
23 four, it says, "Metric system measurement means the
24 International System of Units as established by the
25 General Conference of Weights and Measures in 1960 and as

1 interpreted or modified for the United States by the
2 Secretary of Commerce."

3 So that is our metric czar, it is Mr.
4 Underwood's boss and speaking of Mr. Underwood, I can't
5 resist mentioning two facts, one of which is my
6 admiration for him along with Senator Pell and
7 Congressman Brown as being one of the most important and
8 influential metric boosters in the government, and as
9 having survived two presidents who did anything but help
10 the metric cause. One of whom sabotaged the U.S. Metric
11 Board by appointing anti-metric people to it and the
12 second one who just clearly axed it completely.

13 I worry a little too about our new president,
14 but I take a little comfort in the fact that in
15 controversial matters, he likes to be out of the loop and
16 so hopefully, we don't have too much to worry about
17 there.

18 (Laughter.)

19 But anyway, I would like to make one suggestion
20 to Mr. Underwood and that is that he extend the idea of a
21 metric coordinator in each state, to suggest a metric
22 interagency committee such as the Federal Government has
23 established, in order to make sure that at least nuclear
24 regulatory people get the message, because if we have to
25 live with a different set of regulatory standards state

1 wise, and then from the Federal Government, this would
2 make life very difficult for us and maybe that can be
3 anticipated at this time and we should look at it.

4 CHAIRMAN ROSZTOCZY: Any other comments? Yes,
5 sir?

6 MR. SOLANDER: Lars Solander, NRC, we heard
7 from at least two speakers, and from other talks also,
8 that there is a need to education or reeducation in
9 regard to the SI system.

10 We know, it's not easy to reeducate people who
11 are adults, so what would be the opinion of the industry
12 and the industrial organizations regarding that, if we
13 don't have time, Zoltan, we can leave this for maybe
14 tomorrow afternoon.

15 CHAIRMAN ROSZTOCZY: No, go ahead.

16 MR. SOLANDER: We would like to hear some
17 inputs regarding this metric, the need for metric
18 reeducation.

19 CHAIRMAN ROSZTOCZY: Anybody would like to
20 comment on it? Mr. Baker?

21 MR. BAKER: I had mentioned in my talk that we
22 were anticipating an educational, that we had developed
23 an educational program and that the core of that was a
24 brochure which describe what we were trying to do in the
25 conversion, listing the various units of radiation and

1 radioactivity and providing conversion factors and
2 conversion tables for becquerels to curies and vice and
3 versa.

4 That this brochure could be sent out to users
5 and we were also going to be writing letters to editors
6 of journals, to users of the materials, radiation safety
7 officers and people who would be ordering radioactive
8 material.

9 Not perhaps a very extensive program, but we
10 certainly saw that it would be necessary and would
11 facilitate the conversion to the SI units for
12 radioactivity.

13 CHAIRMAN ROSZTOCZY: While we are on the subject
14 of education, let me pose a question to Dr. Nelson and
15 anybody else who is interested to comment on it.

16 Dr. Nelson talked about the metric literacy.
17 One area where literacy might not have been achieved yet,
18 especially in terms of the public, public literacy are
19 the radiation units.

20 The public by now has heard the radiation
21 units, but most of them when they hear certain numbers
22 they really don't have a feeling for it, how big or how
23 small that number is.

24 Looking at it from the educational viewpoint,
25 would it be confusing for the public to educate them in

1 the conventional units or rads and curie and then after
2 that, in a second step, try to convert them into the
3 metric units, or would there be a greater advantage if
4 this public education would be done in the units which
5 eventually we will use.

6 DR. NELSON: Well, my perception would that the
7 general public is not familiar with the curie or the
8 roentgen in the first place.

9 Therefore, there is no need to go through that
10 transitional step. Just for the record, I am sure more
11 of the people here probably know this, but you mention
12 the conversion factors, between the roentgen and the --
13 per kilogram -- now as Dr. Gat mentioned before and as I
14 also pointed out, one of the great advantages of SI is
15 its coherency.

16 For example, all the derived units are defined
17 in terms of the base units without the need for any
18 numerical factors.

19 Now to extend the point I made before, how many
20 people here can define the pound force? How many people
21 here can define the poundal? How many people here can
22 define the slug? These are all units used in the inch,
23 pound customary system of units.

24 However, there is only one unit of mass in SI,
25 namely the kilogram. There is only one unit of force,

1 namely the Newton and the Newton is defined is simply a
2 kilogram meter per second squared.

3 Now, to address the specific question that you
4 had, a curie is 3.7 times 10 to the 10th becquerels. A
5 roentgen is 2.58 times 10 to the -4 coulombs per
6 kilogram. Now clearly, these quantities these units
7 involve numerical factors which detract from their use
8 and I really think that an effort should be made to first
9 of all acquaint the people who are involved in radiation
10 and in appreciating exposures, to go right to the units
11 of the Gray and Sievert but to extrapolate a point I made
12 before, they must be made aware of the distinction
13 between these two, because the fact that a dose
14 equivalent is obtained from absorbed dose by
15 multiplicative factors and if one went simply to a table
16 and found a Gray is a Joule per kilogram and a Sievert is
17 a Joule per kilogram, they may think that it really
18 represents the same thing.

19 Dr. Ruby has in particular stressed this point
20 for many years and I can only endorse that point.

21 CHAIRMAN ROSZTOCZY: Yes?

22 MR. COLVIN: Just one point on that that I
23 think we should not overlook and that's, while I agree
24 with Dr. Nelson 100 percent, the thing that we have to
25 look at is the public perception of radiation dose and of

1 radiation waste issues.

2 You know, it's one thing when we kept talking
3 about total Curie content buried at a low level waste
4 repository or a Curie or a millicurie or so many
5 millicuries, but when we now start talking in
6 megabecquerel, the public -- I know what the anti-nuclear
7 is going to do with that, they are going to say, one
8 millicurie, well, they have been lying to us all along,
9 look how much of a problem this is because now we are
10 talking about millions of these things where before the
11 industry used the term, one-one-thousandth of this is not
12 equivalent.

13 So I know that this is one of the things that
14 the U.S. Council for Energy Awareness which handles our
15 public education from the nuclear power industry is very
16 concerned about is the public perception of units and the
17 public perception of risk.

18 So I think we do have to keep that in
19 consideration as we go forward. I am not saying anything
20 negative about the SI units, it's just something we need
21 to deal with and deal with properly in the public view.

22 CHAIRMAN ROSZTOCZY: We have time for one or
23 two more comments. Yes, Mr. Tascher?

24 MR. TASCHER: John Tascher, defense department
25 again. Just to follow up on what Dr. Ruby said, as far as

1 the Secretary of Commerce being responsible for
2 interpretation and modification of the SI in this
3 country. I don't think there has been a Federal Register
4 to that effect, to do that, it seems like 1982.

5 I wonder if I missed something. It seems like
6 that thing should be updated, just as a comment.

7 CHAIRMAN ROSZTOCZY: I am not sure, I would
8 have to search my memory, but I am recalling that the
9 recent proposed rule that the Commerce Department put out
10 for public comment and the public comment I think expired
11 yesterday that does refer to this.

12 MR. TASCHER: Well, the main reason for -- in
13 case it might be helpful to you, why don't I submit for
14 the record a copy of the DOD metric policy, dated
15 September 16, 1987 and the DOD Metric Transition Plan
16 which was signed off by the Secretary of Defense back in
17 January of 1989. That might --

18 CHAIRMAN ROSZTOCZY: Thank you very much, we
19 certainly appreciate that. If anybody wishes copies of
20 that, then please come and contact us.

21 Originally we were supposed to have one more
22 session this morning, and then go to our lunch break. It
23 turns out that that session will last approximately an
24 hour or so, so right now we are about an half hour behind
25 schedule.

1 I kind of feel confident that we will be able
2 to pick it up in the afternoon and I would like to
3 suggest that we take our lunch break now and start that
4 session after lunch.

5 That would mean -- the weather is supposed to
6 be pretty nice outside, it will probably give you an
7 hour-and-a-half lunchtime, so you can stretch your legs.
8 That would mean that we would reconvene at 1:30.

9 Is there anyone who would be inconvenienced by
10 this? Is there any objection to this? No, then let's
11 adjourn for the morning and we will reconvene at 1:30 in
12 the afternoon. Please keep in mind 1:30, your agenda
13 shows a different time.

14 (Whereupon, at 12:00 p.m., the conference was
15 recessed for luncheon, to reconvene this same day,
16 November 14, 1989, at 1:30 p.m.)

17

1 A F T E R N O O N S E S S I O N

2 (1:30 p.m.)

3 CHAIRMAN ROSZTOCZY: We are ready to start our
4 next session. This is the session on metric system
5 relative to new applications or future nuclear power
6 plants.

7 I would like to introduce Jerry Wilson who is
8 going to give a few introductory remarks on NRC's behalf
9 and then he is going to introduce the speakers, the other
10 speakers for the session.

11 Jerry has been deeply involved in the review of
12 future reactor design, what we call, advanced designs
13 during the past few years and he was also involved in the
14 review of the advanced light water reactors and he played
15 an important role in our new rule on what we call the Par
16 52 Rule on design certification, site approvals and one
17 step licensing.

18 Jerry Wilson.

19 MR. WILSON: Thank you, Zoltan. The purpose of
20 this portion of the meeting is to discuss the possible
21 impacts of using the metric system and the regulation of
22 future plants.

23 For this meeting I will define future plants
24 as any plant for which an operating license application
25 has not been filed so that puts plants like Seabrook into

1 the existing plant category which will be our next
2 session.

3 Now it's my job to facilitate the exchange of
4 information on this subject and I have three other
5 participants who have been invited to assist me: Brian
6 McIntyre from Westinghouse who will give the perspective
7 of the reactor vendors; Jack Berga from EPRI who will
8 provide the utility perspective and Professor Ruby who
9 will provide university perspective and he is also a
10 member of the U.S. Metric Association.

11 Now as a lead in to this discussion, I want to
12 point out that NRC has issued a new regulation as Zoltan
13 has said, this regulation was part of our licensing
14 reform effort at the NRC and it has turned out to be a
15 very broad regulation in terms of ways you can seek
16 applications from the Nuclear Regulatory Commission, and
17 because of that I anticipate that all future nuclear
18 power plant applications are going to come under this
19 rule, so I thought I would point to that as a kick off of
20 our discussion.

21 Now one part of the rule is early site permits
22 and this is a way for a utility to bank a site, get
23 approval of the site prior to its decision on purchasing
24 the building or reactor.

25 I would presume that utilities probably aren't

1 interested in the international implications of metric
2 and may not be inclined to file their application in
3 metric, but if they do get an early site permit it's
4 going to last for 10 to 20 years and they will have to
5 focus on what that's going to mean 20 years from now when
6 the rest of us have gone metric.

7 You see I have an arrow there, design
8 certifications, and give me the next slide, Brian, I will
9 explain that; I think that for the foreseeable future,
10 most of the action under the Part 52 is going to be in
11 the area of design certifications and this is the reason
12 why: a lot of the reactor vendors around the world are
13 designing new plants. This is a list of the ones that I
14 know of and I anticipate that most of these plants are
15 going to seek design certification in the 1990's.

16 What you see here is 10 designs that represent
17 six different reactor vendors.

18 Now if we could back, Brian, to the previous
19 slide -- all of these reactor vendors are competing in
20 the international marketplace and so I am presuming that
21 they are going to be very interested in the issue of
22 metrication.

23 As you see, when the reactor vendor gets the
24 design certification it's good for 15 years, plus he has
25 the opportunity to seek renewal which is another 15 years

1 and then if a plant is built to that design, that plant
2 could be operating for 40 to 60 years. So we are talking
3 a very long period of time and what they do today is
4 going to have a big impact in the next century.

5 Now under combined licenses, this is where the
6 two parts can come together. This is where the utility
7 or the site aspects of the design are matched with the
8 reactor design and you seek a license to build and
9 operate the plant.

10 As I said, that license could last 40 to 60
11 years and while the utility may already have reactors
12 that are designed and are operating in English units,
13 they may be concerned with what that means in the future
14 for a plant that is going to be operating for 60 years.

15 Now, why don't you give me the slide, Proposed
16 Requirements. As Dr. Beckjord said, in the time that we
17 were developing Part 52, we considered an additional
18 requirement and this is the requirement and I would
19 encourage the participants to speak to this requirement
20 and let me know what impact they see that this would
21 have.

22 I am presuming that it may not be a problem in
23 the area of design certification if reactor vendors are
24 competing in the international marketplace, I understand
25 that some designers are converting their applications for

1 the benefit of the NRC and maybe it's time that we said
2 you no longer need to do that, but I would like to hear
3 about that.

4 Now to start us off I am going to put up some
5 questions that are a little bit different than the
6 Federal Register, but issues that I think would be good
7 that we could talk to in this session.

8 I think it would be nice to find out what type
9 of units the designers are using for these future plants,
10 as I showed on that earlier slide, what units the
11 utilities plan to use in the future for operation, what's
12 the view of the industry? Should the applications be in
13 metric for future plants and should NRC evaluations be in
14 metric?

15 Also, if we go to metric, are we going to see a
16 problem in the area of reactor safety? A potential
17 problem would be utilities that are operating plants
18 under English units and NRC issuing orders and directions
19 in metric, is that going to cause us a problem? Is there
20 going to be a problem in the public's understanding if
21 the NRC starts talking in metric when we have our
22 licensing proceedings before the public?

23 Is that going to affect their understanding of
24 nuclear safety?

25 Now I think that's all I want to say to start

1 off and what I would like to do now is turn it over to
2 Brian McIntyre and let him say a few words about the
3 vendors' perspective.

4 MR. McINTYRE: You can just jump right into the
5 right on. I am a reactor vendor and I work in English
6 units. I guess we do that because we always have, and we
7 are set up to deal like that. We support all the present
8 day operating plants certainly in the United States and
9 even in the foreign countries, and all the computer
10 codes, the safety codes are set up to work in English
11 units, the structural codes are all set up to work in
12 English units and so that's the way we work, that's the
13 way we have always worked and that's the way we are
14 working right now.

15 We have two designs, the SP90 and AP600 that
16 were on the slide that Jerry just had up and the SP90 is
17 what's considered to be an evolutionary design and in
18 terms of the NRC, we sort of took what we had and grew it
19 into something that still looks a lot like it did but it
20 has some enhancements to safety and to enhancements to
21 operation.

22 We started this program in 1979 and it's a
23 joint United States/Japanese project and if you look at
24 it, Westinghouse is the NSSS supplier, we designed the
25 reactor, we designed the steam generators, we designed

1 the stuff that's involved really in the true nuclear side
2 of it.

3 Mitsubishi Heavy Industries, they are the BOP
4 people. We are working in English and they are working
5 metric. Now when we supply something to them we are
6 supplying it with dual units and basically we are not
7 even sophisticated enough right now that we have a
8 computerized way of doing this.

9 We have a guy sitting down and next to every
10 dimension on the drawing, take a pen and pen in what the
11 metric equivalent of it is.

12 On the AP600, that's kind of a little more
13 interesting. It's an advanced design. It has passive
14 features, but we still use a lot of proven technology and
15 as a matter of fact, we are going to be using -- I will
16 use direct coolant pumps, they are the same ones that our
17 people at Cheswick makes, that's why we are very
18 interested in what DOD is doing because they are the same
19 pumps we put on aircraft carriers, with a slightly
20 heavier glide wheel so they have better coast down
21 performance.

22 We have been working on this program since
23 1986, it's DOE funded, so how this law or rule is
24 implemented, if it's everything after 1992, gee, that's
25 kind of in the middle of what we think our contract is,

1 and so it certainly has some implications for us.

2 Jerry just had up on his schedule that anything
3 after September 1992 should come in in metric units and
4 how do we feel about that. Fortunately, we are scheduled
5 to submit this thing in June of 1992 and it might be, if
6 the decision is not to convert, work in either metric or
7 dual units, it might be one of those -- you know, slide
8 it under your door, right there at the end of September
9 in 1992.

10 An issue here I think is that this is totally a
11 U.S. project. Westinghouse is designing the NSSS and
12 Bechtel and Avondale Shipyard and some other people are
13 working to do the balance of the plant, and we are also
14 all working totally in English units on this.

15 A third plant which is not up there is one we
16 are doing right now for Britain. Britain has converted,
17 they are no longer using English units, they use the SI
18 units.

19 We are the NSSS designer, CEGB is the BOP, the
20 designer and builder and again, we are supplying
21 information to them in dual units.

22 As Jerry pointed out, if you look at how long a
23 design certification is good for and how long you expect
24 the life of these plants to be, we are talking like these
25 things could still be running in 2070, if you sort of

1 think about it in those terms, we are all going to dead.

2 It's inevitable that we will be working in SI
3 units in that time period. I think it's a question-- we
4 certainly are going to get there and I think the question
5 before us today is how we are going to do it.

6 Two of the questions in the Federal Register
7 notice sort of dealt with documentation and I lump them
8 both together.

9 For licensing documentation, we looked and
10 spend some time and decided that it should really be
11 consistent with the way the plant is operating. It
12 doesn't make sense to try to convert McGuire over to
13 using SI units and how many megapascals does the HRH
14 system add before you do the conversion over to do
15 recirculation, and certainly avoid the use of dual units.

16 I couldn't image an operator dealing with a set
17 of dual unit tech specs when things are really not going
18 well with the plant and his adrenalin level is up a
19 little bit and you get something that could look like it
20 could be reasonable and it's not going to be megapascals
21 and PSI, but it's going to be something else that he
22 could get tangled up in, just avoiding -- that's not
23 human factors engineering.

24 NRC communications, I think you guys could have
25 a little tougher problem. You send out a lot of

1 bulletins, a lot of notices, lot generic letters and you
2 have a surprising number of numbers in those things.

3 I think it's sort of a question of the same
4 thing, that you should try to regulate these guys in the
5 same way that they are operating the plant, don't send SI
6 units to, the guy from Duke is here, to Duke Power to try
7 to have them to convert it to SI if they are compliance,
8 out of compliance or something that should be dealt with
9 so if a thing is floating around out there that people
10 can't understand and it doesn't match up with the way the
11 plant is, has been designed and is being operated.

12 If you look at the transition, you know, it's
13 great to be the NSSS designer. You are sort of at the top
14 of the chain on this, you make up the drawings and
15 everybody builds the stuff to fit and it wasn't clear to
16 us sitting back in the Monroeville that there is enough
17 infrastructure right now to support this.

18 Like I don't know what the steel industry is
19 doing. I don't know if they are converting from 10 gauge
20 steel to something that is an equivalent. I have a little
21 story about steel in a few minutes, but you need an awful
22 lot of stuff to support this thing if Westinghouse or
23 Bechtel is going to set up there and say, by gosh, we are
24 going to do it like this.

25 You have to have places where you can get the

1 things that we are going to be calling out for. So we
2 think back on that, that there will be a time which is
3 not right now and we think it's probably going to be
4 after 1992, the way we see the progressions going because
5 we can't get things set up in time; that we will have the
6 infrastructure available.

7 It also sort of gets back to how do we do it?
8 Do we do it by conversion? I like the soft conversion
9 idea. That's kind of a neat way to put it. We have gone
10 back and looked at what our licensees have done and it
11 turns out they have done both things. Frameton, our
12 French licensee takes our design and they totally, they
13 said, reengineered it. We asked them the question, and
14 they said, oh, yes, the inside of our steam generator
15 tubes happen to be 19.05 millimeters, it's not a very
16 unusual numbers, you do the calculation, it's three-
17 quarters of an inch.

18 Now you sort of think that somewhere they could
19 either round it up or round it down or do something and
20 given that that is a custom made piece of equipment, 600,
21 692, there is not a lot of call for that, so you make
22 what you need to make.

23 But it's sort of a case of where they didn't go
24 back and back engineer it.

25 The question came up with training and what we

1 have found, certainly as a manager, that the people we
2 have hired out of college they know metric stuff. They
3 know the metric stuff when they come in out of
4 engineering school better than they know the English
5 stuff, and for want of a better term, we kind of
6 "whip" it out of them.

7 There is a tremendous amount of inertia. All
8 of our records are set up in English units, all of the
9 corporate records, all of our policies, all of our
10 procedures, all of our computer codes.

11 You could work, I think at any of the reactor
12 vendors, and I have talked to the other people, the same
13 thing there, you could work in SI units, but it would
14 really be a bit difficult.

15 So I don't think there is really a question of
16 education. I know I got out of school 17 years ago and I
17 would say half of my homework problems, half of my texts
18 dealt with SI units. It wasn't just the physics. It was
19 the engineering problems and things besides Btu's and
20 kilowatts and things like that.

21 So I don't see that education is being so much
22 of an issue. I think that most of us could certainly pick
23 it up without a significant amount of retraining.

24 Another question was, what would this mean to
25 us commercially and we haven't found the units that we

1 work in, whether it be working in English units, really
2 to be a major effect in us making a sale or not making a
3 sale. It gets down to who has the financing, who has the
4 features and how much of it can we have done local, local
5 content is extremely important.

6 Local content which will be the story here on
7 subtier suppliers sometimes has its advantages because
8 more often than not the local outfit is in metric units.

9 What we find it is a bit of a disincentive. You
10 go out and you say, well, you are going to get a three
11 loop Westinghouse PRW and it's going to make 750
12 megawatts and it's going to all be in inches and feet and
13 pounds and those sorts of things.

14 The utility just kind of sighs, recognizing
15 that they are going to have keep two sets of tools, two
16 sets of tooling, two sets of books and they are going to
17 have with it like that. It's more of a disincentive.

18 It hasn't really been, we have never been told
19 we told the sale because of the units we work in.

20 You go back to being at the top of the boot
21 chain, if we were to suddenly decide and we certainly
22 can't for the operating plants obviously, but to go back
23 and respecify all the piping sizes, all the tubing sizes,
24 all the thread taps and things like that in metric units,
25 to be quite honest, I think that there would be a number

1 of people who just would not bother in 1989 here in
2 November to bother to supply us because the nuclear is
3 such a small part of their business and they will be gosh
4 darned if they are going to go out and invest in the
5 tooling just to supply me with 17 pressure transducers a
6 year to plug into the AP600.

7 If the business was there they would probably
8 do it and what we would have to most likely do if we
9 wanted to do that, we would end, at least, we were
10 sitting around thinking about it, have to get those
11 things offshore, bring them in from Italy or France or
12 goodness knows where.

13 One of the advantages that we did see, because
14 I talked about the steel and I talked about subtier
15 suppliers is we went back -- I think it was Korea and we
16 went over, and we said, here is the list of materials you
17 need, and it had nine different sheet metals sizes on it,
18 and the guy kind of looked at it and said, gee, I don't
19 have all of those.

20 He went back and thought about it and he came
21 and talked to us, and he said, I can't do it like that,
22 how about if I use these four sizes, they are the metric
23 equivalents more or less?

24 So he couldn't do it exactly, but I guess on
25 the good side is that he had gone back and really freshly

1 thought about it. He had taken what was call "plan
2 simplification" and obviously made his life a little
3 easier, by taking a truly fresh look he was able to find
4 something a little simpler that still did the job out of
5 it.

6 That concludes what I had to say, I think
7 basically, right now we are working in the English units
8 and we intend to, certainly in the short term, continue;
9 we are in the middle of two projects. For a totally new
10 project, unless we got some direction or dictate or
11 certainly a push from a customer we probably would
12 continue to work in English units, purely because there
13 is no real incentive for us at this point to change.

14 MR. LARKINS: Brian, given what you said in
15 your slide that you are going to design AP600 in English
16 units and you want to have your application in English
17 units and you feel the operation should be in the same
18 units that the application is in -- you are talking well
19 into the next century, how do we ever get there from here
20 then?

21 MR. McINTRYE: At some point and I don't know
22 where that is going to be, we will -- I didn't say that
23 it should be in the same units that it was applied in
24 because at some point you are going to have to say, hold
25 a time out and I don't know what year that is going to be

1 in, but do those conversions over.

2 MR. LARKINS: Do we have any other questions
3 for Brian?

4 DR. NELSON: Which specific units are you
5 referring to that would be involved in this enterprise?
6 Repeating, what units would be involved in the
7 specifications that you are talking about?

8 MR. McINTYRE: In the ones that we could
9 convert over?

10 DR. NELSON: Well, in other words, units of what
11 types of quantities are involved?

12 MR. McINTYRE: Anything dealing with
13 dimensions, links, the physical operational type of
14 parameters, not so much relating to radiation.

15 DR. NELSON: Would it deal with energy also for
16 example?

17 MR. McINTYRE: Right.

18 DR. NELSON: What types of energy units do you
19 use, Btu's?

20 MR. McINTYRE: Yes, we work in Btu's.

21 DR. NELSON: What units of pressure do you use?

22 MR. McINTYRE: We use PSI.

23 DR. NELSON: Pounds per square inch?

24 MR. McINTYRE: Right.

25 DR. NELSON: Absolute or gauge?

1 MR. MCINTYRE: Both.

2 DR. NELSON: Is that clear in your
3 specifications?

4 MR. MCINTYRE: Yes.

5 DR. NELSON: So it's basically mechanical units
6 we are talking about?

7 MR. MCINTYRE: Right. It's pretty simple to
8 convert it operationally, you just magically convert the
9 entire control room and then change the tech specs, but
10 the plant itself, the thing that is sitting out there, is
11 occupying a couple of square units is still going to be
12 in English units and that could be reengineered if you
13 would and you could, for future designs, you could take a
14 pipe tap to be from a three-eighth inch pipe thread to a
15 whatever the equivalent is in metric units.

16 But the market at this point is not driving us
17 to do that and it would cost us a substantial amount of
18 money to make that change. I think we would also run into
19 -- I look at the human factors even back home, if you
20 were going to do a safety analysis right now, what we
21 would do, we work for EPRI because EPRI wants things and
22 they either want it in SI units or they want an English
23 scale here and an SI scale over there and we just have a
24 little thing that takes all those numbers and goes
25 through the conversion factors that we have selected and

1 it spits them back out.

2 DR. NELSON: If I might be permitted one more
3 question, how many significant figures do you usually use
4 in your specifications? Would you quote for example heat
5 in Btu's to say six significant figures?

6 MR. MCINTYRE: The answer is yes.

7 DR. NELSON: Then you would have to specify --

8 MR. MCINTYRE: You may.

9 DR. NELSON: You would have to specify then what
10 you definition of what the Btu is, there are at least six
11 different definitions.

12 MR. MCINTYRE: We probably should. I would have
13 to get something out of a back of a textbook.

14 MR. GAT: Uri Gat, how would the usage of metric
15 units differ from what you are doing now when you use
16 inches and feet? Isn't that conversion just the same, or
17 you just said you are using Btu's, but you quoted the
18 power plant in megawatts, that's a conversion and in
19 megawatts already and you don't need to convert that one
20 anymore, that's fine.

21 Why is it different to convert from inches to
22 feet and I don't know if you use yards, but you
23 definitely use cubic yards when you use the concrete that
24 goes in there, from converting to -- and you probably do
25 that. Don't you have some units in there that are

1 already metric?

2 MR. MCINTYRE: I think very few.

3 MR. GAT: But you have some.

4 MR. MCINTYRE: I am sure there are.

5 MR. GAT: Some of the electronic equipment that
6 goes in is definitely in metric standards.

7 MR. MCINTYRE: I am sure there is. When you do
8 the conversion, the difficulty is, it's just as simple as
9 going through and doing all of the multiplications, but
10 when you start looking at tolerance stack ups and you
11 round it up, and you got to round it down and
12 traditionally if it is going to be plus or minus .001
13 inches, you convert it to a metric number and then you
14 round it down a little bit because you say, okay, a
15 little tighter has to better and also to make sure that
16 you are not stacking six of these things up and that it's
17 all going to work.

18 We ran into this problem on the more
19 complicated mechanisms, but we were told by the
20 manufacturing people, anytime that we had gone through
21 the exercise like that, as opposed to totally
22 reengineering it, and just doing the basic soft
23 conversion that it gets more expensive because you are
24 building basically a more exacting piece of equipment.

25 I am not a lathe operator or machine operator,

1 but that's what I was told by the manufacturer.

2 MR. GAT: May I add a comment? Have you
3 considered the oppcsite, using this opportunity to
4 improve your designs, that tolerance you say you always
5 round it to the more tight tolerance, may it's time to
6 relax that tolerance that you -- and take a fresh look
7 and that's part of the idea of going SI.

8 If you really want to get all of the advantages
9 and the benefits, we could be on top of the world right
10 now because basically the standards are as old as they
11 have been written and you have an opportunity to -- have
12 you looked at that and how much that might save you by
13 relaxing the tolerance when you go to SI, do that with
14 some thought?

15 Has that been considered?

16 MR. MCINTYRE: I don't think that we have
17 looked at it. As the reactor vendor -- it's kind of a
18 strange business, there is not a lot of -- I don't want
19 to say there is not a lot of competition, but anything
20 that we were going back looking at like that, I think
21 gets lost in who has the best financing, who has the best
22 number of features, who can supply the most, quickest
23 spare parts.

24 Our market drives us by those forces.

25 MR. FISHER: This discussion you are just having

1 here points up the fact that whether you are converting a
2 standard or converting in the plant, you can't turn that
3 activity over to clerk who knows the conversion factors.
4 You have to have somebody who thoroughly understands the
5 meaning of that number and why that number is out to a
6 certain number of decimal places now, and that's why it
7 has to be done by a person very thoroughly familiar with
8 the subject.

9 MR. HALL: I have been involved in trying to
10 specify metric dimensions and you make a good point,
11 Oscar, that's the largest problem we run it is that while
12 we have suppliers willing to bid metric, somewhere in
13 their process they take that metric design and especially
14 fabricators turn to English inch pound units.

15 You would be amazed at how we lose tolerances
16 in that, especially in large products, steel fabrication
17 primarily, where they do not have enough accuracy in the
18 conversion factors they use.

19 They have all the standards they need for
20 accuracy, but somewhere in the sale floor, going the
21 manufacturing floor that accuracy is lost in the
22 conversion and that's not a small problem, that's a
23 common problem.

24 CHAIRMAN ROSZTOCZY: Brian, I would like to ask
25 two questions, they are kind of interrelated, so let me

1 ask them one by one.

2 The first is in connection with the SP90. You
3 mentioned that the Sp90 is being designed or developed
4 together with a Japanese company and they are doing their
5 business in metric and you are doing yours in inch
6 pounds, and then on your drawings you said the second
7 units, so they can use the same drawings and I assume
8 that they do the same thing in the information that they
9 give to you.

10 My question is that do you have any way to
11 estimate the cost associated with this process of putting
12 in second units everywhere in your communications, in
13 your drawings and so on, and since you are not talking of
14 a design that starts from scratch, you are taking an
15 existing design and these are just modifications to it,
16 the best way to express it would probably be in a
17 percentage of the cost of the modification.

18 Like if a certain system is being redesigned
19 and it costs "x" dollars, then what percentage of this
20 was due to the fact that he had to be handled in dual
21 units?

22 MR. MCINTYRE: Yes, I asked a couple of people
23 who were closely involved in that and they had no idea of
24 how much time -- basically I think it's the draftspeople
25 who are making those conversions and unfortunately, what

1 they are doing is sitting there with the conversion
2 tables, multiplying things by 2.54.

3 I don't know if Mitshubishi is actually
4 constructing to that, to those dimensions or not, but
5 they are things like for the reactor vessel. I don't know
6 if Mitshubishi is constructing things like the guide
7 tools -- there is not a lot of -- that's a pretty
8 exacting piece of equipment, the control rod mechanisms
9 going up and down, and I don't know if they build those
10 with a metric equivalent or they purchase them from us
11 and we make them in Florida and ship them over.

12 CHAIRMAN ROSZTOCZY: Like for example plants,
13 that was used for reactor vessels, are they doing their
14 own and are those manufactured in metric units?

15 MR. MCINTYRE: For the reactor vessel, it's so
16 customized that it comes out to the 173 inch diameter
17 that we are looking for, plus or minus a quarter of an
18 inch.

19 CHAIRMAN ROSZTOCZY: The second question
20 relates to the end of your talk, you mentioned that in
21 connection with equipment or instruments, you said that
22 if you would to provide some of those in metric, then you
23 probably would go outside the country and you would buy
24 from a supplier.

25 Well, that's kind of the area, what we are very

1 interested in, because that is the subject of the Trade
2 Act. If at the current time you would have to go outside
3 the country to buy it since nobody has it in our market,
4 then maybe this is an area where the manufacturers should
5 look into the future of what is coming and maybe this is
6 an area that those who will be doing the buying in the
7 future should project their plans as far as possible into
8 the future so the manufacturers can keep that in mind.

9 Any comments on that, what could be done along
10 those lines?

11 MR. MCINTYRE: The way that we came up with it,
12 we were sitting around looking at some of the more --
13 components of the nuclear steam supply system and little
14 things came up, the people who were making qualified
15 equipment, which qualification is a lot of work to start
16 with, and we said, do they supply those in metric and
17 sort of the conclusion was, of the people that I had
18 collected in the room was, no, they probably didn't
19 because there is no call for them to do that.

20 You guys don't call them up and ask for things
21 in millimeters and those pipe sizes because you have
22 nothing to hook them to, but neither does anybody else
23 right now, except people who are offshore and people
24 offshore are getting them locally, so the reaction was,
25 if you wanted something that was done to truly standard

1 metric nominal sizes, that you would have to go somewhere
2 else today to get it.

3 That's why the one slide said it has to be
4 consistent with some sort of a national to policy to
5 convert all of that stuff that supports us at the top of
6 the chain, to sit there and make the drawings.

7 CHAIRMAN ROSZTOCZY: I would like to ask a third
8 question. The third one is you said somewhere along the
9 line there ought to be a time when it's appropriate to
10 take the step and turn over to metric, but just exactly
11 when, that's kind of uncertain.

12 Keeping in mind the rather unusual situation in
13 the nuclear power industry, namely that there have been
14 no sales for some thing like the past 10 years or more
15 within this country, it's likely that there will be a few
16 more years like this, keeping in mind that because of
17 other circumstances the plants are being redesigned, some
18 of them from really, from the very beginning, like your
19 600 megawatt plant, wouldn't this might be an important
20 time, the type of time period that comes in maybe once in
21 every 40 or 50 years?

22 MR. MCINTYRE: There is certainly a lot to be
23 said for that and we were -- I guess I was talking to
24 Gary, Gary from EPRI and he said it's convenient because
25 we are in a hiatus right now in building our plants and

1 the AP600 is scheduled for certification in 1995, with a
2 five year construction. So you would be looking at,
3 possibly by the year 2000, actually having one of these
4 things operational.

5 I guess the question we have to go back to is
6 there going to be enough stuff to support actually
7 constructing the plant?

8 I look at it, Zoltan, I look at it from the
9 NSSS -- we really, I think the person who would have the
10 most effect is going to be the guy who does the BOP
11 stuff, the becquerels and the people like that because
12 they have to buy all the standard steel sizes, all the
13 standard nuts, bolts screws and all of that stuff that
14 you see -- which is a pretty small portion of the
15 physical plant.

16 There could be a lot to be said for doing it in
17 this time period.

18 MR. LARKINS: Comments, questions?

19 All right, Jack, could you give us the utility
20 perspective?

21 MR. BERGA: I will make the usual disclaimer, I
22 doubt that I can give the utility perspective. Just a few
23 words about what the EPRI program is and where it came
24 from. The Electric Power Research Institute of course is
25 an organization of the electric utilities and early in

1 this decade it became apparent to a group of utility
2 CEO's, utility nuclear CEO's that the nuclear power was
3 not an option for the future, so we began looking at how
4 we might try to make it an option again.

5 One of the things that we wanted to make sure
6 that came into the utility plants in the future was the
7 utilities perspective from the beginning and not just
8 buying a product off the shelf because they have been
9 largely not totally satisfied with what they had gotten
10 the first time around.

11 So, we also wanted to put some certainty in the
12 program. So this was the utility initiative to start to
13 advanced light water program. The reason it's a light
14 water program is because we made the assumption that a
15 utility executive would want to restart the option with
16 the type of plant that he had grown experienced with,
17 maybe he didn't love it, but he had grown experienced
18 with it, and building on that base of proven technology.

19 But among things we wanted to do was to make it
20 simple, make it easy to operate, make it easy to maintain
21 and of course, make it as cheap as we could, but not make
22 a fancy, complex machine.

23 We wanted something that if you-- you might
24 say, go back to a more conventional utility mode of
25 operation and one that required a special group.

1 So in that regard, we went out and we worked
2 with the supplying industry to see whether they would
3 help us write performance specifications for a machine
4 that fulfilled these goals, that would have technical
5 excellence, would have a lot of margin in it -- margin
6 against -- for safety, margin against investment.

7 We didn't want to have a thing that was doing
8 to be costly. I don't ever think we thought units was
9 very important when we started out this program. We were
10 really in some ways trying to down design a plant rather
11 than optimize design of plant.

12 We wanted to -- so I don't think units were
13 ever our problem. We were, as operators of nuclear plants
14 or in dealing with nuclear power plants, we were familiar
15 with the units that had been used in the past and never
16 thought that they were a problem.

17 Maybe they are. Jerry mentioned that these
18 plants are going to be around if we get them a long, long
19 time.

20 To tell you the truth, I don't think we have
21 ever thought about it, which units to use. In our
22 program, as Brian and I chatted in the hallway this
23 morning, we have never put any requirements on the
24 supplying industry folks who are working with us on
25 units.

1 Have we, Brian? So, I guess that was
2 considered a non-problem in the past and maybe it still
3 is in the future, I don't know.

4 What we are writing is what I sometimes call a
5 "buyer's guide." We are the buyers, the electric
6 utilities hopefully one day will be the buyers, but they
7 have to buy it from somebody and so whatever units it
8 comes in, I guess that's what we will buy, and Brian has
9 given you a little notice probably and us, unless
10 somebody forces the system somehow, it will probably
11 still be in English units.

12 We have at least seven overseas utilities
13 working with us on this program, and if they have ever
14 brought up the question of units, it's news to me. We
15 have Italy, Taiwan, Korea, Japan, England, France, all
16 having been involved in this program.

17 I don't think anybody is worried about the
18 units that we were discussing. Now we are writing
19 performance specifications, we are not designing
20 hardware. Brian and his folks and other folks like that
21 are designing the hardware.

22 The NRC is involved in this program because
23 they are reviewing what we think our performance
24 specifications are for their safety implications.

25 The DOE is involved in this program because

1 they are funding the certification of some of these
2 designs, through your licensing process.

3 So if, I guess to say we are probably the most
4 disinterested group in here right now in the sense that
5 if those government agencies are going to be the driving
6 force to change the unit system, then I guess the main
7 thing we are worried about is that somehow it doesn't
8 mess up our program or cause us to have to go longer or
9 cost us a lot of money.

10 I guess that's basically all I have to say.

11 MR. LARKINS: Jack, some of the reactor vendors
12 that are not marketing in the United States are overseas
13 vendors, and I know their designs are in metric. Is it
14 fair to assume then that utilities would be willing to
15 buy a design that was designed in metric?

16 MR. BERGA: Well, I think, what I said here, I
17 think we will have to design -- when a utility gets ready
18 to buy and whenever that is, I am not sure, they will
19 probably buy what's available and learn to use what's
20 available.

21 Our program, by the way, you do bring up a
22 point, our program has concentrated on the domestic
23 reactor suppliers and we have not considered any overseas
24 designs in our program, and our program is concentrated
25 on light water reactors.

1 MR. LARKINS: Any other questions for Jack?

2 CHAIRMAN ROSZTOCZY: Sorry, Jack. You
3 indicated that maybe you haven't even talked too much
4 about units because it just wasn't an issue.

5 Following up on the line of what we discussed
6 with Brian a few minutes ago, is this maybe a time when
7 utilities as a whole should give some thought to this of
8 what units should be used in the future and should they
9 do it together as opposed to each individually and if
10 they do it together, then what would be the proper forum
11 for this?

12 Would EPRI be something who would be doing this
13 or would you be looking more to NUMARC or some other
14 organization or other body?

15 MR. BERGA: Well, there are a whole bunch of
16 questions embedded in that statement, one of which was
17 should we do it together and of course, the answer to
18 that is obvious, yes, we probably should do it together.

19 Can we do it together, I don't think the answer
20 to that is quite so obvious. I am not so sure -- it's
21 probably easier for our organization which is writing
22 performance criteria, to -- all we have to do is rewrite
23 the paper, but those folks out there that have to supply
24 the hardware that goes against that paper probably have a
25 much harder time and I guess I don't think EPRI is the

1 right organization to take the lead on this.

2 I would presume from what I heard today that
3 the federal agencies one way or another are going to be
4 forced to take some kind of action in this regard, and I
5 guess we would hope that our response or that the
6 vendors' response to whatever that action is not onerous
7 and not costly.

8 But the basic question, as Brian mentioned
9 before from Gary -- yes, this is a good time to do it.
10 There are no orders, there is nothing under construction
11 right now. It would be a good time to do it.

12 MR. LARKINS: Thank you, Jack. Professor Ruby,
13 could we hear from you on your views on future plans
14 please.

15 DR. RUBY: Well, being the last on this panel
16 gives me an advantage and that is, I can if I choose,
17 pick on any or all of the preceding panelists and
18 actually the only one I want to single out is Mr.
19 McIntyre in this regard because as we used to say in the
20 Nixon administration, I have good news for you and I have
21 bad news for you.

22 The bad news is that you may think that you are
23 using English units to design modern reactors, but this
24 is not really strictly speaking correct, because you
25 would never dare to use British gallons or British miles

1 or British tons in any of your design calculations. They
2 don't match the currently accepted set of units in the
3 United States, which are called U.S. Customary but which
4 I would also prefer to call "U.S. Customary Hodge-Podge
5 Units" about which I will have more to say in the near
6 future.

7 But the good news is that I think that you are
8 undoubtedly the foremost expert on the most important
9 problem in metric conversion, which is that of
10 manufacturing and constructing in metric for an American
11 concern, and the questions of converting from one set of
12 units to the other or converting even from old metric
13 units to new metric units pale by comparison to the
14 problems of the engineer and constructor in getting the
15 job done once the design is completed.

16 I again also will say something about that.

17 To get back to the subject that I was supposed
18 to talk about, advanced reactors, advanced reactors are
19 of course part of the responsibility of the Nuclear
20 Regulatory Commission, and part of their responsibility
21 as regulators of a number of nuclear activities that
22 include advanced reactors, but also include many other
23 things.

24 Now, hearing what I have heard today and
25 looking at what I wrote before I came here, I must say

1 that fortunately I don't have to change my mind about
2 anything, but I am now much more appreciate the thinking
3 of regulators on how to cope with essentially a new law,
4 and the answer I think from their standpoint is to add
5 that amount of regulation which is the simplest that can
6 be done, consistent with complying with the law, at the
7 same time also with the overriding objective of
8 protecting the public, health and safety; and in
9 addition, making the new regulations fair to all.

10 So as a result of that kind of thinking, you
11 come out with one overall rulemaking guide which would
12 apply universally to all activities and therefore be fair
13 and would also take account of dates to the extent that
14 compliance with the Act is concerned.

15 From my standpoint however I look at other
16 objectives which are totally different from these, and
17 the first of these would involve implementing metric
18 conversion in the most expeditious manner possible, and
19 this is not consistent with uniform regulatory action
20 that would be the same for all programs because in some
21 programs it's going to be difficult and in some programs
22 it's going to be simple and if we don't want to get into
23 the World War II bind where you needed the goods overseas
24 as soon as you could get them there, but the convoy had
25 to adjust to its speed to take account of the slower

1 ships that made a part of it, then we don't want to get
2 into a situation where all programs are regulated at the
3 same rate.

4 Finally, I would like to maximize the economic
5 advantage of metric conversion for American industry,
6 because this, after all was the impetus that made the law
7 that made this meeting, and therefore I look for ways of
8 doing that and there I differ markedly in what the NRC
9 seems to want to attest to do which is to make
10 applications after a certain date in, required to be in
11 metric. This is only going to encourage soft conversion.

12 Instead I would divide NRC activities into
13 programs and to say for programs which involve
14 substantially new activities of the NRC, and that would
15 include advanced reactors and some others, notably,
16 probably the next one along the line would be high level
17 waste isolation.

18 Those new programs have necessary to be born in
19 metric and to me born in metric means total metric
20 regulation, every document having to do with not only
21 application, but design, safety verification, that means
22 codes, everything is going to be metric and I believe by
23 so doing, we would then give advanced notice to those
24 programs which still cannot spend a lot of money on
25 hardware that they should be changing their thinking.

1 Now with respect to the other activities that
2 aren't advanced reactors, I am in agreement with the
3 views that have been expressed so far on those activities
4 moreorless. I see no reason why environmental impact
5 reports or safety analysis reports or problem risk
6 assessments should have to be rewritten.

7 I had -- I see no reason why the regulatory
8 activities, the procedures that exist in plants today
9 cannot continue, perhaps to comply with the law, some new
10 activities such as relicensing or license amendments
11 ought to be framed in metric, but again, the opportunity
12 exists there for soft conversion which should not impact
13 too heavily on operating personnel.

14 I have the greatest regard for what responsible
15 plant people have to do to run the plant in a safe manner
16 and I wouldn't want to unnecessarily make their job any
17 harder than it is.

18 Nevertheless, I note that if a total conversion
19 for a new industry has to be undertaken as has been
20 mentioned here today, the automotive industry has done it
21 and so it can be done.

22 I also think that where conversion is cheap,
23 then and where it would even be readily accepted, such as
24 in those activities that are now largely metric, the
25 medical industry, academic and government reactors are

1 two good examples of those, it ought to be done with
2 speed and not wait for any kind of 1992 deadline.

3 The Act says, and these are the words put on by
4 the Congress, "industry in the United States is often at
5 a competitive disadvantaged when dealing in international
6 markets because of its nonstandard measurement system,
7 and is sometimes excluded when it is unable to deliver
8 goods which are measured in metric terms."

9 Well, that to me means that if advanced
10 reactors are going to be an outstanding product developed
11 in this country and saleable everywhere, then they ought
12 to be in international units from the very beginning and
13 when I hear that a Westinghouse licensee converted
14 everything from U.S. to metric before being manufactured
15 in Europe, I could understand why they choose to do that,
16 but I cried at the wasted effort that had to be
17 undertaken in order to get that kind of a job done.

18 Now why are we so interested in converting to
19 metric? Well, we have heard a lot of speakers already on
20 that situation, even I wrote something in Nuclear News
21 once about the advantages to advanced reactors if they
22 were in metric.

23 There is a case that can be made that I am not
24 going to belabor here, but certainly the SI units are
25 less ambiguous, more logical and inherently simpler than

1 the units we presently use, but from what I have seen,
2 presently use, unfortunately apply to the current
3 activities of the people in the business of designed
4 advanced reactors.

5 So let me show you what I mean. All reactors
6 tend to start out metric and that is because of the big
7 influence by physicists in designing the core.

8 Their traditions are basically metric. Here is
9 something out of a document on PRISM -- General Electric
10 advanced sodium cooled reactor, and what you see here is
11 largely metric units describing the core, with one
12 exception which is the unit right here, kilowatts per
13 foot which I will have more to comment on in a minute.

14 Now as soon as the heat transfer engineer gets
15 a hold of the core design they say it's a whole new ball
16 game and we see the kind of units referred to by Brian
17 McIntyre here as the ones we are the most at home with
18 in designing the rest of the energy recovery system and
19 those are what we usually refer to as U.S. customary
20 units, although these units are certainly not unique,
21 meaning that other units could still have been used for
22 many of these quantities, for many of these volumes and
23 they would still be considered to have customary units.

24 Okay, of course this all disappears under
25 metric and as it is now, these engineers have to interact

1 with the people who design the cores and when they come
2 to talk a common language, they sort of compromise a
3 little bit and that's why you see this strange unit of
4 kilowatts per foot for the specific power removal from
5 dual pin ~~down~~ here, but that's nothing new, that's is
6 the way it is done and it works this way, believe it or
7 not.

8 Okay, the situation even can be a little more
9 complicated than -- we get this question of coherent
10 versus noncoherent units, and in my paper as I referred
11 to it, incoherent units.

12 Here is something out of the Rockwell Advanced
13 Liquid Metal Reactor which has been cancelled by the
14 Department of Energy since this was written and they
15 again have, as you can see, largely the same kind of
16 units as you saw before, but here they identify something
17 as "little G's" which is the gravitational constant with
18 these units.

19 Unfortunately, the thing that they mean there
20 is that little G is not a gravitational constant and it
21 isn't even the acceleration of gravity, but instead it a
22 conversion constant to get you from incoherent to
23 coherent units and as Bob Nelson would say, this is the
24 number of poundals per pound force that somebody would
25 need to do that calculation.

1 That's okay, engineers understand this and this
2 is the way we now do business. But it isn't a very good
3 way of doing business because there are lots of
4 ambiguities that can creep into this system and the
5 possibility exists for error in many places where it is
6 needless.

7 I believe that the born in metric pronouncement
8 for advanced reactors, if it were to be made by the NRC
9 at an early stage would have the additional advantage of
10 causing an immediate change in the thinking of designers
11 in this country.

12 It would also have the effect of saving a
13 considerable amount of money that is going to be spent on
14 hardware sooner or later that will be made according to
15 the old units.

16 So this seems to be, it seems to me, to be an
17 opportune time to institute a change which everybody
18 admits is going to be made someday anyway, and once this
19 problem of then designing and manufacturing in metric is
20 met, which I believe is the central problem, we will be
21 well on our way to joining the world metric nuclear
22 community.

23 Thank you.

24 MR. LARKINS: Professor Ruby, one additional
25 question, what's your perception of the public's

1 understanding of nuclear safety and nuclear reactors if
2 the NRC starts talking to the public in metric units? DO
3 you see a problem there?

4 DR. RUBY: Well, I don't see a problem there
5 because the questions of safety that have arisen are not
6 one that are beclouded by their description in terms of
7 the units involved.

8 They are mainly sins of omission that have
9 occurred. The major accidents that have occurred have
10 been those which involved a large amount of human error
11 and this is certainly not a question of units.

12 In my district the most major nuclear event
13 recently was the discovery by the NRC that the sump which
14 is important in a loss of coolant accident in the Trojan
15 Power Plant has not been inspected and cleaned according
16 to the schedule which was certified by the plant
17 operators.

18 This is a very serious problem, and yet, you
19 know, you don't have to inspect and clean in anybody's
20 units, and so therefore, I don't think the public is
21 going to be upset.

22 The public wants to be assured that nuclear
23 plants are safe, at least what they consider safe to
24 operate, they would like a guarantee from a very vigilant
25 government that this is true and from the standpoint of

1 advanced reactors, I look there as a definite improvement
2 in the fact that such reactors should be much less prone
3 to operator error than that generation of reactors which
4 I now consider imminently safe that we are now using, and
5 therefore anything that I could help, to get advanced
6 reactors off the ground and into widespread use, seems to
7 me to be a good thing to be doing.

8 MR. LARKINS: Any other questions for Professor
9 Ruby?

10 MR. DiMEGLIO: Frank DiMeglio from the Rhode
11 Island Atomic Energy Commission. I would like to comment
12 on one comment that you made and that is that the NRC
13 should do those things which are easy and you selected as
14 one of the things that is easy a conversion of research,
15 university type research reactors.

16 I would like to just point out that they have
17 all been designed with inch pounds. The research going on
18 may use the metric system but a nuclear physicist
19 designing a spectrometer uses the inch pound system, so
20 they are probably not so easy to convert as you
21 suggested.

22 DR. RUBY: That is the subject of another panel
23 tomorrow and we certainly should get in on that and find
24 out whether or not it is true or false, that some
25 programs could be on an accelerated schedule toward

1 metric conversion or perhaps whether this idea is totally
2 impractical.

3 DR. NELSON: Dr. Ruby, could we see that last
4 slide you had again, please, I would like to make a
5 comment about that.

6 Many of these comments have been stated
7 informally during the break , but I would like to put
8 into the record the following observation and that is
9 that it's not simply a question of aesthetics in terms of
10 going to SI units.

11 There is a very real need to use SI because of
12 the precision that is involved. There is only one Joule
13 which is the unit of energy. It's a kilogram meter
14 squared per second squared or a Newton times a meter by
15 definition. There is no ambiguity involved in that.

16 But yet if you were to go to a handbook of
17 chemistry and physics or some other equivalent handbook,
18 you would find at least five different definitions of the
19 calorie.

20 You might find a similar set of definitions of
21 the Btu. The millimeter of mercury has an unbelievably
22 complex precise definition.

23 Do you know for example why you should reduce
24 the reading of an actual barometer to zero degrees
25 celsius in order to get a pressure in millimeters of

1 mercury?

2 The question of the definition of the pound
3 force, we are speaking of pounds per square inch, but the
4 pound force itself, although precisely defined cannot be
5 found precisely defined in much of the literature.

6 Now in this table there of Dr. Ruby's not only
7 are the units for this gravitational factor which takes
8 you from mass units into weight units have a funny set of
9 units there, foot pound mass per pound force seconds
10 squared, but notice the value given there, 32.2.

11 Now actually if somebody unfamiliar with the
12 history of that unit and I would venture most people
13 would not have taken the trouble to learn the history,
14 they might take that number to be literal and in fact,
15 that number is wrong.

16 In fact, that number cannot even be expressed
17 exactly. The numbers should be given as 9.80665 meters
18 per second squared divided by .3048 meters per foot
19 exactly, and that's an irrational number. It turns out to
20 be 32.17404856...

21 If an engineer used that number thinking it was
22 accurate, he would have made an error by 2.6 percent.

23 Now it's okay to have a mental picture of what
24 a pound force is supposed to be or what a millimeter of
25 mercury is supposed to be or what a calorie is supposed

1 to be and if one is only dealing with the size of a piece
2 of paper, or the mass of a calculator, one doesn't really
3 need to worry about such things.

4 But if you are dealing with precise scientific
5 measurements that are expressed to six significant
6 figures, you can't use a calorie because nobody knows
7 what a calorie is to six significant figures. In fact, if
8 the National Bureau of Standards and NIST now, were to
9 specify a value of a heat energy in calories, probably
10 they would be talking about the thermal chemical calorie
11 which is defined as 4.184 Joules exactly by convention,
12 in the same sense that the gravitational constant there
13 is given by some value there by convention.

14 So I would like to just reemphasize the fact
15 that it's not a question of aesthetics, it's a question
16 of precision.

17 DR. RUBY: Notice how careful our engineers have
18 been, he never uses the simple -- always pounds mass or
19 pound force because he knows, there is likely to be
20 confusion if he is not very specific, although what he
21 meant here -- this would be what Bob Nelson and I would
22 call the number of poundals per pound --

23 MR. LARKINS: Uri?

24 MR. GAT: Just a very small addition, Uri Gat.
25 I am sure no one has calculated the affect of 2.6 percent

1 difference in the numerical values on a 10 to -6, 10 to -
2 7, 10 to -8 probability in a PRA. My first guess would be
3 that there are cases where the difference would be 2.6
4 percent which is 10 to the fourth times larger than the
5 number we were trying to calculate.

6 MR. LARKINS: Zoltan?

7 CHAIRMAN ROSZTOCZY: I don't have a comment, I
8 am simply asking if we are finish with this session?

9 MR. LARKINS: Does anyone else want to make a
10 point on this particular subject?

11 (No response.)

12 CHAIRMAN ROSZTOCZY: Thank you. I think that was
13 a very informative session and in the meantime I see
14 three empty chairs here, so if those people if they are
15 here, please move here, we have John Larkins, Mr.
16 Stangler and Daniel Clark.

17 Our next session is approximately the same,
18 what we have just discussed for future reactors but this
19 time it is for the existing power plants, existing power
20 plants already have been designed in traditional units
21 and are operating in traditional units which somewhat
22 complicates the question of conversion.

23 I would like to ask John Larkins from NRC's
24 Nuclear Regulatory Office to give his introductory talk
25 and then introduce his speakers.

1 John?

2 MR. LARKINS: Thank you, Zoltan. Zoltan just
3 mentioned that I am from the Office of Nuclear Reactor
4 Regulation. The NRC is responsible for the licensing and
5 regulatory oversight of the nuclear reactors in the
6 civilian sector.

7 These include both the nuclear power reactors
8 operated by electric utilities and research and test
9 reactors such as those operated by various universities.

10 There are currently 111 reactors licensed to
11 operate at full power in the United States, plus one
12 facility with an operating license for less than full
13 power.

14 The licensing activities of NRR begin with the
15 extensive review given to applications for construction
16 permits and operating licensing for new reactors. The
17 NRC responsibilities includes the inspections from the
18 onset of plant construction throughout a facility's
19 eventual operating lifetime.

20 The NRC responsibilities also include the
21 examining of reactor operators and the issuing of
22 operator licenses, these include both initial licenses
23 for operators and requalification exams.

24 The purpose of my short discussion this
25 morning, this afternoon is to provide you with idea of

1 the options of the NRC that is considering in making
2 recommendations to the Commission for consideration of
3 implementing a policy on metrication.

4 The subject of metrication of nuclear power
5 plants is complex, with many technical, safety and
6 economic ramifications; however it seems that it is
7 inevitable that such a conversion will occur.

8 The NRC policy should consider diverse
9 viewpoints, preclude prejudice against metric goods and
10 services offered competitively , provide for public
11 involvement before final policy development and
12 implementation, and should not impose obstacles to
13 voluntary use of the metric system.

14 NRC recognizes that the implementation of the
15 metric system could in some case cause an undesirable
16 upheaval of the plant operating system and have
17 considerable potential for operator error and other
18 safety considerations.

19 The impact of conversion of the measuring
20 standards to the metric system on the plants that are
21 currently operating in the English system should be
22 assessed. The NRC is currently developing a policy on
23 plant life extension. The issue of metrication needs to
24 be addressed as part of this activity.

25 As you aware, as I mentioned, there are about

1 112 plants licensed to operate. My best estimate right
2 now is somewhere between 70 and 80 of these plants will
3 come in for plant life extensions for an additional 20
4 years or so. Should we consider this group as currently
5 existing, or as new licenses and is there a need to
6 require that these plants now switch over to the metric
7 system.

8 The question of how to handle the transition
9 period between 1990 and 1992 should be addressed. We are
10 supposed to be implementing some type of policy during
11 that time frame or at least providing some type of
12 guidance for a policy. Do we need to develop a transition
13 plan for this?

14 Is it desirable to have a period of time when
15 you have dual units to make a change from the English
16 system to the metric system.

17 After operations begin, both routine -- power
18 plant facility, both routine activities and unexpected
19 events at these facilities can result in the need for
20 licensing actions on the part of the NRC. Routine post
21 licensing activities affecting the reactor operations
22 include license amendment requests and any related public
23 hearings, request for exemptions from regulations, new
24 regulations requiring backfit modifications to operating
25 reactors, orders for modification of a license, new

1 generic activities, petitions for actions under 10 CFR
2 2.206 by members of the public, or review of information
3 supplied by a licensee for the resolution of technical
4 issues.

5 During FY 1989 the NRC received roughly --
6 undertook 3,000 licensing actions. Of that, three-
7 fourths of those were initiated by licensees for some
8 type of change in their plant which we had to review.

9 Conversion to the metric system would have an
10 impact on a large fraction of these and reviewing the
11 merits, either by us or by the licensee.

12 The question of how will the industry handle
13 all the various detailed operations that occur in the
14 plan such as obtaining spare parts, replacing existing
15 hardware, making modifications and reporting to NRC need
16 to be addressed in a metrication policy.

17 In order to fully explore the ramifications of
18 implementing the metric system in the nuclear power
19 plants, certain areas must be explored with the licensee
20 and the public to assess the impact: safety as well as
21 operational and financial of the implementation of the
22 metric system.

23 Towards this objective I have posed a series of
24 questions that I think some have already been addressed
25 and some we might, we would like to address during this

1 session.

2 These are the existing conditions currently. I
3 think the slides are out of order.

4 Okay, what's the economic impact of converting
5 from the English system to the Metric system in the
6 following areas:

7 Maintenance; reworking simulators; training
8 personnel and licensing organizations; owning and
9 operating plants built and constructed; replacement of
10 parts.

11 Let's go on to the next one. How is the
12 industry planning to implement the program to convert
13 from English to metric in the following areas:

14 Should we do something in the area of
15 instrumentation? This is a question that came up this
16 morning for currently operating plants.

17 I mentioned that there are about 3,000
18 submittals that come into the agency just in the area of
19 licensing actions, not including things like topical
20 reports.

21 Obtaining spare parts, there is a problem. As I
22 understand right now, just being able to keep certain
23 vendors alive and providing parts for the industry's
24 current operations; replacement components; extension of
25 current operating license, I mentioned in the area of

1 plant life extension, we are currently developing a
2 policy in this area and as a matter of fact, there is a
3 three day meeting going on right now discussing this
4 subject.

5 How we do handle decommissioning? I think
6 decommissioning is probably less of an issue in most
7 cases, but it's something that should be looked at also.

8 Last slide. What would be the safety
9 implications in making the conversion from English to
10 metric? What impact would it have on operations?

11 Operators who have been operating plants for 10
12 to 15 years who saw a change in the instrumentation in
13 the plant, could have a negative impact on their
14 response.

15 If a licensee developed or bought a new plant
16 that was operated in metric, and you had an engineering
17 group which was trained in English units and now we are
18 starting to have the engineering support service both
19 plants, could this potentially be a problem?

20 Operator testing and certification: obviously,
21 if we switch over from English units to metric, we will
22 need to start testing the requalification in the
23 different units.

24 I think I will leave off with these questions
25 and allow time for others to think about and respond.

1 Thank you.

2 MR LARKINS: The next speaker in this session
3 is Daniel --

4 VOICE: He is not here, John.

5 MR. LARKINS: Okay, is there a substitute? What
6 about Bob Hall from Duke Power?

7 VOICE: He is here.

8 MR. LARKINS: Okay.

9 MR. HALL: I am going to deviate from my
10 prepared text for a minute. I think after discussion this
11 morning, it's important to give you some background over
12 what I am going to cover.

13 My perspective is going to be a little
14 different, and it's not going to be specifically related
15 to nuclear plants. It is going to involve metric.

16 First of all, I think it's important to
17 understand my position. I am the Engineering Project
18 Manager at the Bad Creek Pump Storage Project and I guess
19 the differences I see there, I am the one who has to
20 take, I guess, the theory, the text, the codes and the
21 standards and that team that works with me, convert them
22 to specifications, procurement specifications, design
23 specifications, buy all the equipment that goes into the
24 plant, issue all the drawings that go into the plant, buy
25 all the commodities that go into the plant, the steel,

1 the pipes, the block, rebarring, trade, cable, and then
2 go down to the plant and make sure that's put in right,
3 working with our construction department.

4 So that will be the perspective this is coming
5 from.

6 First of all, I would like to say that I
7 appreciate the opportunity to share with you Duke Power
8 Company's experience with the design, construction and
9 design of the Bad Creek Pump Storage Project.

10 This is a 1065 megawatt facility which since
11 its inception has utilized SI or metric system. While
12 Bad Creek is not a nuclear facility, it shares many of
13 the same types of equipment, structures and operating
14 interfaces as nuclear plants.

15 There are lessons to be learned of this
16 application of the metric and hopefully, these lessons
17 will assist NRC in appropriate implementation of the
18 Omnibus Trade and Competitiveness Act of 1988.

19 Duke Power Company's active interest in metric
20 conversion dates back to the early 1970's. This interest
21 has resulted in Duke Power Company's membership on the
22 Metrication Committee and the American National Metric
23 Council for many years. The planning process for Bad
24 Creek coincided with this interest and in 1976, the
25 decision was made with concurrence of the turbine vendor

1 to provide a metric product, to proceed with a metric
2 plant design to the extent practical.

3 When this decision was made it was anticipated
4 that the United States transition to the metric system
5 was imminent, that Bad Creek was evaluated as an
6 appropriate starting point and pilot application for Duke
7 Power Company.

8 The project was subsequently delayed for
9 several years and restarted in 1984, the tough decision
10 was made. While the United States' conversion to metric
11 had substantially slowed; Bad Creek design proceeded to
12 the point that it was schedule and cost effective for the
13 majority of the electrical, mechanical and structural
14 portions of the project to proceed, utilizing a metric
15 design to the extent the marketplace was prepared to
16 support it.

17 Drawings, procurement specifications, design
18 specifications and start up and testing and operating
19 procedures have been prepared utilizing metric or SI
20 units.

21 Suppliers have been encouraged to provide hard
22 metric designs in associated documentation, utilizing
23 metric units to the extent practical within a bid
24 competitive bid environment.

25 Currently the project is nearing completion

1 with most design documents issued. Construction is
2 active and plant operations are just starting now. As we
3 look back, our experience does fall short of our 1976 and
4 1984 expectations. We have learned that a metric plant
5 can be designed, constructed and operated, with without
6 the consistency, precision and accuracy that we desire.

7 We learned from our internal interfaces that
8 while a metric design is achievable, there are obstacles
9 to overcome. Training and defining a consistent
10 philosophy for implementing the metric is not difficult.
11 Implementing this training and philosophy into a
12 consistent hard metric design is a challenge, employee
13 acceptance takes time.

14 Even with employee acceptance, there is a
15 lengthy period of time required to start thinking metric
16 without constant conversion. Once acceptance and comfort
17 with metrics is obtained, the implementation of commonly
18 used codes and standards, many of which only exist in
19 English or common units, into a "hard" metric product
20 becomes the next and the most difficult challenge.
21 Emphasis on a hard metric design has to be ongoing to be
22 successful, and document and consistency monitoring are
23 essential.

24 As personnel become familiar with the metric
25 system, drawing productivity does improve. Dimensioning

1 is faster and easier than with the English inch pound or
2 U.S. customary system, and computed aided drafting
3 packages that we use do support metric.

4 We cannot consistently achieve supporting
5 documentation and calculations in metric. Most of our
6 analytical codes, references and other resource data are
7 only available in customary system. Constant conversion
8 in the body of the calculation is impractical and
9 increases the opportunity for errors, as a result, even
10 though we have good intent to achieve hard metric
11 calculations, this practically has not been achievable.

12 We learned from our suppliers that: that while
13 major suppliers, even those committed to the metric
14 system through international trade are certainly capable
15 of providing drawings utilizing metric units, the result
16 actual projects are hybrid customary, English inch pound,
17 metric SI designs based upon limitations of machine
18 tooling, subsupplier availability and even lack of metric
19 acceptance by their engineers and designers.

20 We have observed, it's not uncommon for a
21 supplier's design to be initiated in customary units,
22 converted to metric units in fabrication or shop drawings
23 and then converted back to customary units in the
24 manufacturing process itself, two conversions.

25 Procurement specifications have to utilize dual

1 customary/metric units. It became apparent at the onset
2 that many of our traditional U.S. suppliers and their
3 representatives are not familiar enough with metric to
4 reliably bid on specifications utilizing only metric
5 units.

6 Hard metric products either do not exist or if
7 they do they are limited suppliers and associated
8 economic penalties. With few exceptions, our domestic
9 suppliers have proposed conventional products supplying
10 drawings with soft conversions to metric units.

11 Supplier drawing quality has suffered. While
12 many suppliers provide drawings with accurate metric
13 dimensions, there are enough suppliers that have problem
14 with metric dimensioning that detailed dimensional
15 checking of supplier drawings is required. We do find
16 dimensional errors attributable to metric conversion.

17 Fabricator acceptance of metric is widely
18 varied. Some fabricators, even smaller ones, accustomed
19 to dealing in the international marketplace have adapted
20 well without any difficulty. Most fabricators
21 consistently convert our documents from metric to
22 customary units in performing their work. Close
23 monitoring of their work is required to avoid cumulative
24 dimensional inaccuracies as a result of conversion.

25 We learned during construction that with all

1 the aforementioned potential problems fewer than expected
2 errors are attributable to metric problems. Those that
3 have occurred have been aggravating but small and
4 primarily due to the confusion between dimensional
5 systems.

6 A supplier interpreted a 38mm thick washer to
7 be three-eighths inch. Our construction personnel
8 interpreted an erection tolerance to in millimeters
9 rather than mils. Some dimensional inconsistencies between
10 drawings and equipment supplied have shown up as fit up
11 problems in the field.

12 Round off errors used during conversion
13 continue to a minor but constant aggravation. More than a
14 normal effort has been require to establish consistent
15 dimensional and conversion standards for nonmetric bulk
16 items such as block and piping.

17 Overall, while our craft worker still struggle
18 in their acceptance of metric, they have excelled in
19 implementation, but I thin it is primarily through their
20 determination to make it work. There have not been any
21 delays or significant problems attributed to the metric
22 design.

23 While we are early into our operating
24 experience there are some interesting lessons.

25 Midway in the project we revisited operator

1 interface, response time and split second accuracy were
2 critical. Should we proceed with metric instruction and
3 plant control systems as planned or revert back to
4 customary units?

5 It became apparent that with the extent of
6 metric plant documentation, the consistency of a metric
7 operator interface is more important than the training
8 and cultural change required to accept metric. We have
9 proceeded with metric instrumentation and controls.

10 What have we learned? Metric plants can be
11 built, but with minimal real metric content. The
12 marketplace simply does not support metric plants. The
13 codes, standards, products and suppliers do not exist in
14 the utility market segment. Consistency, especially in
15 codes and standards and reference material is important.

16 We can deal well with either metric or
17 customary dimensional systems, but we have difficulties
18 when we try to mix both.

19 What is our next step? Our recently announced
20 combustion turbine project is proceeding with customary
21 units consistent with our major suppliers' product.

22 This is the reality of the marketplace as we
23 see it. From our experience we have not been able to
24 identify the multitude of metric suppliers, fabricators,
25 codes and standards and associated references required to

1 support successful metric implementation of a product as
2 large as a power plant.

3 We do recognize that the acceptance of
4 consistent codes and standards is essential the United
5 States competitiveness in world trade. We continue to
6 support an orderly and cost effective transition to
7 metric.

8 We have learned that the marketplace, not our
9 good intent, will drive that transition. Conversion will
10 appropriately be implemented in much narrower market
11 segments than ours.

12 Capital intensive market segments such as the
13 utility industry will probably be among the last to
14 convert. When narrower market segment conversion happens
15 and overall availability of products, services, codes and
16 standards, indicate that conversion to metric is our
17 ratepayers' and stockholders' best interest, we will make
18 the metric transition.

19 In simple terms, summarizing I guess my
20 company's position, specifically addressing nuclear power
21 plants, the metric system should certainly not be
22 retrofitted into existing plants, nor it is a proper time
23 to mandate metric into near term future designs.

24 That's the end of my prepared presentation. I
25 guess whenever appropriate, I would be happy to answer

1 any questions.

2 MR. LARKINS: Our next speaker is Thomas Donoho
3 from Baltimore Gas and Electric.

4 MR. DONOHO: Thank you. A while back I came
5 across a friend of mine who was working on his car and I
6 am afraid that the language that he was using, the
7 adjectives, adverbs and participles describing metrics
8 were not quite as pleasant as those I heard here today,
9 but I enjoy dumping a little gasoline on fires when it's
10 appropriate, so I asked him whether he was aware of the
11 fact that the recently passed Omnibus Trade Act in 1988
12 included a section on metric usage?

13 That was about as far as I got with that
14 because he obviously remembered back to the false starts
15 of the Metric Conversion Act of '75 and he gave me a
16 sarcastic, well, here, we go again with the metric road
17 signs.

18 By this time I was beginning to enjoy myself so
19 I told him that this was not the same ball game, that the
20 new Act did not include the word "voluntary," as the Act
21 of '75 did and I went on to outline for him the
22 requirements of the federal agency for which we are
23 discussing today.

24 He gave me a dirty look, but then he thought
25 for a moment and he said, well, this doesn't mean

1 anything to you, you utility guys have it made, you
2 already sell your product to the Federal Government in
3 metric units.

4 Here again he was wrong because the kilowatt
5 hour is not a metric unit, even though I am sure it will
6 be usage for many, many years to come.

7 But obviously my friend was thinking about the
8 direct impact of the Act and quite frankly at that point
9 so was I, and to an extent I agreed with him. I come from
10 the transmission and distribution side of the business
11 and for us, we have got a huge embedded plant out there
12 and quite frankly, the activities of the federal
13 agencies, I don't think are going to have near term
14 effect on us in those areas.

15 Certainly, as far as our nuclear plants are
16 concerned, I am now well aware of the fact that we are
17 going to see some significant impact.

18 But even at that time, my feeling was that the
19 indirect impact is going to be far greater not only on
20 the utilities, but on the country in general, that the
21 direct impact.

22 When the largest buyer in the world decides
23 that it wants to buy in metric quantities, that is going
24 to have a tremendous impact on nongovernment buyers not
25 long thereafter, maybe not in 1992 or 1993, but I do

1 believe that not too far down the road, that we are going
2 to have a situation where we are going to go to a
3 manufacturer to buy a customary motor and the
4 manufacturer is going to say I am currently on a
5 production run, 50,000 motors for the Department of
6 Defense, I am tooled up in metric, you want one in
7 customary units. If I will design and build it for you at
8 all it's going to be at a healthy premium.

9 What the timing on this will be, I really don't
10 know, but I really think that down the road, that this is
11 going to be the big impact on our industry and I include
12 the nuclear aspects as well, and I think the trickle down
13 effects of this on our social issues will probably be
14 significant, and I think our population over a period of
15 time will become acclimated to metrics and some of the
16 conversion problems that we have discussed today will no
17 longer be significant.

18 I offer these comments because I feel that the
19 NRC is going to be considering a far larger picture than
20 simply compliance with the Act as regards metric
21 conversion.

22 First, there is the Commission's own interest
23 in improving the safety and efficiency of the industry it
24 regulates.

25 Secondly, the nuclear power industry itself is

1 always concerned about safety, economics and
2 technological improvement; but behind all of this must be
3 due consideration of what is happening with all the
4 interfacing elements.

5 I think any action contemplated must deal with
6 all of these factors. This afternoon I am going to use a
7 pair of terms that have been used a number of times
8 already today, hard and soft conversion.

9 I want to take them a little bit further than
10 they were taken earlier. Soft conversion to me denotes
11 design in customary units followed by an exact
12 mathematical conversion to the equivalent metric units.

13 Hard conversion, again to me, involves design
14 in metric units with the establishment of standard metric
15 links, pressures, et cetera, which may or may not be
16 exact equivalents of the customary standards.

17 An example of this might be the selection in
18 customary units of a one inch widget, for this the
19 supplier might make available a soft converted 25.4
20 millimeter widget but if his stock of widgets consisted
21 solely of rationalized metric standard sizes, he might
22 respond, we have a choice in this range of either 20, 25
23 or 30 millimeter widgets.

24 25.0 seems very close to 25.4, but is it an
25 acceptable equivalent for the purposes at hand? If it is

1 what about the new widgets other qualities, has it an
2 equivalent alloy, heat treatment, even color? There
3 times when color is significant to us, most of the time
4 it's not, but there are times when it is very significant
5 to us.

6 So it's not simply the equivalency of the
7 length measurement that we have to consider. At this
8 point I would like to digress slightly in connection with
9 what I have just been saying.

10 A number of times today we have talked about
11 dual units, parenthetical units and so on. I think today
12 that is a very comfortable way of handling things, but 10
13 years from now this may result in some real problems for
14 us. IF we see dual or parenthetical units 10 years from
15 now, to go back to Oscar's point earlier, I hope we have
16 somebody who is looking at these who understands the
17 significance of them.

18 Are we looking strictly at a soft conversion, a
19 pure mathematical conversion or are we looking at
20 something that was originally designed in customary units
21 and for which we now are showing the standard metric
22 equivalent? Or do we have something that was design in
23 metric and now we are showing a standard, a hard
24 customary equivalent? I think this is something that we
25 need to concern ourselves with.

1 If we are going to require dual units, then I
2 think we need to have an understanding of what the rules
3 are, applying to these specifications.

4 I have been talking about equivalent widgets
5 and I think that the issue of equivalency is critical to
6 the issue of conversion of existing nuclear power plants
7 to the metric system.

8 Electric utilities are subject to industry
9 codes and standards, as well as governmental regulations
10 and laws in many areas of their operations, and in the
11 nonnuclear areas, compliance with most of these is
12 essentially self-administered.

13 Selection of an oil circuit breaker or an air
14 break switch for distribution substation applications is
15 made by a utility engineer based on his knowledge of both
16 the application and also the fact that the manufacturer
17 has recognized in his design the appropriate codes and
18 standards.

19 If that piece of equipment eventually needs to
20 be replaced and a soft metric equivalent is offered,
21 review of the specs would be cursory. We would take a
22 quick look, we know it's the equivalent and we have no
23 problem, we make the decision that we are going to use
24 the soft metric equivalent.

25 If only a range of hard metric replacements is

1 available, the equivalency review would be more detailed,
2 but still within the purview of the engineer's judgment.

3 Costs associated with the conversion analysis
4 would be minimal. The rules become drastically more
5 stringent though when applied to a nuclear power plant,
6 whether the metric conversion results from replacement of
7 a single item or a planned retrofitting program.

8 Current licenses are based on technical specs
9 written basically in customary units. Any programmed
10 conversion of existing functions to metric presumably
11 would require equivalency analyses, rewriting the
12 specifications and possibly relicensing. Any benefits
13 realized by the conversion would appear to be far
14 outweighed by the costs, certainly contrary to the
15 economic objectives of the Act.

16 Now what I am talking about here is essentially
17 run of the mill replacements, the hundreds of thousands
18 of common items that we have in the plants, not major
19 custom items, but for the run of the mill items, the
20 fasteners, the motors, the pumps, the piping, the
21 standard piping, replacement of an individual item of
22 equipment with a metrically specified equivalent would
23 presumably required a formal equivalency analysis and
24 certificate of compliance.

25 If an identical customary replacement were

1 readily available, conversion costs generally could not
2 be justified, but even if costs are ignored, acceptance
3 of a metric replacement would require consideration which
4 has been touched on earlier, of operating mixed metric
5 and customary units in the same plant.

6 Even if we were able to convert all similar
7 units in one unit of a multi-unit plant, we would have
8 the potential for similar concerns, safety, operating
9 concerns.

10 However, despite what I have just said, over a
11 period of time, as the objectives of the act are
12 achieved, with suppliers becoming oriented to a metric
13 market, I think that customary and soft metric
14 replacements will be less and less available and as this
15 occurs, then economic and operating considerations no
16 longer control, the conversion of necessity must come
17 about.

18 I believe this imbalance sizeable resources
19 requirements versus questionable technical gains applies
20 to conversion of most activities of existing plants.

21 However, consideration should certainly be
22 given to possible conversion in the areas of chemistry
23 and radiation safety. Here the associated costs, while
24 still considerable, may not be overwhelming, and
25 conversely, the benefits may be more significant.

1 Waste management would be a logical function
2 for conversion. The presumption that any new nuclear
3 plants would be metric, leads logically to the
4 presumption that all off site handling of rad waste would
5 be in metric units.

6 A change for existing plants would seem to have
7 minimal impact.

8 Use of metric radiation units in the area of
9 emergency preparedness would appear to be very feasible.
10 Today's values of absorbed dose and dose equivalent as
11 has been said several times a day, would require only a
12 decimal adjustment, not the application of a constant, to
13 be expressed in metric Grays and Sieverts.

14 The agencies which would use this information
15 would find expression or releases in doses in metric
16 units to be of value and certainly those terms could be
17 provided.

18 Whether conversion to metric radiation units
19 would enhance or hinder public understanding to me is a
20 moot point.

21 I personally don't feel that the general public
22 has any interest in any mathematical expression of
23 radiation, as compared to a very simple subjective,
24 dangerous or not very dangerous.

25 In conclusion, while I see many disadvantages

1 to a program conversion of most activities of existing
2 nuclear power plants, I feel that a continuing monitoring
3 and evaluation program must be maintained.

4 Over time opportunities will appear and
5 problems will disappear. The inherent advantages of the
6 International System of Units will in my opinion be
7 rapidly accepted, particularly in technical areas. This
8 will change many things from the way we see them today.

9 We must be prepared to recognize these changes
10 and to turn them to our advantage whenever safety,
11 operating and economic gains can be realized from metric
12 conversion.

13 Thank you.

14 MR. LARKINS: Thank you very much. I think Joe
15 Colvin, is he here?

16 MR. PRICE: Joe is not here but I am
17 substituting for him. I don't have any formal
18 presentation at point. I stand by his previous statement
19 that present reactors are both inefficient and
20 ineffective, to convert those --

21 Sorry, I will speak again, I am repeating Joe
22 Colvin's previous comment earlier today, that conversion
23 of existing power plants, existing nuclear power plants
24 to the metric, the SI system, is both ineffective and
25 inefficient for meeting the intent of the Act.

1 I am here to answer any questions.

2 MR. LARKINS: Thank you, Tom. I will open up
3 the floor for questions. Maybe, in that light, I ought to
4 ask you a question, Tom, since you are not going to stand
5 up here and give a presentation.

6 The statements about you made about existing
7 plants, what about for those plants which are in for
8 plant license renewal, where we are talking about
9 operating them for another two decades, 20 years or so,
10 where we have a national policy in place to move towards
11 metrication.

12 Shouldn't we at some point start thinking about
13 converting those plants?

14 MR. PRICE: I think the answer to that question
15 from my point of view, again, I am not sure I can answer
16 for all of the U.S. utility market, but I think you have
17 to look at those power plants as if they -- we have used
18 the expression in life extension in the licensing
19 process, setting aside the metric conversion for a
20 minute, used the expression that operating the nuclear
21 power plant on a day 40 years in one day, is pretty much
22 the same thing as operating the power plant 39 years and
23 364 days.

24 To tell a power plant that its equipment and
25 its operators and its tech specs and its documentation

1 and its notification of all of the things that it does or
2 wants to change its way of doing to both the NRC and all
3 of the state regulators that it goes through is, as I
4 said, certainly inefficient and ineffective from day one
5 to day 40 if it's already operating, from year one to
6 year 40 if it's already operating, and I suggest that to
7 extend the life of that plant for another 20 years will
8 not change the pattern of converting to the metric system
9 for the United States, especially in its competitive
10 market overseas and that we are much better off leaving
11 that plant to run, just like you maintain an automobile,
12 even though it might not use the same set of systems of
13 weights and measures that the market has today, it still
14 runs just as well.

15 MR. LARKINS: Thank you. Mr. Hall, I thought it
16 was a very interesting presentation on the Bad Creek
17 project. I was curious, you sort of imply that it was not
18 too much of a problem with you craft people or your
19 support people in making the conversion, is that a fair
20 interpretation?

21 My questions leads up to the point if you are -
22 - the future for nuclear power, and we start building new
23 plants in the metric system, and we have existing
24 facilities in English units, do you see this as being a
25 problem maintaining engineering support for two different

1 types of -- plants of differing units.

2 MR. HALL: I am going to say it is a
3 significant problem. We do it now at Duke with I guess
4 nuclear plants, we deal with Bad Creek and we are doing
5 it now and it hasn't presented a problem. We do have
6 crews that move back and forth between Bad Creek and
7 other projects and it hasn't been a problem or a
8 significant problem.

9 I may have mislead you a little bit, not
10 intentionally, with the statement concerning our craft
11 people. They are having a very difficult time in dealing
12 with metric. It hasn't slowed them up too significantly.
13 It hasn't affected quality too much.

14 We still have a large segment of those workers
15 who I guess will regularly bring in their feed inch tapes
16 and make conversions to do that work in that plant,
17 although we issue them metric tapes and we encourage them
18 to use those tapes. It's an ongoing situation. It's hard
19 to draw any conclusions.

20 We have a certain segment that accept and a
21 certain segment that do not and that's just where we are
22 at. But the bottom line is we are dealing with it, and
23 we do encourage them to continue to utilize metric in
24 their work.

25 Their drawings are metric, there is no point in

1 them converting, they have all the tools it takes to do
2 that work in metric, but there is a built in resistance,
3 yes.

4 MR. LARKINS: Thank you, Brian?

5 MR. RICHTER: I am Brian Richter with the NRC,
6 and I have a question for Mr. Hall. What sort of
7 experience does Duke Power have with respect to costs by
8 having gone with metric at Bad Creek as opposed to
9 English units?

10 MR. HALL: Addressing equipment procurement?

11 MR. RICHTER: Correct.

12 MR. HALL: We exist entirely in a competitive
13 bid environment and to be quite honest, the people who
14 were usually low bid were those who brought in their
15 common product, converted to metric dimensions. We did
16 not pay any additional costs for metric products. We did
17 look at some such as instrumentation tubing,
18 instrumentation fittings and items that were available in
19 metric, there were some additional costs there.

20 We did not elect to pay that, probably for even
21 a stronger reason though, that we keep a large central
22 inventory of those materials and you reach that hard
23 decision point, am I going to buy 200 of one item when I
24 have a stock of 2,000 over here and I need a replacement
25 long term, and that was a tough decision, so we made a

1 decision to go ahead with conventional bidding sizes, but
2 we did see some premiums for metric products, yes, we did
3 not pay those.

4 Again, this is the dilemma we are in, I think
5 from an advocacy standpoint, we would have liked to have
6 pursued perhaps some of those metrics products where they
7 were available, which were very few further, but I guess
8 our obligation to our shareholders and ratepayers takes
9 over too and that's the balance that we are faced with.

10 We have to answer to them, especially when you
11 look at prudency hearings.

12 Yes, sir?

13 DR. RUBY: Where you interact with the external
14 world, because this is not a nuclear plant, is in your
15 environmental emissions, and there do, you find that the
16 state wants to regulate you in U.S. customer units and
17 check these emissions in U.S. customary units?

18 MR. HALL: Again, for the sake of brevity, I
19 perhaps did not break down our plant segments as much as
20 I should have, it actually exists. I guess there are two
21 different entities of that plant. All of the underground
22 work of the plant, the power producing segment is metric.

23 All the above ground part, where we have to
24 interface with the FERC was done in the English or the
25 U.S. customary units.

1 So that part, we did interface in inch pound or
2 customary units.

3 I will say that we did submit a number of our
4 internal drawings of the plant to the state agencies for
5 things that I -- perhaps to you gentlemen are minor
6 permits, but to us are large permits, waste water
7 treatment, drinking water permits and items like that,
8 were submitted to state agencies in metric units and I
9 don't recall much discussion on that. They seemed to
10 accept them fairly well. It was not an impediment to us
11 at all.

12 MR. LARKINS: Other questions? Uri?

13 MR. GAT: Uri Gat, Tom Donoho mentioned that
14 the kilowatt hour is not in what we call a metric SI
15 unit. I might mention that several others today and Jerry
16 Wilson specifically mentioned that the SI that NRC
17 intends to go to is the International System of Units as
18 modified for U.S. usage by the Secretary of Commerce.

19 This is a problem that should not be
20 underestimated. What is that thing, unless NRC would have
21 to define that more than that because to the best of my
22 knowledge, there is no place where the SI is defined as
23 modified by the Secretary of Commerce, specifically the
24 kilowatt hour is a good example

25 It's a unit that in all the official documents

1 appears as a unit in use temporarily with SI, it's
2 definitely permitted for use if you go permanently
3 because a kilowatt is a unit, an SI unit without question
4 and the hour is a unit for indefinite use with SI.

5 If that uncertainty is introduced at this time,
6 this will make for some reluctance into a system that may
7 be undefined.

8 So I guess my question is to NRC what is this
9 modified SI as modified by the Secretary of Commerce,
10 that they intend to go, and I might point that for
11 instance DOD has defined that the ASTM is 380, I believe
12 I am correct, John, right?

13 And several other agencies have also defined it
14 as such.

15 CHAIRMAN ROSZTOCZY: Jim, would you like to
16 comment on this, Jim, McCracken?

17 MR. MCCRACKEN: At this point, excuse me, Jim
18 McCracken, we do have a standard, there is a federal
19 standard, 376A which does define a certain number of
20 units. We have sought government input to update it and
21 list units that have specific requirements within
22 government operations.

23 We are reviewing whether or not the ASTM E380
24 might replace it, but at this point, if there are units
25 that need -- I have made a note before because there was

1 mention made when the SP330 was put out John came up and
2 made the comment about a Federal Register notice.

3 Truly there is no, as of today, federal
4 standard or federal document that clearly defines the
5 metric system up through the latest change which was the
6 change defining the meter to the wave length of light
7 through a vacuum. There has been no updated change.

8 So that's something that we are going to have
9 to be dealing with and I guess to specifically answer
10 your question in a way, Uri, the Department of Commerce
11 through the National Bureau of Standards or NIST as it is
12 now known, when it puts out another Federal Register
13 notice or issues a subsequent publication, would define
14 as many units as are existing in the Systeme de
15 Internationale of Units, the international system of
16 units, and that would be the unit, the metric system as
17 "modified" by the Secretary of Commerce.

18 At this point there is no particular
19 modification that I am aware of. We are accepting the
20 units as are supported by the International Bureau of
21 Weights and Measures.

22 CHAIRMAN ROSZTOCZY: Do I understand correctly,
23 Jim, that the idea would be that in the future if the
24 U.S. would accept new standards then it would be done
25 through the Bureau of Standards, used to be the Bureau of

1 Standards and endorsed by the commerce secretary which
2 would make it official?

3 MR. McCracken: Agreed. The only -- the
4 Secretary of Commerce would be the person, but it would
5 really be done through the National Bureau of Standards
6 of the NIST.

7 MR. LARKINS: Bob?

8 MR. HALL: John, Bob Hall again, Duke Power
9 Company. I would appreciate the opportunity to follow up
10 on your earlier questions preceding our discussion, and
11 would like to make it clear.

12 We at Duke Power see the issue of, I guess what
13 I call operating plants and future plants in
14 significantly different perspectives.

15 I think and would like to make it clear, we see
16 that existing plants are entities that have been build
17 using common units. We have operated them for years using
18 common units, going back 20 years, our operators are
19 familiar with that, our tooling is geared up to that, our
20 procedures are geared up to that.

21 I guess the amount of paper boggles my
22 imagination when I think of what's gone into that as far
23 as design documents, calculations, specifications and all
24 of the products that go into that.

25 I just do not feel that that is the proper

1 focus for conversion. That's going to be expensive and
2 that's cost is going to be passed on to our ratepayer and
3 I don't just don't view that as appropriate and I don't
4 think it's going to change I guess where this country is
5 going as far a metric conversion.

6 I think the analogy if an existing car is very
7 good. Future plants, I know we are having a difficult
8 time getting our arms around what to do with those, but I
9 think those are the appropriate targets, if you are going
10 to have an effective policy for conversion.

11 Those are entities we have not paid out capital
12 costs for. Those are entities we do not have to go back
13 and pay to convert. So I don't know how Tom is going to
14 get his perspective, I think he spoke it, but I guess the
15 degree of consideration of existing plants here today so
16 far is Bob and me at least from the utility perspective,
17 just as even being considered to the extent it has been.

18 MR. LARKINS: Zoltan?

19 CHAIRMAN ROSZTOCZY: I would like to follow up a
20 little bit along these lines with a somewhat different
21 question. I know you probably don't know the answer, but
22 I would be interested in your ideas or speculation on
23 this.

24 Let's assume that Duke Power has a nuclear
25 facility operating somewhere, whether it's one units, two

1 units, doesn't really matter, and let's assume that they
2 select that site for development of new nuclear plants on
3 the same site. So they come in and they get an approval
4 for a site application and they can put four more units
5 on that site.

6 Let us assume by the time they ordered those
7 units those are metric units, so here would now be a site
8 which has the two currently existing conventional units
9 plants and they know that they are going to build four
10 more plants there and those are going to be metric.

11 In looking out into the future, what would be
12 Duke Power's approach to how to eventually convert to
13 metric? Would they consider running the existing plants
14 which with life extension have 40 more years and the new
15 plants which will have 60 years after they get into
16 operation, would they consider running them on the same
17 site in different units, or it is more likely that one
18 day, they will say, well, from now on, they all should
19 operate one way?

20 MR. HALL: I would say first, I guess it would
21 be my assessment that's a hypothetical question. As I
22 view our sights, I don't believe they could support
23 additional units. We have managed to pretty well box in
24 existing units with additional facilities as time goes
25 on.

1 I think we have pretty well demonstrated, we
2 are willing to entertain metric plant designs if we can
3 find that marketplace that supports it. This is not a
4 philosophical question.

5 I think philosophically we see a lot of
6 advantages to metric and we see the importance of this
7 countrys' conversion to metric; but we just cannot find
8 the timing at this point in time and as somebody said
9 earlier, timing is everything and that's our difficulty,
10 trying to figure out appropriate timing.

11 I did not totally discount future metric plants
12 you will notice.

13 CHAIRMAN ROSZTOCZY: My question was kind of
14 going a little bit beyond that and yes, it's hypothetical,
15 so let's just take it as a hypothetical, but if you pass
16 all of those and you arrive to the point that you are
17 buying metric and you are putting the metrics there and
18 then you are, 20 or 30 years into the future, so now you
19 have side by side these plants running and then it would
20 be much of a difficulty to continue running the old
21 plants in the conventional units or is that something you
22 think one can easily live with?

23 MR. HALL: I feel we could live with that,
24 through assignment of operating staffs or other things,
25 as long as we can look at it and justify it in a cost

1 effective fashion, yes, we could live with it.

2 MR. LARKINS: Tom, I was going to ask you a
3 question --

4 MR. DONOHO: May I add a little bit to Bobs.
5 Last year I and several other members of the Edison
6 Electric Institute Metrication Committee met with people
7 from Ontario Hydro in Toronto to discuss their
8 experiences with their Darlington Nuclear Plant.

9 As you all know, the Canadians began their
10 conversion efforts in the early 1970's. In '76 I believe
11 it was, Ontario Hydro saw the need for a new plant and
12 they considered constructing that plant in hard metric
13 which is what they did.

14 They stated when we met with them that part of
15 their decision was based on the fact that this was a new
16 plant at a new site, ground up, unrelated to any existing
17 units.

18 I won't go into the discussion that we had with
19 them, although I suspect a long the way you all may want
20 to get in touch with them and get some inputs from them,
21 but I won't go into now their assessment of their
22 experiences with the construction of that new plant, but
23 as of last year they stated rather vehemently that they
24 would not consider going back an retrofitting any
25 existing plants, that they felt for the reasons that have

1 been expressed a number of times today, that the reasons
2 for not retrofitting were compelling from their
3 standpoint.

4 MR. LARKINS: Tom, I was going to ask you a
5 question, does DCBG&E in their planning for additional
6 capacity, adding systems which will be in metric or
7 company made any planning in this direction?

8 MR. DONOHO: All I can say is not that I am
9 aware of. As far as I know, our next plant is supposed
10 to be a combined cycle plant not nuclear, I do not
11 believe that there is any nuclear construction in either
12 the near or immediate term picture.

13 MR. LARKINS: I wasn't talking about just
14 nuclear, I was talking about any facilities.

15 MR. DONOHO: The combined cycle, as I understand
16 it, will be in customary units.

17 MR. LARKINS: Any more questions?

18 MR. GAT: No, a comment, perhaps a partial
19 answer to your question, Zoltan, is that in 1959 when the
20 foot was changed, the old foot is still in existence
21 and in use is the so-called survey foot, is still in
22 existence and lives side by side indefinitely until, it
23 says, literally until a new decision will be made. This
24 foot is the U.S. survey foot.

25 So that is, we have at least, what is it now,

1 what 20 years, 30 years?

2 MR. LARKINS: Zoltan, we are just about back on
3 schedule. Maybe five minutes over.

4 CHAIRMAN ROSZTOCZY: Thank you very much, John,
5 we appreciate that, and I think our next step is to have
6 a coffee break, and this being now 3:35, let's have a 15
7 minute coffee break which is going to bring us back here
8 at 3:50.

9 (Whereupon, a short recess was taken.)

10 CHAIRMAN ROSZTOCZY: Gentlemen, we are ready to
11 start our afternoon session. In the intermission I have
12 been reminded that it's not easy to hear us in the back
13 of the room unless we are talking into the microphone. So
14 please, when it's your turn, get close to one of the
15 microphones and you have to talk relatively closely to
16 these microphones so you can be heard.

17 Within the various areas, what we discussed
18 today, there is one which has kind of a required special
19 attention usually and this is the emergency planning and
20 emergency communications.

21 The emergency planning area, we have to have
22 direct communications with the licensees involved and
23 decisions have to be made on a very short time schedule,
24 typically in the order of minutes or hours as opposed to
25 licensing reviews which normally take months or sometimes

1 years.

2 The session chairman for this last session is
3 Jack Heltemes. Jack Heltemes is the Deputy Director of
4 our Office of AEOD, Analysis and Evaluation of
5 Operational Data. Jack?

6 MR. HELTEMES: Good afternoon. Thank you,
7 Zoltan. As Zoltan mentioned, I represent AEOD within the
8 NRC.

9 AEOD has a number of responsibilities. First of
10 all, we are responsible for the reporting requirements of
11 our agency. You may know them as the OER reporting
12 requirement, 50.73, as well as the immediate notification
13 requirements, the oral notification within one hour or
14 four hours, 50.72.

15 So we are very interested in metrication
16 because of the ramification on the reporting requirements
17 as well as our analysis program within the office.

18 Another reason we are very interested in
19 metrication is that AEOD operates the technical training
20 center at Chattanooga and the technical training center
21 will be responsible for the training of all NRC technical
22 personnel in the metrication and its implications and
23 ramifications on our technical subjects that we teach in
24 Chattanooga.

25 The third reason is the reason that we are here

1 now. The NRC has an operations center that falls within
2 the responsibility our office and also AEOD is
3 responsible for the definition, implementation and
4 training of the emergency response capability and program
5 within the agency.

6 In the emergency response program is, we
7 consider one of the most important of the agency's
8 mission, of its responsibilities, and as we all know, to
9 have an effectiveness emergency response program you have
10 to have effective and prompt communications among a wide
11 variety of organizations and agencies.

12 They exist not only within the utility
13 industry, that is the utilities as well as their supports
14 such as the industry organizations such as NUMARC and
15 NEPOL and EPRI, and others, but also the NSSS and
16 architecture engineers.

17 Then you have the state and local governments,
18 you have the NRC and many other federal agencies and you
19 have the general public, all of these different
20 organizations, all of these many, many individuals have
21 to have a common understanding of what their problems
22 are.

23 The way you get that common understanding is
24 talk about parameters, and thus, the units involved in
25 those parameters become very important. They become key

1 to understanding what the particular problem is, what the
2 implication of that problem is on public health and
3 safety, and that of course, is the central theme of
4 emergency planning.

5 You have to understand what is occurring in
6 order to classify the event properly or at within the
7 NRC, that will trigger a response and if that response is
8 inappropriate, it could have very serious consequences.

9 To assure that the proper response is made, you
10 have to understand the event and then we can take the
11 proper action.

12 The key to this again is communication, and the
13 key to it is making sure that everyone has a common and
14 very rapid understanding of what is occurring and that is
15 significant.

16 We get that information through various links.
17 One is oral communications, we are directly involved
18 through the operations center to talking with the control
19 room, and so our first point of contact would be the
20 operators themselves.

21 Then we get written communications, often times
22 by fax, and as many of you may know, we are tying
23 electronically into the SPDS, the plant instrumentation
24 system to urge the emergency response data center and so
25 that we will have an automatic data transfer on emergency

1 classes of alert or higher in the future.

2 But all of this is to communicate the parameter
3 type of information and to assure that there is a proper
4 understanding and we get back to units.

5 Again, there are many organizations and
6 individuals involved and we have a real training priority
7 on our hands here and I will talk more about that in a
8 minute.

9 This is a chart that we use to classify events
10 into our four emergency classes. You can see on the left,
11 the general emergency, area emergency alert and unusual
12 events and then you have the 50.72 and 20.403,
13 notifications.

14 The reason for showing the chart is that we
15 have different criteria for how we classify events and
16 you can see that we have values such as rem involved in
17 our release criteria and you can see references to
18 technical specifications. You see references to
19 protective actions guidelines.

20 You see references to other units there such as
21 the reactor coolant system leak greater than 50 gpm. The
22 point of this is that the entire matrix here is tied back
23 to English units. It's tied back to some fundamental
24 documents such as the technical specifications and the
25 protective action guidelines which are in English units.

1 This is a listing of typical parameters that we
2 obtain in a response to a nuclear power plant event, and
3 it's not complete, but I show it only to give you a
4 feeling for the type of information, the mass of
5 information if you will, that is transmitted during an
6 actual emergency.

7 You can see that the information is very broad
8 in its nature. We talk about levels. We talk about
9 pressure. We talk about flows, temperature, volumes,
10 quantities, weights and radiation units for many systems,
11 essentially all of the principal systems of the plant can
12 be talked about.

13 We have a great number of people involved in an
14 emergency response who would be analyzing these types of
15 information, trying to get one step ahead on the "what
16 if" questions if you will, in order to thoroughly
17 understand the potential significance of the event.

18 And there will be a lot of communication links
19 going on between the different organizations, trying to
20 analyze and compare notes and to get further information,
21 and again, it is all set up on English units.

22 This is a chart that kind of shows you the
23 number of organizations involved, if we should have an
24 emergency at a nuclear power station. You can see the
25 governor, a designated representative and oftentimes when

1 you are talking about the 10 mile EPZ or the 50 mile
2 junction pathway EPZ, more than one state will be
3 involved. You can have a number of states involved, any
4 time you have the various states involved you have a
5 number of state agencies involved.

6 You certainly have a number of local
7 communities such as counties involved.

8 Coming down you can see the great number of
9 federal agencies involved, and they all are active
10 participants.

11 Then way in the right hand corner you will see
12 state department and a dotted line. That's the link to
13 the international community, and of course, a serious
14 event in one nation is a very serious event in all
15 nations as Cherynobol taught us, and thus through the
16 state department we make notifications and receive
17 notifications of events through the NEA, the Nuclear
18 Energy Agency in Paris and IEA, the Internation Atomic
19 Energy agency in Vienna.

20 Additionally, if we have a very serious event I
21 can assure you, a number of countries will call directly,
22 all obtaining information, and during the Cherynobol
23 event it was a bit troublesome in our own country because
24 we use different units in this country than these
25 international communities and most other countries as you

1 know and the information we were getting had to be
2 translated so that our decision makers could understand
3 the particular levels and significance of what they were
4 being told.

5 Although there was not a great impact on the
6 United States in the Cherynobol event, it was still
7 troublesome in the way the information came and was
8 translated and was fed back through our own communication
9 links.

10 Just one more point I should mention, to give
11 you a feel for this, in 1987 we had our second federal
12 field exercise at Zion in Illinois and that was a three
13 day exercise that brought in all of the federal response
14 groups and during those three days at this simulated
15 exercise we had, I believe it was around 1,200
16 individuals involved. We had 12 different federal
17 agencies. We had two states involved, Illinois and
18 Wisconsin and a number of the state agencies and a number
19 of the counties involved. It was a very large and massive
20 undertaking if you will.

21 When you start filling out this chart in terms
22 of the number of people involved, and I say that again in
23 the sense, the number of people that have to communicate,
24 understand and implement in the sense of decision making
25 it becomes a very large undertaking to do this in the

1 sense of switching units.

2 This some of the potential problems associated
3 with metrication. Since Three Mile Island 10 years ago we
4 have put a very large emphasis, priority if you will and
5 lots of resources going into the definition of our
6 emergency response program, into the training of
7 personnel and periodic exercises in order to assure that
8 the people are trained, that the procedures do work and
9 that people know what to do if they suddenly get the call
10 in the middle of night.

11 We approach any change to this somewhat
12 cautiously if you will because of the potential negative
13 impact on the public health and safety if there is a
14 change in the scales that could introduce a new source of
15 error or missed communication or if people do not think
16 in the right units and do not react intuitively,
17 instinctively and if their decision making therefore is
18 slow, sometimes decision making as Zoltan said earlier,
19 has to be made in real-time on an order of hours or
20 perhaps even minutes.

21 Again, going back to the effective and rapid
22 communication, the key there is a common understanding of
23 the units and we are set up now in terms of English
24 units.

25 The next bullet talks about the investment that

1 we have in emergency plans, in procedures, in design
2 documentation and I should add quickly, hardware has been
3 talked about a lot, now that our system of course is tied
4 into the plant instrumentation, it involves an awful lot
5 of off site instrumentation, particularly for
6 radiological monitoring that's owned by the states and
7 others, and that point was made earlier.

8 The training of personnel is key. All of our
9 people have been trained to implement these procedures
10 and act on the instrumentation readings and again, the
11 key to it is the intuitive reaction, the understanding of
12 what a value means.

13 What Chernobyl told us, that people do have
14 problems when they switch units to Sierverts and
15 becquerels and the SI units, at least for radiation
16 monitoring.

17 Most of people quite frankly, do not have the
18 training and the reaction that they would have to have.

19 As we are aware in the United States, is a
20 little bit out of step with much of the world with regard
21 to progress toward SI units, and so that we have a
22 problem perhaps communicating if we have a problem in a
23 United States plant that could impact either Canada or
24 Mexico or if they have a problem with one of their
25 plants, could impact our country, and I mentioned earlier

1 that when you do communicate internationally through NEA
2 or IEA, there is a unit shift and that's been
3 troublesome.

4 The first bullet talks about each site must
5 assure that licensee personnel, state and local
6 personnel, NRC and other organizations involved with
7 emergency response are prepared to implement the changes,
8 what we are really saying is that this is a highly
9 coordinated response, tightly knit and we have to be in
10 lock step because of the probability of missed
11 communication if we are all not talking the same
12 language.

13 Therefore, if we were to change all response
14 organizations at each level and all the individuals
15 involved have to change at the same time. We must be
16 geared up in order to handle the new units without any
17 real problems in communication.

18 Again, the third bullet just talks about the
19 ability to communicate clearly.

20 So finally I come to some questions to raise
21 and to allow people to discuss and feed back. First of
22 all, on the first one, is there an incentive to adopt the
23 metric system for existing reactors?

24 In the NRC we have the -- regulation, 50.190 so
25 if we were to require the backfitting of existing

1 reactors in order to use such a system, we would have to
2 demonstrate, to show that the safety benefit associated
3 with that change will equal or offset if you will the
4 high cost of doing so.

5 We are a little bit at a loss to see the safety
6 benefit. We don't see the real benefit, but I raise the
7 question to see if anyone here can see a safety benefit
8 from trying to use the metric system for emergency
9 response for existing reactors.

10 We have heard a number of people talk about
11 this morning that they do not see a benefit, but I wanted
12 to raise the question just to make sure that we do
13 address it head on. Is there something we are missing?
14 Is there some sort of a safety benefit with the use of SI
15 that would in some way offset the high cost of trying to
16 go back and to retraining and to modify or revise all of
17 our procedures?

18 Next is you get pass the existing reactors, you
19 get into the next generation of commercial reactors. We
20 have heard this morning from Westinghouse for example
21 that the next reactors they are working on are really
22 being designed using English units and our thought is
23 that it is generally pretty well agreed upon that SI
24 units are going to come, the question is when are they
25 going to come and how do we make this transition,

1 particularly for emergency response.

2 How do we get far enough ahead of the first
3 plant that's going to be operated with SI units so that
4 the transition is smooth and we do not have any negative
5 impact on safety, which is our fundamental objective
6 here.

7 We have to have an idea as to the schedule we
8 are on and the approach that we will follow that the
9 response community can move together in order that we all
10 retain the ability to communicate without regard to what
11 units we are using.

12 The third bullets talks about thoughts that or
13 suggestions that some people have advanced; that perhaps
14 we can break apart the metric units, for example, use SI
15 units for radiation, go to the Sievert, to the becquerel,
16 to the Gray, and not for everything else, that there may
17 be an advantage in international communication or in
18 domestic communication.

19 So I throw it out as a question, if somebody
20 sees an advantage, if we should think along those types
21 of lines or whether it's all or nothing?

22 The fourth talks about what do we do when we
23 are slightly out of step with the rest of the community.
24 How do we communicate? What should we do to be able to
25 communicate better with our neighborhoring nations and

1 with the international community, both to receive the
2 information and to act appropriately as well as to
3 transmit any concerns that we have regarding one of our
4 reactors that could potentially impact the public in
5 other nations.

6 That concludes my remarks. I would be pleased
7 to answer any questions or if you wish, we could proceed
8 to the next speaker if no one has any burning questions
9 right now.

10 MR. GAT: It's not a question, a comment, answer
11 to your question. Uri Gat, you asked the question, is
12 there any incentive to adopt the metric system for
13 emergency for existing reactors. My unequivocal answer is
14 definitely yes. The first reason is it is not adopting,
15 right now we have both systems and we cannot ignore that.

16 The medical, as we will hear tomorrow, the
17 medical area has already gone SI, the rest of world has
18 gone SI and in a real big international emergency we have
19 seen that we get international interaction and you get
20 experts from elsewhere and if you are using units that
21 nobody else knows what they are, then as you described
22 the case in Chernobyl, and I will talk a little bit about
23 that tomorrow, you get close to disasters and the panic
24 that may be result is by itself an emergency.

25 So when the fact that physicians who may need

1 to treat cases that they are totally unfamiliar with or
2 mix them up and we have a factor of 100 here which is too
3 big to tolerate, so that's another one, why you
4 definitely should go, even in emergency cases, in
5 emergency treatment. To look at the emergency treatment
6 is something that is totally separate from the rest of
7 everything else is in my opinion inadequate and will hit
8 us when an actual emergency occurs.

9 I already mentioned the international
10 cooperation in this case and these are really the major
11 reasons.

12 There is another reason perhaps and that is the
13 IAEA imposes on transportation the international units
14 now and they are going to be implemented as I understand
15 or are being implemented under the safety series six, and
16 as such there is no escape from these units and we will
17 soon be, as with the other units, the only country that -
18 - we perhaps are already the only country that uses these
19 old units and it is a double problem when you combine
20 them with say areas such as curies per square foot and
21 try to convert that to becquerel per square meter, you
22 are in a real problem there. By the time somebody tries
23 to make that calculations he makes 20 mistakes.

24 MR. HELTEMES: I appreciate the comment. I must
25 point out to you that my comment or my question was quite

1 narrow and specific. It had to do with the incentive to
2 adopt the metric system for emergency response for
3 existing reactors. It was limited to commercial reactor
4 industry. It was not the nuclear industry as a whole --

5 MR. GAT: My answer was for reactors.
6 Chernobyl is an example. Three Mile Island is an example.
7 If you have mixed units out there you are going to
8 create a panic that by itself may be a disaster, that may
9 cause more deaths because of people trying to run over
10 one another because they totally misunderstand what's
11 happening then if you had everything in clear units and
12 single units and that's the whole idea of going to SI, is
13 that the entire world will speak a single language.

14 You won't have the Tower of Babbble.

15 MR. HERTEMES: Yes, sir.

16 DR. RUBY: Well, I certainly agree with
17 everything that you said and nearly everybody today who
18 has spoken on the subject of what to do about existing
19 reactors agrees that the public health and safety won't
20 be served by trying to convert them to metric operation
21 or metric regulations or both, but I feel however the Act
22 says that the NRC must begin to do business in metric by
23 a given date and that eventually something is going to
24 have to done to satisfy that requirement.

25 My proposal would be to try and live with both

1 of these objectives at the same time by making future
2 licensing activities accessible to a dual dimensioning
3 system in which the metric equivalent would be given
4 first and the U.S. customary equivalent included in
5 parentheses with the NRC agreement on the following
6 things: that either unit could be used to verify the
7 requirement; and two is either unit could be used to
8 satisfy a question regarding the regulations because it's
9 important not only that existing instrumentation be
10 continued to be satisfactory in every way to monitor the
11 plant, but also that the operators suddenly overnight
12 don't need to learn double the amount of information that
13 they presently do.

14 Now, perhaps that sounds like an artifice to
15 comply with the Act without really going metric, but I
16 think that it may from my lawyer standpoint, be
17 satisfactory and at the same time, from the standpoint of
18 the operators be a way to live with the requirements with
19 only a moderate amount of extra inconvenience.

20 MR. HELTEMES: Would your suggestions be for the
21 existing reactors?

22 DR. RUBY: Yes, only for the existing reactors.

23 MR. HELTEMES: Would you have the NRC mandate
24 that through regulation?

25 DR. RUBY: I just would offer that as an option

1 because I can't imagine any of the existing reactor
2 owners not adopting it.

3 MR. HELTEMES : Well, the problem I get back
4 into is the one I discussed, that if we backfit that's
5 what we would be doing, be imposing a requirement than is
6 different than their licensing base, that we would have
7 to show a safety benefit --

8 DR. RUBY: No, I don't mean that it is
9 different. In other words, supposing you were going in
10 for a new technical specifications for example, whose
11 purpose is only to comply with this regulations. Then
12 they could be written by your legal department rather
13 than your technical department because they would be
14 exactly as before, excepting with the metric unit first
15 and the units that you have always used in parentheses
16 and as I say, the NRC would be incumbent, once it had
17 accepted this new document to then allow verification in
18 either unit and to allow examinations to be answered in
19 either unit.

20 So therefore, I think that it would involve a
21 little more difficulty from the standpoint of the
22 operation of the plant, to have the documentation with
23 both units, so long as you knew you could use the older
24 ones.

25 MR. HELTEMES: Well, the modification of the

1 tech spec I believe would still fall within the scope of
2 the backfit rule, and as resolved, for us to do that, to
3 justify that, under our regulations, we would have to
4 show there is a safety benefit associated with that, and
5 right now we believe that our system is effective, that
6 it exists, and that it has proven to be effective during
7 exercises, and it's that demonstration of a safety
8 benefit that can offset the cost placed upon the utility
9 to retrain its people, to modify its procedures, in
10 accordance with the revised tech specs for example, would
11 be the problem that I am posing as one that we have not
12 yet found a solution for.

13 DR. RUBY: BUT will the NRC say that the
14 congressional supersedes their rulemaking in this regard?

15 MR. HELTEMES: Well, the question comes back to
16 practicality and the one that we talked about before,
17 that the legislation has a number of escape roads in it
18 and practicality being one of them.

19 So is this the practical thing to do is the
20 question we are talking about now, and we have to answer
21 that. But if under backfit, it's not practical to do,
22 then it fails that test under our own regulations.

23 Let me turn it over at this point to our second
24 speaker, Marlow Stangler from FEMA.

25 MR. STANGLER: Good afternoon. I may duplicate

1 a little bit of what you just saw and heard, but I have a
2 few numbers that I want to point out and I have a reason
3 for doing it.

4 There are approximately 72 nuclear power plants
5 right now that are on line or very close to it, a couple
6 of others I believe that might come into operation
7 sometime in the next half of dozens or so, Lets Bar for
8 example.

9 Each of these have an emergency planning zone
10 which was dictated by the Federal Government jointly
11 between NRC and FEMA back in '80, right after TMI and the
12 ten mile circle for the pen EPZ which is primarily an
13 evacuation area as well as an area in which state and
14 local governments have to have the capability to alert
15 essentially all of the people, I wouldn't say 100
16 percent, but essentially 95 or more in a matter of 15.
17 Now generally the utility has about 15 minutes to make a
18 decision when a general emergency is being declared if it
19 is a fast breaking one.

20 The siren or alerting system in most of the
21 sites have system which have been installed by the
22 utilities and are siren systems.

23 There are a couple that use radios in addition,
24 but most of those are now supplemental and they alert
25 hospitals, schools, things like that.

1 The 15 mile circle is an ingestion zone, which
2 is truly solar response area because it's primarily from
3 ingestion because it's going to be some time, but in the
4 plume area apparent fast response might be required.

5 In the case of Pennsylvania for example, their
6 plans are to evacuate everybody within a 360 degree
7 circle. Most states have plans in which they will
8 evacuate only about three 22.65 degree sectors and go
9 from there in terms of whether they need to evacuate a
10 larger area.

11 Now this involves approximately 100 state
12 plans, when you consider a lot of these reactors are on
13 rivers which are state boundaries, each state has to have
14 a plan, each local government within the 10 mile plume
15 EPZ has to have a plan.

16 So we are talking about something like 400
17 locals or a total of about 500.

18 If you could shift that slide up just a little
19 and deviate from the peace time side of the program to
20 FEMA's involvement in civil defense, war time
21 involvement.

22 There is about 5,000 state and local
23 governments, 500 counties I think a number of independent
24 cities and other jurisdictions that want to have their
25 own plan in addition the county.

1 About 60 percent of these 5,000 currently have
2 plans and we have been working on the civil defense side
3 of the program since the late 1950's. We have been
4 working on the peace time side really since about '73 or
5 '74 I think is when we first got involved.

6 It really didn't take on -- it was only
7 primarily with the states. It really didn't take off
8 until after TMI, and since about '80 we have been doing
9 much, much more and working with local governments in
10 addition.

11 The next vugraph shows some of the instruments
12 that we have in civil defense. I couldn't find the slide
13 with some good commercial ones so I brought this one, but
14 we basically all do the same. They measure radiation,
15 they are really exposure meters, probably more than
16 anything else. This is an itemization chamber, it's an
17 air itemization chamber and it has a can in it. That can
18 has got a carbon filter in it inside to attempt to make
19 it as tissue equivalent in terms of response as you can
20 make it.

21 The front, the bottom ratio, it has been
22 adjusted so that it's fairly independent from the
23 direction that it receives radiation, from the source.

24 It would also be somewhat independent in terms
25 of a large area or field -- it's hermetically sealed so

1 it won't change with altitude between Washington D.C. and
2 Denver for example.

3 The 750 is a charger which goes with what we
4 normally refer to as docicimeters. More properly they
5 should be called exposure meters and they read your
6 exposure, attenuated over time and can zero these and
7 reset it with the charger.

8 On your left is a geiger counter, survey meter,
9 a particular range on this one is about zero to 50 MR per
10 hour. We have three ranges, zero to .05; zero to 5 and
11 zero to 50 MR per hour.

12 There is a shield on the top here which rotates
13 and this comes off and you can detect air radiation if
14 that's open.

15 The chamber here is a principally a gamma
16 detector only. I think we have a dosemeter we will look
17 at later.

18 The next slide shows the quantity of these
19 instruments that civil defense has invested in. We have
20 roughly \$2.6 million in -- throughout the country. We
21 have got 230,000 of a zero to 20 or zero to 100
22 decimeters throughout the country.

23 We have about 100,000 of the zero to 200 MR
24 decimeters, 210,000 chargers; 580,000 high range survey
25 meters that read up to 500 R per hour and about 300,000

1 low range survey meters.

2 These were all procured between 1955 and 1964
3 as total costs of about \$53 million. Right now we are
4 maintaining this inventory which is -- it's all
5 throughout the states. We are spending about a dollar an
6 instrument per year on maintenance, on batteries on
7 recalibration.

8 I may want to point, on this instrument, we use
9 a dial that reads in whole numbers, zero through five and
10 then we use a multiplication scale to get up to the 500 R
11 and a .1 range to get us down. We found that there was
12 so much more accuracy with a meter that read zero through
13 five than the typical geiger counter which you have a
14 zero to point something, the one olds used to be zero to
15 20 MR.

16 We used a very lousy tube and got this one up
17 to zero to 50 MR. But we found that there is a real
18 difference in accuracy of reading in terms of what that
19 dial says.

20 I will get back to that a little bit later. If
21 we could go on to the next vugraph. Really, this is what
22 we refer to as SI units, but in a way, these are all
23 derived units and from where I stand I don't see too
24 much difference between our conventional derived units
25 and the socalled SI derived units, especially when we are

1 really talking about instruments that primarily measure
2 exposure.

3 You have to then convert to the dose or the
4 absorbed dose.

5 If I could go on to the next one.

6 We have a federal agency committee that is
7 called an FRPCC, it's Federal -- Preparedness
8 Coordinating Committee which involves some 12 agencies,
9 the major ones that are involved in radiation I have
10 listed below. It's DOE, NRC, EPA, HHS, Department of
11 Agriculture.

12 There are a number of others that are involved
13 but these are probably the ones that have the main
14 investment.

15 If we had an accident, DOE would also have --
16 we have a Federal Radiological Emergency Response Plan,
17 and DOE would be the major agency that would be expected
18 to do radiation surveys, primarily external to the plant
19 and would have some assistance probably from the four
20 agencies below them, or the three agencies below that.

21 In addition, in any accident you have the
22 utility, you have got the states and you have the locals,
23 so it's critical I think that we use the same units,
24 whatever we use.

25 If you don't use the same units you are just

1 going to create additional problems is our feeling.

2 If I could have the next vugraph. The EPA has
3 put out a action guide, manual protective action guide.
4 They were coming out with a revision a few months ago and
5 once we circulated the manual throughout the Federal
6 Government there was enough resistance by a dozen
7 agencies or so that they asked them to hold up on the
8 release of it because there weren't really that many
9 changes, but it would have involved some 72 utility sites
10 and probably some 500 state and local plans that have
11 been revised.

12 The doses or exposures that we primarily are
13 working with are 75, an upper limit, and down to maybe
14 one to five roentgens in terms of evacuation of the
15 public or shelter. In peace time you are talking about
16 even more dose rates which get down into the MR per hour.

17 One of the problems with the Gray and the
18 Sievert is that they are a factor of 100 larger than your
19 roentgen so that when you are working with them you are
20 working with some prefix, usually to get down to the type
21 of exposures that you are involved with or doses,
22 absorbed dose, et cetera.

23 If I can have the next one, I think there is
24 one more. Yes, this is the point I was trying to make is
25 that for many of the radiation levels that we are working

1 with, you are talking about a fraction of a Sievert or a
2 fraction of a Gray, strictly speaking if we changed our -
3 - I think we probably should put a microcoulomb per
4 kilogram on the scale, but I would be the last one to
5 suggest that, that's what I get out of what I read.

6 I think that's the late vugraph, isn't it? The
7 only other thing I would like to say is that we have put
8 a lot of faith I guess the Chirbick document which let me
9 just mention one thing in there that they bring out
10 emergency preparedness a couple of three times.

11 If I can find it here. Well, essentially,
12 although safety is a primary concern, there are a number
13 of nonsafety related impacts in the area of
14 communications that can come about and one of the things
15 that ends up in the Chirbick recommendations that however
16 it is recognized that in certain operational situations,
17 by reason of economy or safety, the utilization of dual
18 units is undesirable. Therefore in justified situations
19 agencies may adopt that system of units which best meets
20 their needs.

21 I guess that really is where FEMA is coming
22 from, and is FEMA's position at this time.

23 The public law, I also note that in Section 3,
24 paragraph 2, "it's the policy of the U.S. to require that
25 each federal agency by a date certain and to the extent

1 economically feasible, by the end of FY 1992, use the
2 metric system of measurement in its procurements, grants
3 or other business related activities, except to the
4 extent that such use is practical or is likely to cause
5 significant inefficiencies.

6 I think that is where FEMA would come from by
7 saying, we really would rather stay with the current
8 units, but whatever we do, we have to have a coordinated
9 effort between the 12 federal agencies and if the change
10 is made I think all of them have to use the change
11 including the utilities.

12 So with that I will shut up. Part of my feeling
13 is, if it isn't broken don't fix it, but I am not sure
14 but what we are trying to fix something that really isn't
15 broken.

16 MR. HELTEMES: Any questions? There maybe
17 questions after we get done.

18 As you know, Mr. Quillan could not be with us
19 today but Mr. Flynn would be here and has volunteered to
20 provide a state perspective and to answer any questions
21 you may have regarding state participation.

22 MR. FLYNN: As was just said, I am a substitute
23 for a substitute because Roland Fletcher was here first
24 today.

25 In emergency response we are familiar with the

1 units that we are working with, namely, the English units
2 and the old metric units of curie, rems and rads, so
3 forth.

4 These are being used in the emergency response.
5 All of the teams that are working there in calculating
6 the exposure to the public, converting the source, into
7 what the public will get if it's going out of the
8 boundary, those who are going out in the field are using
9 survey meters and roentgens and they are familiar with
10 working with these units.

11 If you convert to the SI units, you are going
12 to have a heck of a problem, especially if as has been
13 suggested, that new plants coming on line use SI units
14 and the existing plants continue to get the old English
15 units.

16 If we have to convert that way it would be
17 rough. If we have to change over to the SI units, let's
18 make it all or nothing at all, otherwise you are going to
19 have a heck of a problem with people trying to remember -
20 how does this particular plant work with the old English
21 units or does it use the new SI units?

22 You will have a hell of a lot of confusion
23 there. I think that is about all I wanted to say, except
24 to comment that are five counties in Maryland who have
25 teams working, the emergency response team in Maryland is

1 used to the old units. We are also in the process of
2 getting an EIS mapping system which will be computerized
3 which is information -- listing what is on the maps and
4 you have the English being miles and will probably be
5 using the curies, et cetera and if you convert, you have
6 some problem converting your units, there is a whole
7 problem of retraining all of the people who are used to
8 the older units.

9 That's about it.

10 MR. HELTEMES: Question?

11 DR. RUBY: I don't agree with your view on the
12 fact that because you want to preserve the older units
13 for the older plants, it's going to make it very
14 difficult to convert to newer units for newer plants.

15 The problem is one that the automobile
16 manufacturers faced with the speedometers calibrated in
17 terms of miles per hour and kilometer per hour and what
18 they did was to put both scales on the instruments.

19 Now there is no reason why both scales cannot
20 be put on radiation instruments. In fact, it seems to me
21 to be highly desirable if we are going to have any
22 segment of the technical society using Sieverts and Grays
23 even just the medical segment would justify it, so that a
24 person who was either doing surveying or regulating could
25 use the units which are appropriate to his particular

1 concern.

2 Therefore, it seems to me that your argument in
3 that regard doesn't hold water. Once the instrument
4 manufacturers are willing to cooperate that is.

5 MR. FLYNN: Okay, in the calculation of the dose
6 assessments you would have to have either two computer
7 programs or convert. Either that or you are going to
8 have the problem, in Maryland, you have Peach Bottom and
9 Calvert Cliffs, which are old units. If we get a new one
10 you would have to stop and say, are they old and new,
11 which formulas do you use?

12 DR. RUBY: Yes, I don't think you have to stop
13 and think very hard. The problem of the new units isn't
14 really very imminent. A much more imminent problem is
15 how do you live with this metric conversion act if it
16 requires the NRC to do business in metric here for the
17 older plants. I am much more worried about that.

18 It's so far away when we see an advanced
19 reactor sitting in the state of Maryland that I am sure
20 that we can even educate the public by then.

21 The problem is, I am scared to do much about,
22 try to comply with the Omnibus Trade Act with dual units
23 which is the only way I can think of to do it because of
24 the fact that so many nontechnical people, such as county
25 and city, emergency planning people, they read the

1 emergency plans, they don't read the technical
2 specifications and the internal procedures, but they do
3 read the emergency plans, and I don't dare confuse them
4 any over what they already are.

5 MR. FLYNN: But the point is that you will
6 probably end up with another plan coming along so that
7 you will have both the old and the new units and even
8 more confusing.

9 DR. RUBY: Which plant is that?

10 MR. FLYNN: I say, will probably get a new
11 plant, I don't know that there is any coming along.

12 DR. RUBY: Not for a long, long time, and when
13 that time comes, it going to be advanced reactors and
14 advanced means it is advanced. I mean, not only in the
15 design, but also the way it operates and is regulated. So
16 I think the whole idea is consistent of using our best
17 ideas in measurements, our best ideas for design in
18 putting it altogether for the future.

19 An operating plan that we are talking about is
20 at least 10 years away and maybe much longer.

21 MR. GAT: Just a little comment if I may, Uri
22 Gat, the emergency plan doesn't have to only for nuclear
23 power plants. What about shipments? Don't you have
24 radioactive shipments through the state here, even the
25 medical shipments?

1 MR. FLYNN: Yes.

2 MR. GAT: And if they go in other units then you
3 will have dual units if you will allow them to happen and
4 you will get emergencies in which case people will not
5 know what you are facing because if the fuel is
6 transported from a reactor it may be in SI units and it
7 may be not in SI units, how will you know. If the fuel
8 comes from a different state, how will you know? If it
9 comes from a plant that you may not know, how will you
10 know? I do think that this is a real issue.

11 MR. HELTEMES: Jack?

12 MR. SOLANDER: I would like to make a point of
13 clarification regarding at least my interpretation of the
14 law. I do not read the law to say that it requires the
15 NRC to change or impose new regulations that impose
16 metrication on nuclear power plants or people with
17 possession licenses.

18 The law as I read it says that the Nuclear
19 Regulatory Commission must come up with a plan for
20 procurement, grants and other business so as to meet some
21 other criteria.

22 The law does not say that the NRC will
23 incorporate into its regulations for future, existing
24 plants or possessors of other licenses, SI metrication.

25 I believe that's a more correct interpretation

1 of what the law is.

2 CHAIRMAN ROSZTOCZY: Would you please state
3 your name and affiliation?

4 MR. SOLANDER: Lars Solander, Office of
5 Controller, U.S. NRC.

6 MR. HELTEMES: Thank you, Mr. Flynn. The last
7 speaker for this session was scheduled to be Joe Colvin
8 from NUMARC, and unfortunately he had to leave but Tom
9 Price is here from NUMARC and would be pleased to
10 summarize the industry's position.

11 MR. PRICE: Thank you. Allow me to make a few
12 comments. The presentation Joe made earlier this morning
13 didn't address this issue enough because I think this is
14 one that stands aside from the technology that we have
15 been studying most of the day.

16 I think this has to do with people, much more
17 people oriented and much more society oriented than how
18 the industry is dealing with the Nuclear Regulatory
19 Commission.

20 A minute ago we were talking about or we saw a
21 slide of all the federal agencies that are involved in
22 this effort, emergency planning, well, I think there are
23 probably tenfold the number of state agencies within the
24 state plans that also have to be speaking the same
25 language.

1 Let me stand up and make a statement that maybe
2 the utilities should listen to this, but I predict that
3 the utilities will change their meter that they give the
4 indications to the state and local governments and the
5 Federal Government too, when the state and local
6 governments are ready for that.

7 The utilities are not going to be the driving
8 force to tell the state and local governments, I am now
9 going to speak to you in Sieverts and never will I
10 mention rems or any of the other more conventional
11 systems you were using.

12 We are not going to say that. The states are
13 going to come to us and say, from now on you must deal in
14 such and then and probably only then will we be able to
15 do that, and that's only going to happen when the states
16 are ready to do that.

17 The states have to have not only an education
18 system within all of their agencies and all the local
19 governments and all of the Federal Government all have to
20 be aligned, but all the people in the community have to
21 be aware of this too.

22 We have been having the idea of a public
23 campaign to communicate on the value of nuclear power and
24 we find it very difficult. What's going to be even more
25 difficult I think is to convince them that they should

1 speak in Sieverts now instead of rems and other
2 parameters.

3 The fact -- that's the driving force, that's
4 where we have to start. We can't, the utilities and I
5 only speak on that, the utilities can't walk up to the
6 states and local governments and say, I am going to
7 change the way I am going to do business with you. It's
8 going to happen the other way around.

9 Now let me put one parameter on that, I think
10 in order to accommodate that when the states are ready,
11 we are not going to take a three or four or five billion
12 dollar plant and change every nut and bolt in it. We are
13 going to take the outgoing meters and the elements on the
14 stock and not even change the transducers but to change
15 the meters and the amps. The dual indicator on the
16 automobile speedometer, the transducer was on the inside
17 of the system is the same transducer they had 1,000
18 years, they just printed a different face.

19 We are willing and ready to do that when the
20 system is ready, but make sure the system is ready for
21 that.

22 Final comment I have, we mentioned radiation
23 elements not only in the nuclear power plants but in the
24 transportation of fuel, state and local governments have
25 to deal with emergencies that are nonradioactive

1 emergencies and they deal in feet and pounds and other
2 parameters too. That system has to be in the mode of
3 changing to metric. It has to change all at the same
4 time. You can't -- in one this, in this case along I
5 think we are the tail of this elephant and we can't ride
6 the elephant, you have to convince the elephant to
7 change.

8 MR. HELTEMES: Thanks very much, Tom. That
9 concludes the formal presentations. We have had --

10 CHAIRMAN ROSZTOCZY: Jack, I would like to ask
11 a couple of questions if I could. The first one relates
12 to a statement that you made but I would like to address
13 the question in a broader sense also to Mr. Stangler and
14 Mr. Price also.

15 This relates to the next door neighbors, if you
16 wish, other countries who are on the metric system and
17 are next door to us, it's obviously a much bigger problem
18 for smaller countries like in Europe than for us, but
19 nevertheless we have a relatively long boundary with
20 Canada and also with Mexico.

21 What is the present practice and what kind of
22 difficulties are we facing or would we be facing if
23 somebody picks a site very close to these boundaries, for
24 example, very close to the Canadian side?

25 What responsibilities do we, meaning both

1 Federal Government, local governments have in terms of
2 notifying people on the other side of the border and what
3 is the agreement on the units, the measurement units, the
4 language that we are going to talk to those whom we are
5 calling on the phone, but they happen to be on the other
6 side of the border?

7 MR. HELTEMES: Is your comment for future plants
8 that we have not yet committed or existing plants?

9 CHAIRMAN ROSZTOCZY: Existing plants, what is
10 the present practice, is there any agreement for example
11 between us and Canada and if there is an existing plant
12 close to or if somebody, if a utility would be
13 considering tomorrow to ask for a site approval next to
14 the Canadian border, what type of things does he have to
15 face in terms of potential notifications to the other
16 side of the border and dealing with authorities on the
17 other side of the border?

18 MR. HELTEMES: Our obligations are clear through
19 international conventions that we are a signature to
20 through IEA, and we have no agreements that I am aware of
21 with Canada per se, specific agreements on any formal
22 communications. We would go through IEA and anytime that
23 we would have a radiation release that would go past our
24 borders and impact other countries, we are obligated to
25 inform those countries through IEA.

1 But we are trying to establish informal
2 communications with such countries as Canada so that if
3 we have any reactors such as Fermi which is very close to
4 Canada or Pickering which is very close to the U.S. on
5 the Canadian side, that we would have instant
6 communication if you will.

7 BUT those discussions have not progressed to
8 the point that I am aware of that we would talk units,
9 and getting back to the conventions, I am trying to think
10 of the specific units, Marlow, you can help me out on
11 that, but I quite frankly cannot recall if those
12 conventions specify communication in terms of units. We
13 very much, almost routinely communicate with IEA through
14 an electronic mail system and but we have not had real
15 unit problems except in the case of Cherynobol, units
16 were a problem.

17 The units came to the United States in terms of
18 Sieverts and had to be converted here and people
19 struggled to do that and struggled to understand what the
20 number meant.

21 We are always quite nervous about the
22 conversion.

23 CHAIRMAN ROSZTOCZY: Does FEMA have any
24 arrangement?

25 MR. STANGLER: I know we have had some meetings.

1 Marshall Sanders in our policy branch, I know has met
2 with his Canadian counterparts. The only thing I can
3 remember is that they have agreed to exchange alert
4 levels, general emergency, site area of -- et cetera.

5 I think they agreed to provide radiation data,
6 but I think it's very general. I don't think any units
7 were tied with it. I am sure that if there were from our
8 standpoint it would probably be put down in roentgens per
9 hour.

10 But I can check that out and see if we have any
11 specific units, but I don't think we do.

12 There is one unit up in the New England area
13 that -- isn't there -- within the 50 mile ingested zone,
14 it maybe in Maine, Maine Yankee?

15 CHAIRMAN ROSZTOCZY: Maine Yankee is probably
16 within 50 miles.

17 MR. STANGLER: I think it's within 50 miles and
18 I think that's the one that they were primarily talking
19 about. Now I don't think -- Fermi, but I don't think
20 there are any others that are that close.

21 DR. NELSON: Ginna.

22 MR. STANGLER: Is Ginna that close? Oh, yes, it
23 would be, across the lake. If I could just make a comment
24 on the dual scales, we used to have a dual scale on our
25 geiger counter.

1 It was zero to 300 counts per minute on the
2 bottom and zero to .5 MR per hour on the top. We had so
3 much confusion trying to train people to use that
4 instrument that we finally took the -- against our better
5 judgment, took the count per minute scale off because
6 that's really what a geiger counter is reading. It so
7 happens that we designed a tube in the shield to make it
8 read essentially in MR per hour against high energy gamma
9 which is what we find in a fall out field.

10 So as long as you using it for cesium and
11 colbalt you have no problem. If you try to measure some
12 extra x-ray machine or something you can get yourself in
13 real trouble, because it doesn't measure milliroentgens
14 per hour.

15 I guess also wanted to mention that I didn't
16 want to leave out the fact that there are a lot of
17 instruments other than civil defense instruments. Civil
18 defense instruments are not primarily, the primary ones
19 that are used around the nuclear power plants, certainly,
20 by the utilities.

21 Now I think a lot of the locals use them
22 offsite but I just wanted to pointed out the problems of
23 how many instruments we have out there and we have made
24 estimates that it would cost over \$100 million to try to
25 change those scales.

1 Frankly, whenever we bring it up in our agency,
2 the people who are red lining the budget, red line
3 anything like that out because they think there is better
4 ways of spending money than trying to change scales.

5 So we are going to need some support if there
6 is ever a change.

7 I also agree with you on the public law. I
8 think it says that you have to do this by a certain time
9 if it's economically feasible and then except to the
10 extent that such use is impractical, so I think that
11 there is an out in that public law as I read it.

12 I also sort of brushed over the communications,
13 but certainly, communications to the public is critical
14 and I think to a large extent you may not have to use
15 units with the general public. You are going to sooner or
16 later, but a lot of the guidance is going to have to be
17 in general terms of evacuating certain areas, taking
18 certain protective actions and to a certain extent,
19 hopefully you can stay away from the units, because I am
20 not sure that the public understands them now or ever
21 will regardless of what units we use.

22 I do believe there is a lot of state and local
23 people though who have gotten familiar with the roentgen
24 per hour, et cetera.

25 We have been in training since the mid-1950's,

1 we have been involved in exercises since 1981. We have
2 had at least five exercises in almost every operating
3 plant. You have some 70 some operating plants, that's a
4 lot of exercises for a lot of people. So they sure
5 should have some understanding of the roentgen by now.

6 CHAIRMAN ROSZTOCZY: Marlow, since my last
7 question, second and last question relates to you, would
8 you please for us, stay for a moment.

9 You should us a long list of the various
10 instruments which are currently in use, that's an
11 impressive list of instruments.

12 Taking the large number of instruments which
13 are currently in use, taking the fact that conversion to
14 metric is inevitable in the long run so somewhere along
15 the line we will have to convert, and taking the fact
16 that the number of instruments tomorrow will be larger
17 than it was today, where does that leave us in terms of
18 practicality of conversion or costs associated with
19 conversion?

20 MR. STANGLER: The biggest problem would be
21 these exposure meters, decimeters. We have something like
22 2.6 million -- out there. Now we can rebuild these but
23 we have to go in, take out the bottom guts, take it
24 apart, put in a new scale and reassemble it, which is a
25 time consuming, it doesn't cost an awful lot of money in

1 terms of material, but it's a time consuming job to do
2 it.

3 The other decimeters would require the same
4 thing, to be disassembled and rebuilt and in fact, we are
5 repairing all of the bad ones, but we would hate to have
6 to do this to approximately three million instruments.

7 CHAIRMAN ROSZTOCZY: What is the average life
8 of those instruments?

9 MR. STANGLER: Well, the last ones I bought was
10 in 1964.

11 (Laughter.)

12 The first ones I bought was in 1956. Most of
13 the instruments that we bought after 1958 are still in
14 service. We got rid of everything that was not
15 transistorized. Some of the first ones were made by
16 Nuclear Measurement Corporation used 45 volt batteries
17 and we thought we couldn't afford the 45 volt batteries.

18 Every instrument that civil defense has uses a
19 D cell, they are commonly available. They are cheap and
20 basically all of our instruments are transistorized. We
21 spent a little over three quarters of a million to put a
22 different himick resistor in some half million of those
23 geiger -- those -- chambers.

24 When we were doing that we basically cleaned
25 them up, made a few improvements in the circuit and put

1 this good himick in. Now a good glass himick changes
2 maybe one percent per year if it's bad, if it is a good
3 one, less than that.

4 They were bought in the early 1960's, I plan on
5 retiring in seven years and I assure you they will be
6 around well after I retire.

7 We probably will buy some more, but I don't
8 know when, we can't get the money.

9 MR. HELTEMES: Any final questions or comments
10 by anyone?

11 Thank you very much, Zoltan, that concludes
12 this session.

13 CHAIRMAN ROSZTOCZY: Thank you very much. Jack,
14 now comes the most difficult task for the chairman has,
15 to close the meeting on time since we are already five
16 minutes over, I think that is not possible, but we
17 certainly can keep close to it.

18 I would thank all of you for coming, expressing
19 your views, making your comments and participating in
20 this workshop.

21 We certainly appreciate your presentations and
22 your comments and we intend to put it to good use.

23 Where do we go from here? As Eric Beckjord
24 mentioned in the morning, we have already collected some
25 information together with NRC. Today we have received a

1 lot more from outside groups and tomorrow we will be
2 receiving the same relative to other subjects which are
3 under our responsibilities.

4 After this we are going to have a few more
5 meetings with other agencies that we are interfacing with
6 and based on those three sets of information, we are
7 going to formulate a proposed policy statement for the
8 NRC's commissioner's consideration.

9 It is my expectation that we will have a
10 proposed statement in front of the Commissioner sometimes
11 in the spring and it probably -- shoot for public comment
12 late in the spring or early summer.

13 At that time you all will have another
14 opportunity to comment on the actual proposed policy
15 statement and we are looking forward to your comments.

16 Thank you very much for coming and have a nice
17 evening. We appreciate your participation.

18 (Whereupon, the meeting was concluded.)