

-----x
PRESIDENT'S COMMISSION ON THE :
ACCIDENT AT THREE MILE ISLAND :

-----x

DEPOSITION of METROPOLITAN EDISON COMPANY
by FREDERICK JOSEPH SCHEIMANN, held at the Three
Mile Island Nuclear Generation Station, Harrisburg,
Pennsylvania, on the 24th day of July 1979, commenCing
at 4:30 p.m. before Stanley Rudbarg, Certified
Shorthand Reporter and Notary Public of the State of
New York.

BENJAMIN REPORTING SERVICE
CERTIFIED SHORTHAND REPORTERS
FIVE BEEKMAN STREET
NEW YORK, NEW YORK 10038

[212] 574-1138

7908290003

PDR
7

2 A P P E A R A N C E S :

3 METROPOLITAN EDISON COMPANY:

4

5 SHAW, PITTMAN, POTTS & TROWBRIDGE, ESQS.
6 Attorneys for Metropolitan Edison Company
7 1800 M Street, NW
8 Washington, D.C.

7 BY: ALAN R. YUSPEH, ESQ.
8 of Counsel

9

10 PRESIDENT'S COMMISSION ON THREE MILE ISLAND:

11 WINTHROP ROCKWELL, ESQ.
12 Associate Chief Counsel

13 JOAN GOLDFRANK, ESQ.
14 Associate Counsel

15 ALSO PRESENT:

16 CLAUDIA A. VELLETRI
17 LEE TEW

oOo

18 F R E D E R I C K J O S E P H S C H E I M A N N ,

19 JR., having been duly sworn by Ms. Goldfrank, was
20 called as a witness and testified as follows:

21 DIRECT EXAMINATION

22 BY MS. GOLDFRANK:

23 Q Will you state your full name.

24 A Frederick Joseph Scheimann, Jr.

25 Q Your current address?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A My current address is Box 268-A, RD#2, Palmyra.

Q And your current employer?

A My current employer is Metropolitan Edison
Company.

Q And your current position?

A Current position is shift foreman.

Q Let me state if you don't hear or understand a question I ask you, to just ask me to repeat it. For the ease of the court reporter who is reporting this deposition, we should speak as clearly and loudly as possible because there are other noises in this room.

I will also ask that you wait until I have finished asking a question before you answer, and I in turn will wait until you have finished answering before I ask any question, okay?

A Okay.

Q Have you brought with you a resume?

A Yes, I have.

MS. GOLDFRANK: I would like to mark as Scheimann Deposition Exhibit 21 the resume of Mr. Scheimann.

(Above-described document was marked Scheimann Deposition Exhibit 21 for identification, this date.)

Q Did you prepare this resume?

1

2 A Yes.

3 Q Did you prepare it for today?

4 A Yes, it was prepared for this purpose.

5 Q And is this a current resume?

6 A Yes.

7 Q Your resume states that in 1965 you
8 graduated from Electrician's Mate "A" School. Was
9 that a school sponsored by the Navy?

10 A That was a Navy basic electricity school.

11 Q Could you explain what your training was.

12 A What my training at that school consisted of was
13 an education in the basics of electrical motors and
14 equipment, the repair thereof, and the theory behind
15 the operation of it.

16 Q And that was a course that lasted for 18
17 weeks?

18 A Yes, ma'am.

19 Q And during those 18 weeks, was that your
20 only responsibility?

21 A Yes.

22 Q Were there exams given in that course?

23 A Yes, ma'am, once a week.

24 Q And you were given a grade in that course?

25 A Yes.

2 Q Also in 1965, your resume reflects that you
3 attended and graduated from Basic Nuclear Power School,
4 is that correct?

5 A Yes.

6 Q And was that also in the U.S. Navy?

7 A Yes.

8 Q And can you tell me what your training
9 consisted of at that Basic Nuclear Power School?

10 A At the Basic Nuclear Power School, we were trained
11 in the fundamentals of nuclear reactor plant operation,
12 reactor theory, and operation of power plants.

13 Q And was that classroom training for six
14 months?

15 A Yes.

16 Q What specific subjects were covered?

17 A I didn't hear you.

18 Q What specific subjects were covered?

19 A Reactor theory, heat transfer, fluid flow and
20 other related power plant subjects.

21 Q Was everyone required to take this course
22 that would then serve on a nuclear submarine?

23 A Submarine or surface ship that was nuclear; it
24 was required.

25 Q And were you given an exam at the end of

2 this course?

3 A I was given an exam once a week and at the end.

4 Q And you were graded on that exam?

5 A Yes.

6 Q Was there any practical experience during

7 those six months?

8 A At this point, no.

9 Q Were you given homework?

10 A Yes.

11 Q And what type of homework was that? Was

12 it reading assignments?

13 A Reading and written assignments, as well as
14 math assignments, calculations. Different types of
15 reactions that could occur.

16 Q You then attended for six months, from
17 1965 to 1966 a nuclear power prototype school in
18 operations?

19 A Yes.

20 Q And was that also sponsored by the U.S. Navy?

21 A Yes.

22 Q And what type of school was that?

23 A That was the physical aspect of our nuclear
24 power training, prior to going to a submarine or surface
25 ship, that we actually operated a power plant that

2 was actually nuclear fueled and had all the components
3 that we would see on either a surface ship or a
4 submarine.

5 Q This was a research reactor?

6 A No, it was a producer-type reactor that the Navy
7 had. It was a prototype of the various units that the
8 Navy used for nuclear power, like they had a destroyer
9 unit, submarine unit, and they had one of the aircraft
10 carrier units.

11 Q Did it actually produce power?

12 A It did actually perform like a power-producing
13 reactor. It was a power-producing reactor.

14 Q And what happened to the energy that it
15 produced?

16 A It was diverted in a heat system that would take
17 and dissipate the heat.

18 Q So that that six-month course was a purely
19 practical course?

20 A Purely practical.

21 Q And were you given an exam at the end of
22 that?

23 A We were given an oral exam upon completion of
24 the course to make sure that we did know how to operate
25 a power plant.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q And what did that oral exam consist of?

A It consisted of system components questioning, operational procedure questioning, and emergency procedure questioning.

Q Would they pose hypothetical scenarios to you and have you run through these scenarios?

A In a sense, they would come up and say, like, "What would your action be if the turbine tripped at this point?" And then you would give your spiel on what you would actually do if the turbine had tripped.

Q Would you then actually perform that operation?

A Yes. They did in some cases perform trips during the course of your training period on the prototype. We did various equipment losses and also reactor and turbine trips.

Q And would you know in advance which scenarios you were to perform?

A No, you did not. They were brought up to you. They actually tripped the unit, and you actually took the action, as much as possible, like a real action.

Q In 1966, your resume reflects that for eight weeks you attended a basic submarine school. Is that correct?

A That is correct.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q And what did that schooling consist of?

A It consisted of the basic operation of a submarine. At the time I went to it, they didn't really cover nuclear submarine. They covered actual operation of a submersible vessel, though.

Q So that was purely training in the operation of --

A Of the boat itself.

Q Your resume then reflects that for 23 weeks you attended Electrician's Mate "B" School. Do you remember in what year you attended that?

A That would have been, I believe, 1970.

Q And for what purpose did you attend that school?

A This school was one that was designed for additional advanced training for personnel that were going to be advancing in rating. What it would cover would be transistor theory and construction of motors, rewinding of electrical motors, and various and sundry things that a senior electrician would have to know.

Q And what was the difference between the Electrician's Mate "A" School that you attended in 1965 and the Electrician's Mate "B" School?

A The major difference was the degree of knowledge

2 that was imparted in the School B. The "A" School was
3 really a basic school, just to get you familiar with
4 electricity and the components that would use elec-
5 tricity, whereas the "B" School was more toward Navy
6 pieces of equipment, such as generators and electronic
7 elevators on a carrier and things of that nature,
8 where we would have to actually go in and troubleshoot
9 them.

10 Q And similarly, in this school you were
11 given homework and given credit ratings for exams that
12 you had taken?

13 A They graded the exams once a week, and there was
14 one final at the end which was also graded.

15 Q After your training at the submarine school
16 in 1966, did you then sail aboard USS PLUNGER from
17 1967 to 1968?

18 A Yes.

19 Q Was it a nuclear submarine?

20 A It was a nuclear fast attack.

21 Q And what was your position?

22 A My position on board was electrician's mate. I
23 went aboard the ship -- I was a third or second class,
24 and I pretty much held that rank through the rest
25 of the time I was on board.

1

2 Q What would your responsibilities have been
3 in that position?

4 A My responsibility would have been to take on the
5 steam plant control panel, the electric plant control
6 panel, and also auxiliary operator throughout the spaces.

7 It also consisted of maintenance on various
8 pieces of electrical instrumentation and machinery.

9 Q Then, as I understand it, you came back and
10 went to Electrician's "B" School, after serving on the
11 USS PLUNGER, is that correct?

12 A Yes, and then at that point, you served on the
13 USS THEODORE ROOSEVELT from 1970 to '71, is that
14 correct?

15 A Yes.

16 Q And what type of ship was the USS THEODORE
17 ROOSEVELT?

18 A The USS THEODORE ROOSEVELT was what we call a
19 fleet ballistics missile submarine.

20 Q Is that a nuclear submarine?

21 A Yes, it is also nuclear.

22 Q And what was your position on that ship?

23 A I was also an electrician on that ship with the
24 same duties I had in the past on the PLUNGER.

25 Q From 1971 to 1972, you were on the USS HADDO?

2 A Yes.

3 Q Is that correct?

4 A Yes.

5 Q What was your position there?

6 A My position there was the same, electrician's mate,
7 with the same duties.

8 Q The same responsibilities as you had on
9 the USS PLUNGER and USS THEODORE ROOSEVELT?

10 A Yes.

11 Q Your resume lists that you had other respon-
12 sibilities -- machine history, petty officer;
13 noise monitoring, petty officer; electrical main-
14 tenance, temporary leading petty officer, Electrical
15 Division.

16 A Yes. Machine history, each time a piece of
17 maintenance was performed on a piece of electrical
18 equipment, we kept a card of the different things per-
19 formed on the equipment. That is what I had there.
20 I kept a record for the equipment that was being
21 repaired.

22 As far as the noise monitoring, petty officer
23 duties, what we had was a sound system that you actually
24 went through the ship looking for parts in various
25 equipment that was going to get ready to break on us.

1

2 I also ran the machinery and kept the records
3 concerned with that.

4

5 As far as the electrical maintenance, that was
6 any work that was performed on any electrical piece
7 of equipment in the ship. And the last, temporary
8 leading petty officer, I performed in that function
9 for approximately two months on the last ship I was
10 on, due to illness of the leading petty officer at the
11 time.

12 What I was responsible for at that time was
13 leadership of the group. I had in my charge prepara-
14 tion of work schedules and actually putting the people
15 to work.

2

16 Q And did you have the responsibility, --
17 listed as A, B and C, under "My other responsibilities"
18 in all three boats that you were on?

19 A Yes. I worked around that. I was handling them
20 pretty good, so they let me keep them.

21 Q Those are not usually the additional
22 responsibilities assigned to your position on those
23 boats?

24 A Yes, it would be.

25 (Discussion held off the record.)

26 Q You served in the Navy until 1972, is that

2 correct?

3 A That is true.

4 Q And you came to work at Met Edison in March
5 of 1973, is that correct?

6 A Yes.

7 Q What did you do from the time that you
8 left the Navy in 1972 until March 1973?

9 A Mostly just traveled around, got myself ready to
10 go into a type of job I figured I would stay in for
11 quite a while, just to get loose out of my Navy past,
12 just to relax a little bit.

13 I did, for a period of about eight weeks, take
14 a job in Cleveland, Ohio, working for a motor repair
15 company, where I repaired electrical motors, but not
16 for any length of time. Then I left there and came
17 back up this way.

18 Q Was that the only employment you had
19 during that period?

20 A Yes.

21 Q You entered employment with Met Edison in
22 March 1973 as an auxiliary operator "A"; is that correct?

23 A Yes.

24 Q That was on Unit 2?

25 A At the time, it was on Unit 1. We were training

2 as auxiliary operators on the No. 1 unit. No. 2 hadn't
3 built up their staff as of yet.

4 Q So you served as an auxiliary operator for
5 Unit 1?

6 A Yes.

7 Q Your resume indicates that your experience
8 as an auxiliary operator "A" included studying systems
9 and writing operating procedures and alarm responses.
10 What operating procedures were you writing?

11 A At the time I was an "A", we were just writing
12 operating procedures for minor pieces of equipment
13 that were not really safety-related or anything like
14 that. I would say stuff like lube oil purifiers and
15 stuff like that.

16 Q Would this have been Unit 1 or 2?

17 A Unit 1 at the time.

18 Q And would you consult anybody in writing
19 the procedures?

20 A Yes, I would. I would consult my superiors,
21 as well as anybody that might have information I needed
22 pertaining to the equipment I was writing about.

23 Q And would your superiors have been control
24 room operators?

25 A Control room operators and shift foremen.

2 Q Who else might you consult?

3 A Shift supervisor. I would consult the tech
4 manual on the piece of equipment in particular that
5 I was writing on.

6 Q You mean technical specifications?

7 A No, tech manual. Most of the stuff we wrote on
8 wasn't technical specification-covered.

9 Q What is the technical manual?

10 A What that tells you is how a piece of equipment
11 is supposed to work, how you perform maintenance on it,
12 and how you operate it.

13 Q And all the operating procedures that you
14 were drafting at that time were not related to safety
15 systems?

16 A No, they weren't.

17 Q And to whom did you submit the drafted
18 operating procedures?

19 A I would have to submit the drafted one to my
20 immediate supervisor, which would have been the shift
21 foreman, such that he would sign the spot on the cover
22 sheet that said, "Approved by," and then he would route
23 it to the rest of the people in line.

24 Q He would route it to his shift supervisor?

25 A Yes.

2 Q And the shift supervisor would route it?

3 A Route it to PORC or the procedure people.

4 Q Who would the procedure people be?

5 A PORC.

6 Q So PORC would be the body that he would
7 route it to?

8 A Yes.

9 Q Your resume also states that in your ex-
10 perience as auxiliary "A" operator from March '73 to
11 August '75, that you operated the systems and equipment
12 for plant startup. That would be for Unit 1, correct?

13 A Yes.

14 Q And that you performed switching and tagging.
15 Would that be under the supervision of somebody?

16 A What that would be, the control room operator
17 would write up a switching order for a piece of equip-
18 ment that was to be taken out of service for main-
19 tenance, and then I would hang the tags on the
20 designated equipment.

21 Q So that the control room operator would
22 tell you what piece of equipment to hang a tag on?

23 A Yes.

24 Q Could you explain to me what you mean
25 by acceptance testing?

2 A Acceptance testing is the last phase of a unit
3 startup for the initial time, during which the actual
4 operability of the plant is tested. It would be covering
5 your initial power escalation and such as that.

6 Q What training did you receive during this
7 period from March 1973 to August 1975?

8 A My initial training as an auxiliary operator
9 consisted of a six-month classroom-type training program
10 followed by several months of on-the-job actual training
11 on the equipment I was going to be operating.

12 Q The six months' classrom training you
13 received, was that taught by Met Edison?

14 A Yes, it was.

15 Q On-site at TMI?

16 A On-site, yes.

17 Q And the instructors were Met Edison
18 employees?

19 A Yes.

20 Q And what type of information was covered
21 in that six-month classroom?

22 A In that six months' classroom work, we started
23 of with a math course, and then we went into basic
24 physics. Then we went into nuclear physics, and we
25 also covered systems, as far as where they were located

1

2 and what their functions were.

3

Q And during that six-month period, did you
4 have other responsibilities?

5

A No, I did not.

6

Q How many hours a day would you devote to
7 class?

8

A We were then on a 40-hour week, eight hours
9 a day, five days a week.

10

Q And were you given homework?

11

A Yes, we were, at times.

12

Q What did that homework consist of?

13

A Reading assignments, as well as problems and
14 questions to answer of that type and nature.

15

Q Were you given a grade at the end of the
16 six-month class?

17

A Yes. Then we were tested once a week and given
18 grades on that, and then a final exam at the end of
19 the program.

20

Q Did you have to attain a certain grade on
21 that exam?

22

A Yes, we did.

23

Q And what was that?

24

A IT has been so long ago, I would imagine, if

25

I was remembering right, I would imagine it took a 70

2 to pass.

3 Q Would you remember what you received?

4 A I received something in the nature of 85 or 90.

5 Q And that grade was purely based on written
6 exams?

7 A Yes.

8 Q What type of exam was it? Was it an
9 exam that was an objective one that required a yes or
10 no or to fill in a blank?

11 A For the most part, the exam was one where it was
12 an essay-type exam, where they would ask you a
13 question and we would have to take and write a
14 solution to it.

15 Q would you have to explain the rationale
16 underlying your reasoning?

17 A In the case of any true or false questions, we
18 would have to tell why they were false. In the actual
19 written part, when they asked us a question, you did
20 have to give a basis for why you answered it.

21 Q In your answer, would a critique be given,
22 or would you merely just receive an overall grade at
23 the end of that exam?

24 A You would get an overall exam grade, and I have
25 a hard time remembering it, but I am pretty sure that

2 we did cover the exam after the Grades were given out,
3 such as to correct the wrong impressions that anybody
4 had in regard to the questions.

5 Q And the trainer, the training professor
6 or professors, would go over with you your wrong
7 answers?

8 A Yes, that is true.

9 Q Was this six-month period when you initially
10 started as an auxiliary operator?

11 A Yes.

12 Q So from March 1973, when you began working,
13 your first six months was in a classroom?

14 A My first month, I was home waiting for class
15 to start. I didn't actually start the classroom until
16 a month after that time period.

17 Q How many people would have been in that
18 class?

19 A I believe there were 13 in my class.

20 Q And they were all studying to be auxiliary
21 operator "A"?

22 A Yes.

23 Q You indicated that you also had on-the-
24 job training?

25 A Correct.

2 Q And what did that consist of?

3 A That consisted of going around with an operator
4 who was already qualified in performing operation of
5 the equipment that we would be later operating.

6 Q Would that be a control room operator?

7 A No, this would be a qualified auxiliary operator
8 who had already performed the evolutions in the past
9 and had been satisfactory operating it.

10 Q What makes you a "qualified" auxiliary
11 operator?

12 A Having operated the equipment and having under-
13 gone an oral exam by the company.

14 Q And you then would receive an oral exam?

15 A At the end of a given period, I would be given
16 a period of time to familiarize myself with the
17 equipment and the operation of such, and then I
18 would have been given an oral exam.

19 Q And what was that period of time?

20 A I think it was probably around six months at the
21 time, six to nine months.

22 Q So approximately within a year to 15 months,
23 you then became a qualified auxiliary operator?

24 A Yes.

25 Q Was there a written exam?

2 A At that time, no. Our written exam was our
3 actual exam that we took when we finished our class-
4 room training.

5 Q So the only written exam you received was
6 at the end of that initial six-month classroom session?

7 A At that time, yews.

8 Q Did you receive any other training during
9 that period until August 1975 as an auxiliary operator?

10 A For the most part, when my crew was on training
11 week, I would also go along with the CROs and shift
12 foremen to the training programs that were set up for
13 them.

14 Q Were you required to attend those programs?

15 A No, I was not required, but we were recommended
16 that we do attend.

17 Q What would you do if you did not attend
18 that program during that week?

19 A If I had not attended that program during the
20 week, I would be put to work in the plant.

21 Q With another shift?

22 A With another crew.

23 Q Your resume then says that in August of
24 1975, you became a control room operator, is that
25 correct?

2 A That is true.

3 Q And by that you mean that you became a
4 control room operator trainee?

5 A Yes.

6 Q And was the process of moving from an
7 auxiliary operator to a control room operator trainee
8 by bidding up?

9 A Yes.

10 Q And what training did you receive as a
11 control room operator trainee?

12 A The training I had as a control room operator
13 trainee started out with six months in the classroom,
14 approximately, where we discussed the system com-
15 ponents, and we actually went out and traced down
16 the systems to find out where all the components were.
17 We again went into a theory section, where we reviewed
18 reactor theory and atomic theory.

19 We had gone in to the point where we were studying
20 procedures, operating procedures and emergency procedures.
21 Upon completion of this period, again we also had weekly
22 exams and a final exam at the end that was to be similar
23 to a mock NRC exam, to get us familiar with the type of
24 questioning that we would undergo.

25 Q And was that six-month classroom session

2 taught at Met Edison?

3 A Yes.

4 Q Was it taught by Met Ed employees?

5 A Yes.

6 Q And how big was your class?

7 A My class consisted of 13 prospective reactor
8 operators.

9 Q And you indicated that you received an
10 exam at the end of each week?

11 A Correct.

12 Q And at the end of that six-month session,
13 you received a mock NRC exam. Did you receive any
14 other final exam for the entire six-month period?

15 A That was to cover all of the material we covered
16 in the six months. That was our first of several.

17 Q First of several mock NRC exams?

18 A Mock exams of that nature.

19 Q Were you given a grade for the six-month
20 period?

21 A Yes.

22 Q What was that grade based on?

23 A It was based on your knowledge that you had
24 attained through the classroom program.

25 Q Was it based on your performance on the

2 weekly exams or your performance on that first mock
3 NRC exam?

4 A It was -- let me hear the question again.

5 (Previous question was read back.)

6 A The mock exam itself was based strictly on what
7 was performed in the mock exam.

8 Q What I am trying to find out is what your
9 grade for that six-month classroom session was based
10 on. Was it based on that first mock NRC exam that you
11 were given?

12 A No, it was based on the overall performance through
13 the classroom and the mock. I misunderstood you, I
14 guess.

15 Q And this mock NRC exam was in preparation
16 for you to take the NRC licensing exam?

17 A Yes. It was to see if we could successfully take
18 an NRC exam.

19 Q And who administered that mock NRC exam?

20 A It was administered by the company, the Training
21 Department.

22 Q And did the Training Department grade and
23 evaluate it?

24 A Yes, they did.

25 Q And they would go over the answers with you?

2 A Yes, at the end of it.

3 Q How many of those mock NRC exams did you
4 take?

5 A It has been so long. I think I took probably
6 three.

7 Q And why would they give you these addi-
8 tional two?

9 A Well, the first one was given after the classroom.
10 After that point, we also spent one week at Penn State
11 at their reactor, and then we spent eight weeks at
12 Lynchburg, Virginia.

13 Q And after your one-week session at Penn
14 State, you received another mock NRC exam?

15 A Not at that point. It wouldn't have been until
16 we came back to Lynchburg.

17 Q After you spent one week at Penn State
18 and that eight-week period at B&W, you then received
19 another mock NRC exam?

20 A Yes. At this time, we received the company-
21 administered exam, and we also received an exam from
22 some contractor that came in to test us.

23 Q Were both of those mock NRC exams?

24 A Both of them were mock NRC exams.

25 Q Both of them were graded?

2 A Both of them were graded.

3 Q And you received feedback from either
4 Met Ed or the company that administered it as to your
5 performance?

6 A Yes. Also in conjunction with these two exams,
7 we also underwent two oral exams, again once by the
8 company and once by the outside concern.

9 Q Does the NRC exam consist of an oral
10 part and a written part?

11 A Yes, it does.

12 Q Your resume indicates that you spent one
13 week in 1975 on the research reactor training program
14 at Penn State. Is that the program that you have
15 indicated was in preparation for your taking that NRC
16 licensing exam?

17 A Yes.

18 Q And what did that training consist of?

19 A What it consisted was 12 meaningful startups
20 and 22 power maneuvers and shutdowns of the actual
21 TRIGA reactor.

22 Q During 1976, you spent eight weeks at
23 Lynchburg, Virginia at the B&W Training Center there
24 for nuclear power plant operations courses, is that
25 correct?

2 A Yes.

3 Q And what did the eight-week session
4 consist of?

5 A Basically what it amounted to was four hours a
6 day we were in classrooms studying components that were
7 required for operation of the plant, and the other
8 four hours a day, we were actually on the simulator
9 performing startups and shutdowns, heatups, cooldowns,
10 and various casualty procedures.

11 Q And were you given exams there?

12 A I really can't recall whether we were or not,
13 to tell you the truth.

14 Q How many people were in your class at B&W?

15 A There were nine of us down there.

16 Q And was there a check made to ensure that
17 you performed each incident that they wanted you to
18 work through on the simulator?

19 A Yes. They split us up into groups, such that
20 each man got to perform, not the same day, but in the
21 same period, the same weekly period.

22 Q And were you evaluated on your performance?

23 A Yes, we were.

24 Q Did you have to receive a passing grade?

25 A Yes, it was either pass or fail.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q And did you pass?

A Yes.

Q Were you required to do homework during that course?

A We would have to take and study for what we were going to cover the next day. We would have to look at the procedures. But as far as homework, I guess you wouldn't really call it homework.

Q But you were required to read the operating or emergency procedures that you would be utilizing the next day?

A Yes.

Q And those operating and emergency procedures that you utilized at the B&W simulator, were they procedures in effect at TMI at the time?

A For the most part they were. However, some of their systems at the simulator didn't match with systems that we had, meaning that we couldn't use a certain procedure of ours to take and operate the simulator, and in that case, they provided a procedure that we could use for operation.

Some of their terminology was different from what ours is, such that there were some areas that we couldn't cover the same.

1

2 Q Could you explain what you mean?

3 A Well, like they have different coolant systems
4 than what we had. They had their arrangement somewhat
5 different as far as the console and number of equipment
6 than what we actually have.

7 Q And what terminology did they use differently
8 than was used at TMI?

9 A Well, they called their electric busses, their
10 shutdown electric busses, and we didn't use such
11 terminology. We just had the balance of plant and
12 emergency safeguard busses. Some of their coolant
13 systems, I can't really recall what they called them,
14 but they weren't anything like what we called them.

15 Q Did that make it difficult to go through
16 that simulator training with the differences?

17 A Not really. Once you have pretty much operated
18 a plant, you usually can pick out the differences, and
19 you can more or less accommodate yourself to them.

20 Q When you were working on the simulator were
21 there operating and emergency procedures for you to
22 utilize?

23 A Yes, ma'am, that was the purpose of the training.

24 Q You didn't have to memorize?

25 A We had to know our immediate actions. It was

1
2 treated similar to what we have now, where we should
3 have our immediate actions down, and then we can get
4 the book out.

5 However, the books at the simulator were always
6 available to us, as they are in the control room.

7 Q Your resume indicates that you also
8 participated in an initial fueling of Unit 2, is that
9 correct?

10 A That is true.

11 Q And what was your responsibility in that
12 function?

13 A Most of my responsibilities in Unit 2's initial
14 fueling were concerned with plotting the l/M plots,
15 where we kept track of how many fuel assemblies we
16 put in, making sure that we had the proper loading.

17 Q And under whose supervision would that
18 have been done?

19 A That would have been done under the refueling
20 shift foreman.

21 Q Who at that time was?

22 A Any shift foreman who was involved at the time,
23 it was his shift.

24 Q You say "under the refueling shift foreman,"
25 but actually this would be an initial fueling for

2 Unit 2, correct?

3 A Yes. What it amounted to was we had our crew
4 split in half, to where one crew handled the control
5 room functions, and the other crew handled the re-
6 fueling, or handled the initial fueling.

7 Q You were control room operator for Unit 2,
8 but Unit 2 in this period from August '75 to February '78
9 was not critical, correct?

10 A Towards the end of that period, we were doing
11 hot startup testing on Unit 2.

12 Q And initially what were your responsibilities?

13 A Initially my main responsibilities were to get
14 as familiar as possible with the plant itself and also
15 to keep up on my emergency procedures and normal
16 operating procedures.

17 Q Were you helping draft emergency and
18 operating procedures?

19 A I had been involved with writing a couple of
20 them, of the normal operating procedures.

21 Q No emergency procedures?

22 A I might have reviewed some, but actually writing
23 of them, no.

24 Q And in what capacity would you have
25 reviewed the emergency procedures?

2 A As an operator, to see if they would work from
3 an operational point of view.

4 Q At that point in time when the emergency
5 procedures and operating procedures for Unit 2 were
6 being drafted, they would have control room operators
7 review the procedures?

8 A Control room operators would be one of the
9 groups of people that would have reviewed it.

10 Q What other groups?

11 A Shift foremen and supervisors would review it,
12 and then they would go through PORC.

13 Q Would those be the only people that would
14 review it?

15 A Station engineers or station superintendents
16 would have to review it after it went through PORC, to
17 get a final approval on it.

18 Q Would you, in writing those procedures or
19 those operating procedures, or reviewing operating
20 or emergency procedures, would you consult anybody else?

21 A Mostly those people I mentioned, as well as the
22 tech manuals again, for the equipment I was trying
23 to operate.

24 Q Would you consult anybody outside of Met
25 Edison?

2 A My supervisors mostly took care of that type
3 of work.

4 Q If you had certain questions that needed
5 outside consultation, would you direct those ques-
6 tions to your shift foreman and shift supervisor?

7 A Yes, I would.

8 Q Do you remember particular instances where
9 you found it necessary to do that?

10 A No, that has been a while, and I have a hard
11 time remembering back in some detail such as that.

12 Q But there were instances?

13 A Sure, there were.

14 Q Your resume indicates that during this
15 period from August 1975 to February 1978, that you
16 were writing system lectures. Could you explain what
17 that means?

18 A What that meant was that it was a means of
19 helping us be more familiar with the system.

20 What we would do is we would take all the
21 information we could find on a given system, including
22 the procedures, the system descriptions and things
23 of that nature, and we would compose a lecture which
24 would be given to auxiliary operators and even to
25 other control room operators.

1

2 Q At this time, were there auxiliary operators
3 just for Unit 2?

4 A No. At this time, we were still operating with
5 a combined-unit pool of auxiliary operators.

6 Q Do you remember for what systems you had
7 written lectures?

8 A I had written one on secondary service river
9 water, for one, screen wash system. That is about the
10 only ones I can remember off the top of my head.

11 Q And who would review those?

12 A Again, my immediate supervisor, as well as the
13 Training Department, would review those.

14 Q And you would give these lectures?

15 A In some cases I would, and in some cases some-
16 body else would use them for purposes of giving
17 lectures.

18 Q Did you consult anybody in preparing
19 these lectures?

20 A Again, I would have conferred at the time, we had
21 UEC startup people, we had people that were in Engineering,
22 and I would talk to some of those on some equipment
23 problems.

24 Q You had what sort of people?

25 A United Engineers Company. That was the company

1
2 in for our initial --

3 Q You also would consult with engineers at
4 Met Edison?

5 A Yes.

6 Q Who would that have been?

7 A I don't really remember at the time. We have
8 had a lot of changes in our Engineering staff.

9 Q And would those Met Ed engineers have been
10 on-site?

11 A Yes, they would have, for the most part.

12 Q They were not in Reading?

13 A No, those were people who were right here on the
14 site overseeing different jobs.

15 Q In February 1978, you became a shift foreman,
16 correct?

17 A Yes.

18 Q And how did you move from the position of
19 control room operator to shift foreman?

20 A My supervisor came up and asked if I would
21 like the foreman's job, and I accepted it.

22 Q Who would your supervisor have been?

23 A I believe Mike Ross was the one who offered
24 me the job.

25 Q Were there certain qualifications that

1
2 you had to meet to become a shift foreman?

3 A Well, I had to originally hold a control room
4 operator's license. I had to be familiar with the
5 plant that I was taking the job for.

6 Q Anything additional?

7 A I had to show responsibility and general knowl-
8 edge of how to operate and how to direct people.

9 Q When did you receive your reactor operator's
10 license?

11 A Is it there? I can't recall off the top of my
12 head. I think it was prior to Unit 2 coming up. We
13 had had a cold license initially, and then we had to
14 get that converted to hot license. I would say probably
15 somewhere in late '77, middle to late '77.

16 Q And by your acquiring a reactor operator's
17 license from NRC, you took an NRC oral and written
18 exam?

19 A Yes.

20 Q And what grade did you receive on that
21 exam?

22 A I really can't recall. It was sufficient to pass,
23 though, more than sufficient.

24 Q Do you remember if you received less than
25 80 on any part?

2 A I might have had one or two sections, but I can't
3 honestly recall.

4 Q Do you remember any additional studies
5 that were required after that exam in response to a
6 grade you received on that exam?

7 A Yes. What comes out of that is that if you get
8 less than 80 on any section of the exam, you go through
9 a training cycle. Everybody goes through a training
10 cycle, but if a person missed or got less than 80, he
11 gets an additional package as far as training was
12 concerned, additional type homework assignments con-
13 cerning sections he might have got less than 80 on,
14 and in addition to that, he was required to be at all
15 lectures that were covered in that given section.

16 Q And did you receive any of these addi-
17 tional packages?

18 A Again I may have, but I have seen so much paper
19 in the last couple of years that it is really hard to
20 pinpoint to be sure that that was the purpose of it.

21 Q You don't remember?

22 A I really don't recall. I think I may have.

23 Q You don't remember for which sections?

24 A No.

25 (A brief recess was then taken.)

2 Q Is this Operator's License No. 074590 that
3 is referenced in Scheimann Exhibit 21 the reactor
4 operator's license that you held as control room
5 operator on Unit 2 at TMI?

6 A Yes.

7 Q And is that the only reactor operator's
8 license you have ever held?

9 A I also held a senior license afterwards.

10 Q You received a senior operator's license
11 on Unit 2 also?

12 A Yes.

13 Q And when did you receive that license?

14 A That was, I believe, in May or June of '78.

15 Q And did that also require an oral and
16 written exam from the NRC?

17 A That one required a written exam. However,
18 since it was fairly recently that I had my written
19 and oral exam for control room operator, the oral
20 was waived on that one.

21 Q If you take your senior operator's
22 license exam within a year of your reactor operator's
23 license exam, you don't have to take the oral part?

24 A I don't know if there is any given time period
25 or not. I am not even sure technically why it was

1
2 waived, but it was waived. I thought it had to do
3 with the fact that I had recently had my RO exam.

4 Q The NRC would be the entity that waived
5 that requirement?

6 A Yes.

7 Q And did you have any specific training
8 to take for that senior operator's license?

9 A I had a 300-hour, more or less, review course
10 on system operations and design and various other
11 features of the plant.

12 Q And who gave that review course?

13 A That one there was pretty much self-taught.
14 However, any material I needed, I could depend on the
15 Training Department to round it up for me.

16 Q You didn't have any exams prior to the
17 taking of the NRC exam?

18 A Yes, I did. I had a weekly exam given.

19 What we did was, we covered one section of the
20 NRC exam over a period of seven or eight days, and
21 then we took a written exam on it.

22 Q And you would receive a grade on that
23 exam?

24 A Yes.

25 Q And the Training Department would review

1

2 your answers?

3 A Yes.

4 Q And what type of questions were asked?

5 A They were all essay-type questions, where they
6 would ask us to describe or to make a diagram or
7 something, or to answer what our responses would be to
8 a certain condition, depending on the section of the
9 exam.

10 Q With respect to your answering what a
11 specific response would be, did you have to explain
12 why you were taking that specific response?

13 A That was partially involved in the answer to the
14 question. The way the questions were worded was such
15 that we had to tell what we expect would happen, as
16 well as why we thought that.

17 Q Since you became a shift foreman, have
18 you gone for any training?

19 A We did go through, as I was describing to you
20 while we were off the record, that we run a six-shift
21 rotation, where every sixth week is spent on training
22 purposes for a 40-hour week.

23 Q And is that the only training you received?

24 A As far as I can recall at the present time, yes.

25 Q You have not been back to the B&W Training

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Center except for that one time for eight weeks in
1976?

A I have been back once previous to my SRO license.
As a CRO, I was up there a second time. I was scheduled
to go up approximately two weeks after the incident,
but we never made it since we were so wrapped up here.

(Continued on Page 43.)

T-5

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q Usually as a shift foreman with an SKO, you would be required to attend simulation sessions at B&W?

A Normally the company schedules all its licensed personnel to attend one session a year of one week duration.

Q But because of the March 28, 1979 incident, you did not go up for your yearly session?

A That is true.

Q So that the only time that you have been at B&W for simulator training aside from the eight week session in 1976, was for one other week while you were a control room operator on Unit 2?

A Yes. At the time I was a licensed control room operator.

Q And for that one week that you, at B&W as a licensed control room operator, what did that week consist of?

A The week was split up similar to the eight-week course, where we spent half of the day in classroom and the other half on the simulator, itself, performing various emergency procedures.

Q Were you given any training at the end of that?

2

1

Scheimann

2 A No, I don't recall having any training.

3 Q Did you receive a grade?

4 A No, I don't recall having a grade on it.

5 Q Did you receive some kind of evaluation?

6 A Yes, he told us whether we were sat or unsat,
7 as far as our operation on the console.

8 Q Satisfactory or unsatisfactory?

9 A Yes.

10 Q And were you satisfactory?

11 A Yes.

12 Q Would they run you through certain scenarios
13 during that week?

14 A The way the simulator is set up, what they have
15 is they have a second console back in a room all
16 by itself where they can put in any number of casualties.

17 What they do is by pushing a given button
18 on that, it would cause a certain casualty to
19 happen on the simulator console. They then-- he
20 would go in there and give us the casualty, and
21 then we would respond to it.

22 Q Were you ever given multiple casualties?

23 A No.

24 Q Were you given specific transients that
25 had occurred at B&W plants?

1

2 A Mostly what the casualties were that we were
3 getting was like loss of feed pumps, reactor trips,
4 turbine trips, things of that nature.

5

6 If something did come up in another plant,
7 some times it was incorporated, sometimes we weren't
8 even aware that something might have happened somewhere
9 else.

9

10 Q So sometimes you did not know if a transient
11 that you were working on had occurred in another
12 B&W plant?

12

A True.

13

14 Q Would you find out by the B&W trainer
15 mentioning it to you?

15

16 A I really can't recall having them really so much
17 as come out and tell us, "This casualty happened to
18 this guy" or "This casualty happened here." Mostly
19 the casualties were just punched into the machine,
20 then we responded, and then we discussed why we
21 responded the way we did.

21

22 Q You didn't give a written handout that
23 would in advance tell you what the scenario was?

23

24 A No, we did not for the most part. On simulator
25 schedule time we just listed as various system
casualties.

1
2 Q And at the time of the simulator casualty
3 scenarios, would they then give you a handout that
4 would describe that scenario?

5 A Well, when we would go down to the simulator,
6 we are given a looseleaf notebook that covers basically
7 what we noted during the week we are at the simulator.

8 What it would consist of is what lectures
9 they are going to give, as far as system components,
10 and it would give us a list of procedures that we
11 would be tested on during the period. But at any
12 given time we did not know which casualty they were
13 going to put on us. We didn't find out until after
14 they pushed the button and we responded to it.

15 Q So that in this looseleaf, there would be
16 a description of the scenarios that you would then
17 run through?

18 A There would be a listing of the emergency
19 procedures and a copy of them in there.

20 Q Would it give you a listing of the conditions
21 that you were encountering in that particular
22 casualty?

23 A What we would have -- it would tell us what our
24 initial conditions were, and then it would tell us
25 in the end what the final conditions should have been.

5

1

Scheimann

2 Q Did any of these ever also indicate whether
3 or not they were real life conditions or transients
4 or just made up by B&W?

5 A Not to my knowledge.

6 Q So that if you ever found out it was a
7 transient that had happened at a plant, it would
8 just be orally from somebody at B&W?

9 A Normally we would get a report of different
10 incidents that would come to the plant when it
11 did get set off. Sometimes we would see them and
12 sometimes we wouldn't. That is what I am getting at.

13 It might, for instance, one thing that
14 was questioned on us on several counts was did we
15 hear of the thing that occurred at one of the units
16 concerning the electromatic relief. That report
17 we hadn't even seen prior to the questioning period.

18 Q You are referring to a report coming from
19 where?

20 A I believe it was -- I'm not very sure who it
21 originated with, but they asked us at the hearing in
22 Washington whether we had heard of that report.

23 Q At the hearing in Washington -- you mean
24 at the President's Commission Hearing?

25 A Yes.

6

1

Scheimann

2

Q And do you know to what report they were

3

referring?

4

A I can't recall right at the moment.

5

Q Could this have been a B&W report?

6

A Again I can't really recall. It was like some

7

report we would receive and some we didn't hear about

8

until some period of time waned down the pike.

9

Q Are you referring to a licensing event

10

report?

11

A Yes, in some instances, yes.

12

Q What other reports?

13

A Reports of trips that had occurred at different

14

places.

15

Q And how would you receive these reports?

16

A Normally they would come down in a packet

17

of different problems that have occurred at different

18

plants.

19

Q And who would they come from?

20

A Again I'm not sure on that myself.

21

Q How are they forwarded specifically to

22

you?

23

A Normally they would be covered -- what ones

24

we had available would be covered when we were on

25

our training week.

2 Q It would be covered by Met Edison?

3 A Yes. They would get us copies of it, the
4 ones that were available, and we could look over
5 them and see what the problems were associated with
6 them.

7 Q Prior to March 28th, were you familiar
8 with an incident that occurred at DB-1 on September
9 24, 1977?

10 A No, I was not. I believe that is the report
11 that I was referring to earlier.

12 Q You did not hear of that incident until
13 after March 28, 1979?

14 A No, I don't recall hearing of that one until
15 after I got into the questioning.

16 Q You did not hear of that incident until
17 you were testifying before the President's Commission?

18 A I believe that is true.

19 Q Did you hear of an incident that had occurred
20 at another B&W plant that involved a detailed open
21 POLD?

22 A No, I don't recall hearing that one either prior
23 to the time of the incident.

24 Q Do you know of any control room operator
25 at TMI that was aware of the incident at Davis-Besse?

1
2 A Well, I can't really speak for anyone other
3 than myself in that regard. I wouldn't necessarily
4 know what they have gotten a hold of or what they
5 heard.

6 Q Did you hear of any control room operator
7 that knew of this incident?

8 A No, ma'am, I didn't.

9 (There was discussion off the record.)

10 Q Is there any formal channel at TMI that
11 you received information to as a shift foreman that
12 provides you information concerning other plants,
13 other nuclear plants?

14 A What information I would get would be based on
15 what the station superintendents thought that the
16 operational people needed to have, that he, himself,
17 had.

18 Q The station superintendent being Gary Miller?

19 A Yes.

20 Q So that Gary Miller would receive information
21 from other B&W plants and, as appropriate, forward it
22 to you?

23 A It is conceivable he would receive it. What
24 I'm saying is anything he received that he thought
25 was necessary for us to know, he would forward down

2 to us.

3 Q And do you remember the specific instances
4 where he has forwarded information concerning other
5 B&W plants to you?

6 A We get paper all the time coming down to us from
7 him on various different things.

8 Q Different things concerning other B&W plants?

9 A Only on our own plant itself. It is kind of hard
10 to take and pick out one instance where there might
11 be something pertaining to another plant but had
12 been funnelled down to me.

13 Q But do you remember specific instances
14 where he has funnelled information to you concerning
15 other B&W plants?

16 A I do remember certain instances. However, I
17 couldn't name them.

18 Q Would you retain those memorandums that
19 he sent you or information that he sent you?

20 A Sometimes and sometimes not.

21 Q If you retained them, would they be on site?

22 A Right now I have very very little that is on
23 site. Usually something that we would receive like
24 that would be something that we would read, talk
25 over with our crew, and then it wouldn't necessarily

2 be retained.

3 MS. GOLDFRANK: I would like to ask you
4 to look through the information that you do
5 have on site to see whether or not you have
6 any such information that would have been
7 forwarded to you by Gary Miller and bring it
8 with you if you can tomorrow.

9 THE WITNESS: Okay, I will look and see
10 what I have got up in my basket when I get up
11 there.

12 Q Do you remember any instance where Gary
13 Miller would have talked with you and not have sent
14 you a written memorandum concerning incidents or
15 information coming from other B&W plants?

16 A I am sure that he has at times told us, "Hey,
17 this occurred here" "This occurred there." However,
18 an exact incident, I can't really recall. I can recall
19 them talking to us though in the past on things that
20 happened in different locations.

21 Q You don't know exactly how he acquires
22 this information?

23 A No, I'm not really sure myself.

24 Q Do you have a general idea?

25 A No, not really.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q Do you know if he meets with people from other B&W plants?

A I really am not sure. I really am not up to what his job involves. I have enough with my own job.

Q Do you ever meet with people from other B&W plants?

A Not necessarily. Most of the time I wouldn't. However, we did have people from B&W plants during the first few weeks after the accident.

Q Prior to March 28th?

A I can't recall of such a case.

Q You don't remember any specific incident where you had met with people from other B&W plants?

A No, ma'am. Normally that wouldn't be handled at my level.

Q Have you ever visited another B&W plant?

A No, ma'am, I have not.

Q You have never had any training at any other B&W plant?

A No, ma'am.

Q Do you have to be requalified as a senior operator?

A I have to take a yearly company-administered

1
2 written and oral exam, and the NRC gets a copy of
3 that exam and looks it over to see if it is of
4 proper difficulty and covers the proper material
5 to be covered. And if they so deem, they can come
6 in at any time and re-question us and re-examine
7 us.

8 Q And you have taken one exam?

9 A I have taken my senior licensing exam by the
10 NRC and, since then, in February I took a
11 company-administered requalification exam.

12 Q And you received a grade on that?

13 A Yes.

14 Q Do you know what grade that was?

15 A I think it was something like 84.2 overall.

16 Q Are you given grades on each section and
17 then an overall grade?

18 A Yes, ma'am.

19 Q And is it similar to the NRC reactor
20 operator's license exam, that if you don't receive
21 above 80 on each section, you are required to go
22 over certain training pamphlets?

23 A Yes.

24 Q And did you receive over 80 on each part?

25 A Yes, ma'am. The first time I am sure I

2 received over 80 on everything.

3 Q It is also very recent, so you can remember?

4 A Yes.

5 Q Could you tell me what type of questions
6 that exam covered?

7 A Well, depending on the category, it would have
8 asked us questions concerning design parameters of
9 the plant. It would ask us responses to different
10 casualties. It would ask us questions concerning
11 our emergency equipment. It would ask us questions
12 concerning our emergency and normal procedures.

13 On the senior license they have a section
14 that is for administrative procedures and such.
15 They also have a section where they talk about
16 refueling and various core parameters.

17 It is an overall comprehensive exam on
18 what our duties are.

19 Q Could you explain the differences between
20 the NRC exam the certificate of senior operator's
21 license and the yearly requalification exam that
22 you took in February?

23 A Basically the format and the type of questioning
24 is identical.

25 Q Is the substance of the questions basically

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

the same?

A I would say yes.

Q It is really a refresher exam?

A It would be just like taking the NRC exam again every year, the only difference being that the NRC isn't marked as you're administering it.

Q Does Met Edison grade that exam?

A Yes.

Q The training department?

A Yes.

Q If you receive over 80 on those sections, are you critiqued by the training department as to your answers?

A Yes. We do have a critique section, a short time after the exam, when the results have been obtained, and everybody attends that that is licensed.

Q And they go over what a perfect answer would have been?

A Yes. They go over what they determine should have been the answer that they were looking for.

Q Could you explain to me what the difference is between reactor operator's license and the senior operator's license exams given by the NRC?

A Right. The difference between the two is the

1
2 senior operator actually does take the reactor
3 operator's exam. In addition, he has an additional
4 five sections that he must take on the senior level

5 Q What are those five sections?

6 A Really all it is is a combination of the other
7 seven sections for the CRO, all only in more detail.

8 What they do is bunch a couple of sections
9 together. The only additional section that we have
10 on the senior exam that is not on the RO exam is the
11 administrative section. The degree of questioning
12 is into a deeper extent though.

13 Q So it is more sophisticated in its level?

14 A Yes, ma'am.

15 Q And what is the administrative section?

16 A That consists of records, reports we are required
17 to make to the NRC and technical specifications in
18 depth and various things of that nature.

19 MR. YUSPEH: Is there any experience
20 requirement to become a senior reactor operator?

21 THE WITNESS: The experience requirement
22 is based on the performance the man has shown in
23 the reactor operator type classification, plus
24 his knowledge of being able to retain the material
25 for the senior license and be able to answer

1
2 questions on it and be able to use the material
3 and perform it.

4 MR. YUSPEH: Must he hold a
5 reactor operator's license for a specific
6 minimum period of time or must he serve as
7 an actual CRO for a certain period of time?

8 THE WITNESS: I do not believe there is
9 a time requirement as such. It seems to me
10 that we had some shift foreman in our initial
11 group that had held operator's licenses at other
12 plants and they had come to Unit 2 as shift
13 foreman, and they took the whole set of exams,
14 including the RO and the SRO portions.

15 Q Are you required as the shift foreman to
16 hold a senior operator's license?

17 A Yes, I am.

18 MS. GOLDFRANK: I would like to mark as
19 Scheimann Exhibit 22 part of the SSAR pages
20 of the numbers 14.2-5 through 14.2-8.

21 (The above described documents were marked
22 Scheimann Deposition Exhibit 22 for identification.)

23 Q I would like you to look at what has been
24 marked as Scheimann Deposition Exhibit 22, at the
25 section on page 14.2-6 entitled, "Met Ed Shift

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Foreman," which is number 14.2.3.8. Could you read that description below to yourself.

A Okay.

Q Would you state that that is an accurate representation of your responsibilities?

A I would say so.

Q Would you add anything to that?

A Well, I am responsible for correction of the people on the shift and responsible to the shift supervisor and supervisor of operations.

Q You are responsible to both?

(Continued on following page.)

1

2

3 A Directly to the shift supervisor and to the
4 supervisor of Operations.

5

Q In a normal shift, you have explained
6 that you rotate as you go to night shifts at certain
7 times and day shifts. Would the shift supervisor also
8 rotate with you?

9

A The shift supervisor, under normal circumstances,
10 would rotate with us. We would have the same shift
11 supervisor on all shifts.

12

Q And is the supervisor of Operations a person
13 who rotates, too?

14

A Not as such. He is here whenever needed, but
15 mostly here on the day shift.

16

Q And the shift supervisor for Unit 2 is --

17

A First, there is one shift supervisor for Unit 2,
18 and that is William Zewe, and he is strictly here on
19 the day shift or if we need him at night.

20

Q So that prior to March 28th, he would
21 usually be here on the day shift, and you would be
22 able to contact him at night?

23

A No, prior to March 28th, each shift had a
24 shift supervisor that was here around the clock. What
25 I talked about was at the present time.

1
2 Q Prior to March 28th, there would then
3 be three shift supervisors?

4 A No, there would be six, one for each shift, A
5 through F.

6 Q And prior to March 28th, there was only
7 one supervisor of Operations?

8 A Yes.

9 Q So that this portion of the FSAR that has
10 been marked Scheimann Deposition Exhibit 22 is inaccurate
11 in the sense that you do not report directly to the
12 supervisor of Operations, but you report directly to
13 your shift supervisor, who reports to the supervisor
14 of Operations?

15 A Yes. I would say the only time I would report
16 directly to the supervisor of Operations was if he
17 requested certain information from me.

18 Q Without going through your shift supervisor?

19 A Correct.

20 Q You were shift foreman for a period before
21 TMI 2 became critical, from February 1978 until
22 March 28, 1978?

23 A Yes.

24 Q And what were your responsibilities at
25 that point?

6.3

1
2 A My initial eight weeks were spent in training
3 for my senior reactor operator's license.

4 Q Was it necessary for you to have a senior
5 reactor operator's license prior to TMI 2 becoming
6 critical?

7 A It was my duty to get my license in as short a
8 period of time as I could.

9 Q But you did not need to have passed the
10 NRC exam prior to TMI 2 becoming critical?

11 A No. To my knowledge, there was no such
12 requirement. However, if I had my license prior to
13 Unit 2's criticality, there would have been an extra
14 person, and we could have had better shift rotation.
15 I could not have directed the people with just my
16 control room operator's license.

17 Q So you could not direct people until you
18 got your license in May or June 1978, is that correct?

19 A That is correct. I could not take the shift as
20 a shift foreman without my senior license.

21 Q So for the period from February 1978
22 until May or June 1978, when you received your SRO,
23 what were your responsibilities?

24 A My responsibilities during that time were just
25 strictly training purposes, to get myself ready for a

1
2 Unit 2 license, and I then spent one week in that
3 period helping with Unit 1 refueling, but I had no
4 on-shift responsibilities at that time.

5 Q Once you received your SRO in May or June
6 of 1978, you then became the shift foreman on one of
7 those shifts?

8 A Yes, ma'am.

9 Q And why don't you tell me what happens
10 on a typical shift.

11 A It all depends on what mode you are interested in.
12 If we were in shutdown, things would be different
13 than if we were up and steaming.

14 Q Normal operation.

15 A In normal operation, what would happen is we would
16 come in and take the shift and get it turned over from
17 the guys that were leaving, about any problems that
18 they had noticed during the shift, or any that had
19 been noticed on the shift before.

20 After taking the turnover, my normal thing I
21 would have done would be to review the log since the
22 last time I was on shift to see if I could spot anything
23 that was going to possibly give me a problem during
24 the course of the shift.

25 Then I would get together all the surveillance

1
2 that would be required to be performed during the shift,
3 and I would issue that out to the control room operator,
4 who would at that time issue it out to the auxiliary
5 operators for performance.

6 Then I would go about and check all my plant
7 parameters to make sure everything was looking all
8 right on the console itself.

9 During the course of a shift, I would try to get
10 out in the plant and spend probably two to three
11 hours checking out the equipment itself, to make
12 sure that things were running as they should be.

13 I could at one time or another be involve^d with
14 giving an oral exam to an auxiliary operator who was
15 getting ready for his next pay grade. I could be
16 involved in various procedures that have to be re-
17 viewed and various other things of that nature. A
18 lot of the job is paperwork and directing people,
19 though.

20 Q You stated that on the change of a shift,
21 you would initially talk with the people who you were
22 taking over the responsibilities from, and they would
23 convey to you any problems that they had encountered
24 during their shift. Would that be orally that you
25 would just talk to them about any problems that had

6.6

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

come up?

A Yes, ma'am. It would be an oral conversation.

Q And would they indicate to you in a log if anything had been reported?

A Well, we kept a piece of paper we used to write our turnover down for our own memory, and also for presentation purposes to the oncoming shift.

Q So that they would show you that on a written log?

A Yes. We would have a piece of paper up there with our turnover on it, and we would talk over each item as we would go down it.

Q And are these logs kept?

A No, they are not, ma'am, at present. Each shift, what it turns out will take and write up his turnover for the next guy, and then the next guy, he takes over the shift and would write it up at the end of his shift as to what changed from previously, and then the old ones would be discarded.

Q The old one would just be thrown away?

A Yes. There would be no further need because we managed to carry all the items on to the next shift. It is a living document, so what it amounts to.

Q And this was true before March 28th, also?

6.7

1

2 A Yes, ma'am.

3 Q Is that the log you were referring to that
4 you would review upon coming on shift?

5 A No, ma'am. My foreman's log is the one I was
6 referring to.

7 Q What is that?

8 A That is a book where I keep track of all events
9 that occur during the course of the shift. This log,
10 in conjunction with the CRO log, is where I get most
11 of my entries from to begin with.

12 Q And is this your log, or is it a situation
13 where every shift foreman maintains the same log?

14 A Every shift foreman maintains the same log. He
15 makes his daily entries into this same logbook.

16 Q So there is one log that all three shift
17 foremen would enter their entries into?

18 A All three, yes.

19 Q And what type of things do you enter in
20 there?

21 A What I would enter in there is what technical
22 specifications, surveillances were done during the
23 shift. I would enter any problems that we had had
24 in the shift with a piece of equipment, anything that
25 was taken out of service, or anything that we did

2 during the shift.

3 Q And this logbook is maintained in the
4 office in the control room?

5 A No, it is maintained right out on the shift
6 foreman's desk.

7 Q And where is that desk located?

8 A Right in front of the shift supervisor's office
9 in the rear of the control room.

10 Q And the office in the rear of the control
11 room is the shift supervisor's office?

12 A Yes, ma'am.

13 Q And there is a desk in front of that office
14 that is the shift foreman's desk?

15 A Yes.

16 Q So that this logbook is kept on that desk,
17 so that when you come on duty you review that, and
18 that contains anything that came up during the shift?

19 A Yes.

20 Q And is this also a living document, or
21 are these logs kept?

22 A These logs are kept.

23 Q And who keeps these logs?

24 A Well, you fill them out until the book is com-
25 pleted. Then they get turned over to the Operations

2 engineer for storage.

3 Q And who is the Operations engineer?

4 A Right now, that is kind of confusing.

5 Q Before March 28th.

6 A Before, it had been Bubba Marshall.

7 Q Are these logs reviewed?

8 A We review them once a shift, yes.

9 Q And does anybody else review them besides
10 the shift foreman?

11 A I believe the supervisor of Ops is required to
12 review them once a week.

13 Q Do you know what he reviews them for?

14 A For content, whether they are being kept properly,
15 and things of that nature.

16 Q Has the supervisor of Operations ever gotten
17 back to you after a review?

18 A In what respect?

19 Q Has there ever been an instance where he
20 has gotten back to you?

21 A Probably when we were first initially getting
22 ourselves together because maybe at that time people
23 probably weren't putting in all they should have. He
24 may have made a comment about not having enough entries
25 in the log.

2 Q Do you remember since December 30, 1978,
3 that a supervisor of Operations has contacted you
4 concerning the shift foreman's log?

5 A No, not to my knowledge.

6 Q If he did contact you prior to December 30,
7 1978, would this have been an oral contact discussing
8 something that he wanted you to do in the log that
9 you had not done?

10 A Well, it could have taken the form of an oral
11 communication, or it could have been a letter coming
12 down to each of the shift foremen, saying that we
13 needed to do more work for the log, or something of
14 that nature.

15 Q Would you have retained these letters?

16 A No, ma'am.

17 Q Once you received the letter, would you
18 comply with it?

19 A Yes, ma'am, I sure would.

20 Q Then would you throw the letter out?

21 A I would think it would be safe to say I would have.
22 If I kept every piece of paper that ever came across
23 the desk, I wouldn't have any place to put it.

24 Q You indicated that one of your responsi-
25 bilities when you came on shift in your normal shift

2 was concerning surveillance, correct?

3 A Yes.

4 Q And could you explain that, please?

5 A Well, what we have is we have two types of
6 surveillance. We have operational surveillance, which
7 is just checking out non-tech spec-related equipment,
8 and we have tech spec surveillance, which would be
9 checking out our DSAS-type components. What it amounts
10 to is we have a sheet on the desk or sheet in the
11 file that we keep for surveillance. It would be dated
12 for when the surveillance is due. I would pull it out
13 and hand it to the CO, and he would go back and
14 make a copy of the procedure for that particular
15 surveillance. Then he would start performing.

16 Q And from whom would you get the informa-
17 tion as to what surveillances were required that day?

18 A We have what we call a surveillance coordinator.
19 What he does is, once a week he brings up a fresh stock
20 of surveillances that will be due during the course of
21 the week.

22 Q So he brings this, which is a computer
23 printout?

24 A Yes, it is a computer printout.

25 Q He brings this once a week?

2 A Yes.

3 Q Then each time you go on shift, you check
4 to see what has to be done that particular shift?

5 A Yes, ma'am.

6 Q And who is the surveillance coordinator?

7 A I am not really sure who it is. I think it is
8 Bob Beman.

9 Q Who would he report to?

10 A Again this I am not really sure.

11 Q How is there a check done to know which
12 surveillance procedures to do on your shift, and which
13 surveillance procedures are done in the previous or
14 subsequent shifts?

15 A Well, the tech spec surveillances when performed
16 are indicated in the shift foreman's log by an entry on
17 the left-hand side of the page. It is supposed to be
18 written down there, the time it was performed and what
19 the actual item was that was performed.

20 Q So prior to your telling the CO what
21 surveillance procedures they should perform, you would
22 check in that log to see which ones had already been
23 performed?

24 A No, not necessarily, because each surveillance
25 item has its own computer printout sheet, which you

2 staple onto the procedure itself that you are going to
3 perform.

4 Then when it is done, you sign off the sheet,
5 and then that goes over to the surveillance coordinator,
6 and you don't have to worry that somebody else will
7 come in and do the same surveillance because the
8 green sheet for it is already in the mail.

9 Q So once the surveillance is done, you no
10 longer have a computer printout for it?

11 A Right.

12 Q Once a CRO has completed the various
13 surveillances that you have assigned him, do you then
14 review that?

15 A Yes. The surveillance printout sheet has a
16 space there for approval signature, which is the one
17 I must make.

18 So what I would do is when the surveillance
19 sheet comes up to me, I have to look at the data sheet
20 and make sure all the things in the required specifica-
21 tions are done. Then I would sign that sheet, and I
22 would sign the computer printout sheet.

23 Q So you check to make sure that, one, he
24 has completed it, and two, that the readings are within
25 the right range as required by the tech specs?

1

2 A Yes.

3 Q Is there anything else you check it for?

4 A That it is done within the required time. I
5 would have to check that.

6 Q Anything else?

7 A Not really to speak of.

8 Q Does anybody else review this?

9 A The procedure coordinator, he will get the green
10 sheets when they are performed, and I guess he would
11 take and look over to make sure they were all performed.
12 He would check to see that everybody that was required
13 to sign it, the CROs and shift foremen, had signed it.

14 Q The shift supervisor does not review this?

15 A Not necessarily on a normal basis.

16 Q Under certain circumstances, he would?

17 A He likes to be kept informed of what we are
18 doing, except surveillance.

19 Q So on an infrequent basis he would come
20 and check?

21 A If he was in the control room at the time some-
22 thing was done, he might sign it as approving in my
23 place.

24 Q But from you, the surveillance sheets
25 would then go to the surveillance coordinator?

1

2 A That is true.

3 Q And is he just a record keeper, or does he
4 perform a review function?

5 A I believe he is mostly assimilating all the
6 data and putting it into a design storage area, and
7 puts the feedback on the computer, such that it can
8 be rescheduled next time it is due.

9 Q He doesn't review it to check as to the
10 type of things that you checked for, that certain
11 readings are within the tech spec limitations?

12 A Yes, he does also do a check on that, in
13 particular, in a case where they fall out of the range.
14 You see, if they fall out of the range, I am required
15 to file an exception or a deficiency report on the
16 surveillance itself, and that would flag it to the
17 point that he has to take and observe that to see what
18 the reporting requirements are as a result of the
19 exception or deficiency.

20 Q In the surveillance, if something does
21 not fall within the range that it is supposed to, you
22 fill out what you call an E&D form?

23 A Yes.

24 Q And who is that sent to?

25 A That goes, complete with the procedure and

2 with the green sheet to the procedure coordinator,
3 and he takes and distributes it from there, to who I
4 am not really sure. Most of our procedures for
5 surveillance, they tell you inside the procedure who
6 has to see it if you have a problem with it, like
7 whether it be the Maintenance Department to try to make
8 corrective action or whatever.

9 Q And you are not responsible for ensuring
10 that that information gets to that particular indi-
11 vidual, but the surveillance coordinator is responsible
12 for that?

13 A I believe so, yes.

14 Q So you just forward this entire packet to
15 the surveillance coordinator?

16 A Yes.

17 Q And his attention would be brought to certain
18 readings that you received that were not what they
19 should be within the tech spec by this form?

20 A That, and also by it being flagged in the data
21 sheet.

22 Q In the data sheet, meaning the actual
23 surveillance form that you have completed?

24 A True. What I would do is, for every item that
25 I put in an exception form or deficiency form, I

1

2 would also, next to that item on the data sheet, mark
3 "E" or "D" and then whatever number it was. Like, if
4 I had more than one exception, I would write "E-1",
5 "E-2", "E-3", and then flag it right next to the
6 deficient item.

7

Q Would you explain the difference between
8 an exception item and a deficiency?

9

A A deficiency item is one that will not allow
10 the surveillance to pass. It will cause failure of
11 the surveillance. An exception is one that allows the
12 item to pass, but it is notification that you are getting
13 on the borderline of not being able to pass surveillance.

14

Q What happens if you find a deficiency,
15 and therefore have failure of surveillance?

16

A Well, then the people involved have to take
17 and look at it to find out why it was wrong. We would
18 probably have Electrical Maintenance or Mechanical
19 Maintenance or the Cognizance Branch come and look
20 over the piece of equipment; whereupon, he would test
21 it again in their presence, and any problem that arose
22 from that would be worked on until it is corrected.

23

Once corrected, we would have to re-perform the
24 surveillance to show that the deficiency was no longer
25 there.

2 Q And what time period are you talking
3 about?

4 A It would depend on the given piece of equipment.
5 Each equipment that you have over there is governed
6 by a different technical specification, and it would
7 tell you in the technical specifications how long you
8 could go without that piece of equipment operable.

9 Q And how is a check made to ensure that
10 these items are corrected, so that you don't fall
11 within a time period that has elapsed that you cannot
12 operate?

13 A Well, on the shift foreman's log, we also note
14 on the left-hand side any timeclock that we have entered,
15 such as "such-and-such a piece of gear is out of service.
16 Start the 24-hour timeclock" or "Start the 7-day
17 timeclock," whichever. By referring to that, we will
18 keep the status up on the board as to what timeclocks
19 are in force at any time.

20 Q And at what time --

21 A -- it would expire.

22 Q Do the auxiliary operators report to
23 you or to the control room operators?

24 A Normally, they would report to the control
25 room operators. However, if they had a problem that

2 they didn't feel the control room operator could really
3 assist them with, they would come directly to me, and
4 then I would be required to go down and assist them in
5 what way I could.

6 Say, like if they had a piece of equipment that
7 didn't seem like it was running right, I would have
8 to go down and check out the piece of equipment to
9 see if to my knowledge it appeared that it was operating
10 correctly.

11 Q What kind of things could the control
12 room operator help him with?

13 A The control room operator is basically based in
14 the control room. He doesn't have the freedom of
15 being able to go out into the plant and look at a piece
16 of equipment.

17 The kind of things he wouldn't be able to help
18 him with is if they had a strange noise coming out of
19 a pump or something of that nature that they weren't
20 familiar with hearing, that would be an indication
21 where he would come to my attention, and I would go
22 out and look over that piece of equipment myself. If
23 I thought I had a problem, I would call in the appro-
24 priate maintenance people.

25 Q Usually two control room operators are on

1

2 each shift?

3 A Yes.

4 Q And do both of them have to remain in the
5 control room at all times?

6 A In the present mode, we are required.

7 Q No, prior to March 28th?

8 A They could have been out in the plant on
9 training purposes. However, normally there is enough
10 going on in the control room with the normal log
11 readings that we kept one CRO that is mainly dedicated
12 towards monitoring the plant at all times, and the other
13 is taking care of switching and tagging and shiftly
14 readings and things of that nature. They wouldn't have
15 much of that nature to get out.16 Q Is there a requirement that both of them
17 remain in the control room?18 A No, not to my knowledge. We are required to have
19 one SRO and one RO in the plant.

20 Q In the plant?

21 A Meaning in the control room or in the plant.
22 They have to be on the site there. But one CRO does
23 have to be in the room at all times.24 Q So there is a requirement that there be
25 at least one CRO in the control room?

2 A Yes, ma'am.

3 Q And that leaves the shift foreman, the SRO,
4 and the other CRO free to leave the control room to help
5 other places in the plant, if need be?

6 A Yes. However, most of the time the additional
7 CRO wouldn't be out in the plant too much.

8 Q You also mentioned in a typical shift
9 that you would check your plant parameters. What
10 do you mean by that?

11 A Well, like our RC system pressure, our temperature,
12 our pressures, to make sure they were in normal band
13 for mode of operation we were in.

14 Q Would you check positions of valves on
15 the panel?

16 A Not necessarily.

17 Q Would that be the responsibility of the
18 control room operator on the panel?

19 A I am trying to think of how I am going to word
20 this. Periodically, yes, you would look at certain
21 valves, such as your makeup system valve and things
22 of that nature. However, it hadn't prior to the 28th
23 been something that was set down, "Yes, you will look
24 at this, this, this and this valve every time you come
25 on turnover."

2 Q So that there is no requirement that they
3 go then -- either you as shift foreman or the control
4 room operators -- go through a checklist of checking
5 positions of valves?

6 A Prior to the accident, we didn't have any on
7 Unit 2.

8 Q Have you instituted one?

9 A Yes. There has been one that has been instigated.

10 Q Do you know who suggested that?

11 A The Operations people worked it out themselves.
12 It was suggested by somebody from out of the plant --
13 and I forget at the time who it was -- but they
14 operators and the shift people actually compiled what
15 they thought was really necessary to be looked at,
16 and the 12's are on that list.

17 Q You also indicated that you spent two or
18 three hours on a shift checking the equipment.

19 A If the two or three hours was available to me
20 for that purpose.

21 Q So that was low priority?

22 A It was whenever I had a chance to get out, I
23 took and made tours of the plant.

24 Q Was this just a general checking on
25 plant equipment?

2 A Plant equipment and cleanliness, among other
3 things, whether the equipment sounded like it was
4 running properly. I tried to spend as much time as
5 I could, when I wasn't tied down with a lot of paper-
6 work in the control room, looking around and asking
7 questions of the different operators, such as how things
8 were looking.

9 Q With respect to the surveillance procedures,
10 who would have drafted these procedures?

11 A They would have probably been drafted during the
12 time of the initial manning of Unit 1, mostly by our
13 engineering staff.

14 Q And would that have been Met Ed engineers?

15 A I believe so.

16 Q Did you have any input into the drafting
17 of these procedures?

18 A Mostly what input I had on it was when we per-
19 formed the surveillance. According to the procedure,
20 if we had any difficulties, or if I thought something
21 was done wrong or something of that nature, I could
22 take and put in a change request for the given
23 procedure.

24 Q And who would you put that change request
25 in to?

2 A I would take and write up what we call a
3 temporary change notice, and a procedure change
4 request and forward that to the PORC.

5 Q You would forward it directly to the PORC?

6 A Through the company mail.

7 Q Nobody would review it prior to your
8 sending it?

9 A Yes, my direct supervisor would review it.

10 Q So the shift supervisor would sign off?

11 A Or supervisor of Operations, whichever was
12 available at the time that I took and wrote up the
13 change.

14 Q And does that change request form, either
15 TCN or PCR, provide space for you to explain why you
16 think this change is necessary?

17 A Yes, it does, right on the front side of the page.
18 The top of the form gives you a space for what the
19 change is that you are requiring, and underneath, why
20 you think it is required.

21 Q Were there times when control room operators
22 or auxiliary operators would suggest to you to fill
23 out one of these forms?

24 A Yes. There would be times when the control room
25 operator would fill one out himself.

1
2 Q If they filled out one of the forms, would
3 they need you to approve it?

4 A I would be the approval signature on it then.

5 Q Would you then need to get your supervisor
6 to approve that?

7 A Not necessarily.

8 Q So that in filling out these forms, you
9 really only need one additional approval signature?

10 A Right, prior to it going to PORC and all that.

11 Q Have there been times that you have sent
12 these forms to PORC, and you have been asked by PORC
13 to explain why you think that is necessary, that change
14 is necessary?

15 A Not really. I haven't had any occasion of that
16 nature.

17 Q Have most of the changes that you have
18 sent in on these forms been approved by PORC?

19 A I would say yes.

20 Q Do you know some that have not?

21 A Not off the top of my head.

22 Q But some have not?

23 A I would imagine so, that probably some haven't,
24 because there probably was no need for such a change.

25 Q If they felt there was not a need for such

2 a change, would they explain to you why?

3 A They should, yes.

4 Q Do you remember if in the particular
5 instances that they did not approve a change request
6 that you had made, that they told you why not?

7 A Not off the top of my head.

8 Q Would they inform you of this in writing?

9 A I would believe that that would be the chain. It
10 would come down to us.

11 Q And with respect to changes in operating
12 or emergency procedures, how would that process work?

13 A It would follow a similar procedure. We would
14 take and get the TCN and PCR form and again submit it
15 to PORC via the supervisory approval.

16 Q Do you know of instances where you sub-
17 mitted a change request for an operating procedure
18 that was not accepted by PORC?

19 A I don't recall one.

20 Q Do you recall a change in an emergency
21 procedure that you submitted that was not accepted?

22 A Not that I recall. I only submitted maybe three
23 or four procedure, I mean emergency procedure changes
24 in the length of time I can remember. I can't
25 recall having any difficulty with them.

1
2 Q You don't remember if they were rejected
3 or accepted?

4 A No. I think they were accepted for the
5 most part.

6 Q When you submit these change requests,
7 you mentioned that you explain as to why you think
8 these changes should occur. Do you actually draft
9 the procedure on these requests?

10 A What are you saying at that point?

11 Q As I understand it, you submit a change
12 request as to what you think should be changed. Do
13 you actually draft the wording of the change?

14 A Yes, I do.

15 Q Then if there is a change in surveillance
16 procedure or in operating procedure or in emergency
17 procedure, how is that change communicated back to you?

18 A That would be through our revision review book.
19 Any time that a revision is made to a procedure as a
20 result of a PCR, a copy of the change itself is entered
21 in this revision review book, and it has got spaces on
22 the front data sheet for all the licensed operators
23 to initial that they have read it and know about the
24 change being in effect.

25 Q Where is this book kept?

1

2 A It is kept up in the control room, in the shift
3 foreman's cabinet.

4 Q And is that the only place it is kept?

5 A Well, it could be kept up front by the CRO.
6 It is in the control room.

7 Q But there is only one book?

8 A There is only one book, to my knowledge.

9 Q And there is a space in that book that
10 requires each licensed operator to check, to initial
11 that he has reviewed these changes?

12 A Yes.

13 Q And who checks to ensure that these licensed
14 operators have reviewed these changes?

15 A There is a weekly operational surveillance,
16 where the shift foremen will look at the revision
17 review book and will make a listing of who is not up-
18 to-date in that, and they will post that, such that
19 the people that aren't up-to-date are made aware of it,
20 if they weren't already.

21 Q Where is that list posted?

22 A Well, it is pretty much handed from one foreman
23 to the next, from the person that initiates it.

24 Q And how do the people know that they are
25 on that list?

2 A The foreman tells his people that they need to
3 catch up on it.

4 Q So it is the individual shift foreman's
5 responsibility to ensure that the licensed operators
6 on his shift have read these procedures?

7 A He is to inform them of them.

8 Q Are licensed operators required to
9 memorize emergency procedures?

10 A It is not, quote-unquote, memorization. We are
11 required for exam purposes to be able to come up with
12 immediate actions that we would be performing, such
13 that by the time you got past the immediate action,
14 you would have the book out right at hand, then review
15 to make sure everything was done as is supposed to
16 happen.

17 I wouldn't really say it was memorization, as
18 much as I would say -- what would be the word -- it
19 is not memorization per se, but you are required to
20 know the content of the emergency procedure immediate
21 actions.

22 Q When PORC reviews and approves -- let me
23 see if I understand this -- when PORC receives a
24 change request, the process that they go through is
25 they review, and really they just recommend to the

2 station superintendent for approval, is that correct?

3 A Yes, I believe that is true.

4 Q Do you know what their review consists of?

5 A No, I have never attended a PORC meeting for
6 a procedure.

7 Q You have never been asked to attend?

8 A I have never been required to.

9 Q Have you ever been asked to?

10 A No.

11 Q Have you attended a PORC meeting?

12 A No.

13 Q Who ensures that this revision review book
14 contains all changes that are made?

15 A Well, when a change is made, a copy of it is given
16 to the Ops secretary, and she comes down and takes and
17 puts it into the book.

18 Q By "Ops secretary," you mean Operations
19 secretary?

20 A Yes.

21 Q And is that an individual that is a
22 secretary of a committee, or is that --

23 A No, she is the secretary that takes care of keeping
24 paperwork up-to-date for us, as far as having procedures
25 and such available, and also taking and putting in

2 all of our TCNs and such, and making sure the material
3 gets into the revision review book.

4 Q So she is the secretary to the Operations
5 Division?

6 A Department.

7 Q And who exactly is within the Operations
8 Department? Is that the control room operators,
9 auxiliary operators, shift foremen and shift supervisor?

10 A Yes, as well as the Operations engineers.

11 Q Are the Operations engineers on-site?

12 A Mostly during the day shift, but they are
13 available if we need them at night, that we can give
14 them a call.

15 Q And how many Operations engineers are there?

16 A We had three, but we are down to two at the
17 present.

18 (Continued on Page 91.)

19

20

21

22

23

24

25

1

SM A 1c

2

Q And who are they?

3

A The two we got now are Duane Jenkins and Bubba Marshall. However, Bubba Marshall at present is working on a rad waste group.

6

Q Prior to March 28, there were two?

7

A There were three, prior to March 28th.

8

Q Was Mr. Jenkins one?

9

A Yes.

10

Q And Mr. Marshall another?

11

A Yes.

12

Q Who was the third?

13

A I can't recall it now. He just left a little bit back, a week or so ago; he left the company.

15

Q Who would the Operations engineers report to?

16

A Jim Floyd, Ops supervisor.

17

Q And were there Operations engineers for Unit 2 and Unit 1?

19

A Yes. Each unit had its separate Operations engineers.

21

Q Would you consult with them, as need be, daily or whatever?

23

A Well, when I had a problem arise, I could get in touch with them, and they could help me straighten out what I had.

25

2 Q What kind of issues or questions would you
3 raise with them?

4 A Probably anything in the operational view of
5 the plant that I really couldn't understand myself
6 or had a problem with.

7 Q Could you give me an example?

8 A Like we had initially, we were working with
9 the polisher system, and we had had one of them down
10 there for the first, I would say, several weeks, and
11 we were trying to operate it, and any question I had
12 concerning the polisher, I would call one of them and
13 ask them about it.

14 Q And your communication to them would
15 always be orally?

16 A Most of the time, orally.

17 Q Sometimes you would write a memo?

18 A I would draw up a note for the oncoming shift.
19 If I was on the back shift, I would draw up a note
20 saying, "Hey, ask the Operations engineer about this
21 or about that," if it was a problem that, you know,
22 wasn't so pressing that it demanded immediate attention.

23 Q Do you have any contact with the NRC?

24 A At present?

25 Q No, this is prior to March 28th.

2 A Not very often. If I did at all, it was whenever
3 one comes in for a site inspection or something of
4 that nature, and then I probably wouldn't have anything
5 to do with him in that instance.

6 Usually the only contact I have ever had with
7 the NRC is in terms of my operating exams and such as
8 that.

9 Q So other than your operating exams or a
10 site inspection, you would not have contact with
11 anybody from the NRC?

12 A Not as a rule.

13 Q Were there instances that you did?

14 A No, not that I can recall.

15 Q With respect to the site inspection, would
16 you know in advance that there was going to be a site
17 inspection from the NRC?

18 A That I am not sure about because I wouldn't
19 necessarily be made known that there was a site
20 inspection unless one of my superiors heard about it
21 and he mentioned about it that we were going to have
22 an NRC coming in.

23 Q Sometimes you did know in advance?

24 A Sometimes I did; sometimes I didn't.

25 Q How far in advance would you know?

2 A Probably an hour -- an hour or a couple of hours.

3 Q And what kind of things were involved in
4 a site inspection?

5 A They would check out security, they would check
6 out operating procedures, emergency procedures for
7 being up-to-date and things of that nature.

8 Q And there would be how many NRC inspectors?

9 A That would vary. most of the time. I am not
10 really sure how many would be around.

11 Q Were they always the same ones?

12 A Not necessarily. Let's say I have seen different
13 ones.

14 Q Was there one that usually showed up more
15 often than another?

16 A That one I really couldn't say because I haven't
17 really seen that many of them.

18 Q Would they come into the control room?

19 A They could.

20 Q There have been instances they would?

21 A There have been times they have been up, yes.

22 Q Did they talk to you when they came into
23 the control room?

24 A Sometimes. It would depend on what information
25 they were needing at the time.

2 Q Would they go over operating procedures
3 with you?

4 A They could. I don't really recall too many
5 instances where they had. In fact, I can't really
6 recall any instances in particular that they had
7 come to me and said, "What about this, this, this
8 and this procedure?"

9 Q What kind of questions did they raise
10 with you?

11 A Most of the time, like I say, they didn't even
12 really talk to me.

13 Q Do you remember when they did talk to
14 you if they raised any particular issue?

15 A Not in particular.

16 Q Do you remember generally what kind of --

17 A They would ask me where do I get this procedure,
18 where do I get that procedure, things of that nature.

19 That was mostly the communication I had with them.

20 Q Nothing substantive?

21 A Not to speak of, no.

22 Q Did you ever receive any feedback from
23 your superior after an NRC inspection?

24 A Usually after inspection, we hear what areas we
25 did not up to our usual goodness at, and we would get

2 memos saying, "Well, we need to work at this, this,
3 this and that," and then we would proceed to take and
4 work on them.

5 Q Would your superior discuss this with
6 you orally, or would you receive a memo?

7 A We could hear it orally, or it could come in
8 memo form, sometimes both.

9 Q Would you hold staff meetings?

10 A No, I would not.

11 Q Would your superior, shift supervisor,
12 hold staff meetings?

13 A No, I don't really believe he would either.
14 The supervisor of Operations, he might.

15 Q Would you be included on those staff meetings
16 if he held one?

17 A It would all depend on what the subject was.

18 Q If there were certain subjects, he would
19 include you?

20 A It would be conceivable that I could be included.

21 Q Do you remember specific instances?

22 A Not really.

23 Q Did control room operators report directly
24 to you?

25 A Yes.

2 Q Are there instances where they would report
3 directly to a shift supervisor?

4 A Yes, if I was out in the plant and the shift
5 supervisor was in the control room at that time.

6 Q But otherwise, they would report to you?

7 A Normally, they would report right directly to me.

8 Q Did you have any contact with people from
9 B&W prior to March 28?

10 A Most of the time, none to speak of. I might
11 be involved in a test they might perform or something
12 of that nature, but that would be about the extent of it.

13 Q They would, in instances, perform tests
14 on-site?

15 A Yes, and then they would come and they would
16 brief us about what the test was going to be, what
17 it would consist of, what we would have to do to
18 assist them, and that would be about the extent of it.

19 Q They would tell you why they were performing
20 those tests?

21 A Yes.

22 Q Do you remember particular instances where
23 they came on-site and performed tests?

24 A I can't remember particular instances, but I
25 know during the startup procedure, we had a lot of

2 them going on.

3 Q After December or after TMI 2 became
4 critical, were they performing tests?

5 A They were doing their reactivity calculations
6 and such as that, yes.

7 Q Any other tests?

8 A Not that I can recall off the top of my head.

9 Q After December 30, 1978, did they perform
10 any tests?

11 A That I can't recall.

12 Q Would there be a record of that?

13 A I am not sure even where it would be if there
14 was one.

15 Q You would not maintain a record?

16 A I would not maintain it, no.

17 Q Do you know who would?

18 A No, I don't.

19 Q Are you aware that B&W, prior to March 28,
20 had personnel on-site?

21 A Yes, we did have, if I am not mistaken. We did
22 have one guy who would come down periodically. I
23 can't recall his name or anything, but we did have a
24 periodic B&W man down here checking things out and
25 how they were running, et cetera.

1

2 Q There wasn't a B&W personnel on-site
3 permanently?

4 A I really can't recall that.

5 Q This B&W person that would come down
6 periodically, he would just come down to check things
7 out?

8 A Make sure the plant was operating the way it
9 was supposed to be operating.

10 Q Did you have any contact with him then?

11 A I may or may not. Chances are I wouldn't be
12 on-site when he was there.

13 Q Because he would come during the day?

14 A Yes, he would come mostly during the day, or
15 if a problem arose, he would be contacted and he would
16 come in.

17 Q Did you receive any feedback from his
18 periodic visits?

19 A If there had been a problem we had been exper-
20 iencing, I would probably hear the result of what was
21 concluded about it.

22 Q Do you know of certain instances?

23 A Not off the top of my head, again.

24 Q Would there be a record of this?

25 A I am not really sure.

1

2 Q Do you maintain a record?

3 A No.

4 Q Do you have any contact with people in

5 Metropolitan Edison management in Reading?

6 A Occasionally.

7 Q On what occasions?

8 A I have to go and spend a week in Reading for

9 a shift supervisor type of development program.

10 Q And is this a training course to prepare

11 you for moving into a shift supervisor's position?

12 A What it actually was was a one-week training

13 course on bringing you up-to-date in the different

14 techniques of management.

15 Q For your position as a shift foreman?

16 A Yes.

17 Q And that was taught in Reading?

18 A Yes, ma'am.

19 Q By the Training Department?

20 A By the Reading Training Department, yes.

21 Q The Reading Training Department is separate

22 from the Training Department at TMI?

23 A Yes, I would say so.

24 Q Is the Training Department at Reading just

25 concerned with management-level positions?

2 A No, they are concerned with training and
3 licensing of all levels.

4 Q So the Training Department at TMI is under
5 the Training Department at Reading?

6 A Yes, I believe so.

7 Q While you were in Reading taking this
8 course, was this course taught by Met Ed management
9 people?

10 A Yes, I believe it was.

11 Q And is that the only contact you had with
12 those management people?

13 A For the most part, yes.

14 Q What other instances would you have contact
15 with them?

16 A Well, if I did have contact -- on one occasion
17 I did have contact after taking the shift foreman's
18 job, where I got to take a trip down to Reading and
19 spend half a day down there meeting different indi-
20 viduals in different departments, but most of them I
21 can't even remember their names any more.

22 Q Was that just for introductory purposes?

23 A That was introductory.

24 Q Do you have any contact with people at GPU?

25 A On occasion.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q For what purposes would that be?

A Well, like during the startup phase itself, we had GPU test engineers that were on-site directing testing of the unit, and I would have briefings with them in which I would find out what tests they were going to perform during the course of my shift, and again, what they required me to provide for them as far as manpower and such like that.

Q How about after startup; did you have any

contact with anybody from GPU?

A I have, on occasion, but like I was saying, it is nothing that I can specifically come out and name, "I have seen so-and-so here and so-and-so there, concerned with this or that problem."

Q Do you remember any names of the people

from GPU that you had contact with?

A None except in the startup program.

Q Who were those test engineers that you

had contact with in the startup program?

A We had a bunch of them there. We had Jack Garrison, we had John Ulrich, and a couple of them that aren't even around any more, and I can't even remember their names.

Q Do you have contact with anybody from

2 Burns & Roe?

3 A Not that I recall. I may have, but I can't
4 really recall it per se.

5 Q Did you have any input into the control
6 room design on Unit 2?

7 A Not to speak of. I had made requests or I had
8 told people that I thought maybe this indication ought
9 to be here, or we need such-and-such indication, and
10 some of it we got, and some of it we didn't.

11 Q And to whom would you have communicated
12 your desires?

13 A All I would have done is I would have filled out
14 a form that we carry up in the shift foreman's desk,
15 which is a plant modification request, and I would have
16 submitted that by regular mail. From that point on,
17 I am not sure where it would have gone.

18 Q And was this when you were a control room
19 operator?

20 A As a control room operator, yes, when I first
21 come over to the unit.

22 Q Do you remember in what sorts of things
23 you thought the design should be changed?

24 A I mentioned about a lot of valves were high up
25 in the air, and they needed ladders built up to them

2 so operators could actuate them if they had to, things
3 of that nature.

4 Q Do you remember any other specific ones?

5 A Not off the top of my head. There were several,
6 but it has been quite a while ago.

7 Q And to whom would those forms have been
8 sent?

9 A That I am not really sure of.

10 Q You don't remember to whom you sent it?

11 A I just put it in the mailbox, and it went from
12 there.

13 Q You don't know who it was addressed to?

14 A No, I am not really sure.

15 Q Was it addressed to somebody in Metropolitan
16 Edison?

17 A It would have gone to our Engineering staff, like
18 most change requests would possibly go there.

19 Q It would have gone to somebody in Metro-
20 politan Edison and not Burns & Roe?

21 A I believe so. It would have initially gone to
22 somebody in Metropolitan Edison.

23 Q Were any of your changes not accepted?

24 A That I am not really sure of. The only way I
25 could be sure of that is if I knew which ones I had

2 put in, and then I would look to see if they are there
3 or not. I know my ideas of the ladders were because
4 they are in there.

5 Q Did you make a record of your suggestions?

6 A No. I wish I would have kept that.

7 Q Similarly, would you have filled out one
8 of these forms concerning modifications in the control
9 room design subsequent to Unit 2 becoming critical?

10 A No, I can't recall any at that time, just in
11 the earlier stages of construction.

12 Q Could you still fill out one of these
13 forms?

14 A Yes, I could have, yes. If I deemed it neces-
15 sary, I can still do one now.

16 Q But you don't know who you would have
17 forwarded those to?

18 A I would have to ask around on that, but I am
19 really not familiar, myself, with who it went to.

20 Q If you wanted to fill one out now, you
21 don't know who you would send it to?

22 A Not offhand. I would have to ask somebody.

23 Q As a control room operator on Unit 2,
24 were you ever consulted as to your opinion as to the
25 way the control room design should be?

2 A I had had questions asked. Everybody had. They
3 asked us what changes we would like to see, things of
4 that nature.

5 Q Do you remember who asked you those questions?

6 A No, I don't.

7 Q Do you know if they were people at Met Ed?

8 A I think that they were Met Ed people.

9 Q You don't remember who, specifically?

10 A No. It has been a long time. I have trouble,
11 sometimes, remembering what I did two weeks ago, let
12 alone three years ago.

13 Q What would you want to change now in the
14 control room?

15 A I probably want to take and change the position
16 of some of my pressure indications. I would want to
17 change the location of my heater pressure indicator
18 particularly because we control that with the turbines,
19 and they are a good distance apart, things of that
20 nature. I would like to change the position indication
21 on pressurizer level valve, definitely would like to
22 see that changed. I would like to see the location changed
23 of the pressurizer heater controllers. As far as any
24 more, I would have to think on that. I imagine I
25 could find a lot of things I would like to see changed.

2 Q What is your opinion as to the control
3 room design?

4 A Overall, I would say it is all right; spread out
5 enough that for most things you don't have a big jumble,
6 so you have got to weed through a whole jumble of
7 things in order to get to something. It is spaced
8 enough so you could move around.

9 I would like to see the front console divided,
10 though, to give you better access around to the back
11 panel.

12 But as far as everything's grouping, things are
13 mostly grouped in systems, such that if you are going
14 to do something in a given system, you go right to
15 so-and-so panel.

16 Q Are there any instruments that you do not
17 have in the control room that you would like to see?

18 A That one I would have to do some thought on. I
19 imagine I could probably come up with some I would like
20 to have.

21 Q Offhand you can't think of any?

22 A Not right off the tip of my tongue, no.

23 Q Do you know who had ultimate decision
24 over the control room design?

25 A No, I don't really.

2 Q Do you know if it was a Met Ed decision
3 or a Burns & Roe decision?

4 A Again, I am not really cognizant of that.

5 Q Do you know who at Met Ed would have been
6 involved in that decision?

7 A No, I don't.

8 Q Do you know what rationale existed behind
9 designing TMI 1 and 2 control rooms differently?

10 A Well, they were different plants. Initially,
11 this plant, TMI 2, was supposed to belong to some other
12 unit, and then at this time, I guess they decided they
13 weren't ready for it, and we were ready for a second
14 unit, so they brought that unit here, designwise.

15 As far as rationale for why the rooms are dif-
16 ferent, that I really wouldn't have anything I could
17 say on that.

18 Q So the design that exists here was designed
19 for another unit and was just incorporated as TMI 2?

20 A Yes, as far as I have been able to understand.

21 Q And as far as you know, there wasn't a
22 conscious decision to purposely make Unit 2 different
23 from Unit 1?

24 A I am aware of no such effort.

25 MR. YUSPEH: Could I ask a question, Joan?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MS. GOLDFRANK: Yes.

MR. YUSPEH: Are you saying it is your understanding that just the control room design--

THE WITNESS: No, I am saying the entire plant was originally designated as some other unit.

MR. YUSPEH: Oyster Creek?

THE WITNESS: Oyster Creek, I believe it was. I am not really sure on which unit. Then in the end, it actually came to be TMI.

MR. YUSPEH: Off the record.

(Discussion held off the record.)

MR. YUSPEH: With regard to your comment before, Mr. Scheimann, that the plant which is now here as Unit 2 at Three Mile Island was to have been located elsewhere, do you mean that the plant physically was to be elsewhere, or that the capacity which the plant represents was to be elsewhere?

THE WITNESS: The capacity itself was what I was driving at. They had to redesign everything to meet the requirements.

MR. YUSPEH: So to the extent that any work may have been done with regard to a nuclear unit

1
2 of the GPU system at some place other than
3 Three Mile Island, if there was design done at
4 that plant, it was, to the best of your knowl-
5 edge, redesigned when it became Unit 2 of Three
6 Mile Island?

7 THE WITNESS: Yes.

8 BY MS. GOLDFRANK:

9 Q Do you know, in fact, what redesigns were
10 made?

11 A No, I don't. I wasn't even in on redesigning of
12 the plant.

13 Q So with respect to the question as to whether
14 or not there was a rationale between designing Unit 2
15 and Unit 1, do you know if there was a rationale
16 involving a concern to have the two units different?

17 A No, I don't know of that. It would probably
18 have been more to their advantage to have two units
19 identical.

20 Q Are you cross-licensed?

21 A No, I am not.

22 Q Are you capable of being cross-licensed?

23 A That one there, I have spent time on Unit 1. I
24 would have to totally re-familiarize myself with Unit 1
25 in order to be cross-licensed. However, at present

1

2 I don't know of any plans for myself being made cross-
3 licensed.

4 (Continued on Page 111.)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

c.1
sm/ew

2 Q But your position is a position that you
3 could be cross-licensed?

4 A No, the shift foreman is strictly licensed on a
5 single unit.

6 Q Was a shift supervisor capable of being
7 cross-licensed?

8 A Yes. In the past they were cross-licensed. You
9 used to have one shift supervisor for both units.

10 Q But in your position as shift foreman, you
11 would not be able to be cross-licensed?

12 A I would not be required to be cross-licensed.

13 Q But you could hold a cross-license?

14 A I could hold one, yes.

15 Q And that would require you to obtain a
16 reactor operator license for Unit 1?

17 A Reactor and senior license.

18 Q You would have to acquire both licenses for
19 Unit 1?

20 A I believe so because I never held a control room
21 operator license in Unit 1.

22 Q And you have to receive that control room
23 operator license for that specific unit prior to
24 receiving a senior reactor operator license for that
25 unit?

c.2

2 A I believe so.

3 Q But there is no suggestion made that you
4 should be cross-licensed?

5 A No, ma'am.

6 Q Do you know why there was a decision made
7 that the polishers on Unit 2 would be manual and the
8 polishers on Unit 1 automatic?

9 A No, ma'am. I have no feel for that.

10 Q Do you have any feelings as to the assets
11 of either manual or automatic polishers?

12 A You are better off with an automatic, on the
13 bypass anyhow. I believe that is what you are referring
14 to.

15 Q Yes.

16 A It is a lot better off with an automatic.

17 Q Why is that? Could you explain why you feel
18 an automatic is better than that?

19 A Well, if you have an automatic bypass, if you
20 have something that is going to isolate the polishers
21 for you when you don't want them isolated, you want to
22 maintain a flow path. If we had an automatic system,
23 that would open on a given differential pressure. As
24 your problem developed in the polisher, your bypass
25 would automatically open up and you maintain flow path,

c.3

1
2 whereas in a manual system, you would have to go down
3 there and manually open it, and that could be time-
4 consuming by the time you get an operator to go down
5 there.

6 Q How long have they been having problems
7 at Unit 2 with the polishers?

8 A Off and on for a period of time, probably since
9 we first started bringing them in and serious effort
10 to run them. We have had a problem now and then.
11 Maybe we wouldn't have a problem for six or eight months
12 and then all of a sudden one would come up again.

13 Q Prior to March 28, how long had you had a
14 problem?

15 A I think it had probably been a couple of months
16 before we had our last problem prior to March 28.

17 Q So maybe in January?

18 A I think it might have been somewhere. I am not
19 really exact time-wise when we did have problems.

20 Q Would there be some kind of record of this
21 kept?

22 A It would probably have been in the polisher log.
23 They kept a log down at the polisher. Where that is
24 anymore, I am not really sure.

25 Q You say that there was a log kept at the

c.4

1
2 polisher. Is there a log kept at every system?

3 A Not necessarily.

4 Q Which systems is there a log kept on?

5 A Well, you would have your rad waste panel would
6 have a log, your polisher panel would have a log, and
7 to my knowledge, the only other ones that would would
8 be the control room operator's log and the shift
9 foreman's log. Other than that you have daily logs
10 that you take on all the running equipment which the
11 operators would take.

12 Q And what else was kept in this log by the
13 polisher?

14 A We would keep a record of what vessels were
15 changed, which ones were regenerated, any problems they
16 had with it, things of that nature.

17 Q And what kind of problems did they have
18 with the polishers prior to March 28?

19 A Similar, they had one similar problem with getting
20 water into the air line and causing the valve to go
21 closed. They had problems every once in awhile over an
22 extended period of time getting a resin bed to transfer
23 from one place to another, stuff for the most part that
24 was minor and nothing near as consequent as the 28th.

25 Q When was that previous time that they had

1

2 trouble getting water?

3

4 A Again, that was so long ago I can't really re-

5

6 member an exact time for it, but it was quite awhile

7

8 previous.

9

10 Q That was not the previous incident to

11

12 March 28th?

13

14 A Not to my knowledge. I think that was a minor

15

16 resin plug, something like that, and the last one I can

17

18 remember with any clarity.

19

20 Q Have you ever spoken with people at B&W who

21

22 designed reactor systems?

23

24 A In what sort of a regard?

25

26 Q In any regard.

27

28 A We go up there, like I say, once a year and we

29

30 talk over systems and things like that in our annual

31

32 requalification up there.

33

34 Q So when you go for requalification you talk

35

36 with the people at B&W who actually designed the system?

37

38 A Probably not the ones who actually designed it,

39

40 but there are B&W people there that come in and give us

41

42 lectures on the system at which time we are free to ask

43

44 questions.

45

46 Q Do you know if you have ever spoken to

47

48 people at B&W who actually designed the system?

c.6

2 A If I did, I can't recall it.

3 Q What was your opinion of the simulator
4 training that you had at B&W?

5 A I thought it was worthwhile.

6 Q Did you ever make a suggestion or think
7 that it would be worthwhile for Met Ed to have a
8 simulator?

9 A I had been involved in some talk concerning that.

10 Q Who else was involved in this talk?

11 A This was just myself and several of my other
12 fellow control room operators were talking back and
13 forth and we thought it might not be a bad idea to have
14 one here.

15 Q Did you suggest that to anybody?

16 A I am not sure whether it was or not, but I under-
17 stand there was a suggestion made by somebody to that
18 effect.

19 Q Do you know what happened to that effect?

20 A No, I don't. I hadn't heard much come out of it.

21 Q Who else did you hear discussing this?

22 A I really can't remember any specific individual,
23 but like I am saying, all I remember is I can remember
24 a bunch of us in a group talking it over amongst
25 ourselves.

1
2 Q Do you know why a simulator was never
3 purchased?

4 A No, I have no idea. That falls clearly out of
5 my range of operation.

6 Q And you never made the suggestion to anybody
7 that it would be a good idea?

8 A I don't really recall making such a suggestion.
9 I may have, but like I am saying, there are a lot of
10 things that I really can't remember, and specially if it
11 is over a long period of time.

12 Q Could you tell me if the tech specs require
13 that H₂ combiners would be on-site?

14 A I believe there is a tech spec which requires us
15 to have one H₂ combiner on-site.

16 Q And was one available on March 28?

17 A Yes, there was.

18 Q Was there one on-site?

19 A There were two on-site. One was up in the proper
20 location; the other one was over in the warehouse as a
21 spare.

22 Q Where was the first one?

23 A The first one was up in the field handling building
24 where it is supposed to be installed.

25 Q And was it installed?

c.8

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A Yes, it was in place.

Q And what requires it to be installed there; is that set out in tech specs?

A No. That is determined in design and engineering purposes where they want it. Again, I would have nothing to do with the location of it.

Q And are there procedures that cover the availability of the H₂ recombiners?

A There are operating procedures and there are surveillance procedures concerned with the hydrogen recombiners.

Q Would those specific surveillance procedures be within your responsibility to check the H₂ recombiner availability?

A Well, we would have to periodically perform the surveillance procedure on it, yes. I would have access to that procedure, and if it fell when I was on a shift, I would be required to perform the procedure.

Q So this would be one procedure that would come through on your computer printout sheets from the surveillance people?

A Yes, ma'am. That would go on that.

Q And that procedure would have been written and previewed and approved similar to the other

Scheimann

1

2 procedures?

3 A Yes, ma'am.

4 Q Would it have been approved by PORC?

5 A Yes.

6 Q Was there ever any discussion as to the
7 adequacy of the computer in the TMI control room?8 A I believe there was on some occasion. Exactly
9 when it was, I really can't recall, but I remember we
10 had made complaints in the past that the thing was so
11 slow in the case of a casualty or something like that
12 occurring that you kept continuously backlogging.13 Q And to whom would you have voiced these
14 complaints?15 A I would have voiced them to my bosses and they
16 would have gone on with whatever route they thought
17 they should go.18 Q So you would have indicated your concern
19 over that computer to the shift supervisor?

20 A Yes.

21 Q Did the control room operators indicate to
22 you that concern over a computer?

23 A Yes, they did.

24 Q Do you know why that particular computer
25 was purchased?

2 A No, I have no idea behind that, ma'am.

3 Q Does TMI 1 have the same computer?

4 A I am not sure, to tell you the truth. It has
5 been several years since I have had anything to do with
6 Unit 1.

7 Q Do you know if their computer has been
8 updated?

9 A Again, I really couldn't say.

10 Q What kind of information do you receive
11 from the computer?

12 A You receive high temperatures, abnormal indica-
13 tions, you get indications of certain equipment starting
14 and stopping, you would have temperature printouts,
15 pressure printouts, you can just about ask for any
16 parameter on there and you can get some sort of a
17 printout on it or a visual.

18 Q Does this computer continually print out
19 information?

20 A It would all depend. It would print out alarms
21 on a continuing basis, but anything else you wanted,
22 you would either have to put it on the viewscreen in a
23 group or you would have to select when you wanted the
24 information.

25 Q So the only information that was continually

2 printed out would be concerning alarms?

3 A Alarm conditions, yes.

4 Q In other words, otherwise you would have
5 to feed information into the computer to post this
6 information?

7 A Yes. You would have press in certain numerical
8 codes which would call for a certain bit of information.

9 Q How much was the computer relied on day-to-
10 day?

11 A Day-to-day, most of our operations was based on
12 what our console indication was.

13 On a daily basis we had certain programs that were
14 required to be printed out once a shift or once a day
15 even for our engineering staff to do studies on the
16 performance of the plant and the core, but for the most
17 part we mostly operated by our console indication and
18 used the computer strictly as a backup.

19 Q So that usually you did not use it for
20 additional information but you would just rely on it
21 as a secondary source?

22 A That is about what I believe it would be.

23 Q Did the computer ever jam?

24 A It had in the past.

25 Q How frequently?

2 A Not very often, periodically, though, it would, and
3 you would have to get an INC man in to clear it and
4 check it out.

5 Q An INC man?

6 A Instrument control technician.

7 Q So that you would report directly to the
8 INC man to come and fix the computer?

9 A If it was during the day shift I would call the
10 instrument foreman and have him send a man out there
11 to look at it. If it was on the back shift, I would
12 notify the shift supervisor and at his discretion we
13 could either call the man out if there wasn't a man
14 on-site familiar with the computer or if it wasn't a
15 major problem we could leave it to the morning and the
16 foreman would have the instrument man come and check
17 it out.

18 Q So you would do that orally, not complete
19 a form?

20 A It would be orally on the most part.

21 Q And the computer was working on March 28?

22 A At the onset it was working.

23 Q And after what period of time did it no
24 longer work?

25 A Well, that was one question I am not too sure of

2 myself because during the course of all that activity
3 we were pretty much busy up on the console. I had
4 overheard somebody say that it had stopped and then in
5 later talks I have heard that it had for a period of
6 time stopped, but I am not really sure of what the time
7 was.

8 Q You were not relying on it on March 28?

9 A No, ma'am, I was not. I was paying more atten-
10 tion to what was up in front of me on the console.

11 Q Was there anytime that you requested the
12 information be pulled from the computer?

13 A On that day I didn't even touch the computer.

14 Q Did you ask somebody else to pull informa-
15 tion from the computer?

A I don't recall asking anybody for any information
17 off of it. Like I am saying, I was pretty much
18 centralized in one area there. We had split up so that
19 the group of us could combat what was going on.

20 Q So you don't remember an instance where you
21 asked somebody to pull certain information from the
22 computer?

23 A No, I don't.

24 Q And who would be responsible for seeing
25 that the computer was in working order, would that be

2 the shift foreman or the control room operator?

3 A We would use the computer, but as far as upkeep
4 on the computer, that would be the instrument people.

5 Q But if you came on shift and it was not in
6 working order, would it be your responsibility to
7 notify the INC people?

8 A Yes, it would be. I would be normally the one
9 to call them up and have them look at it.

10 Q And you indicated earlier that the computer
11 had a lag time?

12 A Yes, ma'am.

13 Q And of a couple of hours, I believe you
14 indicated?

15 A It all depends on what was happening. Like on
16 that day in particular, at times information got backed
17 up for a good hour or so.

18 Q And had that happened in the past?

19 A On a trip or something where we have a lot of
20 things happening at the same time, yes, it would tend
21 to backlog; maybe not necessarily that bad. It would
22 depend on the severity of the problem.

23 Q But in the past during the trip it would
24 backlog?

25 A Yes, ma'am, it would.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q And depending upon how complicated the incident was would depend how well the computer worked?

A It would depend on how far backlogged it kept. It would all depend on how many things are logged at the same time.

MS. GOLDFRANK: Let's break for today.

(Whereupon, the deposition was recessed at 6:50 p.m.)

Frederick Joseph Scheimann, Jr.

Subscribed and sworn to before me this _____ day of _____ 1979

Notary Public

o0o

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

<u>WITNESS</u>	<u>DIRECT</u>
Frederick Joseph Scheimann, Jr.	2

E X H I B I T S

<u>SCHEIMANN DEPOSITION FOR IDENTIFICATION</u>	<u>PAGE</u>
21 Resume of Frederick Joseph Scheimann, Jr.	3
22 FSAR pages numbered 14.2-5 through 14.2-8	58

o0o

