

*mm*

-----x

PRESIDENT'S COMMISSION ON THE  
ACCIDENT AT THREE MILE ISLAND

-----x

DEPOSITION of GENERAL PUBLIC UTILITIES SERVICE CORPORATION by JOHN G. MILLER, held at the offices of the President's Commission on the Accident at Three Mile Island, 2100 M Street, N.W., Washington, D.C., on the 5th day of July, 1979, commencing at 3:20 p.m., before Stephen McCrystal, a Notary Public of the State of New York.

**BENJAMIN REPORTING SERVICE**  
CERTIFIED SHORTHAND REPORTERS  
FIVE BEEKMAN STREET  
NEW YORK, NEW YORK 10038

[212] 374-1138

8001280639

T

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A P P E A R A N C E S :

GENERAL PUBLIC UTILITIES SERVICE CORP.:

SHAW, PITTMAN, POTTS & TROWBRIDGE, ESQS.  
1800 M Street, NW  
Washington, D.C. 20036

BY: GEORGE F. TROWBRIDGE, ESQ.  
of Counsel

COMMISSION:

STANLEY GORINSON, ESQ.  
Chief Counsel

JOAN GOLDFRANK, ESQ.  
Associate Counsel

ALSO PRESENT:

WILLIAM BLAND

o o o

SM/pw

1  
2 J O H N G. M I L L E R, having been first  
3 duly sworn by the Notary Public, was examined  
4 and testified as follows:

5 DIRECT EXAMINATION

6 BY MR. GORINSON:

7 Q Would you state your full name for the  
8 record, please?

9 A John G. Miller.

10 Q What is your present business address,  
11 Mr. Miller?

12 A 1202 East Wyomissing Boulevard, Reading,  
13 Pennsylvania 19611.

14 Q Have you brought a resume with you today?

15 A (Handing.)

16 MR. GORINSON: May we mark this as  
17 Miller Exhibit No. 5.

18 (The above-described document was marked  
19 Miller Exhibit 5 for identification, this date.)

20 Q Mr. Miller, is your resume which has been  
21 marked as Miller Exhibit No. 5 accurate and complete  
22 as of today?

23 A Yes.

24 Q Sir, could you briefly state for us your  
25 educational background? Oh, I see it. You have your

1  
2 BS in mechanical engineering from Purdue University  
3 and your MS in engineering from Purdue; is that correct?

4 A That is correct.

5 Q Now, from 1971 to 1975 were you the vice-  
6 president of Generation Operations at GPU?

7 A Yes.

8 Q That is the service corporation?

9 A Yes.

10 Q Did you have responsibility for the nuclear  
11 plant at TMI No. 1 as well as the fossil fuel plant?

12 A No, I didn't. It wasn't operating at that time.  
13 It started in late 1974.

14 Q That plant started operation in late 1974?

15 A But I was not involved in that. I was primarily  
16 involved in the fossil plant.

17 Q While you were with GPU actively, did you  
18 play any part in the development of the TMI project?

19 A Not significantly, no.

20 Q Since retiring from GPU you have been a  
21 consultant; is that correct, sir?

22 A Yes, sir.

23 Q As a consultant, what types of work have  
24 you done?

25 A Varied types of work from organization, personnel

2 problems, primarily -- some engineering problems where  
3 they needed some assistance on the fuel committee for  
4 the Keystone and Conemaugh generating stations and  
5 the General Office Review Boards for both TMI and  
6 Oyster Creek.

7 Q What are the General Office Review Boards?

8 A That is a board that reports directly to the  
9 president of each company and it has an overview of  
10 safety items in each of the nuclear plants. And they  
11 review these and report back to the president whether  
12 they think more action should be taken or what action  
13 should be taken, not necessarily what action but some  
14 action should be taken, and it is really an information  
15 board on safety matters to the president.

16 Q And the name of that board is abbreviated  
17 to GORB?

18 A Yes, GORB.

19 Q GORB. When did you begin to sit on the  
20 GORB for the first time?

21 A I think when I retired, in 1975.

22 Q Prior to the time that you started sitting  
23 on the GORB for TMI you had no experience with nuclear  
24 plants; is that correct?

25 A When I was vice-president of and chief engineer

1  
2 of Met Ed Company, the construction work and the  
3 licensing, I was the officer in charge. I was not  
4 in close detail to the work but I was the company  
5 officer representative.

6 Q That would have been between 1969 and 1971?

7 A Yes.

8 Q How far along was the work on TMI 1 in the  
9 years 1969 to 1971?

10 A That is rather hard to give a single number, but  
11 the plant started in 1974, so I -- I mean, it started  
12 to operate, it started construction in 1967, so some-  
13 where 40 to 60 percent, somewhere in that range.

14 Q And as vice-president and chief engineer  
15 of Met Ed between 1969 and 1971, what kind of matters  
16 would you deal with with respect to TMI Unit No. 1?

17 A Well, I dealt with engineering matters that came  
18 up to the vice-presidential level, also construction  
19 problems -- mostly construction problems -- and then  
20 I was the official signee for licensing matters.

21 Q Engineering problems dealing with the  
22 primary system at TMI 1, would you review those?

23 A I don't quite understand the question relative  
24 to what I could review without being here this time  
25 next week.

1  
2 Q Let me try a different way. You said that  
3 certain engineering matters would come up to the vice-  
4 presidential level; is that correct?

5 A That is right.

6 Q Could you give me an example of a type of  
7 engineering matter dealing with TMI 1 that came up to  
8 your level?

9 A The pump seals on the reactor circulating pumps  
10 were a troublesome matter that came up to me and  
11 finally came up to the president to arrive at a solution  
12 to whether we would stay with the original pumps or  
13 shift to Westinghouse, and the decision was finally  
14 made to shift to Westinghouse because we didn't think  
15 that the pump that B&W was proposing was ready yet, and  
16 when we got those kinds of problems that required a  
17 high level decision, they got up to the vice-president.

18 Q So it would be fair to say that those kinds  
19 of matters that required a high level decision came up  
20 to the vice-president?

21 A That is right.

22 Q Were any decisions with respect to TMI 2  
23 coming up to your level between 1969 and 1971?

24 A No, not for my decision. They were made by  
25 others.

1

Miller

8

2 Q By "others," do you mean people below you?

3 A No, TMI 2 originally was going over in Jersey and  
4 the decision was made not to proceed with Jersey but  
5 transfer to TMI as Unit 2, and that decision was made  
6 by GPU and Jersey Central to move it, and the top  
7 people in Met Ed, and I was informed, but I was not  
8 really part of the decision-making process to move it.

9 Q But once it was moved to TMI 2, would  
10 engineering decisions that required a vice-presidential  
11 decision come to you or go to somebody else?

12 A At the same time that move was made, GPU Service  
13 Corporation was being organized, and they were picking  
14 up the detail work on engineering and construction on  
15 Unit 2, and the only connection that I really had was  
16 signing as the corporate officer for Met Ed in licensing.

17 Q Just so I am clear, on Unit 1 you would have  
18 direct responsibility up the chain of command?

19 A Yes.

20 Q Since that was a Met Ed project; is that  
21 correct?

22 A That is correct.

23 Q Unit 2 was originally a Jersey Central  
24 project that was to have been Oyster Creek 2?

25 A That is correct.



1  
2 Q It was then moved to TMI 2?

3 A That is right.

4 Q And at or about that time GPU Service  
5 Corporation was coming into existence and GPU Service  
6 Corporation took over responsibility for the construc-  
7 tion of Unit 2?

8 A And engineering.

9 Q And engineering of Unit 2, and that your  
10 only responsibility was to sign certain matters on  
11 behalf of the licensee, Met Ed?

12 A That is correct.

13 Q What types of things were you signing on  
14 behalf of the licensee? Can you give me some examples?

15 A Well, there is, as the operating company -- and  
16 most of those came through after I was transferred to  
17 the service corporation -- anything that had to do with  
18 the operating company's responsibility under the  
19 license, in developing the license, of course, had  
20 to be signed by an officer of the operating company,  
21 which was me.

22 Q But the additional work that would precede  
23 the signing of a particular paper, would that be done  
24 by Met Ed or was that done by GPU Service Corporation?

25 A That was primarily done by GPU Service Corporation.

1  
2 There was a twilight zone when this transfer was being  
3 made, but more and more the intent was that it was  
4 to go to the service corporation.

5 Q But on matters to be filed with the NRC,  
6 for instance, it would be the licensee, Met Ed, who  
7 would be signing off?

8 A That is right, yes. However, the paperwork was  
9 more and more being prepared by the service corporation.

10 Q Now, in 1971 you moved over to GPU Service  
11 Corporation; is that right?

12 A Yes.

13 Q Did that require any change in physical  
14 location for you?

15 A I changed offices, but I still stayed in Reading.

16 Q You weren't up in Parsippany?

17 A No, no. GPU has an office in Reading.

18 Q And once you moved over to the service  
19 corporation, did you have any further relationship to  
20 TMI 2?

21 A Well, there was an interim period till Met Ed  
22 continued to sign and I signed as -- well, I was vice-  
23 president of both for a short time until -- and I don't  
24 remember the date when I quit being a vice-president of  
25 Met Ed, but my primary responsibilities were not in the

2 nuclear area. We had problems other places that I was  
3 involved in.

4 Q Who had the primary responsibility in the  
5 nuclear area, if you know?

6 A Well, that would have gone in the service corpora-  
7 tion and Verrochi was vice-president and head of  
8 Generation in the Service Corporation.

9 Q So he was vice-president for Generation?

10 A For the service company.

11 Q And you were vice-president for Generation  
12 operations?

13 A Production.

14 Q It says here in your resume, Exhibit 5,  
15 that you were responsible for operating performance of  
16 all generating stations in the GPU system, including  
17 the operation, maintenance, modifications, personnel  
18 training, et cetera. Were you the responsible official  
19 for personnel training at TMI 1?

20 A No, I didn't get that much involved in that  
21 because they had that set up in Met Ed in an organization  
22 at the Island and I didn't spend that much time with  
23 them. When they got into problems and they needed  
24 my help, why I would help them. But primarily, I did  
25 not follow it that closely.

2 Q Was any planning going on as to personnel  
3 training for TMI 2 while you were vice-president of  
4 Generation Operation at GPU Service Corporation?

5 A Yes. They started to plan for No. 2 before  
6 they started to operate No. 1.

7 Q And what part did you play in that personnel  
8 training?

9 A Nothing specifically in the training, but I played  
10 some part in urging that the thing be started.

11 Q What form did that urging take?

12 A Verbal contact with the people in Met Ed's  
13 nuclear group.

14 Q Was there discussion at that time as to  
15 what form the personnel training should take for TMI 2?

16 A Well, there was a lot of discussion of the form it  
17 should take. It is hard to be specific because that  
18 is a growing and a changing thing. I am sure that  
19 there was a lot of discussion, but I did not get involved  
20 in details of that discussion.

21 Q Who did get involved in details of that  
22 discussion?

23 A Well, that would have been R.C. Arnold, primarily.

24 Q And did Mr. Arnold report to you at that  
25 time?

2 A No, he reported -- initially he reported to  
3 J. S. Bartman who took the job as vice-president and  
4 chief engineer. But one of the changes that I  
5 recommended -- and which was accepted -- was that the  
6 Generation Division be pulled out from under a vice-  
7 president and report directly to the president in all  
8 GPU companies. And at that time he was made vice-  
9 president and reported to the president.

10 Q The president being Mr. who?

11 A Krites.

12 Q How would Mr. Arnold interact with you in  
13 terms of personnel training?

14 A Not specifically in detail except if he wanted  
15 to discuss something with me or wanted some advice or  
16 something. If I heard that he wanted to talk about  
17 something, then I would call him. There was no direct  
18 reporting from him to me.

19 Q Even though you were responsible for  
20 personnel training?

21 A Because I had sufficient problems in what I was  
22 doing otherwise that I did not move into the area of  
23 nuclear training because it was a specific thing and  
24 they were in the process of developing their crew and  
25 they were working with the NRC training group and outside

1

Miller

14

2 groups, getting all the advice they could get, and  
3 really I didn't feel I could contribute very much in  
4 the details and specifics. So I just didn't get  
5 involved.

6 Q So in the area of nuclear training  
7 Mr. Arnold was principally responsible and you were  
8 concentrating more in the area of training on fossil  
9 fuel plants?

10 A Training and hiring policy and getting more  
11 engineers.

12 Q Would that be true also in the area of  
13 operation?

14 A That primarily was true in operation. That was  
15 my area of responsibility.

16 Q Operation was your area of responsibility  
17 but would that be true of the nuclear plant? Would  
18 operations of a nuclear plant have been dealt with by  
19 you or did Mr. Arnold have primary responsibility?

20 A Primarily he would have dealt with them. If  
21 he needed help, he would come to me.

22 Q But there was no reporting relationship?

23 A No reporting relationship.

24 Q What about the area of maintenance?

25 A Well, the same thing would be true. If they

1  
2 had problems with maintenance in which I could help  
3 them, they came to me. If there wasn't a specific  
4 area where I could help them, I did not move in to  
5 take responsibility for it and they worked it out and  
6 accomplished it themselves.

7 Q But again Mr. Arnold would have primary  
8 responsibility there in the nuclear area?

9 A That is right.

10 Q And you in all other areas and there was  
11 no reporting relationship between the two of you?

12 A No, no formal -- there was a relationship, but  
13 not a formal relationship.

14 Q Now, it also says here that you were  
15 responsible for the development of the use of computers  
16 for monitoring and process controlling plants. Was  
17 that true in the nuclear plant as well?

18 A Yes.

19 Q Could you outline for me what role you  
20 played in the development of computer use in the TMI  
21 plants?

22 A When TMI 1 was brought about, EGW made a proposal  
23 to furnish the original computer system. The company,  
24 then GPU, acquired a nuclear -- I mean, a computer  
25 expert of wide experience, and for a time he reported to

1

Miller

16

2 another department in the service company. We had so  
3 many problems in the fossil plants with our computer  
4 system that finally he was transferred to me in that  
5 job I had and he also was involved in the problems with  
6 the computer at TMI in getting it running, and there-  
7 fore, I became involved.

8 We also started an upgrading of that computer  
9 system while I was still active and that was done under  
10 the direction of Hamilton who reported to me, and when  
11 he needed help, why, I furnished it.

12 Q Hamilton was the computer expert?

13 A Yes.

14 Q Do you know his first name?

15 A William.

16 Q Is he still with GPU?

17 A He is with the service corporation over at  
18 Mountain Lakes, New Jersey.

19 Q Now, you mentioned that there were problems  
20 with the computer system at TMI that later required  
21 an upgrading; is that correct?

22 A Well, the computer that was furnished initially  
23 was a single computer and it was limited in what it  
24 could do, and it soon became obvious the way the  
25 operators depended on the computer that that had to



1

Miller

17

2 be upgraded, and it was a very difficult thing to do,  
3 and we worked with B&W and Bailey Meter or Mod-Comp on  
4 a way to do that without interfering with the operation  
5 of the plant, and we came up with a Phase 1, Phase 2,  
6 and Phase 3 development, and as of now, they are through  
7 Phase 2. They are considering how to do Phase 3.

8 That would have replaced the old computer with  
9 two redundant computers. It would greatly expand what  
10 it is capable of doing. It would make a very nice  
11 installation.

12 Q This is in Unit 1?

13 A Yes. What we did in Unit 1, we expected to be  
14 the prototype of what we would do in Unit 2 because  
15 Unit 2 came with the same Bailey computer that Unit 1  
16 did, so it would be necessary in Unit 2 to go through  
17 the same Phase 1, Phase 2, Phase 3 modifications.

18 It would have if the unit was running. Whether  
19 it will now or not depends on how fast we can get the  
20 computers and the software to work.

21 Q I am just trying to get the time frame and  
22 what is being done. Unit 1 needed a modification,  
23 substantial modification to the computer system?

24 A Replacement.

25 Q Replacement, and that was to be done in

1

Miller

18

2 three phases; is that correct?

3 A That is correct.

4 Q With the final phase, as I understand it,  
5 being a total replacement of the computer?

6 A That is right.

7 Q Unit 2 came with the same computer?

8 A Unit 1 originally came with what Bailey Meter  
9 called their 855 model. Unit 2 came with the same  
10 model computer only a little bit modernized, but  
11 basically the same computer.

12 Q So that Unit 2 required the same modifica-  
13 tions that Unit 1 required?

14 A There was a modification added to Unit 2. They  
15 put a mini-computer on to pick up some of the work that  
16 Unit 1 did not have, but it does not make it a modern  
17 system. So ultimately it will get the same thing that  
18 I will get, at least that was our intent when we were  
19 developing the modification.

20 Q Was there any discussion at the time that  
21 the computer modifications were being planned as to  
22 whether there was other existing technology at the  
23 time the Bailey Meter computer was bought that could  
24 have done the job that these modifications would now  
25 permit?

1

Miller

19

2 A I guess maybe you will need to clarify your  
3 question.

4 Q Let me clarify the question. At the time  
5 the Bailey Meter computer was bought, was it the latest  
6 technology available?

7 A I don't think so, but it was the latest that B&W  
8 was prepared to offer, and this was all bought as part  
9 of a package with the nuclear plant.

10 Q Had GPU or Met Ed looked at other computers  
11 at that time?

12 A Oh, Hamilton was familiar with all the computers  
13 on the market, but at the time the initial purchase was  
14 made that was not true because Hamilton wasn't with the  
15 company then. But after we got involved, it soon  
16 became obvious from his knowledge that we needed to  
17 upgrade the system.

18 Q I guess what I am getting at is what factors  
19 led Met Ed to select the Bailey Meter 855 as the computer  
20 to be used in the plant?

21 A At the time that it was purchased, there was not  
22 any nuclear plant working with any appreciable amount  
23 of computer systems controlling in them. We wanted to  
24 get a computer program of the fuel management, so we  
25 ordered a system from B&W that would primarily do that,

1

Miller

20

2 and we used it for some other things as far as we could  
3 within the capability of the computer. Primarily that  
4 is what we were after when we bought the unit originally,  
5 which included the computer.

6 Q And just so I can clarify, how does the  
7 current TMI 2 computer compare with the TMI 1 computer?

8 A As of today?

9 Q As of today.

10 A TMI 1 still has the original 855 computer in  
11 service. It also has a Mod-Comp computer which is doing  
12 some functions. It can replace the 855 if the 855 dies.  
13 Ultimately the 855 will be eliminated and a redundant  
14 Mod-Comp unit will be put in and then we will have these  
15 two computers for Unit 1.

16 On Unit 2 we have an 855 which came with it. It  
17 has been modified by the addition of a mini-computer  
18 to pick up some functions on balance of plant and other  
19 things within its capability. So as of now Unit 1 has  
20 both the 855 and the Mod-Comp. Unit 2 has only the  
21 855 and a mini-computer to sort of help it out.

22 Q Let me put in front of you two exhibits that  
23 were previously marked as O'Connor Exhibits 3 and 4 and  
24 ask you to refer to Exhibit 3. Have you seen that  
25 document before today?

1

Miller

21

2 A I prepared it.

3 Q And that was written by you on April 18,  
4 1979?

5 A Yes.

6 Q And if you will look at Page 2, a copy of  
7 that was supplied to Mr. O'Connor; is that correct?

8 A Yes.

9 Q And a copy was supplied to Mr. Long?

10 A Yes.

11 Q Why was a copy supplied to Mr. Long, sir?

12 A He was coordinating all the documents that were  
13 being developed for Mr. Arnold.

14 Q How did you come to get the assignment of  
15 doing the 12 valve investigation?

16 A Well, Mr. Arnold and Mr. DeCamp realized it had  
17 to be done and they decided that since they did not  
18 think that I would, if I approached these operating  
19 people, that they would look on me as a threat because  
20 I am not a part of the line organization, and yet they  
21 all know me, they know who I am, and so because of that  
22 relationship, they thought that I could get a good  
23 response in conversation with them in asking them to  
24 try to remember what went on. And basically that is  
25 why I was given the assignment. And Mr. O'Connor was

1

Miller

22

2 assigned to me because he had been working on the  
3 problem for several days before I got there.

4 Q Now, who first approached you about taking  
5 on this assignment?

6 A Well, DeCamp had asked me to do it.

7 Q When was that?

8 A A week or so before that date. I started up  
9 there about the 10th.

10 Q So he approached you about the 3rd or  
11 4th?

12 A That week sometime. Floyd Smith actually called  
13 me and wanted to know if I could come up -- he is a  
14 vice-president of administration for GPU Service  
15 Corporation -- and when I got there, why, Mr. DeCamp  
16 said that he and Bob Arnold had been talking about who  
17 could do this job and had decided that they would like  
18 for me to start it.

19 Q What did they tell you about the job they  
20 wanted done?

21 A They didn't tell me anything. They just told  
22 me what the situation was and they would like to find  
23 as much about it as they could as to what happened or  
24 didn't happen.

25 Q Now, you and Mr. O'Connor started your

1

Miller

23

2 investigation on about the 10th or the 11th; is that  
3 correct?

4 A Yes.

5 Q How did you go about doing your investiga-  
6 tion, sir?

7 A We first reviewed the outage and what had  
8 occurred so that I could get familiar with the sequence  
9 of events, and then we started talking to the individuals  
10 who were involved in the surveillance testing, because  
11 it became pretty obvious that the time that these  
12 valves could have been left closed was at the surveillance  
13 testing. And so we talked to the operating people and  
14 the relief crew individually, all those we could find  
15 at the time they were working on it, and I guess we  
16 got to everybody on the relief crew whose responsibility  
17 was to do it. We did not talk to Cooper because he was  
18 off duty and it was reported to us that he had gone to  
19 the hospital. And I went back and looked for him a  
20 day or two after that and they said he wasn't back yet,  
21 and nobody seemed to know when he was going to come back,  
22 and Mr. Arnold wanted to get the report out, so I did  
23 not wait for him to come back.

24 Q So you never spoke to Mr. Cooper about his  
25 actions on the 26th?

1

Miller

24

2 A No.

3 Q Have you spoken to Mr. Cooper since you  
4 wrote this report?

5 A No.

6 Q To your knowledge, has anybody on the Met-Ed  
7 or GPU staff discussed with Mr. Cooper his actions on  
8 the 26th?

9 A Not to my knowledge.

10 Q In the course of your investigation, did  
11 you or Mr. O'Conner make notes of your interviews?

12 A Yes. We each made little scrap notes of what we  
13 got, and then we sat down and prepared these items which  
14 you have here.

15 Q The items that are marked as Exhibit 4?

16 A Yes.

17 Q That is in front of you too, sir?

18 A Yes.

19 Q Those scraps of paper, did you retain those?

20 A No.

21 Q How about Mr. O'Conner, to your knowledge,  
22 did he retain them?

23 A No. After we recorded everything there, why we  
24 both threw everything else out.

25 Q Let's look at Exhibit 4 which is the

T2



1

Miller

25

2 handwritten set of questions and answers. Where did  
3 these questions come from, Mr. Miller?

4 A They came -- Mr. O'Conner and I sat down and  
5 talked about what we wanted to find out and these were  
6 the questions that we thought of.

7 Q Had these questions been provided to you by  
8 Mr. DeCamp?

9 A No.

10 Q Mr. Arnold?

11 A No.

12 Q Do you know who Ernie Blake is?

13 A Yes.

14 Q Had he provided you with any of these  
15 questions?

16 A No.

17 Q Had they discussed the areas of investiga-  
18 tion with you prior to your starting the investigation?

19 A Only generally or broadly, what had happened, and  
20 what they would like to find out.

21 Q Had you attended a meeting before you began  
22 your investigation with Mr. DeCamp, Mr. Arnold, and  
23 Mr. Blake?

24 A I had talked to them individually, not specifically  
25 but in general, about the sequence of events and things

Miller

6

1 that happened, but not about these questions  
2 specifically.

3 Q But there was no time when you met with  
4 them jointly, yourself and Mr. O'Connor, prior to your  
5 undertaking the investigation?

6 A No. We did talk while we were having the investi-  
7 gation and we asked certain questions -- I forget what  
8 they were now -- general questions, and we discussed  
9 some of our findings with them. But it was just a  
10 matter of information.

11 Q Did you discuss those findings with these  
12 gentlemen jointly or separately?

13 A I would think it was separately.

14 Q Let's look at Question No. 2 on Page 1 which  
15 says, "Do the EF-V 12's have position indicator on the  
16 rear panels?" What was the significance of that question,  
17 sir?

18 A I don't know who asked the question, but somebody  
19 raised the point that there was a separate board in the  
20 control room that was a display of positions of certain  
21 valves, and one of the questions asked is were the  
22 12 valves on that board. And we asked someone originally,  
23 and the answer was no, but we went and looked ourselves  
24 and the answer was yes. So that is why that is marked

1

Miller

27

2 out and changed.

3 Q Just so I understand this, you originally  
4 asked someone whether there was a rear panel?

5 A Everybody knew there was a rear panel.

6 Q Excuse me, position indicator on the rear  
7 panel?

8 A For these valves?

9 Q Yes. You went and you asked somebody?

10 A We went and asked somebody. I forget who it  
11 was. And they said, "No." We put "No" down. But  
12 then we looked and found they were there.

13 Q This somebody that you asked, was he in  
14 the control room?

15 A I don't think he was a control room operator.  
16 It was an engineer there, I think, but I forget now  
17 who specifically it was. It was somebody we thought  
18 ought to know, but obviously, they didn't.

19 Q Do you remember what his name was?

20 A No.

21 Q At the time was it somebody that you knew?

22 A It was somebody in the plant organization.

23 Q Yes, but I guess what I am asking is the  
24 person that you asked -- you said you thought he ought  
25 to know -- was that person you asked the question of

1  
2 someone you had previously known before you asked him  
3 the question?

4 A I don't think so, but I don't remember specifically.  
5 I think it was an engineer that was on staff, not one  
6 that I had known personally.

7 Q How did you know he was an engineer?

8 A I asked somebody who he was or we asked him who  
9 he was.

10 Q And he told you "No."

11 Now, what led you, after he said "No" -

12 A Well, we had more conversation between us, and  
13 probably with others too, but I don't remember specifically  
14 what raised the question in our mind if that "No" was  
15 correct. So we then went out and specifically looked  
16 at this board. The board was behind the ropes where  
17 everybody was except those who were working there were  
18 supposed to go. So we initially did not go back there,  
19 but finally, to settle it, we got a hold of one of the  
20 bosses and he took us around there and we looked.

21 Q Did there ever come a time when Mr. Arnold  
22 told you that the 12's have a position indicator on the  
23 rear panel?

24 A Not that I remember. I don't remember ever  
25 discussing it with him.

1

Miller

29

2 Q Now, looking at the answer to Question 2,  
3 there is a sentence that is bracketed and that  
4 sentence is, "Note: The local switch is not a key-  
5 locked switch." Do you see that sentence, sir?

6 A I did that.

7 Q Why did you bracket that sentence?

8 A I wanted to emphasize it so that later when I  
9 was preparing this memorandum I would consider whether  
10 I wanted to include it in the memorandum or not. I  
11 went through the whole thing and did that to a number  
12 of items.

13 Q The things that you bracketed, did you  
14 consider those to be less important pieces of infor-  
15 mation or more important pieces of information?

16 A I would say that I thought they could be  
17 significant, not that I knew or thought they might be  
18 more important or not.

19 Q But you thought they could be significant  
20 or more significant than the other information in the  
21 answer?

22 A Yes, and that probably, in this case, the question  
23 of whether they were key-locked or not -- and I am sure  
24 that was a subject that Ed O'Conner and I discussed --  
25 and in some instances these switches are key-locked and

1

Miller

30

2 only used in emergency cases with the use of a key.  
3 We were wondering if these were the same kind because  
4 this is an emergency panel and basically that was a  
5 curiosity item, I guess, as much as it was a significant  
6 item as far as -- but I did not consider it sufficiently  
7 important, I don't think, to include it in there  
8 (indicating).

9 Q You would have expected, going in, that  
10 this would be a key-locked switch?

11 A I really didn't expect one way or the other. We  
12 just wondered if it was, and so we checked it and it  
13 is not.

14 Q But you did say that you found that curious?

15 A Yes.

16 Q Why?

17 A Well, in some of our fossil plants these kinds of  
18 things have a key lock on them and we wondered whether  
19 they did the same thing here.

20 Q So you were just curious to see if they  
21 had the same that you had in your fossil plant?

22 A That is right.

23 Q Would you look at Page 3 of Exhibit 4, the  
24 handwritten notes, the second paragraph of the answer?  
25 There is some writing in the margin. Can you identify

1

Miller

31

2 whose writing that is?

3 A That is mine, "Test of Non-Return Valves."

4 Q What led you to write that comment in the  
5 margin?

6 A Do you have the diagram of the system there?

7 Q You mean Attachment 3 to your April 18  
8 memorandum?

9 A Yes.

10 Q Yes, sir.

11 A Later I make reference to it in these notes, and  
12 it is also referred to in the memorandum. The three  
13 pumps you see across here --

14 Q Yes.

15 A That first valve is a non-return valve which means  
16 the flow can go this way (indicating) but it can't come  
17 back that way (indicating).

18 Q Right.

19 A And the procedures for surveillance test - and  
20 also the Section 11 of the ASME Code requires these  
21 valves to be tested -- and that is basically what this  
22 question refers to.

23 Q Let's look at that second paragraph that  
24 your comment is next to. Is that Mr. O'Connor's  
25 handwriting in the second paragraph?

1

Miller

32

2 A No, that is all mine.

3 Q All yours?

4 A All mine.

5 Q The paragraph that starts, "It should be  
6 noted that the valve line-up appeared to be too exten-  
7 sive" --

8 A Yes, that is my writing.

9 Q The next sentence, "It places both EF-W  
10 trains to the steam generating service, which is  
11 probably a tech spec violation."

12 A Yes.

13 Q Is that your writing?

14 A Yes.

15 Q What did you mean by the first sentence?

16 A Well, when we were looking at this, obviously,  
17 the question of the tech spec violation came up. The  
18 way the procedure was set up they closed both the 12  
19 valves and then they have no emergency feed system, and  
20 the question that we asked was, "Can you do that under  
21 the tech specs?" When we asked the question -- and  
22 I forget who gave us the answer -- and initially it was  
23 that an operator stands by this and on surveillance if  
24 there is a trip, that he would open these immediately --  
25 which is probably still a violation of the tech spec --



1

Miller

33

2 but by closing both of these valves, obviously, they  
3 take the whole thing out and we said it is too extensive,  
4 we could close one side off and keep the other in service,  
5 and that is what we were referring to when we said that  
6 we thought the valve alignment was too extensive, that  
7 you could still accomplish what they needed to do by  
8 closing off half of it.

9 Now, there is still a question whether that doesn't  
10 violate the tech specs. I mean to do your surveillance  
11 without violating the tech specs. I mean to do your  
12 surveillance without violating the tech specs is a very  
13 difficult thing and this is one case where it is almost  
14 impossible to meet Section 11 and not.

15 Of course, Section 11 requirements on surveillance  
16 were established on the plant after the plant was  
17 designed and not before it was designed. So this was  
18 a backfit arrangement.

19 Q So in order to meet the Section 11 require-  
20 ments, you had to violate your tech specs?

21 A Yes. And if you want to discuss this some more,  
22 I can tell you what they did, and what they did was very  
23 logical. They thought if the 11 valves would hold --  
24 and they are automatic valves -- they could test  
25 these pumps and the pressure would be held by these

1

2 valves.

3

Q The 11's?

4

A The 11 valves, and then they could get a test  
5 on the non-return valves as well as the backflow on  
6 the pumps, but those valves were not tight, and of  
7 course, instead of backing up and taking a new look,  
8 they said, "Well, we can accomplish this then by closing  
9 the 12 valves." That was Revision #4.

10

Q Could they have accomplished the same thing  
11 by making the 11 valves more tight?

12

A No. The 11 valves are control valves. A  
13 control valve is inherently not tight. The problem  
14 was that you chill the steam water going into the  
15 generator every time you run the system when you test  
16 it and there are only a limited number of times that  
17 you can shock the system -- that is not the way the  
18 system was originally set up to work.

19

Q Page 5 of the handwritten notes labeled  
20 "Observations"; is that in your handwriting?

21

A Yes.

22

Q The first observation, "The two men who  
23 signed the surveillance test form for the test conducted  
24 on March 26, 1979, stated that they felt their signature  
25 only pertained to the test form and the attached data

1

Miller

35

2 sheet and does not imply that the system valves were  
3 properly realigned." Do you see that, sir?

4 A Yes.

5 Q Did you discuss with them how they obtained  
6 that understanding?

7 A Well, what they were saying is that this  
8 surveillance test was to test the pumps and the valve  
9 realignment was only incidental to testing the pumps,  
10 and therefore, these surveillance test results were  
11 explicit as far as the pumps and that non-return valve  
12 was concerned, and therefore, not a valve alignment  
13 surveillance test.

14 Q But were they not supposed to realign the  
15 valves?

16 A That is right.

17 Q At the conclusion of that test?

18 A That is right.

19 Q Did you discuss with them how they reached  
20 the understanding that their signature only pertained  
21 to the test form rather than a conclusion by them that  
22 the system valves were properly realigned?

23 A Well, if you look at the data on the forms that  
24 are turned in, they have only to do with the specifica-  
25 tions relative to the valves and that when they sign

1

Miller

36

2 that, that is the only thing that they are signing.  
3 The valve realignment is incidental and it is supposed  
4 to be checked off and it is supposed to be done, but  
5 it is not part of this surveillance form and the data.  
6 They throw out this form relative to the pump, and I  
7 guess that is what they are saying.

8 They didn't deny they shouldn't have opened the  
9 valves.

10 Q Was it their view that they had reopened  
11 the valves?

12 A They thought they had, yes, but when you asked  
13 them specifically, "Do you remember doing it," when  
14 we talked to the auxiliary operator and the relief  
15 shift CRO, they could not remember specifically that  
16 they had done it. The auxiliary operator stated that,  
17 "I know they told me it was done because I checked it  
18 off, and I remember that." But, he said, "I was standing  
19 back and I was not up looking at the lights and seeing  
20 whether they were open, and I did not look to see who  
21 did what to what valve."

22 Q Did their supervisor go through that drill  
23 with them?

24 A On this day?

25 Q On March 26th.

1

Miller

37

2 A No.

3 Q Who was their supervisor that day? Was  
4 that Mr. Guthrie?

5 A Yes. He was the shift foreman.

6 Q Mr. Guthrie did not go through the check-  
7 off with them?

8 A No. That would be impossible, certainly  
9 impractical, for him to try to follow everything they  
10 do in these surveillance tests. There are so many of  
11 them and they are going through according to a schedule.  
12 If he went through each specific item, he might as well  
13 do them himself, and that would be impossible.

14 Q Well, let's look at Attachment 2 to  
15 Exhibit No. 3, which is your report, which is the  
16 surveillance performance form.

17 A You mean the surveillance procedure 2303?

18 Q The computerized printout form that is  
19 headed "Surveillance Performance Form." It is marked  
20 in the upper right-hand corner "Attachment 2."

21 Do you have that in front of you, sir?

22 A Yes.

23 Q Do you see about halfway down the page it  
24 has the heading, "Results," and then it says, under  
25 that, "Check one only," and the check on that page is

1

Miller

38

2 "1. Performed okay."

3 A And that is very significant. Everything  
4 performed okay.

5 Q And that was performed by an employee and  
6 the signature on the right is J. K. Leonarons.

7 A That is right.

8 Q And he was or is auxiliary operator, is he  
9 not?

10 A Yes.

11 Q And he performed that portion of the  
12 surveillance test which was to take place outside the  
13 control room?

14 A That is correct.

15 Q And after Mr. Leonarons came back with his  
16 check list and signed this form saying "Performed okay,"  
17 that was approved by Mr. Guthrie; is that correct?

18 A Yes.

19 Q What does Mr. Guthrie's signature saying  
20 "Approved" mean on that form?

21 A It means that the test has been performed and  
22 the results are satisfactory and that the operator  
23 under him has signed it and said it is satisfactory, and  
24 if he has any questions, he will go and ask certain  
25 questions of the operator. But it is his responsibility

1

Miller

39

2 to get it done and when the operator tells him that  
3 everything tested okay, then his signature means that  
4 he approves what this operator has done.

5 Q But before putting down his signature that  
6 he approves that the procedure was performed okay, does  
7 Mr. Guthrie or did Mr. Guthrie on March 26th make any  
8 independent check on what Mr. Leonarons had done?

9 A I don't think he did. We did ask that question  
10 and he said that he did not involve himself in the  
11 details on that day. His function is to train the  
12 operators to do these things and see that they do them.

13 Q Mr. Guthrie didn't check the check list,  
14 did he?

15 A No.

16 Q And that check list was, in fact, discarded?

17 A That is right.

18 Q Who was the last person to look over the  
19 check list?

20 A The AO gives it to the control room operator or  
21 the relief control room operator.

22 Q Who would that have been, if you remember?

23 A It is a funny name.

24 Q Hemelia?

25 A Hemelia.

1

Miller

40

2 Q And after Mr. Hemelia was satisfied that  
3 the check list was, in fact, complete, he would discard  
4 it?

5 A Yes.

6 Q Did you inquire as to why Mr. Hemelia's  
7 signature doesn't appear on this surveillance form?

8 A He is the lead operator and primarily his func-  
9 tion is to operate anything in the control room that  
10 needs operating because the auxiliary operator cannot  
11 do it. It is the responsibility of the auxiliary  
12 operator to run the test, but the functions and  
13 operations that he cannot do because he is not a control  
14 room operator, the relief CRO has to do it for him.

15 Q But I guess what I am getting at is that  
16 Mr. Guthrie did not review the check list, Mr. Hemelia  
17 did. What rationale was there for Mr. Guthrie signing  
18 something approved that he hadn't reviewed?

19 A Well, I am sure he reviewed this sheet before he  
20 signed it, and that is what the surveillance test was  
21 all about, and he only assumed that the valve alignment  
22 was returned to normal.

23 Q The only thing that Mr. Guthrie reviewed  
24 was a sheet that had a check saying "Performed okay."

25 A That is right, and if you wanted to ask the



1

Miller

41

2 auxiliary operator any specific questions before he  
3 signed, he could, and he probably did. But the CRO in  
4 that case is only there to operate the equipment from  
5 the control room because he is the only one who is  
6 licensed to do it. The auxiliary operator cannot do  
7 it.

8 Q Did the control room operator, Mr. Hemelia,  
9 fill out a form?

10 A No, he does not fill out anything.

11 Q He does not fill out anything? What was  
12 the reason for that, as they explained it to you?

13 A He is not part of the test. The test is conducted  
14 by the auxiliary operator. The control room operator  
15 is the lead operator in the control room, but what is  
16 done outside of the control room the auxiliary operator  
17 does.

18 Q And no part of that test is performed in  
19 the control room?

20 A Only what they do in valve realignment or start  
21 the pumps, that sort of thing, which is incidental to  
22 making the test.

23 Q I see. Because it was incidental,  
24 Mr. Hemelia would not have to fill out a form?

25 A Right.

1  
2 Q And Mr. Guthrie would not have to approve  
3 Mr. Hemelia's actions?

4 A No, because his actions are only doing what the  
5 auxiliary operator needs done.

6 Q What was your opinion about that procedure,  
7 this procedure of having Mr. Leonarons fill out a check  
8 list, having him hand that check list to Mr. Hemelia,  
9 having Mr. Hemelia discard the check list, and at some  
10 point within a few minutes thereafter or before,  
11 Mr. Guthrie approving the procedure? Did you find any-  
12 thing unusual about that mode of operation?

13 A Yes. We questioned that step and I mentioned  
14 it in -- somewhere; I don't know if it is in the  
15 memorandum or not, but it is in some of these notes --  
16 if they did keep those sheets, and they said they got  
17 so many of them that their files were running over.  
18 This is only one of dozens of surveillance tests that  
19 go on all the time.

20 We then raised the question, "Yes, but why don't  
21 you keep the last one?" And their response to that  
22 was, "Yes, probably that is a good idea."

23 Q There is a line for a third signature on  
24 this surveillance performance form which is Attachment 2  
25 to Exhibit 3, a line that says "Witnessed by Employee,"

1

Miller

43

2 and a space for that signature. Do you know what the  
3 function of that line is?

4 A I am not sure but I would assume that that is  
5 a Quality Assurance employee who was sent to see that  
6 the thing was done right according to the specs.

7 Q Would a Quality Assurance employee be  
8 involved in this kind of surveillance test, the one  
9 performed on March 26th?

10 A Not unless he was assigned to make a spot check.  
11 Then he would observe and check to see whether every-  
12 thing was done according to the procedure, and then  
13 he would sign as witness. That is what I assume that  
14 means.

15 Q Do you know what it means though?

16 A Not specifically.

17 Q Did you ask them what it means?

18 A No, I didn't. But they did tell us that  
19 periodically Quality Control checks their surveillance  
20 and makes a routine check, and so I would think that  
21 is a safe guess that that is what that means.

22 Q Now, looking at Page 7 of these handwritten  
23 notes, are those your notes on Page 7?

24 A Yes.

25 Q You have three possible explanations for

T3

1

Miller

44

2 the 12 valves being closed on that page; is that  
3 correct?

4 A Yes.

5 Q Next to the second one, "In the excitement  
6 of the first minute of the accident on 3/28/79, the  
7 CRO may have mistakenly shut the EF-V 12's." There is  
8 a question mark next to that. Whose question mark is  
9 that?

10 A That is mine.

11 Q What led you to write that question mark  
12 down?

13 A Well, I discussed it some more with O'Connor and  
14 also with the operator, and of course, they were very  
15 positive that that did not happen, and I put that there  
16 just as a reminder for further question to two different  
17 people.

18 Q The operators that you asked about that were  
19 the operators that were in the control room at 4:00 a.m.  
20 on March 28?

21 A There was the supervisor to those operators.

22 Q Mr. Zooey?

23 A Zooey, and the engineer and shift foreman. We  
24 were talking to so many people I can't remember who all  
25 we followed up on.

1  
2 Q Did you consider it possible that those  
3 valves might have been intentionally shut sometime  
4 between March 26 and 4:00 a.m. on March 28?

5 A Yes, but we -- at least I felt after talking to  
6 the operating people -- that there wasn't any -- I  
7 didn't get any feeling that they were the kind of  
8 people who would intentionally shut them.

9 To shut these valves from the so-called local  
10 position down there was in a zone where they didn't  
11 permit anybody to go, and anybody that is outside that  
12 walked in there to do that would have -- he would have  
13 been very foolish.

14 Q You say "to shut those valves locally"  
15 would be in a zone where they didn't permit anybody  
16 to go. What zone are you talking about?

17 A That so-called local control which, I say some-  
18 where that there is a board down near these pumps  
19 where these things can be operated. We asked the  
20 auxiliary operator to show it to us and he wouldn't do  
21 it because he said, "I am not going back there," and  
22 it is taboo and nobody goes back there because the  
23 radiation was too high."

24 Q This was post-accident?

25 A Yes.

1  
2 Q Prior to the accident was that a restricted  
3 access zone?

4 A It is not -- no, I don't think it is. It is  
5 not an area though that people normally would go  
6 because it is sort of an out-of-the-way place. If  
7 anybody did go there, it would be somebody who obviously  
8 went to do some damage and it would have to be somebody  
9 from the outside, in my opinion, because I didn't meet  
10 anybody in the operating crew who I thought were foolish  
11 enough to do that.

12 Q How could you make the determination based  
13 on meeting those people as to whether they were foolish  
14 enough or had the inclination to intentionally shut off  
15 the 12 valves for whatever reason?

16 A Well, everyone I talked to I found to be sincere,  
17 open, wanting to answer our questions. We didn't get  
18 any hedging. If they weren't sure, they said so.  
19 And you develop a feel for people. So neither  
20 Mr. O'Connor nor I felt, in our discussion, that the  
21 first choice we would pick is somebody from the outside  
22 coming in closing those valves.

23 Q Well, did you check to see whether anybody  
24 from the outside had been given access to the grounds  
25 at any time between March 26 and March 28?

1

Miller

47

2 A Well, it is not just the grounds, he has to be  
3 given access to the plant and inside the No. 2 operating  
4 area.

5 Q Had anybody been given such access between  
6 March 26 and March 28?

7 A I am sure there are construction people around  
8 but not in that particular area. There wasn't any  
9 construction going on in this area.

10 Q Did you make that check?

11 A No, we didn't.

12 Q Did you make a check of the company  
13 personnel files to see whether anybody had any either  
14 employment grievances or other grievances against the  
15 company who was on site between March 26 and March 28  
16 at 4:00 a.m. with unrestricted access to the plant?

17 A No, we didn't.

18 Q Did you make any evaluation as to what  
19 effect the 12 valves and the closing of those 12 valves had  
20 on the accident that occurred on March 28 at 4:00 a.m.?

21 A Come again with that question?

22 Q Did you make any evaluation of what effect  
23 the closing of the 12 valves had on the accident that  
24 occurred at 4:00 a.m. on March 28?

25 A Yes. We talked to a number of people and a study

2 was underway to determine how much that delay in opening  
3 those valves could have contributed to the problem, and  
4 we were told that it did not appear that this was a  
5 significant point relative to what occurred later.

6 Q But just so we can summarize, you based your  
7 conclusion that an intentional closing of those 12  
8 valves was ruled out on your impressions of the people  
9 that you interviewed at the plant?

10 A Plus the fact that when we questioned them about  
11 the surveillance test, we got the definite impression  
12 that you had -- in the first place they all agreed  
13 that both control room operators were at the board  
14 when the auxiliary operator came up and gave them  
15 instructions to realign the valves, and they both  
16 agreed that -- that is HemeJ' and the auxiliary operator,  
17 Leonarons, agreed that both control room operators had  
18 operated some of the valves when he called off "Open  
19 this" or "Close this," one of them did it and the other  
20 one did it, and he wasn't sure which one did it.

21 My experience tells me that one thing that is  
22 going to occur when two people are doing one man's job,  
23 you have a perfect set-up for a slip, and as we reviewed  
24 this thing, as we pointed out here, it was our opinion  
25 that there was a chance there for the error being



2 committed, and we felt strongly enough about it that  
3 we didn't feel like going back and recommending that  
4 we run an FBI check of everybody in personnel and  
5 everybody else. Now that the operator, Cooper, stated  
6 he remembers opening the valves put a little different  
7 complexion on it, but in my mind I can very easily  
8 understand how they would fail to reopen these valves  
9 because they do it frequently and when you sit and  
10 think, "Now did I do this or didn't I," and if this is  
11 something that you have done before, it is easy, you  
12 can remember doing it, but it may have been that you  
13 didn't do it then, you did it the time before. And I  
14 think it was not a good situation to have two people  
15 there responding to the auxiliary operator to do this  
16 job.

17 Q So let me see if I understand this correctly.  
18 There were two control room operators responding to  
19 Mr. Leonarons, Mr. Hemelia and Mr. Cooper?

20 A Yes.

21 Q And one or the other of them was responsible  
22 for opening those valves on the morning of March 26?

23 A Well, they were responsible to get the valves open.  
24 When the auxiliary operator says "Open the V-12 Valve A,"  
25 he said he distinctly remembers them answering "It is

1

Miller

50

2 done," but he did say that he did not know whether  
3 Hemelia did it or Cooper did it because they were both  
4 standing there and they were both responding to him,  
5 and some of them -- Hemelia was doing some of them and  
6 Cooper was doing some of them.

7 Q Based on your investigation, which of these  
8 three alternative explanations for the closing of the  
9 12 valves do you think most likely?

10 A The first one.

11 Q That they were not reopened at the conclusion  
12 of the surveillance test?

13 A Yes. But I still think that Cooper is being  
14 honest when he thinks he remembers doing it. But I  
15 think to have two people doing it is what is wrong and  
16 they do too now.

17 Q If we could turn further back in these  
18 handwritten notes, the first page following the end of  
19 your observations that starts with "Conf - Joe R. Bashista,  
20 do you see that page? Is that page written in your  
21 handwriting, sir?

22 A Yes.

23 Q Who is Joe R. Bashista?

24 A He is in the inspection group that writes the  
25 procedures and checks up on this group and also sends

1

Miller

51

2 out each week what surveillance tests are to be  
3 conducted, and there are several in that group -- I  
4 think Morck was one -- and they report to a gentleman  
5 by the name of Rheem, I think -- I don't know whether  
6 his name is here or not.

7 Q So is it fair to include from this paper  
8 that you and Mr. O'Connor interviewed Mr. Bashista and  
9 Mr. Morck?

10 A Yes.

11 Q And you interviewed them about the surveillance  
12 test procedures?

13 A Yes, how they are developed, and their relationship  
14 to Section 11 of ASME Code, and their relationship with  
15 the NRC in getting approvals, and the violation, possible  
16 violation of the tech specs, and all those things we  
17 reviewed with this group.

18 Q Now, it says "frequency ASME Section 11."  
19 What is the frequency that ASME Section 11 requires, if  
20 you know?

21 A Well, pumps, once every 31 days; valves, every  
22 three months.

23 Q And that is the listing that is just below  
24 the frequency, is it not?

25 A Yes.

1

Miller

52

2 Q According to your memorandum which is  
3 Exhibit 3, you say that surveillance of the emergency  
4 feed system valving, the EF-V 12-A and 12-B valves has  
5 been accomplished 12 times during 1979 prior to the  
6 date of the incident. That 12 times, is that consistent  
7 with the requirements of ASME Section 11?

8 A Yes. That is what they are meeting in doing all  
9 those surveillances.

10 Q I see. So in order to meet ASME Section 11  
11 they would have had to have had surveillance of that  
12 system about 12 times during 1979 prior to the date  
13 of the accident?

14 A Yes.

15 Q Now, in the middle of the page you have the  
16 statement, "Violation of tech specs: Enter Action  
17 statement for surveillance testing NRC." What does that  
18 mean, sir?

19 A We asked had they discussed with NRC this question  
20 of what we consider a possible tech spec violation and  
21 asked for an exception.

22 Q What was their response?

23 A They have not.

24 Q Did they give you a reason why they had not?

25 A No, they didn't.

2 Q Did you ask them for a rationale as to  
3 why they had not?

4 A Yes. The rationale, as I pointed out, when  
5 they first wrote those procedures, they depended on  
6 the 11 valves, and that was not a violation because  
7 they were automatic and if there had been an accident  
8 and the steam generators had required water, they would  
9 have come open and so that would not have been a viola-  
10 tion of the tech spec. As near as we can determine,  
11 they made Revision 4 without giving it sufficient  
12 thought to what that did in relation to the tech spec.

13 Q But they had not informed NRC of the  
14 inconsistency between ASME Section 11 and the technical  
15 specifications?

16 A Yes. They had sent all this information to NRC.  
17 Of course, NRC gets piles of paper and probably nobody  
18 has read it. NRC gets all these procedures.

19 Q Now, the next sentence is "Both V-12's out  
20 questionable." What do you mean by that?

21 A Well, that we think is a violation of the tech  
22 spec.

23 Q Looking at the next page, the last paragraph  
24 at the bottom, there is a sentence, "The thinking was  
25 that by entering Action Statement for surveillance

1

Miller

54

2 testing this would meet tech specs but this is ques-  
3 tionable." Do you see that?

4 A Yes. The opinion was expressed that what they  
5 should have done was to enter an action statement with  
6 NRC asking for an exception to this because they could  
7 not do the surveillance testing without violating the  
8 tech specs, and we questioned that they still could  
9 meet the tech specs even if they had filed such a state-  
10 ment.

11 Q Did they file such a statement?

12 A They didn't, not on No. 2.

13 Q Did they file on No. 1?

14 A They filed several on No. 1 verbally. Primarily  
15 it is in connection with that non-return valve.

16 Q They filed verbal action statements?

17 A Yes. They went down to NRC last October and  
18 they reviewed with them their surveillance procedures  
19 and where they violated the tech specs or the Section 11,  
20 rather, they asked for a -- not tech specs, but  
21 Section 11 -- they asked for an exception verbally,  
22 and I think they told me there were five of those  
23 exceptions they had filed and the NRC had discussed it  
24 with them and had not turned them down.

25 Q Now, as I understand it, the Inspection

2 and Enforcement Division of the NRC inspects plants  
3 on a regular basis. Are you aware of that, sir?

4 A Yes.

5 Q And one of the things that they do when  
6 they inspect is to check conformance with the technical  
7 specifications; isn't that correct?

8 A That is right, but they also have a group down  
9 here that checks technically -- I assume they do. They  
10 get copies of them and I assume that they have technical  
11 people who are knowledgeable to go through them and  
12 determine whether they accept them or not, or are  
13 acceptable.

14 Q How does an inspector from I&E, when he comes  
15 in to inspect the plant, determine that the licensee is  
16 not in violation of the tech specs when there has only  
17 been an oral action statement filed with the NRC and  
18 someone's verbal agreement has been secured as to a  
19 modification of those tech specs?

20 A Well, they would find in our files or in the plant  
21 files a notation that this has been presented to the  
22 NRC. The NRC may still come back and say they do not  
23 accept it, but until they come back and not accept it,  
24 the plant has to run, so they proceed on that basis.

25 Q So they proceed on the basis of an oral

1

Miller

56

2 action statement that is reflected in the licensee's  
3 file and may or may not be reflected in the NRC's file?

4 A That's right. I don't know what records they  
5 keep when the thing is discussed with them, but if they  
6 don't do these kinds of things, the whole world would  
7 stop because there are so many of these things going  
8 through that that is one of the problems, they just  
9 can't get around to all details that they should keep  
10 documents on, like that. The plant does, but the NRC,  
11 I don't know where they keep all the stuff they get now.

12 Q Is there a form for an action statement,  
13 a written form?

14 A I do not know.

15 Q But in any event --

16 A As I understand, on Unit 1 what they did was they  
17 sent the procedures down to the technical people here  
18 in Bethesda and after a period of time when they had  
19 studied it and then the group said they wanted to talk  
20 to them, and so they went down and sat down and discussed  
21 the procedures for surveillance, and it was at that  
22 discussion -- and I don't know what NRC had asked them  
23 to change and what they had found -- but it was at that  
24 discussion that they pointed out they cannot meet  
25 Section 11 on Unit 1, it is physically impossible to do



1  
2 it while the plant is operating.

3 The only way -- so they said, "We would test those  
4 valves every time the plant is cold, we will test those  
5 valves," and this is what the verbal exception  
6 was, and not to do it every three months.

7 Q How often is the plant closed down?

8 A Oh, that varies. For the first year it wasn't  
9 closed down very much. That is hard to answer.

10 Q Well, it is more often or less often than  
11 once every three months?

12 A It is less often. It would come down cold --  
13 at least it comes down about once a year for refueling  
14 when everything is cold, and it may come down once  
15 during the year where they have to cool things off.  
16 But I think that it is unlikely that they would unless  
17 there was something that forced them to do it. They  
18 can come down and fix lots of things without cooling  
19 off.

20 Q But just so we are clear as to Unit 2,  
21 they had not gotten an oral action statement agreed to  
22 by the NRC?

23 A On Unit 2, in their surveillance procedures,  
24 they set out to write their procedures to absolutely  
25 meet Section 11 of the ASME Code and in doing so we

1  
2 think they violated some of their own tech specs.  
3 So they had a choice, they could only violate one or  
4 the other.

5 Q Now, using your handwritten notes which are  
6 Exhibit 4, you prepared the report that is marked as  
7 Exhibit 3?

8 A Yes.

9 MR. GORINSON: Let's take a five-minute  
10 break.

11 (A brief recess was held.)

12 Q At Page 1 of your April 18 memorandum,  
13 Exhibit 3, you mention that the surveillance testing  
14 coordinator delivers computer printout to control  
15 room outlining each test to be performed during the  
16 week.

17 A He is part of that group that is listed with  
18 Bashista.

19 Q Do you know what his name is?

20 A No. There are several of them there.

21 Q Now you say at the bottom of Page 1 and  
22 continuing on to Page 2, "Each test procedure requires  
23 closing both the EF-V 12-A and EF-V 12-B which isolates  
24 both emergency feed lines to the steam generators.  
25 In the event of a reactor trip while the surveillance

1

Miller

59

2 test procedure is being executed, those lines would  
3 remain out of service until the CRO opened EF-V 12-A  
4 and EF-V 12-B in the control room." Why are both  
5 valves closed during these procedures?

6 A Well, I tried to explain how this was developed,  
7 about that they hoped that they 11 valves would be  
8 tight so they could, say, start the 2-B pump, for  
9 instance, and develop pressure on this header (indicating)  
10 around here and that would put backpressure on these  
11 two nonreturn valves and they could then check them  
12 for leakage or tightness. Then they would shut this  
13 one down and start this one (indicating) and that would  
14 check this one. And basically what they tried to do  
15 was to meet the Section 11 code 100 percent, and if the  
16 11 valves had been tight, that would have been a very  
17 logical and a beautiful decision.

18 Q I guess what I am asking is does this testing  
19 procedure require both valves to be closed simultaneously?

20 A Yes. If you look at the valve alignment sheets,  
21 you will find that for testing the B valve, they are  
22 both closed, and for testing the A valve they are both  
23 closed.

24 Q Could the test be performed without closing  
25 both valves simultaneously?

1

Miller

60

2 A You would have to rewrite the procedure, and  
3 this was suggested, that you close 5-A valve and  
4 12 valve and then you can test the pump.

5 Now, to test the non-return valve, you close the  
6 5-B valve and run the steam pump, and then you can  
7 put backpressure on that non-return valve.

8 Then you can run the 2-A pump and put backpressure  
9 on this non-return valve. But then that raises the  
10 question that by so doing you have got this system out  
11 and you have two pumps out and that doesn't meet the  
12 tech specs either.

13 Q Let's see if we can answer my question,  
14 which is: Could the test be performed without closing  
15 the 12-A valve and the 12-B valve simultaneously?

16 A It can be performed, yes, but it still has that  
17 question because you have to take two pumps out to do it.

18 Q Because it might violate the tech specs in  
19 so doing?

20 A Yes.

21 Q Was that procedure ever considered?

22 A It was considered after we raised the question.

23 Q So it was considered after the TMI-2  
24 incident?

25 A Yes.

1

Miller

61

2 Q Do you know if it has been considered  
3 before the incident of March 28, 1979?

4 A No, I don't. Some engineer along the way may  
5 have thought of it but as we talked to them, we got  
6 the impression that they were looking at the 11 valves  
7 being tight and this developed the logic in which they  
8 were trying to meet that surveillance test, and indeed,  
9 in going back and reviewing the tech spec requirements,  
10 they went ahead and said, "All we need to do is close  
11 the 12 valves and then we can do the surveillance test."  
12 This is the logic they seemed to have gone through at  
13 that point. Now what they did before that, I don't  
14 know.

15 Q Now, let's look at Page 2 of your April 18  
16 memorandum. The first complete paragraph where you  
17 talk about the completion of the test and what the  
18 auxiliary operator does with his check list is brings  
19 his check list back to the control room and directs  
20 one of the CRO's to realign valves to normal operating  
21 alignment, and you say this may be accomplished by the  
22 CRO assigned to relief shifts or by CRO operating  
23 shift or part by one or part by the other, does this  
24 sentence flow from the fact that you had been told that  
25 the procedure that day might have been done jointly by

1  
2 Mr. Hemelia and Mr. Cooper?

3 A Yes.

4 Q Now, going further down that page, the  
5 paragraph that begins "Our preliminary view" --

6 A Yes.

7 Q And your preliminary view was, as of  
8 April 18, that those valves had been closed for 42  
9 hours from March 26 to March 28; is that correct?

10 A Yes.

11 Q Is that still your view today?

12 A Yes. I haven't seen anything that changed my  
13 feeling that the set-up was perfect to miss them.

14 Q Just so I am clear, your second set says,  
15 "Based on existing documentation of the completion of  
16 the surveillance testing, Valves EF-V 12-A and 12-B  
17 were correctly repositioned opened." Is that sentence  
18 based solely on the existing documentation?

19 A Yes.

20 Q It is not based on your preliminary view  
21 of what actually happened?

22 A No.

23 Q Now, you also looked at the TMI-1 system;  
24 is that correct?

25 A Yes.

1

Miller

63

2 Q And you said that the TMI 1 is a simpler  
3 system.

4 A Yes.

5 Q How do you account for the fact that TMI 1  
6 is a simpler system than they have on TMI 2?

7 A Because they threw -- NRC threw more  
8 requirements into No. 2 than were required for No. 1  
9 and those are these bypass valves here.

10 Q You are referring to Attachment 4?

11 A 3.

12 Q Attachment 3?

13 A Yes.

14 Q And the bypass valves are numbered what on  
15 your diagram?

16 A 33-A and 33-B, and 32-A and 32-B.

17 Q And those are not present in TMI 1?

18 A No. The 12 valves are not present either.

19 Q Were the 12 valves the result of NRC  
20 requirements?

21 A Yes. To accomplish this bypass, they had to  
22 put the 12 valves in.

23 Q And what was the reason for the NRC  
24 requiring that bypass?

25 A Somebody raised the question about the control

1

Miller

64

2 valve not working, so they ended up requiring that they  
3 put in a bypass around them.

4 Q And that occurred between the time TMI 1  
5 was designed and TMI 2?

6 A They tell me this occurred toward the end of  
7 the design on TMI 2.

8 Q About what time, can you tell me?

9 A I don't know. All I know is relative. It was  
10 after the design on No. 2 was far along they had to go  
11 back and add these.

12 Q And that was the result of a new NRC  
13 requirement?

14 A Yes.

15 Q Now you also say in the last sentence  
16 there that TMI in-service inspection groups are working  
17 on a revision to TMI 1 procedures that will require some-  
18 one not part of the test group to verify valve alignments  
19 following each surveillance test.

20 A Yes.

21 Q Had they been working on that prior to the  
22 incident at TMI 2?

23 A I don't think so. I don't know for sure.

24 Q And where would that other person come from?

25 A I was told the other day that he was coming from



1

Miller

65

2 QA.

3 Q So it would be a Quality Assurance  
4 person to verify it?

5 A Yes.

6 Q And how would, if you know, that verifica-  
7 tion be shown? Would it be the third line on that  
8 test sheet that we were talking about before?

9 A No. I think they would undoubtedly make him a  
10 valve alignment sheet. See, they do run valve aligin-  
11 ment surveillence tests on all systems periodically,  
12 and I would assume he would use one of those sheets.

13 Q To your knowledge has anyone since you  
14 completed your report done another investigation of  
15 the 12 valves?

16 A I was told no.

17 Q How did you give your report to Mr. Arnold,  
18 did you give him a verbal summary along with your  
19 written report?

20 A Yes. I discussed it with him when I handed it  
21 to him, told him -- he asked certain questions. I told  
22 him our opinions and what we thought they meant and  
23 turned in the report.

24 Q What kind of questions did Mr. Arnold ask  
25 you when you turned in your report?

1

Miller

66

2 A He talked more about our relationship and our  
3 discussion with the people and their response, and of  
4 course, he could assimilate for himself the technical  
5 part of it.

6 Q Well, what did he want to know about the  
7 people that you had spoken to?

8 A Our reaction to them and what we thought of them.

T4

9 Q Did he give you a reason as to why he was  
10 interested in that?

11 A Well, he was interested because they are operators  
12 and he doesn't know them personally that well -- probably  
13 doesn't know them at all -- and he wanted my opinion of  
14 what I thought of them.

15 Q Did he give you any specific reason as to  
16 why he wanted to know what you thought of it?

17 A Well, just a general opinion that someone in his  
18 position always likes to get a reaction to his people  
19 and other people's reaction. I would have done the  
20 same thing.

21 Q Was there anybody else present besides  
22 yourself and Mr. Arnold when you turned in the report?

23 A No.

24 Q Mr. O'Connor wasn't there?

25 A No.

1

Miller

67

2 Q Do you know if Mr. Arnold spoke to  
3 Mr. O'Connor about the report?

4 A I don't know whether he did or not. I don't  
5 think he did, but I don't know.

6 Q Afterwards did you and Mr. O'Connor speak  
7 about the report?

8 A I showed it to him. He had left when I had turned  
9 the report in, and then he came back on another assign-  
10 ment and I hung him up and gave it to him and I said,  
11 "This is the report I turned in. If you have any  
12 adverse reactions, I would like to hear about them."  
13 So he took it off and came back and said he thought  
14 it gave the picture accurately and he agreed with it.

15 Q Since that time have you and Mr. O'Connor  
16 ever discussed the report?

17 A We discussed it over the telephone generally  
18 some of the things at TMI and among other things, just  
19 incidental conversation.

20 Q What kind of things did you discuss about  
21 TMI?

22 A Well, we just reviewed what we had done before  
23 and discussed our discussion before and nothing new  
24 that we hadn't already discussed. It was just a  
25 review, more or less, of what we had done.

1

Miller

68

2 Q And what was the purpose of that review?

3 A Primarily to see whether he had had any change  
4 of views or not relative to the information we had  
5 gotten.

6 Q When was that telephone conversation, if  
7 you remember?

8 A Several days ago.

9 Q Had you and Mr. O'Connor worked together  
10 before you did this investigation?

11 A You mean on other jobs?

12 Q Yes.

13 A Yes, we worked on an Audit Committee for a couple  
14 of audits of the Oyster Creek plant together.

15 Q Let me see if I understand this. You had a  
16 telephone conversation a few days ago and you discussed  
17 TMI and your general views of TMI, state of your knowledge,  
18 just to see whether either one of you had changed his  
19 opinion about TMI?

20 A From what we reported, yes.

21 Q Was this just a random phone call or was  
22 there some other reason for the phone call?

23 A No. I wanted to talk to him because I didn't  
24 know he was coming down here, but I knew I was. So I  
25 called him to discuss it with him and I said, "You may

1

Miller

69

2 be called too," but nevertheless I wanted to review  
3 with him what we had done to be sure that he hadn't  
4 had a change of ideas that I ought to be aware of,  
5 and that basically was the reason for the call, among  
6 others. We discussed some other things too.

7 Q Now, you also said that you have been a  
8 member of the General Office Review Board of TMI; is  
9 that correct?

10 A Yes.

11 Q And you have been a member since 1975?

12 A I can't be specific when I got on that board, but  
13 at least that long.

14 Q It is fair to say that you have been a  
15 member for several years?

16 A That's right.

17 Q And the General Office Review Board considers  
18 matters relating to TMI 1 and TMI 2?

19 A It does now, yes.

20 Q When did it begin considering matters  
21 relating to both plants, approximately?

22 A Well, informally about a year ago the chairman  
23 said that we need to start getting up to speed on No. 2  
24 and there was some discussion with the plant people and  
25 the construction people of an informal nature. That

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

was before the plant started to operate, of course.  
And then after the plant started to operate, it became  
a regular agenda item.

MR. GORINSON: Let me mark as the next  
exhibit a document entitled Three Mile Island  
Nuclear Generating Station General Office Review  
Board Minutes Meeting No. 28A, December 20,  
1977. Attached to that are the meeting of minutes  
No. 28 dated November 12, 1977.

(The above described documents were marked,  
collectively, Miller Exhibit 6 for identification,  
this date.)

Q Do you have Exhibit No. 6 in front of you,  
Mr. Miller?

A Yes.

Q Now, the purpose of the meeting of No. 28A,  
December 20, 1977, was to review the reference document  
which was Tech Spec Change Request No.65; is that  
correct?

A Yes.

Q And you were present at that meeting via  
conference phone?

A Yes, I guess I was.

Q Could you describe for me what the GORB does

1  
2 in reviewing a tech spec change?

3 A Well, they send a copy of the tech spec and mark  
4 changes, and then normally they discuss or ask anybody  
5 if they have any questions at the meeting. But in this  
6 case, time required a faster answer from GORB, so they  
7 reviewed then the point of the change over the telephone  
8 for some of us, and some of us were in the meeting --  
9 some were in the meeting -- and so the technical ques-  
10 tion was discussed that way and a vote was taken.

11 Q What types of preparatory work would be done  
12 prior to a GORB meeting to consider a tech spec change?  
13 Would the tech spec be provided to the members of the  
14 GORB?

15 A Yes.

16 Q Would any other documentation be provided  
17 to the members of the GORB?

18 A Well, there is some explanation of the purpose of  
19 the change. I mean, that is part of the change, the  
20 way it is written up, and then it is up to the GORB  
21 member to read it, become familiar with it, ask any  
22 questions of the plant or whatever prepared it, at the  
23 meeting when it comes up before it is voted on.

24 Q About how long before a meeting would the  
25 GORB members be provided with a tech spec change?

1

Miller

72

2 A That varies. Sometimes a couple of months, and  
3 sometimes a couple of weeks. It depends on when the  
4 thing was released.

5 Q Let's look at the underlying document, the  
6 minutes of the meeting of October 12, 1977, Meeting  
7 No. 28. Now, it shows the attendees, members of the  
8 board, and I would like to, one at a time, go through  
9 them and see if we can identify them.

10 Who is Mr. Bartman?

11 A He is vice-president and chief engineer of Met Ed.

12 Q Mr. Finfrock?

13 A Vice-president of Generation for Jersey Central  
14 Power & Light.

15 Q Mr. Hurbein?

16 A Vice-president Generation for Met Ed Company.

17 Q Mr. Kulynych?

18 A He is a B&W representative. I am not quite sure  
19 of that, but I am fairly sure that that is who he is.

20 Q Mr. Lowe?

21 A He is at Pickert & Lowe, Consultants.

22 Q Mr. Montgomery?

23 A He is an engineer with the Service Corporation.

24 Q Mr. Reppert?

25 A He is an engineer with the Service Corporation.



1

Miller

73

2 I think he is secretary.

3 Q And Mr. Thorp?

4 A He is the chairman of the GORB and a manager  
5 of the environmental relations or affairs -- environ-  
6 mental affairs for the Service Co p.

7 Q So, to the best of your knowledge,  
8 Mr. Kulynych works for Babcock & Wilcox?

9 A Yes.

10 Q Now, the non-members that were present,  
11 Mr. Broughton?

12 A He is an engineer with the Service Corporation.

13 Q Mr. Lawyer?

14 A He is the manager of Generation, I think has been  
15 his title, with Med Ed.

16 Q Mr. J. G. Miller is Gary Miller?

17 A Yes.

18 Q And Mr. J. L. Seelinger is Jim?

19 A Yes.

20 Q Non-members part time, Mr. R. Benzilla?

21 A Right now I can't identify him. I don't remember.  
22 I think they are employees at the plant, but I can't  
23 think of their job.

24 Q Mr. Dubel we are familiar with.

25 A I am familiar with the name, but I am not familiar

1

Miller

74

2 with his job.

3 Jim Floyd, of course, you know.

4 Q Right. Mr. J. M. Hall?

5 A I can't identify his position either.

6 Q Mr. Hilbish?

7 A John Hilbish is in the Reading office. Now he  
8 works in the licensing and regulations group. He was,  
9 however, an engineer of TMI 1 before he came into  
10 Reading.

11 Q Mr. Chevlin we know.

12 Mr. Segren.

13 A He is manager, Segren is head of training.

14 Q Head of training?

15 A Yes. I don't know whether he is head or not,  
16 but he is one of the prominent people in training.

17 Q For TMI?

18 A Yes. He is located at TMI.

19 Q Now, this meeting, if you will look at  
20 Item 1, dealt with TMI 2.

21 A Yes.

22 Q Now, looking at the third paragraph down,  
23 it says "Delays have recently occurred in the initial  
24 fuel load date. Contributing factors to these delays  
25 include the change in construction contractor."

1

2 Do you see that?

3

A Yes.

4

Q What caused the change in construction  
5 contractor, as you know it?

6

A Well, near the end of the job -- they did this  
7 on No. 1 and they also did it on No. 2 -- United is a  
8 big operator and to do a lot of small jobs, they are  
9 not really that good at it. I mean, they don't like  
10 to do these finishing jobs. That has got to be done  
11 and there are modifications at the last minute, and  
12 there are relatively numerous small jobs, and they  
13 found it is better to get a smaller contractor who is  
14 geared more to do that kind of work, and that is why  
15 they changed contractor.

16

Q Who did they change the contractor to, do  
17 you remember?

18

A Catalytic, I guess, is the name of it.

19

Q On Page 2, the first full paragraph, second  
20 sentence, it says "Met Ed evaluates the level of knowl-  
21 edge of operators as adequate based on their performance  
22 in the classroom and on simulators." See that?

23

A Yes.

24

Q At that meeting was there any discussion,  
25 if you remember, as to the method of evaluation by

1

Miller

76

2 Met Ed?

3 A No.

4 Q Did the GORB ever raise the question with  
5 Met Ed personnel as to how operating personnel were  
6 being evaluated?

7 A Not in detail, no.

8 Q What kind of issues on operator training  
9 came up to the GORB from time to time?

10 A Primarily they discussed frequently the use of  
11 the simulators and getting people to the simulator  
12 training, and that was -- I remember most of the  
13 discussion was not about the details of the training  
14 program.

15 Q I see. So the concern was to get people  
16 to the simulator?

17 A Yes.

18 Q Why did the GORB feel that operators should  
19 be sent to the simulator?

20 A Well, it is the one way where you get hands-on  
21 experience.

22 Q Did the GORB ever request Met Ed personnel  
23 to explain why the nature of the simulator training its  
24 operators were receiving was --

25 A No, but the members of the GORB, they are quite

1  
2 well familiar with what a simulator is and what it  
3 does.

4 Q Had any members of the GORB gone down to  
5 Babcock & Wilcox to evaluate the simulator training  
6 program?

7 A Well, I have been there and I have seen it  
8 demonstrated, but I didn't go through a detail of  
9 the whole program. But I am sure Hurbein has and  
10 Lawyer and Gary Miller have, and Seelinger. They are  
11 not members of the GORB -- Hurbein is.

12 Q Did Mr. Coolidge, from Babcock & Wilcox,  
13 explain what the B&W training program was?

14 A I don't think that is his area. I think he is  
15 in the nuclear area.

16 Q Did the GORB ever take up the subject of  
17 a transient which occurred at the Davis-Beese plant in  
18 September of 1977?

19 A Not that I remember. I know about it, but I  
20 don't remember that that was ever discussed.

21 Q You know about that transient?

22 A Yes.

23 Q When did you learn about that transient?

24 A I didn't learn about that until after we had the  
25 accident. There are a number of people in the plant

2 staff that knew about it because B&W has what they  
3 call the Owners' Group who own B&W reactors, and they  
4 get together periodically and discuss problems.

5 Q Who in the plant was a member of the Owners'  
6 Group?

7 A I don't think they have a specific member. I  
8 think that different engineers go depending on who is  
9 available at the time and what subjects will probably  
10 be discussed. There is an engineer in the home office,  
11 in Met Ed's office, Generation Division office, who  
12 goes quite frequently, named Steve Fritzen, but I think  
13 sometimes they send two other people from the plant if  
14 it is on a subject that they are particularly interested  
15 in. I don't think anyone -- I don't know that any one  
16 particular person is a member. Met Ed is a member of  
17 the Owners' Group.

18 Q To your knowledge, had the Owners' Group,  
19 prior to March 28, 1979, ever considered the subject of  
20 the Davis-Beese September 1977 transient?

21 A It was discussed when it happened, but how it  
22 was discussed, I don't remember.

23 Q As a result of it being discussed, was  
24 there any discussion in the GORB about the significance  
25 of that transient?

1

Miller

79

2 A No, not to my knowledge.

3 Q To your knowledge, was there any discussion  
4 in the PORC -- are you familiar with what the PORC is,  
5 sir?

6 A Yes. Not to my knowledge.

7 Q Was there any change in training procedures  
8 at Met Ed for TMI 1 or TMI 2 as a result of the Davis-  
9 Beese September 1977 transient?

10 A Not to my knowledge.

11 Q Do you know if, since March 28, 1979 anyone  
12 at Met Ed has gone back to determine what information  
13 about the Davis-Beese 1 September 1977 transient was  
14 disseminated throughout the TMI organization?

15 A Well, I was told at the time that it happened --  
16 and it was reported -- that a number of people in Met  
17 Ed, in the technical group, were brought up-to-date  
18 on what happened, and there was, of course, a major  
19 difference between that -- that was on the early start-up  
20 and they were only at low power, so they didn't have the  
21 stored heat energy in the system that full power would  
22 have, and so basically it was a different condition that  
23 they had dealt with -- but other than that, I can't  
24 discuss it because I don't know enough in detail.

25 Q Who gave you your information about

2 Davis-Beese 1?

3 A Jeff Fritzen gave me some information on it.  
4 Bob Arnold told me something about it. He knew about  
5 it too.

6 Q Was this post the TMI 2 accident?

7 A Yes. I did not know about it until after that.

8 Q Now, it also says in that paragraph that  
9 the emergency plan drills held in September indicated  
10 that plants, procedures, and staff performance were  
11 adequate for operation. What review did the GORB  
12 make of those emergency plan drills?

13 A Don Reppert has a small group who monitored these  
14 and reported back to the GORB, and he is on the GORB,  
15 and that is the way GORB usually handles these things.  
16 They will appoint one or two members to make a specific  
17 study and report back.

18 Q Now, Mr. Reppert, would he prepare a  
19 written report to the GORB?

20 A Sometimes they do. In this case I don't remember  
21 whether they did or not. He may have considered this  
22 report in the minutes as that written report.

23 Q But other than Mr. Reppert's monitoring and  
24 his concurrence that it was adequate, there had been no  
25 other written no other written reports of this?



1

Miller

81

2 A I wouldn't think so. I am not aware of it if  
3 there is.

4 Q Now, in the next paragraph, talking about  
5 maintenance, it says there that a shortage of utility  
6 men assigned to maintenance is hampering housekeeping.  
7 What does that mean, sir?

8 A Utility men, I guess, is what you call the laboring  
9 group in the plant. They do the clean-up work. And  
10 there was a question of housekeeping around the plant  
11 and this was their explanation.

12 Q What was their explanation for the shortage?

13 A I don't remember. There has been -- well,  
14 in starting No. 2 and running No. 1 we have been adding  
15 personnel, and as the work picks up, to get the kind of  
16 people you want, frequently is not that easy, and you  
17 have got to train them because of where they work.  
18 It just isn't like going out on a street and hiring a  
19 laborer and say, "Clean this place up." So that I  
20 assume that they did not report, to answer your question,  
21 why, to my knowledge.

22 Q How much training is given to utility men  
23 at TMI?

24 A I don't know the specifics on that. I am sure  
25 they are taught safety.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Q Is that a one-day course or a one-week course of a one-month course or what?

A I can't answer that.

Q But the shorter the course, the more likely that you would be able to go out on the street and get somebody in the normal course of events?

A That is right.

Q Now, the next paragraph, it says "Maintenance access is more difficult than TMI 1." Do you see that?

A Yes.

Q Why was maintenance access more difficult at TMI 2 than at TMI 1?

A Because of the way it is arranged.

Q Could you explain that more for me? What do you mean by that?

A Well, No. 1 was designed and detailed and laid out by Gilbert Associates. No. 2 was designed and laid out, was determined by Burns and Roe. They are just two different organizations and they are designed differently.

Q And the Burns and Roe design made maintenance access more difficult?

A Yes.

Q Hadn't GPU Service Corporation discussed

1

Miller

83

2 that fact with Burns & Roe at some point earlier?

3 A I would assume that they had but when the transfer  
4 was made to TMI much of this design was already  
5 completed, and the decision was made at top level not  
6 to change it.

7 Q So the company accepted a plant where  
8 maintenance access was more difficult than at TMI 1?

9 A I would say yes, but I am sure they didn't do it  
10 with any knowledge that that was the case.

11 Q As of 1977 they knew about it?

12 A Yes, the plant staff knew about it.

13 Q And the GORB knew about it; isn't that  
14 correct?

15 A Yes.

16 Q And who does the GORB report to?

17 A The president.

18 Q Mr. Krites?

19 A Yes.

20 Q So Mr. Krites knew about it?

21 A Well, it was in the minutes.

22 Q And if Mr. Krites read the minutes, he would  
23 know about it?

24 A Yes.

25 Q Who does Mr. Krites report to?

1

Miller

84

2 A He reports to DeCamp, I guess, or does he report  
3 to Kuhn?

4 Q Would it be Mr. DeCamp or Mr. Kuhn?

5 A Yes.

6 Q And at some point would this be the kind of  
7 issue that Mr. Krites might take up with Mr. DeCamp or  
8 Mr. Kuhn?

9 A I am sure it could be discussed, but practically  
10 speaking, what can they do about it except train men to  
11 take care of it? There isn't anything you can do to  
12 change it.

13 Q So they had a plant where maintenance access  
14 is more difficult than at TMI 1.

15 What about this fact as reflected in your  
16 minutes of October 12, 1977: "And is expected to result  
17 in longer outages with greater man-ram exposures."

18 Do you see that sentence?

19 A Yes. I remember that discussion. There has been  
20 a lot of discussion about that.

21 Q Could you give me the substance of that  
22 discussion?

23 A Well, the way it is arranged, it just makes it  
24 difficult to get men in and out of these areas to do  
25 the maintenance work, and as a result there is going to

1  
2 be more man-ram exposures, so there is going to have  
3 to be more men thanks to the man-ram exposures, but  
4 you are limited to each individual, so you have to  
5 have more individuals.

6 Q I see. There would be a greater man-ram  
7 exposure for what reason?

8 A Well, specifically, I can't answer that in detail,  
9 but it is the way it is arranged, where the equipment  
10 is located and how you get to it. You are talking  
11 about pumps and a waste treatment building, and that  
12 sort of place where this equipment gets radioactive and  
13 it is difficult to get a man in to work on it, and it  
14 goes slower. It means that he has a shorter time and  
15 somebody else takes his place.

16 Q Was there much discussion about the fact  
17 that this maintenance access would result in longer  
18 outages?

19 A Well, it was reported and everybody accepted it.

20 Q Were any solutions proposed?

21 A No one knew a different solution because you would  
22 have to reconstruct the plant to make it different.

23 Q Well, let's look at the next sentence where  
24 it says, "The staff is identifying these critical areas  
25 so that they may be, one, corrected at TMI 2 where

2 possible."

3                   What type of corrections at TMI 2 would be  
4 possible for these problems?

5 A       I can't answer that because I don't know the  
6 specifics, but I would imagine they, if possible, would  
7 make a bigger opening to get in and out of the place.  
8 They might improve the ventilation, they might improve  
9 the protective wall around pieces of equipment in the  
10 area to reduce the activity. I am sure there are many  
11 things that they would try to do if there is room to do  
12 them.

13       Q       Do you know what they did do?

14 A       I don't -- no, I don't. And I don't think they  
15 know at all what they are going to do at all either.

16       There is a growing process. As they do these  
17 jobs, they are going to find out how to do them better  
18 and better.

19       Q       As of 1977 do you know what they did do?

20 A       No, I don't.

21       Q       This wasn't Burns & Roe's first nuclear  
22 power plant, was it?

23 A       I don't think so. They worked on Oyster Creek  
24 for GE, and I am sure they have done other plants.  
25 They worked on Hannaford, didn't they? I am not sure

1

Miller

87

2 of that. Maybe I shouldn't say that. But I am sure  
3 they have worked on other plants.

4 Q Is maintenance access difficult at Oyster  
5 Creek?

6 A It is difficult. It is difficult in any nuclear  
7 plant, but relative to TMI 1 or TMI 2, I don't know, but  
8 that is a completely different kind of plant, so you  
9 couldn't compare them directly.

10 Q Looking toward the bottom of Page 2 there is  
11 a sentence where it says, "Surveillance procedures, when  
12 they are required to be performed, are more extensive  
13 and complex for TMI 2, although the TMI 1 requirements  
14 will be similar to those of TMI 2 with Unit 1's conversion  
15 to standard technical specifications.

16 Do you see that sentence?

17 A Yes.

18 Q Could you tell me what that means?

19 A Well, when the tech specs for Unit 1 were prepared,  
20 NRC did not have a standard. Each plant did the best  
21 job they knew how to do. Since that time NRC has  
22 developed standard technical specifications forms and  
23 requirements, and so No. 2 has been changed over to meet  
24 these standard technical requirements. But as of now  
25 TMI 1 has not, but it will when time permits.

1  
2 Q You state there that the surveillance  
3 procedures are more extensive and complex for TMI 2.  
4 Does that arise from the standard technical specifica-  
5 tions?

6 A I would say partly so, but also partly because  
7 it is a more complex arrangement.

8 Q What leads TMI 2 to be a more complex  
9 arrangement?

10 A That is the way Burns & Roe designed it, plus the  
11 fact that a lot of additions were added to No. 2, like  
12 this thing here (indicating), like this bypass on the  
13 emergency feed system was added to No. 2, and that  
14 makes your surveillance more complex.

15 Q To your knowledge were there discussions  
16 between GPU Service Corporation or Met Ed or Jersey  
17 Central and Burns & Roe as to why TMI 2 was more complex  
18 than TMI 1?

19 A I don't know the answer to that. As I say,  
20 No. 2 is designed largely for Oyster Creek to do and  
21 that was being supervised by Jersey Central.

22 Q So this was Jersey Central's decision?

23 A It was their job at the time the preliminary layout  
24 of this plant was made.

25 Q And it was their job to discuss these matters



1

Miller

89

2 with Burns & Roe?

3 A Yes.

4 Q Who in Jersey Central would have had that  
5 responsibility, if you know?

6 A Well, I believe it would have ended up with  
7 Finfrock, Ivan Finfrock, this guy up here (indicating).

8 Q Mr. infrock who is a member of GORB, I  
9 see. Did he have anything to say when these issues  
10 were being raised at the meeting, if you remember?

11 A No, I don't.

12 Q At any time, to your knowledge, did  
13 Mr. Finfrock have anything to say about the complexity  
14 of the surveillance procedures at TMI 2?

15 A Not that I recall.

16 Q How about the maintenance access at TMI 2?

17 A I don't recall that. He probably did discuss  
18 that, but I don't remember.

19 Q How about longer outages, did he have any-  
20 thing to discuss about that?

21 A No, I don't remember the specifics of who all  
22 discussed that either.

23 Q And the greater man-ram exposure, did he  
24 have anything to say about that?

25 A Not that I know. There was a lot said about it,

1

Miller

90

2 but who said it, I don't remember.

3 Q The standard technical specifications,  
4 were those the specifications that became the TMI 2  
5 tech specs?

6 A They were redone to meet the NRC standard  
7 technical specifications, yes.

8 Q When did the NRC, if you remember, adopt  
9 a requirement for standard technical specifications?

10 A I don't remember.

11 Q Were those technical specifications redone  
12 after the plant became operational?

13 A No, this was started, I think, before the plant --  
14 before they were finished. Some of them they had to  
15 redo. That is the way I remember it.

16 Q In other words, they were not too far along  
17 to go back and pick up and redo?

18 A Number 1, of course, was all finished. That  
19 means a complete new job for No. 1 when they can get  
20 to it. That is a tremendous job.

21 Q The standard technical specifications, are  
22 those standard as to form?

23 A I can't answer the details of what is all included  
24 in those standards.

25 Q Let's go back a few pages on No. 6 where

1

Miller

91

2 the minutes of the meeting continued on October 13.

3 Do you see that?

4 A Yes.

5 Q And one of the first things that was  
6 considered was that the GORB recommends Met Ed to  
7 continue to investigate the following areas, first,  
8 cross-licensing. What is cross-licensing, sir?

9 A For an operator to have a license in both units.

10 Q Why was the GORB concerned that Met Ed  
11 continue to investigate the area of cross-licensing?

12 A They were concerned that to require licensing  
13 both units might result in a problem of maintaining  
14 the quality of training and the quality of performance  
15 on any particular unit.

16 In other words, if a man operates one unit only,  
17 he gets familiar with that. But if he switches from  
18 that to another unit, there are some differences.

19 They are not identical, even though in principle they  
20 are, but specifically in detail they are not, and this  
21 is a concern in requiring a man to be able to do that.

22 Q And did the GORB receive any assurances as  
23 to how quality would be maintained by Met Ed?

24 A I don't think that was answered, but they are  
25 giving that serious thought right now, whether they

1  
2 will continue cross-licensing.

3 Q To your memory then, between October 13,  
4 1977 and March 28, 1979, the GORB did not receive any  
5 assurances on cross-licensing from Met Ed?

6 A I don't -- no, I don't remember that. It is  
7 my impression thought that they are not now doing it.

8 Q They have stopped since March 28, 1979?

9 A Yes. I don't think that -- now, this is -- I  
10 have to qualify this. I can't be sure, but I -- it  
11 sticks in the back of my mind that they are not now  
12 requiring cross-licensing of operators.

13 Q Do you know when they stopped that?

14 A No, I don't.

15 Q Do you know the cross-licensing program at  
16 TMI was formulated?

17 A No, I don't.

18 Q Do you know how the testing for cross-  
19 licenses was prepared at TMI?

20 A What you do is you take a license on 1 and then  
21 you go and take the test and get a license on 2. That  
22 is what it means.

23 Q Do you know who administered the test for  
24 the second unit?

25 A The NRC administers all of them.

1  
2 Q So, to your knowledge, it is the NRC that  
3 administers all the tests even in a cross-licensing  
4 program?

5 A Well, Met Ed has their own test which they give  
6 these operators before they give them to the NRC to  
7 take their test, and if they can't pass the Met Ed  
8 test, then they don't send them to the NRC, but ulti-  
9 mately NRC, yes, gives them the test and determines  
10 whether they pass.

11 Q Were you ever informed that Met Ed had  
12 received permission from the NRC to conduct its own  
13 cross-licensing tests and certify the results to the  
14 NRC?

15 A I think the word "cross-licensing" means that  
16 you have an operator who has a license on two units.  
17 He really gets the license in a straightforward manner  
18 on one and then he goes and gets it in a straightforward  
19 manner on the other. You don't take a single test  
20 that says he has a license on both units.

21 Q Let me ask my question again. Were you  
22 ever informed that Met Ed had been delegated by the NRC  
23 the authority to certify by a Met Ed-administered test  
24 an operator already licensed on one plant as being  
25 qualified to operate the other plant subject to NRC

1  
2 review?

3 A Not to my knowledge. The tests that Met Ed  
4 gives are for their own general information as to how  
5 the operator is doing and his capability, and we do  
6 that to prevent people going up and taking the NRC  
7 tests and flunking and wasting their time and our time.

8 Q Now, looking at (b), it says "Carryover  
9 of information for future projects from TMI 2 to  
10 Forked River in particular."

11 What kind of information was to be carried  
12 over from TMI 2 to Forked River?

13 A All kinds of information on design, training,  
14 administration, all information was to be looked at  
15 with that in view.

16 Q Were reports prepared or analyses of the  
17 type of information from TMI 2 that should be applied  
18 to Forked River?

19 A Specifically, I don't know. I don't think they  
20 had a standard way of passing this information over.  
21 There are representatives on the GORB and there are  
22 also representatives in engineering working on both,  
23 and this really has to be done at the engineering and  
24 operating level and not at the GORB level. But the GORB  
25 was interested in encouraging that this be done.

1  
2 Q Encouraging that the experienced learned  
3 on TMI 2 be carried over to Forked River?

4 A Yes, not that GORB was going to do it.

5 MR. GORINSON: Mr. Trowbridge, I would  
6 like to request, if it is possible, that you let  
7 me know what form information on experience at  
8 TMI 2 took that was provided to the Forked River  
9 project and what the volume of that documentation  
10 would be.

11 Q Now, let's look at Page 6 of that October 13  
12 meeting.

13 MR. TROWBRIDGE: What was the date of the  
14 minutes you were reading from?

15 MR. GORINSON: October 13, 1977, part of  
16 Exhibit 6.

17 Q At the top of Page 6, sir, do you see where  
18 it says, "In July B&W limited decay heat pump operation  
19 in recirculation to limits more restrictive than assumed  
20 in the FSAR"?

21 A Yes.

22 Q What was the reason for that?

23 A I don't know. I don't remember.

24 Q Would that have been discussed at the GORB  
25 meeting?

2 A I am sure that it would have. I suspect B&W  
3 representatives would have presented their thoughts as  
4 well as the plant.

5 Q Would they have presented an analysis to  
6 GORB?

7 A Probably not to the GORB, but they probably gave  
8 to the plant engineering -- I don't know the details of  
9 how it was handed over.

10 Q Would plant engineering provide any infor-  
11 mation to the GORB?

12 A They would if it was pertinent or the GORB asked  
13 them for it, yes.

14 Q In this type of situation where B&W limits  
15 the decay pump operation to limits more restrictive than  
16 are assumed in the FSAR, would the GORB request an  
17 analysis?

18 A I don't know that I can answer that for all  
19 questions. I think that might vary on what the GORB  
20 thought about it when they heard about it.

21 Q Would that be the kind of issue that  
22 normally would come up to the GORB?

23 A Yes.

24 Q Why?

25 A If it has any connotation of safety involved, then



1

Miller

27

2 it comes up to the GORB, and if they determine, in  
3 discussion, that it is not safety-related, why then,  
4 they drop it. But if it is, they want to know more  
5 in detail of how to solve it.

6 Q Based on the discussion here, can you tell  
7 whether the GORB wanted further reports on this or  
8 whether this was the end of GORB perusal of the issue?

9 A Vaguely I remember this has to do with material  
10 in the pump shaft, and if you run it for a certain  
11 period of time, why, it breaks, and it says here -- and  
12 now it refreshes my memory -- that the plant did say  
13 when they can they are going to replace the pump shafts  
14 with one which they would expect to give a better life.

15 Q Have they done that?

16 A I can't answer that.

17 Q If they had done that, would that be  
18 reported to the GORB?

19 A I would say they would report in their plant  
20 report to the GORB that, yes, they had done it. But  
21 that varies on the situation.

22 Q You say a plant report to the GORB. Would  
23 that be the PORC minutes?

24 A No. There is always an operating report to the  
25 GORB from the plant forces.

2 Q How often does the GORB get that report?

3 A Every time they have a meeting.

4 Q So there is a plant operations report that  
5 is provided to the GORB?

6 A They bring up pertinent items which they feel  
7 the GORB should know about.

8 Q Is that report in writing?

9 A I think that varies. It depends on what the  
10 report is. It should become part of the minutes. I  
11 saw a reference to it. Frequently these are reports  
12 given to the GORB. Here is one by O'Hanlon, for  
13 instance, the status of solid waste disposal problems,  
14 and O'Hanlon, at that time, was TMI 1's superintendent.

15 Q I see. So that would be the kind of plant  
16 report in writing to the GORB from the plant?

17 A Well, it varies with what the subject is, but  
18 they do hand out written reports where the subject  
19 requires it.

20 MR. GORINSON: Off the record.

21 (Discussion held off the record.)

22 MR. GORINSON: Let me mark as the next  
23 exhibit minutes of the Three-Mile Island Nuclear  
24 Generation General Office Review Board Meeting  
25 No. 29, February 22, 1978.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

(The above-described document was marked  
Miller Exhibit 7 for identification, this date.)

Q Now, you will note, Mr. Miller, that it  
lists you as not being present. Do you see that?

A Yes.

Q In the event that you were not present,  
do you still receive a copy of the minutes?

A Yes.

Q So you would have received a copy of the  
minutes?

A I should have, yes.

Q And if you received a copy of the those  
minutes and you had any questions about anything that  
was raised in those minutes, what would be your  
procedure?

A I would call up and start asking people questions  
and then at the next meeting, unless I got the answers  
to suit me, why then, it would come up then for discus-  
sion when we review the minutes.

Q Let's look at Page 2 of these minutes,  
toward the bottom, the paragraph that starts "The STS  
requires the TMI 2 PORC be implemented slightly differ-  
ently than TMI 1." Do you see that paragraph? It is  
the second from the bottom.

1

Miller

100

2 A Yes.

3 Q The last sentence of that paragraph says,  
4 "The GORB was assured that there is plenty of cross-  
5 communications between the TMI 1 and 2 PORC committees  
6 at the chairman and vice-chairman level."

7 Why did the GORB need that assurance?

8 A Well, they wanted to be sure that what was learned  
9 on 1, or a problem on 1, would be reviewed also on 2,  
10 and that is basically why the question came up. And  
11 then they assured that these get -- the same people on --  
12 some of the same people are on both PORCs.

13 Q Was there any reason to believe as of  
14 February 22, 1978, that there was less than plenty of  
15 cross-communication between the TMI 1 and TMI 2 PORC  
16 committees?

17 A I don't think so. I think the subject came up  
18 and the PORC all at once realized this was important  
19 to them and they raised the question and asked for some  
20 assurance. I had never heard that this had been  
21 seriously discussed before as a problem. They wanted  
22 to be sure it wasn't a problem.

23 Q So it was more the negative than the  
24 positive, they just wanted to make sure there was no  
25 problem?

1

Miller

101

2 A Yes.

3 Q Let's look at Page 3 where it says, "Carry-  
4 over of information to the Forked River project," and  
5 as of that date, February 22, the lines of communication  
6 had been established according to the minutes. Now it  
7 then says, "Information on all design deficiencies will  
8 be sent to JCP&L and the Forked River project."

9 What design deficiencies does that refer to?

10 A Well, anything on No. 2 that had to be fixed up  
11 or changed or was not adequate they would notify them  
12 so that both Jersey Central and Forked River project  
13 group were aware of it.

14 Q Were there any particular design deficiencies  
15 that were discussed at that meeting, to your knowledge?

16 A No, I can't remember. I wasn't there.

17 Q Was it conveyed to you later on that there  
18 were any design deficiencies discussed at that meeting?

19 A No, that I recall.

20 Q To your knowledge was information on all  
21 design deficiencies sent to JCP&L?

22 A I don't know. I would hope so, but I don't know.

23 Q You don't know whether the GORB followed up  
24 on that?

25 A No, I don't.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Q And the next item is cross-licensing again.

MR. TROWBRIDGE: What is the date on these?

MR. GORINSON: February 22, 1978.

MR. TROWBRIDGE: That was Exhibit what?

MR. GORINSON: Exhibit 7.

Q Now, it refers in that paragraph to training

that will concentrate on weaknesses shown on the

requalification exams. Do you see that, sir?

A Yes.

Q Has there been any further discussion in

the GORB on weaknesses that have shown up on the

requalification exams?

A Not that I recall.

Q Have any weaknesses shown up on the

requalification exams?

A I can't answer that.

Q Have there been any reports to the GORB on

weaknesses on requalifying exams?

A Not that I recall.

Q And it says there, "It is Met Ed's intent

to rotate these cross-licensed people on both units as

needed." Was any objection raised to that by anyone

on the GORB?

A Not at that time, no.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Q You say "Not at that time"?

A Not that I know of. I don't remember. But I don't recall that it has come up as a subject for discussion in GORB since then.

MR. GORINSON: Let me mark as the next exhibit a memorandum to J. G. Hurbein from J. R. Thorpe, Chairman, General Office Review Board, dated April 6, 1978, subject safety evaluation review.

(The above-described document was marked Miller Exhibit 8 for identification, this date.)

Q You will note, Mr. Miller, that on the "cc" list your name is shown. Do you remember receiving a copy of this memorandum?

A I don't remember specifically, but I remember similar subjects coming up at different times and that I remember similar letters of this on different subjects being passed through by Hurbein to Thorpe, through Hurbein, but I don't remember this specifically.

Q Do you have any reason to believe that you would not have received this memorandum if you are shown as being sent a copy?

A Well, I am sure that I must have received it, and if I did, I read it, but that doesn't mean I can remember

1

Miller

104

2 specifically.

3 Q In the third paragraph it says that  
4 "Approximately 25 percent of the PCR documents reviewed  
5 continue to conclude that no adverse nuclear safety  
6 impact will occur without supporting documentation."

7 Do you see that?

8 A Yes.

9 Q Now, had this occurred before?

10 A I would assume from the tone of the memorandum  
11 that it has.

12 Q Had it usually been considered by the GORB?

13 A I am sure that it has. I can't remember  
14 specifically, though.

15 Q You can't remember specifically. Let's  
16 try generally. Do you have any general recollection  
17 of this issue being considered by the GORB?

18 A Generally, yes, this is what GORB is for, to  
19 consider safety evaluations and reviews, many things.

20 Q And this is the chairman of the GORB inform-  
21 ing Mr. Hurbein who is the vice-president for Generation;  
22 is that correct?

23 A For Met Ed.

24 Q That approximately 25 percent of the PCR  
25 documents continue to conclude that no adverse nuclear



1

Miller

105

2 safety impact will occur without supporting documentation.

3 What force does a GORB memorandum such as

4 this have on Mr. Hurbein?

5 A He is expected to respond.

6 Q I see, and if you will look at the hand-  
7 written note below where it says, "Jack, I am in favor  
8 of cutting back on all the paperwork we can. If the  
9 NRC is not complaining about inadequate documentation,  
10 I think the GORB should agree it is okay."

11 Do you see that?

12 A Yes.

13 Q Is that the extent of Mr. Hurbein's obliga-  
14 tion to respond to the GORB?

15 A That is not Hurbein's note.

16 Q Whose note is that?

17 A Bartman.

18 Q Mr. Bartman is who?

19 A He is vice-president and chief engineer of Met Ed.

20 Q And he has no obligation to respond to  
21 the GORB?

22 A No. He was just making a suggestion to Hurbein.  
23 I am sure Hurbein didn't respond or that that guy knew  
24 what he would do.

25 Q Do you know if Mr. Hurbein responded to this

1

Miller

106

2 memo?

3 A No, I don't.

4 Q If that memo was responded to, would that  
5 be contained in the GORB files?

6 A I would say yes, but that doesn't necessarily  
7 mean that all the members would necessarily see it.  
8 Ultimately it should get back into a report to GORB in  
9 some form or another, but I wouldn't know how to  
10 identify it at this point.

11 MR. GORINSON: Mr. Trowbridge, we have not  
12 seen a response in the documents we have received  
13 so far.

14 MR. TROWBRIDGE: I am not sure that there  
15 would be a response to this.

16 MR. GORINSON: By Mr. Hurbein. And we would  
17 like, please, for GPU to check as to whether there  
18 is a response.

19 Also, it refers to a memo of July 8, 1977  
20 in that same memorandum. We request a copy of  
21 that memorandum as well.

22 Since Mr. Miller has to catch a plane yet  
23 home tonight, we will recess this deposition at  
24 this point and Mr. Trowbridge and I will make  
25 arrangements for a second session with Mr. Miller.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Miller

107

MR. TROWBRIDGE: I don't know when. You don't want to set a date now while Mr. Miller is here?

MR. GORINSON: No. I will take that up with you.

(The deposition was adjourned at 6:15 p.m.)

\_\_\_\_\_  
JOHN G. MILLER

Subscribed and sworn to  
before me this \_\_\_\_ day  
of \_\_\_\_\_, 1979.

\_\_\_\_\_  
Notary Public

o0o

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X

WITNESS

DIRECT   CROSS   REDIRECT   RECROSS

John G. Miller

3

E X H I B I T S

MILLER  
FOR IDENTIFICATION

PAGE

Resume

3

Document entitled "Three Mile Island Nuclear Generating Station General Office Review Board Minutes Meeting No. 28A, December 20, 1977" with attached minutes dated November 12, 1977 of meeting No. 28

70

Minutes of the Three-Mile Island Nuclear Generation General Office Review Board Meeting No. 29, February 22, 1978

99

Memorandum to J. G. Hurbein from J. R. Thorpe, Chairman, GORB, dated April 6, 1978, subject: safety evaluation review

103

oOo

1  
2 STATE OF NEW YORK )  
3 COUNTY OF NEW YORK ) ss:


4 I, STEPHEN McCRYSTAL, a Notary Public  
5 of the State of New York, do hereby certify  
6 that the foregoing deposition of JOHN G. MILLER,  
7 was taken before me on the 5th day of July, 1979.

8 The said witness was duly sworn before the  
9 commencement of his testimony; that the said  
10 testimony was taken stenographically by myself  
11 and then transcribed.

12 The within transcript is a true record of  
13 the said deposition.

14 I am not related by blood or marriage to  
15 any of the said parties, nor interested directly  
16 or indirectly in the matter in controversy, nor  
17 am I in the employ of any of the counsel.

18 IN WITNESS WHEREOF, I have hereunto set my  
19 hand this 5<sup>th</sup> day of July, 1979.

20  
21  
22   
23 STEPHEN McCRYSTAL  
24  
25

-----x

PRESIDENT'S COMMISSION ON THE  
ACCIDENT AT THREE MILE ISLAND

-----x

CONTINUED DEPOSITION of GENERAL PUBLIC UTILITIES  
SERVICE CORPORATION by JOHN G. MILLER, held at the  
offices of the President's Commission on the Accident  
at Three Mile Island, 2100 M Street, N.W., Washington,  
D.C., on the 9th day of July, 1979, commencing at  
3:45 p.m., before Irwin H. Benjamin, a Certified  
Shorthand Reporter and Notary Public of the State of  
New York.

**BENJAMIN REPORTING SERVICE**  
CERTIFIED SHORTHAND REPORTERS  
FIVE BEEKMAN STREET  
NEW YORK, NEW YORK 10038

[212] 374-1138

1

2

3 GENERAL PUBLIC UTILITIES SERVICE CORP.:

4 SHAW, PITTMAN, POTTS & TROWBRIDGE, ESQS.  
5 1800 M Street, N.W.  
6 Washington, D.C. 20036

7 BY: ALAN R. YUSPEH, ESQ.  
8 of Counsel

9 COMMISSION:

10 STANLEY GORINSON, ESQ.  
11 Chief Counsel

12 JOAN GOLDFRANK, ESQ.  
13 Associate Counsel

14 ALSO PRESENT:

15 WILLIAM BLAND

16 o0o

17 J O H N G. M I L L E R , having been previously  
18 duly sworn, was examined and testified further as  
19 follows:

20 DIRECT EXAMINATION (Continued)

21 BY MR. GORINSON:

22 Q Mr. Miller, you realize you are still under  
23 oath?

24 A Yes, sir.

25 Q Just so we can go back and clear up some

1  
2 things we discussed the other day, one of your comments  
3 was that the Standard Technical Specifications adds  
4 work, something along those lines.

5           Why would a plant such as TMI 2 that  
6 utilizes Standard Technical Specifications have more  
7 work associated with it than a plant such as TMI 1,  
8 which does not have Standard Technical Specifications?

9 A       I cannot answer that in detail. All I know  
10 about the subject is listening to the people talk in  
11 their reports to GORB, and also talk amongst themselves  
12 in the office.

13       Q       What people?

14 A       Engineers who are working on these tech specs.

15       Q       Would Mr. Kunder be one of those people?

16 A       No. Mr. Kunder -- yes, he would be affected,  
17 but he is in the Operating Group. He is superintendent  
18 of Technical Operations now for 2. He was for 1.

19       Q       Well, which people then?

20 A       Well, the engineers at the station who work on  
21 tech specs.

22       Q       And do you have the names of any of those  
23 people?

24 A       No, I don't.

25       Q       Who do those people report to?



1

Miller

113

2 A It is Technical. I would say certainly Kunder  
3 is involved, and for TMI 1, and it is the fellow that  
4 took his place, Potts.

5 Q How about Gary Miller, is he involved in  
6 that?

7 A He is the top administrative man for the operation  
8 of the plant, and he would only have general supervision  
9 over the effort.

10 Q In his position as station superintendent,  
11 would Gary Miller be advised of problems in implementing  
12 a Standard Technical specification?

13 A I am sure he would.

14 Q We also discussed computers, and the Bailey  
15 855, which was included as part of TMI 1, and as part of  
16 TMI 2. Do you remember our conversation on that point,  
17 sir?

18 A Yes.

19 Q Now, as I remember it, the Bailey 855 was  
20 selected for TMI 1, and then was selected again for  
21 TMI 2, is that correct, sir?

22 A Yes.

23 Q And that there is a modification program  
24 underway for TMI 1's Bailey 855 computer, is that  
25 correct?

1

Miller

114

2 A As a replacement.

3 Q As a replacement?

4 A Ultimately, yes.

5 Q It is a three-phase program, is that  
6 correct?

7 A Yes.

8 Q When, approximately, was the computer  
9 selected for TMI 1?

10 A Well, with your permission, I would like to go  
11 back to before TMI was purchased relative to computers.

12 Q Sure, but can we just define that time frame  
13 first.

14 MR. YUSPEH: Could you repeat the question?  
15 (Reporter read back question.)

16 Q Have you got a time frame?

17 A It was selected at the same time we were purchasing  
18 the nuclear system.

19 One of the decisions we had to make was what kind  
20 of a computer system we were going to have or were we  
21 going to have any.

22 Q About what time was that?

23 A Around '66 or '67, as I recall.

24 Q I believe there was something you wanted to  
25 add, sir.

1  
2 A Well, before that time, the industry had purchased  
3 computers, and by and large they had been somewhat of a  
4 catastrophe, primarily, because the manufacturer supplied  
5 them and was not prepared to provide the software to  
6 make them work, and the experience at the time that  
7 TMI was purchased was sort of mid air. We had  
8 purchased computers for Keystone and the Conemaugh  
9 plants, and they turned out to be more or less of a  
10 disaster until the utility put together their own crew  
11 to take care of the computers and the software system.

12 We had that experience in back of us at the time  
13 we were deciding on the computer for TMI.

14 Ordinarily, we would like to buy the computer from  
15 the nuclear supplier because one of the things we wanted  
16 was the fuel program, and since Bailey is a subsidiary  
17 of B&W, and B&W was committed to write a fuel program  
18 to fit their computer, that was one reason why the 855  
19 was purchased.

20 Other companies who had more experience in computer  
21 systems probably than we did, had already developed their  
22 own staff for designing computer systems and the soft-  
23 ware, and some of those did not take the Bailey 855,  
24 but went with other computers and wrote their own soft-  
25 ware.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

We were not prepared to go that far at that time in writing the software, and so we bought the B&W package, which included the 855 computer.

And I would like to point out at that time there was no proven computer system in service, either for fossil plants or nuclear plants. There were a number of them put in, but it all failed to perform according to expectations, and they were a source of a lot of trouble, not only ours, but other utilities also.

So that the point I want to make is, when we bought the 855, we think we bought as modern a system as there was available at the time.

Q Just so I can clarify, sir, you have some handwritten notes in front of you. Do those handwritten notes present the source of the comments you have just made?

A No. These are notes I made on the way down here to just refresh -- I was thinking this thing over, and I wrote these notes down.

Q Did you refer to any documents in preparing those notes?

A No.

Q This was just an attempt to refresh your recollection, is that correct?

1

Miller

117

2 A Yes.

3 Q Now, you said, I believe, that at least  
4 in part, that there were certain other systems avail-  
5 able at the time.

6 A Not for B&W computers. They had to be developed  
7 after the purchase.

8 Q This would be the software?

9 A Yes.

10 Q There was other hardware available?

11 A Yes. One company bought GE's computers, and  
12 wrote their own software.

13 Q To your knowledge, at that time there was  
14 no other company providing software for B&W systems?

15 A That's right.

16 Q Now, I missed something you said before.  
17 You said with respect to the software, that at least  
18 with respect to a particular system you were not  
19 prepared to go so far in the area of software. Could  
20 you amplify that?

21 A We did not have the staff to write our own soft-  
22 ware.

23 Q So you had --

24 A We had to depend on the supplier to prepare the  
25 software at the time. Ultimately, we found that we

2 did have to prepare a lot of the software, and had to  
3 redo some of it, and had to refit it, and there were  
4 lots of problems with it, but at the time we made the  
5 purchase, the software was part of the purchase.

6 Q You had to do this even though B&W had  
7 the software available to fit their system?

8 A They did not really have it available. They  
9 committed themselves to provide it, so they were  
10 prepared, presumably prepared, to write the software  
11 after they sold the computer system.

12 Q Had B&W provided software for other plants  
13 prior to the time that Met Ed purchased TMI 1?

14 A Not to my knowledge, not nuclear plants.

15 Q So, in effect, then, B&W prior to the time  
16 that Met Ed purchased the Bailey 855 had not supplied  
17 software for nuclear power plants, is that correct?

18 A I think that's correct. They were in the process  
19 of working on it, writing the programs. One of the  
20 programs we wanted was the fuel program.

21 Q Fine. Let me go back to my original  
22 question.

23 If B&W had not in the past provided soft-  
24 ware for its Bailey 855 computer, and, in fact, would  
25 have to develop it for TMI 1, what led Met Ed to select

1  
2 the Bailey 855 computer above all other systems for  
3 TMI 1?

4 A It was a package system that was proposed to us  
5 to buy. There was no other system proposed to buy.  
6 It would have meant that somebody would have had to  
7 develop the software for somebody's hardware.

8 Q You mentioned before that GE had provided  
9 hardware in the past?

10 A Yes.

11 Q Had GE also provided software?

12 A Only some executive software, but the fitting of  
13 the software to a specific plant had to be done by the  
14 utility or somebody that they hired to do it.

15 Q Did Met Ed or anyone in GPU talk to other  
16 computer companies about providing hardware?

17 A We had experience with other companies. We had  
18 other plants, and we had experience with other companies  
19 in dispatch systems. We had, I would say, limited  
20 experience, not enough that we were prepared to do our  
21 own software or design our own systems, which is why  
22 we depended on B&W as the supplier of the nuclear  
23 system to provide the computer system.

24 Q Focusing on TMI 1, did anyone at Met Ed or  
25 anyone at GPU talk to any other computer company about

2 supplying hardware?

3 A We talked to the engineer, the architect engineer,  
4 and they made a review of available systems, and the  
5 offering that B&W was making, which was a functional  
6 offering, and their recommendation was to purchase the  
7 Bailey system along with the nuclear package.

8 Q Is the architect engineer you are referring  
9 to Gilbert Associates?

10 A Yes.

11 Q Is it fair to say then that no one at GPU  
12 or at Met Ed explored the question of purchasing  
13 another computer system with another computer company?

14 A If it was explored, it was only explored in a  
15 preliminary way. We didn't go out and get bids.

16 Q Who would have had responsibility for making  
17 the decision on what computer system to use?

18 A I did.

19 Q And you made that decision after having  
20 Gilbert Associates do a review?

21 A Yes.

22 Q And Gilbert Associates' conclusion was that  
23 the B&W system was the system that should be used?

24 A Yes.

25 Q And what did they base that conclusion on?



2 A Their own studies, and their own knowledge of  
3 other suppliers of computer systems relative to a  
4 specific plant like the B&W plant.

5 Q Did they provide you with a written analysis  
6 documenting the results of that review?

7 A I am sure it is in the minutes of some meetings,  
8 but other than that, I don't recall.

9 Q You say in the minutes of some meetings.  
10 Were your meetings with Gilbert Associates minuted?

11 A Yes. Most of them were.

12 Q And what time frame would that review have  
13 taken place, would that be '66 to '67?

14 A Somewhere in that area.

15 MR. GORINSON: Mr. Yuspeh, I would like to  
16 request any minutes of meetings between Mr. Miller  
17 or someone representing the company and Gilbert  
18 Associates relating to the question of the  
19 computer system to be used for TMI 1.

20 MR. YUSPEH: Mr. Gorinson, I presume you  
21 only want us to work with Met Ed to the extent  
22 that they have it available. If you want to make  
23 a similar inquiry of Gilbert Associates, I presume  
24 you will do so.

25 MR. GORINSON: That's right; Met Ed or GPU,

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

or the constituent GPU companies, whoever was responsible at that time.

Q When was a decision made to purchase the computer for TMI 2?

A At the time it was decided to buy a duplicate unit.

Q And when was that?

A I don't know exactly, but I would think in the '68 area, somewhere around there.

Q When you say "duplicate unit," you mean Oyster Creek 2 or when the decision was made to move Oyster Creek to TMI?

A When they decided to buy a B&W duplicate of TMI 1 for Oyster Creek 2.

Q The process was exactly the same as you have described it for TMI 1?

A Jersey bought the reheat cycle with their turbine cycle, which is the primary -- the only major difference at that time.

(Continued on Page 123.)

#2.1

ew

1  
2 Q When you say the recycle with the turbine  
3 cycle, what do you mean by that?

4 A The steam flows through the high pressure  
5 turbine, back into a reheater, where the temperature  
6 is raised to a higher temperature, and then fed into  
7 the low pressure turbos. That's what is called  
8 reheating the system after it flows part way through  
9 the turbine.

10 We do not do that on Unit 1.

11 Q Does that relate to the computer system?

12 A In detail it does, particularly on balance of  
13 plant. Any pickups on balance of plant would be  
14 different, otherwise the fuel system wouldn't be any  
15 different, the nuclear system wouldn't be any major  
16 difference.

17 Q Do you know whether Jersey Central under-  
18 took a review of what computer hardware was available  
19 before determining to buy the Bailey 855?

20 A I do not.

21 Q Do you know whether they undertook a  
22 review of computer software that was available before  
23 deciding on that system?

24 A I don't know.

25 Q Did anybody in Jersey Central discuss with

2.2

2 you prior to Jersey Central's decision to buy the  
3 Bailey 855 what your decision making had been in  
4 arriving at the decision to buy that computer?

5 A I don't recall that they did.

6 Q Do you have any knowledge as to how the  
7 decision was made to buy the Bailey 855 for TMI 2?

8 A Well, generally, I understood that they had  
9 gotten bids for duplicates of TMI 1, and had gotten  
10 bids from GE and Westinghouse for nuclear systems, and  
11 made the decision after they made that comparison.  
12 I don't know that for a fact, but that's my general  
13 recollection that they did that.

14 Q When they made the decision to buy B&W's  
15 nuclear system, they also made the decision to buy  
16 B&W's computer system?

17 A That's right. I think their bid was on the basis  
18 that it would be a duplicate.

19 Q So that the nuclear system supply system  
20 would be accompanied by a Bailey 855 computer?

21 A I am sure that that was part of their decision  
22 and part of B&W's offering.

23 Q When did Met Ed or GPU Service or which-  
24 ever company had particular responsibility for it,  
25 realize that it would be necessary to modify the

2.3

1  
2 Bailey 855 system in TMI 1?  
3 A Well, sometime in the late '60's, long before the  
4 TMI 1 was started, we had started up the Keystone  
5 station and the Conemaugh station in Horman City,  
6 and the troubles that were developed there led us to  
7 acquire qualified people and set up our own nuclear  
8 group.

9 Then, when the 855 computer for No. 1 unit was  
10 put on test, our people, the engineers that we had  
11 acquired, reviewed the computer system, and the  
12 computer hardware, and recommended, and that was accepted,  
13 that we bring into Reading to set it up in its own  
14 little room, and run through all the systems, and the  
15 softwares that were developed, and that was done  
16 before the unit then was shipped to Mile Island and  
17 installed there.

18 In the process of this development, it became  
19 evident to these experts that the computer itself had  
20 limitations.

21 The experience at Keystone and Conemaugh also  
22 showed us limitations on the single computer systems,  
23 and so they began to recommend that we consider a  
24 redundant system with a backup main frame computer,  
25 and the thinking was begun before TMI 1 was started,

2 that this is the way we wanted to go, but to make that  
3 change was a major operation, and that could not be  
4 made without interfering with construction startup  
5 and operation, so that's why it was done on a three-  
6 phase basis.

7 Q When did the experts reach the conclusion  
8 that it would be necessary to replace, ultimately, the  
9 Bailey 855?

10 A Well, by the time the unit was started, that  
11 computer was six or seven years old, and it only has a  
12 life of 10 years. So it was apparent that the life of  
13 that computer was going to be short after the plant  
14 started operating, and that in itself is a major  
15 inducement to consider what replacement you are going  
16 to put in, because -- and besides, Bailey does not  
17 make the 855 computer anymore, so their spare parts  
18 situation became critical, and that also was an induce-  
19 ment to replace it.

20 But as the operators then started to run the  
21 plant, and the computer was such an important aid to  
22 them in operating the plant, why that also encouraged  
23 us to move in the direction of a replacement.

24 Q Let us go back to my question.

25 When did the experts decide that that

1 computer, the Bailey 855, was insufficient?

2 A I don't know exactly the date, but I would say  
3 it was from '68 to '71 period, in there, that they  
4 were developing the software, and installing it, and  
5 putting it in service.  
6

7 Q So it is fair to say then that sometime  
8 between 1968 and 1971 the experts who had become  
9 employed by GPU or Met Ed had determined that the  
10 Bailey computer was insufficient for the job it was  
11 supposed to do?

12 A And also its life was limited.

13 Q When that decision was reached that the  
14 Bailey 855 would have to be replaced on TMI 1, was  
15 there any attempt made to change the computer system  
16 that would be in TMI 2?

17 A Yes. They added a minicomputer to help out the  
18 855, and it did give some assistance to the 855 to  
19 improve its operation, particularly in the area of  
20 balance of plant, and that was done about during this  
21 same period.

22 Q In the period, though, between '68 and  
23 '71, whenever that decision was made, that something  
24 would have to be done about the Bailey 855 that was  
25 going into TMI 1, did Met Ed or GPU Service Corporation

2 undertake any steps to find a different computer to go  
3 into TMI 2?

4 A No. Because the decision was what we had found  
5 to replace 1, we would use on 2.

6 Q How far along was TMI 2 in terms of  
7 construction by 1971?

8 A I don't know when the computer system was  
9 delivered, but I would suspect that it was delivered  
10 somewhere in that period of time and set up and  
11 tested out. It was on the site shortly after that.

12 Q So the computer system for TMI 2 was on  
13 the site several years before TMI 2 began operations?

14 A Yes. It had a setup in its own separate room,  
15 and tested out the same as Unit 1 was, and that's when  
16 the minicomputer was added to it.

17 Q Now, TMI 2 didn't come on line until 1978,  
18 is that correct?

19 A I think that's about right. Actually, it came  
20 on in '77 for testing.

21 Q Okay. But it got its operating license  
22 in February of 1978?

23 A Yes.

24 Q By 1978, was Babcock & Wilcox still manu-  
25 facturing the Bailey 855?



2 A No.

3 Q When did it stop manufacturing the Bailey  
4 855?

5 A I can't answer that specifically, but sometime  
6 in the early '70's.

7 Q So that TMI 2 had a computer in it, which  
8 was no longer manufactured by Babcock & Wilcox?

9 A That's right.

10 Q Or Bailey?

11 A That's right.

12 Q And were replacement parts for that computer  
13 readily available?

14 A B&W and Bailey had assured us that they would get  
15 parts available, and so far they have done that.

16 Other companies also have installed 855 computers  
17 since that date, and that was purchased before they  
18 quit manufacture of the 855.

19 These things don't just quit all at once, they  
20 make a decision they want to quit, and then they taper  
21 them off over a period of time, and what all goes on  
22 during that period of time depends on the situation.

23 Q Could you explain the rationale that led  
24 Met Ed or GPU Service Corporation to buy the Bailey 855  
25 computer and take delivery of it some seven to 10 years

1

Miller

130

2 before the plant went on stream?

3 A I don't think I said we took delivery from seven  
4 to 10 years before the plant went on stream.

5 Q When did you take delivery?

6 A Sometime in the late '60's, or around '70, in  
7 that period somewhere, and it was brought into Reading  
8 and set up for tests, and one reason that they did  
9 that was that our computer people said they wanted to  
10 test it out completely before we put it in the plant,  
11 and they found lots of things that they had modified  
12 in the hardware during this test, and we did the same  
13 thing for 2.

14 Q That was in the late '60's to about 1970,  
15 somewhere in that time frame?

16 A Somewhere in that period, I don't know exactly  
17 when.

18 Q And when did the company take delivery of  
19 the Bailey 855 computer from Bailey?

20 A Well, I would say around '70, '69, '70, in that  
21 period somewhere. I don't recall the exact date.

22 Q And this computer had a 10-year life?

23 A Yes, from the day it was purchased. That guar-  
24 antee -- the computer was manufactured and set up in  
25 Bailey's shop for test, and we observed the beginnings

2 of those tests, and from what we saw we decided to  
3 take delivery and set it up in our own shop and test  
4 it out, and all of that was using up time, and I think  
5 as of today, the computer is over 10 years old.

6 Q But again, if I could come back to my  
7 question: What was the basic rationale that led the  
8 company to accept delivery of the computer system  
9 several years before that computer system would be  
10 needed in the plant?

11 A I think if you will investigate other companies  
12 who buy computers and who have their own software  
13 departments, that they take computers early and test  
14 them out several years before they want to install  
15 them, because the computers, when it is installed, must  
16 be a going system, and it needs to be tested out at  
17 some point before it is installed, and that takes  
18 months and months to do that.

19 So they always take several years before the  
20 plant starts.

21 Q You said companies that have their own  
22 software departments. As I understood it before,  
23 Met Ed did not have that capability, which was one of  
24 the reasons they asked Babcock & Wilcox to develop the  
25 software.

2 A We did not when we made the purchase, but we got  
3 into it very shortly. We never had sufficient  
4 personnel to do our own software. We had some computer  
5 experts on hand who were capable of testing computers,  
6 and also testing software, but we did not have a  
7 complete software staff.

8 Q At the time that the company took delivery  
9 of the Bailey 855, did it realize that that unit would  
10 have to be modified or replaced within seven or eight  
11 years?

12 A Yes, because the life of computers is only about  
13 10 years, I don't care whose it is. Anybody that puts  
14 computer systems in are in the process of replacing  
15 them after 10 years or so.

16 Q To your knowledge, is that the normal  
17 purchase pattern in the nuclear utility industry?

18 A I don't know whether it is normal or not. Our  
19 people tell me that that's what we have got to tune up  
20 to do.

21 Q To purchase a computer several years in  
22 advance of the time that you actually need it?

23 A And to replace them periodically.

24 Q Right, but the question I am asking is,  
25 is it normal and usual practice in the industry, as

1

2 you know it, to purchase computers several years in  
3 advance of the time that you will need them?

4 A I don't know what you mean by several years.  
5 Three or four years, yes. It takes a year or so to  
6 test one of them out. They have to be set up at some-  
7 place other than the plant and tested out, or the  
8 plant has to be built far enough in advance for them  
9 to be installed in the plant, but they don't like to  
10 do that on account of the construction dirt and things  
11 that are around.

12 Q Well, after the computer is tested out,  
13 what is the usual time span before a computer is put  
14 into a plant that is under construction?

15 A The computer should be tested out in place, in  
16 the plant, before testing begins, and that's months  
17 and months before the plant is ready to operate,  
18 because the proper way of testing systems in a plant  
19 is using the computer, so that normally, the schedule  
20 is that the computer is in, tested out, ready to work  
21 some 15 months ahead of the operating date.

22

23

(Continued on following page.)

24

25

1 Q 15 months ahead of the operating date.

2 So that if the TMI 2 computer was delivered sometime  
3 in 1970 and tested out, was the original starting date  
4 for that plant operational date supposed to be sometime  
5 in '72 or '73?

6 A We had a number of starting dates, and then they  
7 were postponed because of construction delays. I don't  
8 know how the computer was varied in those change of  
9 dates. As it turned out, the delays in construction  
10 were such that we had ample time to install the computer.  
11

12 Q The delays of construction were substantial,  
13 weren't they?

14 A Yes.

15 Q Were any attempts made to change the computer  
16 hardware, given the fact that the delay in construction  
17 was substantial?

18 A No.

19 Q Were you familiar with the reasons for the  
20 substantial construction delays?

21 A At the time I was, yes.

22 Q And what were those reasons?

23 A There were hundreds of them.

24 Q What about the major ones?

25 A They just didn't get the equipment installed,

1  
2 the piping systems, the major equipment, the foundations  
3 were delayed, and everything was delayed; nothing came  
4 as far as it should. Licensing caused some changes,  
5 which caused delays.

6 Q Was that a function of slow contractors or  
7 were there other reasons?

8 A There were many reasons.

9 Q What were some of the substantial reasons?

10 A Well, changes in the engineering were some, and  
11 slow performance of the contractors, difficulty to get  
12 craft labor in critical areas. Some trouble were  
13 supplies, equipment being delivered on time. B&W had  
14 a major delay in the delivery of the reactor vessels.

15 Q Were any delays caused because the company  
16 was short of funds?

17 A No.

18 Q Were any delays caused --

19 A Are you talking about one or two now?

20 Q I am talking about two.

21 A Two was intentionally delayed because of, I think,  
22 this is '73 and '74, because of the flatening of peak  
23 loads, and they cut out all overtime, as I recall, and  
24 stretched out the schedule because of the end date.  
25 They didn't see that they needed it when they thought

2 they did before. So they rescheduled it, in effect,  
3 for a later date.

4 Q What do you mean by "peak loads"?

5 A The utility peak loads. You put these units  
6 in, and they carry your electric system peak loads.

7 Q And there would be no need for that capacity  
8 at the time it was originally thought?

9 A That's right.

10 Q And so the TMI 2 completion date was pushed  
11 back as a result of that?

12 A That's right.

13 Q Did lack of financial resources play any  
14 part in that decision as far as you know?

15 A Not to my knowledge.

16 Q Did you ever hear that a lack of financial  
17 resources may have played a part in the decision to  
18 push back the completion date of TMI 2?

19 A I am sure that financial resources always play a  
20 part, but I also am sure that if the capacity had been  
21 needed, that somehow they would have found the financial  
22 resources to put it in. But when they rescheduled the  
23 construction date, they rescheduled their need for  
24 financial resources.

25 Q On Thursday we were discussing the question



1 of cross-licensing that had come before the GORB.

2 A Yes.

3 Q To your knowledge, who is responsible for  
4 training at TMI 2?

5 A The ultimate responsibility was Hurbein. Under  
6 him would have been Gary Miller, and then Jim Seelinger  
7 for a long period of time was responsible for the  
8 training program and development of the program.

9 Q Jim Seelinger was responsible for the  
10 development of the training program?

11 A When he first came there, that's what he worked  
12 on.

13 Q Between when and when was that?

14 A I can't give you that date.

15 Q Is there somebody specifically responsible  
16 for training at TMI 2?

17 A Well, yes.

18 Q Who was that?

19 A Well, the superintendent is the one that is  
20 specifically responsible to see that the people get  
21 trained, and to see that their schedules are set up and  
22 to oversee that, and there are people under him that  
23 carry out the scheduling, and a number of people work  
24 at that. I can't name them now, but the responsibility  
25

1 is the unit superintendent.

2 Q So at TMI 2 that would be Joe Logan who  
3 would have that responsibility?

4 A Yes.

5 Q There is a Training Department at TMI, is  
6 there not?

7 A Yes.

8 Q Who is the head of that Training Department,  
9 if you know?

10 A Well, as of now, I think he reports to Seelinger,  
11 and I think -- I don't know who is doing it right now.

12 Q Do you know what the qualifications are of  
13 the person who heads up the Training Department at TMI 2,  
14 or at TMI?

15 A One man, I can't think of his name, we hired from  
16 Penn State, who is a teacher, basically, and he is sort  
17 of the lead instructor, as it were, and he is what I  
18 would call a professional teacher. But he came out  
19 of the nuclear program of Penn State.

20 Q Had he had any experience in commercial  
21 nuclear reactors?

22 A I can't answer that.

23 Q Had he had any experience with B&W reactors?

24 A I doubt that, but I don't know.

- 1
- 2 Q Do you remember the person's name?
- 3 A I ought to, but I can't. I can't do it right now.
- 4 MR. GORINSON: Can we get that?
- 5 MR. YUSPEH: We can get, for the record,
- 6 what period of time this person was there.
- 7 This is apparently one person out of a number.
- 8 Q Tell me the period of time.
- 9 A He was there several years before TMI 1 was
- 10 started, and he is still there, this particular man
- 11 I'm thinking of. Seelinger was heading up the program,
- 12 but this guy was working under Seelinger at that time.
- 13 Q Was this gentleman doing the actual training
- 14 of the operators?
- 15 A He was supervising the people who were training
- 16 and helping them prepare their lessons, scheduling the
- 17 training, and that sort of thing, as a professional
- 18 trainer.
- 19 Q Is it fair to say he was substantively
- 20 handling their training?
- 21 A Yes.
- 22 Q And he is still doing that today, to your
- 23 knowledge?
- 24 A Yes.
- 25 Q And he was responsible for the training during

5.7

- 1  
2 the cold licensing period?
- 3 A He had his level of responsibility. Seelinger  
4 was the guy that was really responsible for getting them  
5 trained.
- 6 Q Seelinger had ultimate responsibility in  
7 that area?
- 8 A Yes.
- 9 Q But this gentleman had the day-to-day  
10 responsibility?
- 11 A That's right.
- 12 Q Did he have this responsibility during the  
13 cold licensing period?
- 14 A I think so.
- 15 Q And to your knowledge, was this person ever  
16 sent down to B&W for training?
- 17 A I am sure he was. I don't know specifically, but  
18 I think everybody was sent down. In fact, some of those  
19 trainers have their license.
- 20 Q Some of the trainers?
- 21 A He doesn't have a license, but some of the  
22 instructors do have licenses.
- 23 Q Some of the instructors have a license on  
24 TMI 1 or TMI 2?
- 25 A I don't know which unit, but I was told that at

1 least two of them had licenses.

2 Q Do you know what goes into the mix which  
3 determines which instructors get licenses and which  
4 don't?  
5

6 A I think at one time they were thinking of trying  
7 to get them all licensed, but I think they have given  
8 that up, because it is too ambitious to get, and I don't  
9 know if they still think it is desirable or not, but --  
10 and I don't know how to answer the question the way you  
11 put it.

12 Q Well, let us just focus on a couple of your  
13 words. You said it was too ambitious. What led the  
14 company to decide that it was too ambitious a task to  
15 get licenses for all the instructors that would be  
16 training the control room operators?

17 A The workload on the training group was so heavy  
18 that for them to take time out, several months, to get  
19 licenses, was just too ambitious. They didn't have  
20 enough people to do it, at least that's my understanding.

21 Q So it is fair to say, based upon your  
22 knowledge, that at least some of the instructors who  
23 are involved in the training of operators to obtain  
24 licenses do not, themselves, have licenses?

25 A I think that's right, yes. In my mind, there is

2 a great question whether they really need licenses or  
3 whether it would help them to make them better teachers.

4 Q What raises that question in your mind?

5 A Well, that's based on my general experience of  
6 teaching operators. The art of teaching is a specialty  
7 that being an operator doesn't automatically give you --  
8 inform you how to teach somebody else as a trainer.  
9 Listening to the problems we had, I was convinced we  
10 needed to focus on people that have that knowledge and  
11 that capability to train and to teach rather than  
12 people who are operators.

13 Q Somebody who might be a good teacher or  
14 trainer --

15 A Wouldn't necessarily be a good operator.

16 Q Are you familiar with what goes into the  
17 training program?

18 A Not in detail, no.

19 Q Let me put in front of you two exhibits that  
20 we had previously marked, and that's Exhibits 6 and 7.

21 Before we do that, does the Quality  
22 Assurance Department at TMI play any part in training?

23 A I don't know specifically, but in general, from  
24 what I know, the purpose of quality assurance, I would  
25 say, yes, that they also run a quality assurance of the

2 efforts of the training program, too.

3 Q So the Quality Assurance monitors the  
4 training program?

5 A I would say yes. I don't know in what detail.  
6 I don't know that for a fact, but I would assume they  
7 do.

8 Q So that's just an assumption on your part?

9 A Yes.

10 Q You don't have any specific knowledge of  
11 it?

12 A No.

13 Q Looking at Exhibit 6, as you remember, as  
14 we were talking on Thursday, the second day of that  
15 meeting, Meeting No. 28, the October 13th portion of the  
16 minutes, a, referred to cross-licensing and said that  
17 the GORB recommends that Met Ed continue to investigate  
18 the following areas:

19 "a. Cross-licensing - how cross licensed  
20 operators will be used and how their proficiency  
21 will be maintained."

22 Do you see that, sir?

23 A Yes.

24 Q And we discussed the fact that you assumed  
25 an ongoing project?

2 A You mean the cross-licensing was an ongoing  
3 project?

4 Q Well, what did you take this to mean when  
5 you heard that at the meeting, let us go back and start  
6 with that.

7 A Well, as I recall, it was -- there was a question  
8 about maintaining operators with two licenses, and how  
9 effective you could use an operator on two different  
10 plants, and this was an area in which this was discussed,  
11 as I recall. There are specifics that are different  
12 between the two plants, and some of us have some  
13 concern about an operator who becomes proficient on one,  
14 and still is licensed on two, and then you transfer  
15 him to operate on two, that he is going to be able to  
16 sort out the specifics.

17 Q And so when this was raised at the October 13,  
18 1977 meeting, is it fair to say that you had some concerns  
19 about the use of cross-licensed operators on both TMI 1  
20 and TMI 2?

21 A Yes, and I wasn't alone. I think this was  
22 discussed by the group, and this is what this statement  
23 represented.

24 Q How many of the other members of the GORB  
25 shared that concern?



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A I don't know.

Q Was it more than a majority?

A There were sufficient to produce this statement.  
I don't know as they even took a vote. They got comments  
and decided that they needed to look further into it, and  
the GORB itself wanted to know more.

(Continued on Page 145.)

1

Miller

145

4.1

2 Q Let me ask you to look at Exhibit 7. Now,  
3 this was the meeting that you were not at, Meeting  
4 No. 29, but I believe you testified that you would  
5 have received a copy of this?

ew

6 A That's right.

7 Q Afterwards?

8 A Yes.

9 Q And if there were any of the things in it  
10 that concerned you you would have raised questions  
11 about it, is that right?

12 A That's right.

13 Q Look at Page 3, where it says "Cross-  
14 licensing proficiency."

15 A Yes.

16 Q Would you read that paragraph, sir, to  
17 yourself?

18 A Yes.

19 Q Do you see the last sentence there, sir?

20 A Yes.

21 Q "It is Med Ed's intent to rotate these  
22 cross-licensed people on both units as needed."

23 A That's right.

24 Q Did you raise any questions about that  
25 when you received those minutes?

1

4.2

2 A I don't recall now whether I did or not, but this  
3 has been a subject of discussion. It is not a subject  
4 that's finished or settled.

5 Q Does this paragraph document the results of  
6 Met Ed's investigation in the area of how cross-  
7 licensed operators will be used?

8 A At that time they were reporting, that's the way  
9 they expected to use them.

10 Q I see. And did the members of the GORB  
11 raise any objection to that?

12 A At the meeting, I don't know whether they did or  
13 not, because I wasn't there.

14 Q Did they raise any objection to that at  
15 any meeting that you did attend after the February 22,  
16 1978?

17 A There were a number of questions raised about it,  
18 and as I say, it's not a fixed decision, that even the  
19 statement reading the way it is doesn't convince me  
20 that it was that fixed, but TMI is always in the state  
21 of development, there is always new people being  
22 trained and new equipment being brought in, and it is  
23 an ever-changing scene, and they make decisions to  
24 move and later they will reconsider it. In fact,  
25 every decision they make is always up for review and

4.3

1  
2 reconsideration.

3 Q Was this a decision based on what you see  
4 here on cross-licensing proficiency, a decision that  
5 was up for review and reconsideration?

6 A This doesn't read like it, but I am sure it was,  
7 because I have heard it discussed many times. There  
8 are many problems that were being developed along the  
9 way to maintain requalification exams, and they were  
10 having difficulty having them all worked in, and they  
11 had lots of reasons to be questioning their procedures  
12 all the time, because of the problems of training new  
13 people and requalifying people, and it is an ever-  
14 changing parade. It is one of the problems with a  
15 nuclear plant with two units, is that it never levels  
16 out for a long period of time, because you are always  
17 adding and training, and transferring and developing  
18 people.

19 Q But the concerns relating to the cross-  
20 licensing of operators, and how an operator licensed  
21 on both plants would act or react being switched from  
22 one plant to another, had that decision been reviewed  
23 and reconsidered by the GORB at any time after  
24 February 22, 1978?

25 A I don't recall. This doesn't say that at what

1

Miller

148

4.4

2 level people they are planning to cross-license. This  
3 probably -- they are referring to shift supervisors  
4 and possibly some shift foremen. They are not hands-on  
5 operators, and it is to cross-license a hands-on  
6 operator like a control room operator is a different  
7 position than cross-licensing a supervisor.

8 Q But they are people giving instructions  
9 and supervision to hands-on operators, are they not?

10 A That's right.

11 Q And they are people who could become just  
12 as confused as the hands-on operator being switched  
13 from one unit to another?

14 A Yes, they their responsibilities are not quick  
15 response, like turning knobs and things and mixing  
16 them up, because they are on one unit or another.  
17 They are standing back, reviewing the system, and they  
18 talk to the operators, and he does the action and not  
19 the foreman.

20 Q So --

21 A So it is not the same when a foreman or a super-  
22 visor is cross-licensed as it is when a control room  
23 operator is cross-licensed.

24 Q So it is fair to say that because a super-  
25 visor would have more time, the problem isn't as great?

1

2 A That's right. He is not that apt to make a  
3 mistake, because he forgets where he is.

4 Q Did Met Ed or GPU ever do a study of the  
5 impact of moving either supervisor or operating room  
6 personnel between plants?

7 A I don't know that they did specifically in the  
8 framework in which you state that.

9 Q How about generally?

10 A Generally, it was discussed. I have heard it  
11 discussed a number of times philosophically what  
12 problems might exist, and that sort of thing, was up  
13 for constant discussion or frequent discussion.

14 Q And the result of that was that it was  
15 just discussed, there was no change in policy?

16 A I don't know what the view is right now. There  
17 is a review going on on the whole training effort.  
18 In fact, there is always discussion and review of our  
19 training efforts. No one has ever really been satisfied  
20 with it, and I don't think -- I think other utilities  
21 find the same problem.

22 Q But prior to March 28, 1979, had it just  
23 been discussed without any change in policy?

24 A Well, I think you have to recognize that 2 had  
25 just been started in '78, and testing had started in '77,

2 and they never had a real good opportunity to test out  
3 cross-licensing, because everybody was just developing  
4 on Unit 2.

5 I feel that the supervisor must have been cross-  
6 licensed. How many of the foremen were cross-licensed,  
7 I don't know.

8 Q Let us go on to what has previously been  
9 marked as Miller Exhibit 8. This document we had been  
10 discussing when we broke on Thursday.

11 Are you aware of what actions have been  
12 taken since April 6, 1978 to correct the problem set  
13 out in this memorandum?

14 A No, I am not.

15 Q Have any actions been taken, to your  
16 knowledge, to make sure that PCR documents that conclude  
17 there is no adverse nuclear safety impact without  
18 supporting documentation?

19 A I can't answer that.

20 Q Are you aware of --

21 A I am not that close to the detail.

22 Q Would Mr. Hurbein be able to answer that,  
23 to your knowledge?

24 A I would think he would be a lot closer than I am.  
25 Certainly some of the managers under him could answer

2 that specifically.

3 Q This was a concern, was it not, raised by  
4 the chairman of the GORB?

5 A Yes.

6 Q Is this a concern, the resolution of which  
7 would normally be made known to the GORB?

8 A I would think so. GORB might be informed in the  
9 matter of a brief report by the chairman, or he might  
10 ask somebody in Met Ed to give the report. I don't  
11 recall specifically that that was done, but I would  
12 feel pretty sure along the way somebody looked into  
13 this and made a response.

14 Q If that report was made to the GORB, would  
15 it appear in the GORB minutes?

16 A I would say yes.

17 Q Is there any other type of document that  
18 might appear, to your knowledge?

19 A Not specifically, I can't think of it.

20 Q Mr. Miller, did you ever see the hand-  
21 written note that Mr. Bartman placed on the bottom of  
22 his Exhibit 8?

23 A I don't recall seeing this until --

24 Q Until Thursday?

25 A Until last Thursday.



1

Miller

152

2 Q Had Mr. Bartman ever discussed it with you?

3 A No.

4 Q Had any other member of the GORB ever  
5 discussed it with you?

6 A This note?

7 Q Yes; well, the subject matter in the note  
8 "I'm in favor of cutting back on all the 'paperwork' if  
9 we can."

10 A I think everybody has dreams of being able to  
11 streamline paperwork without affecting our efficiency  
12 or our capability. That's a --

13 Q How about the second sentence, "If the NRC  
14 is not complaining about inadequate documentation, I  
15 think the GORB should agree it is okay."

16 Did he ever discuss that with you?

17 A No.

18 Q Did any member of the GORB ever discuss  
19 that with you?

20 A Not that I ever heard.

21 Q Was the subject of inadequate documentation  
22 to the NRC ever discussed at a GORB meeting?

23 A I can't recall specifically, but I would think  
24 that documentation is something that we have discussed  
25 a number of times, because documentation is a very

2 difficult time-consuming, ever-consuming effort, and  
3 to do it and keep up-to-date in it is a very difficult  
4 thing.

5 Q Licensee Event Reports are one type of  
6 documentation, aren't they?

7 A Yes.

8 Q Those Licensee Event Reports, are they  
9 reviewed by the GORB?

10 A I think they are sent around for GORB to review.

11 Q What kinds of items are reported to the  
12 NRC in Licensee Event Reports?

13 A Anything that affects the safety of the plant or  
14 public.

15 Q So that's the criteria for a Licensee Event  
16 Report?

17 A Safety is, yes.

18 Q What about something that is determined to  
19 be an operational inconvenience, would that be in a  
20 Licensee Event Report?

21 A I don't think so.

22 Q It would have to be a possible safety  
23 concern?

24 A That's right. To modify that, if NRC had made  
25 some decision that affected making this other decision,

2 then we would have to go to the NRC even though in our  
3 view, it was not a safety concern.

4 Q But internally in the company, Licensee  
5 Event Reports would be filed for those items that might  
6 have some potential impact on the public health and  
7 safety?

8 A That's right. That's a requirements of the  
9 license.

10 Q Have you ever heard the term "operational  
11 inconvenience" with respect to a phenomenon known as  
12 loss of pressurizer level indication?

13 A No.

14 MR. GORINSON: Let me mark as the next  
15 Exhibit, Exhibit 9, a document dated April 26,  
16 1978, with the heading "Three Mile Island GORB,"  
17 and it is addressed to a number of people,  
18 including Mr. Miller, and it says "Reviewed by  
19 JCH, Date: 5/19."

20 (Above-described document was marked  
21 Miller Deposition Exhibit 9 for identification,  
22 this date.)

23 Q Do you have what has been marked as Miller  
24 Exhibit 9 in front of you?

25 A Yes, I have it here.

1

2 Q Would you read that, sir?

3 A "GORB should be aware of --"

4 Q To yourself.

5 A Yes.

6 Q Are you familiar with 10CFR21?

7 A Not specifically.

8 Q Generally, do you know what that concerns?

9 A I am not familiar with what it concerns by number.

10 Q Now, this shows that you received a copy  
11 of this item. Do you see that, sir?

12 A Yes.

13 Q Do you remember this document?

14 A No, I don't, not now.

15 Q Do you remember at any time being told  
16 that the industry, and in parentheses there it says  
17 "(GE" and either "O" or "W", etc.) had united  
18 resistance to accept purchase orders requiring conform-  
19 ance to 10CFR21."

20 A What is the question.

21 Q Had you been aware of that before today?

22 A Well, I just have read it, but I have completely  
23 forgotten it.

24

(Continued on following page.)

25

1  
2 Q Do you know what that was referring to?

3 A I don't know now, no. I probably would recall  
4 if I knew that the --

5 Q If I tell you that 10CFR21 deals with the  
6 reporting of defects and non-compliance, does it refresh  
7 your recollection in any way as to the subject matter of  
8 this memorandum, Exhibit 9?

9 A No, it doesn't.

10 Q Had you ever taken part in any discussions  
11 dealing with the question of reporting of defects and  
12 non-compliance to the NRC?

13 A No, I don't recall that I have.

14 Q So you have no recollection of the subject  
15 matter contained in this memorandum?

16 A No.

17 MR. GORINSON: Let me mark as the next  
18 exhibit a memorandum dated May 18, 1978, on the  
19 letterhead of Three Mile Island GORB, which was  
20 sent to Mr. Miller, among others, and at the  
21 bottom has the initials JCH, date, 6/1/78.

22 (The above-described document was marked  
23 Miller Exhibit 10 for identification, this date.)

24 MR. GORINSON: Let me also note for the  
25 record that attached to this document is a document

1  
2 entitled "Report No. 77-4 TMI GORB Quality  
3 Assurance Subcommittee, covering October 1, 1977  
4 to December 31, 1977," and another document  
5 entitled "Report No. 78-1 TMI GORB Quality  
6 Assurance Subcommittee, covering January 1, 1978  
7 to March 31, 1978."

8 Q Let me put that in front of you, Mr. Miller.

9 Let me turn to the report headed 77-4,  
10 which is attached to Exhibit 10, and the first page of  
11 that, Paragraph 2 of that first page of Report 77-4 says:

12 "In our review of the Audit Reports we  
13 noted that Audit Report 77-35 entitled  
14 Operational Quality Assurance Effectiveness  
15 Review was a --"

16 A I don't have the page you are referring to.

17 Q Here (indicating).

18 A Yes.

19 Q "In our view." Have you got that in front  
20 of you?

21 A Yes.

22 Q "...was a lengthy review of the QA program.  
23 This audit was performed by three Met Ed personnel  
24 who are not connected with the QA operation."

25 Are you familiar with the reasons why three

1 Met Ed personnel who were not connected with the QA  
2 operation were selected to do this audit?

3 A I am not specifically familiar, but I can think  
4 of many reasons why I would do the same thing.

5 Q Okay.

6 A They wanted to get somebody who was not too  
7 familiar with the process, hopefully, to be more  
8 objective.

9 Q You said you are not specifically familiar?

10 A No, I am not.

11 Q With this?

12 A No, I am not.

13 Q You received a copy of this, did you not?

14 A Yes. They made these periodically.

15 Q And when you receive a copy of this, do you  
16 read them?

17 A I try to.

18 Q Do you ever go back and ask questions about  
19 these quality assurance subcommittee reports?

20 A I have, yes. I don't recall particularly what  
21 the subject was, but I have asked questions about it.

22 Q On what types of items would you ask questions?

23 A Anything that I didn't understand or I felt that  
24 I had a question about. I don't know as I could put  
25

1  
2 them in any category.

3 Q Let us see if there is anything in here  
4 that you would have asked questions about.

5 The next sentence of Paragraph 2 says, "This  
6 audit produced the following conclusions which are of  
7 interest:" Let us pass over A, and then turn to B:  
8 "Trend analysis has shown the effectiveness of the  
9 OQA program to have decreased over the past year, and  
10 is continuing to do so."

11 What is OQA?

12 A Operating QA.

13 Q And what does Operating QA deal with?

14 A Operations.

15 Q Operations of the plant?

16 A Yes.

17 Q And what specific types of things do they  
18 look at in Operating QA?

19 A Basically all of the operations of -- their proce-  
20 dures, and their training, anything to do with operations  
21 is reviewed by Operations QA. That's the purpose of it.

22 Q Well, some operating QA would look at  
23 training of personnel, and would look at operating  
24 procedures. Would it look at maintenance?

25 A I am sure if that affected operation, they would



1  
2 look at it.

3 Q Would you find it significant when you  
4 received the report that contained the statement  
5 "Trend analysis has shown the effectiveness of the  
6 operating quality assurance program to have decreased  
7 over the past year, and is continuing to do so"?

8 A My reaction to that would be to find out what  
9 the plant operating force reaction to it was, and what  
10 they proposed to do or answer. Maybe they might dis-  
11 agree with them and give good reasons why.

12 Q Did you, in fact, do that?

13 A I don't recall that I did.

14 Q If you did that, what form would your  
15 request or follow-up on that take, would it be written  
16 or oral?

17 A It would be oral in the GORB meeting, probably.  
18 However, we have the sheets like this, and these are  
19 all sent to the GORB members with these sheets, and  
20 if we want to make a comment on anything that's carried  
21 by one of these sheets, we just write it on here, and  
22 send it back to the secretary.

23 Q Would you retain a copy of any comments you  
24 make?

25 A No, I wouldn't.

2 Q You wouldn't?

3 A No.

4 Q You just send the comments on?

5 A And I don't know whether the secretary does.

6 He makes a summary of them, and then he reports back  
7 to, he either acts on it, if he can, or reports back  
8 to GORB on it, and I think he throws them away to keep  
9 from getting drowned in paper.

10 Q But you have no recollection of how he  
11 acted on this particular paragraph?

12 A No, I don't.

13 Q Let us turn to the second page of Report 77-4,  
14 which is an attachment to Exhibit 10.

15 The last paragraph there says: "Comment B  
16 is of concern to the Subcommittee since it states that  
17 the program effectiveness is decreasing. The auditors  
18 did point out, however, that they had no previous  
19 experience as auditors and that this function might  
20 better be performed by QA auditors from JCP&L."

21 Do you see that?

22 A Yes.

23 Q Again, coming back to the question of  
24 auditors being selected who had no previous experience  
25 as auditors, do you have any knowledge as to the reason

1 why those individuals were selected?

2  
3 A Not specifically, but I gather from reading this,  
4 that their alternative, they suggest, is to pick an  
5 experienced auditor from Jersey who is not too familiar  
6 with details to get somebody with a new point of view  
7 or objective point of view. That's what they are  
8 recommending here is the way I am reading it.

9 Q Yes, but what I am asking is, the underlying  
10 reason why auditors who had no previous QA experience  
11 were selected.

12 A I don't --

13 Q Auditing experience.

14 A I answered that before, that I don't know  
15 specifically that I -- I do have some thoughts of my  
16 own of why it was done or why I would do it.

17 MR. GORINSON: We request of counsel that  
18 we be provided with audit reports 37-35, please.

19 MR. YUSPEH: Of course.

20 Q So it is fair to say then that you have no  
21 specific or general recollection of this particular  
22 matter?

23 A That's right.

24 MR. GORINSON: Let us mark as the next  
25 exhibit, a document entitled "Three Mile Island

2 Nuclear Generating Station, General Office  
3 Review Board, Final Minutes - Meeting No. 30,  
4 June 6, 1978."

5 (The above-described document was marked  
6 Miller Exhibit 11 for identification, this date.)

7 Q Do you have a copy of that in front of you?

8 A Yes.

9 Q Now, looking at the heading, this document  
10 is marked "Final Minutes"?

11 A Yes.

12 Q Do you see that?

13 A Yes.

14 Q Were there draft minutes of this meeting?

15 A There are draft minutes of all meetings.

16 Q Let me refer you again to Exhibit No. 6,  
17 which just uses the word "Minutes." Do you see that?

18 A Yes.

19 Q Were there draft minutes of those minutes  
20 as well, which are part of Exhibit 6?

21 A I assume that there were, because that's procedure,  
22 that they always prepare shortly after each meeting a  
23 set of draft minutes and send it out to the members  
24 with one of those sheets, and ask everybody to read them  
25 and make a note on the sheet and send them back for any

2 comments that he has or questions. And then the  
3 secretary takes these sheets and the first thing we  
4 do at the next meeting we review these notes and discuss  
5 them, and make a decision relative to the questions  
6 raised.

7 Q And the same would be true with respect to  
8 No. 7, which has the word "Minutes" on it, but doesn't  
9 say "Final" or "Draft"?

10 A That's right. It is my recollection the final  
11 minutes just say "Minutes" and the draft minutes have  
12 written on it "Draft."

13 Q And the GORB secretary would be the  
14 repository of draft minutes of the GORB?

15 A He would, if they are kept, yes. I don't know  
16 whether he keeps them after we review them and decide  
17 on final minutes.

18 MR. GORINSON: Counsel, I would like to  
19 request the draft minutes of the GORB for the  
20 time period covered by the subpoena.

21 MR. YUSPEH: What period of time is that?

22 MR. GORINSON: 1966 to the date of service.

23 Q Let us look at Exhibit 11. The first para-  
24 graph on the first page notes that Mr. T. M. Schuler --  
25 who is he?

1

Miller

165

2 A I can't be sure, but I think he is a B&W man, and  
3 he and Mr. Kulynych, whatever his name is, he is taking  
4 over as a permanent member, and the other man is his  
5 alternate.

6 Q Do you know what Mr. Schuler does at B&W?

7 A No, I don't. They change their people a number  
8 of times.

9 Q But it is fair to say that B&W is the only  
10 outside GPU family company represented on the GORB, isn't  
11 that correct?

12 A No.

13 Q Who else is represented on the GORB?

14 A W. W. Lowe.

15 Q Who is W. W. Lowe?

16 A He is a member of a firm of Pickett & Lowe.

17 Q And Pickett & Lowe are consultants to GPU?

18 A Yes.

19 Q In what area?

20 A Nuclear.

21 Q Any other outside GPU personnel on the  
22 GORB?

23 A No, not on that list.

24 Q Is Burns & Roe represented on the GORB?

25 A No.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Q Do you know what reasons led GPU to invite B&W to serve on the GORB?

A Because they have a continuing technical support role under agreement to assist in nuclear areas, particularly, and in answering questions, many of them, we have to get B&W's assistance, and it helps to have a representation on GORB.

MR. GORINSON: Let us take a break for a few minutes.

(There was a brief recess.)

(Continued on Page 167.)

1

Miller

167

6.1

2 Q We were discussing Exhibit 11. Looking at  
3 Page 2 of that Exhibit, Item 1D-PORC minutes. At this  
4 time, did the GORB review each set of PORC minutes?

ew

5 A No. They set up a procedure that was supposed  
6 to have a review given to GORB, and I don't remember  
7 exactly how it was supposed to work, but I know in my  
8 particular case, unless there was some particular  
9 reason for reading a set of PORC minutes, I never went  
10 through all of the minutes. They come in by the  
11 hundreds, or dozens; maybe that's an exaggeration, but  
12 they're thick packs.

13 Q Those PORC minutes have attached to them  
14 the Licensee Event Reports, and other reports?

15 A No, I think primarily they just list by subject  
16 the number and then the action of PORC.

17 Q Just the action of PORC?

18 A As I recall.

19 Q Since they list only the actions of PORC,  
20 which was in summary fashion, is that correct?

21 A Yes.

22 Q Of what use was it to the GORB to review  
23 the PORC activities?

24 A Well, I think that question GORB asked itself,  
25 and then we set up some procedure, and I forget exactly



6.2

1  
2 what it is now, where some group would make a report on  
3 PORC minutes.

4 MR. GORINSON: Let me mark as the next  
5 Exhibit a document entitled "Metropolitan Edison  
6 Company, Three Mile Island Nuclear Station,  
7 Unit No. 2 Operations Review Committee, Meeting  
8 No. 254, February 5, 6, 7, 8, 9 and 10, 1978."

9 (Above-described document was marked  
10 Miller Deposition Exhibit 12 for identification,  
11 this date.)

12 Q I show you what has been marked as  
13 Exhibit 12, sir, the Meeting No. 254 of the PORC, which  
14 I understand it Exhibit 12 was one of the minutes  
15 reviewed at the GORB meeting whose minutes have been  
16 marked as Exhibit No. 11.

17 Was this a fairly typical set of PORC  
18 minutes?

19 A Yes, this is the way I remember them recently.

20 Q And they were in very summary form, is  
21 that right?

22 A That's right.

23 Q So for instance, let us look at Page 2 of  
24 Exhibit No. 12, where it says "New Procedures. Alarm  
25 Responses."

6.3

1  
2 "1. The following alarm response (2204) associated  
3 with the Control Building Area Flood Door was reviewed  
4 and recommended for Unit Superintendent approval."

5 Do you see that, sir?

6 A Yes.

7 Q What type of review would the GORB make of  
8 that alarm response procedure?

9 A Unless it specifically pointed out that there was  
10 some explanation other than just glance through it,  
11 I don't think there would be any review. They also,  
12 though, set up to have specifics looked at by repre-  
13 sentatives in this procedure that they set up here.

14 Q But as a standing matter, it would be  
15 difficult for the GORB to review the actions of the  
16 PROC?

17 A That's right.

18 Q Based on these minutes, would it not?

19 A That's right.

20 Q Was that matter raised with the PORC?

21 A We discussed the difficulty of reviewing PORC  
22 minutes, and that's what led to this decision here  
23 as a way to deal with them.

24 Q So the decisions listed on Page 2 of  
25 Exhibit 11 arose out of the difficulty the GORB had

6.4

1  
2 in reviewing the PORC minutes?

3 A That's right. This has been a subject of  
4 discussion for a long time, because they just come in  
5 thick packs, and there is no way that you could review  
6 them.

7 Q So since that decision was made, has a  
8 summary of PORC activities been presented at each  
9 meeting?

10 A I don't know whether it is at each meeting, but  
11 at certain meetings they bring in the summary or they  
12 mail it to us.

13 Q So the GORB is provided with a summary of  
14 PORC activities, a written summary?

15 A This looks familiar. I don't know how often they  
16 come, but I have seen these, so I would say yes.

17 Q These are the PORC minutes, at least that's  
18 what we understand them to be?

19 A Yes.

20 Q Is this the type of document you receive  
21 in the mail as a member of the GORB?

22 A I have seen them. I assume that's the way I  
23 have seen it. I have seen documents that look like  
24 this, but since this decision was made, the GORB  
25 secretary reviews and distributes written summary once

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

6.5

a month prior to each GORB meeting, so I assume this is the thing we get.

Q Well, if that's what you are getting, then all you are getting is the PORC minutes themselves, not a summary?

A Well, these are summaries themselves. There is back-up data on each of these that go into the files of the plant. We don't get any of that.

MR. GORINSON: Let's see if we can short-circuit this.

Counsel, may I request any written summaries of PORC activities that are presented to the GORB at each meeting or prior to each meeting, including the written summary that according to Paragraph 2 of Item 1D of Exhibit 11 is supposedly distributed one month prior to each GORB meeting.

Q Is it fair to say, Mr. Miller, that based on these PORC minutes, it was difficult for the GORB to review in any detail the actions of the PORC?

A Yes. That's the problem we have been trying to answer for some time.

Q Was that concern noted or made known to the PORC?

6.6

2 A Yes, because we used to get -- we tried to get a  
3 review of PORC minutes, and this has got to be --  
4 well, it is just so many of them, it can't be done,  
5 and that's why this summary effort was developed to  
6 just try to give us some idea of what GORB did.

7 Of course, we don't review them in detail,  
8 because that would be doing their work, and they are  
9 responsible for the superintendent, and they answer to  
10 the superintendent concerning the safety of each item,  
11 and he acts; GORB doesn't act. It is only after the  
12 fact as far as we are concerned.

13 Q Has the GORB instituted a spot check of  
14 PORC meetings?

15 A I would say they did here.

16 Q Well --

17 A I don't recall that particular reporting, but it  
18 must have been done.

19 Q Have you ever been assigned to conduct a  
20 spot check of PORC meetings?

21 A No.

22 Q To your knowledge, has any member of the  
23 GORB been assigned to conduct a spot check?

24 A Not specifically.

25 Q How about generally?

2 A Generally, I would say it has, if they decided  
3 to do it. Thorpe is a good chairman, so I would  
4 certainly expect that something had been done.

5 Q Well, have you received any reports from  
6 GORB members at any of the PORC meetings you have  
7 attended, detailing a GORB member's review of a spot  
8 check of PORC meetings?

9 A I don't recall that specifically.

10 Q Do you recall it at all?

11 A I recall discussion about this problem. I recall  
12 discussion at different times about things that PORC  
13 did, but not anything specific at this time.

14 Q Let us go further down Page 2 to the  
15 second to last paragraph, where it says, "The GORB had  
16 several additional comments on the PORC minutes.  
17 There was concern about the manner in which temporary  
18 change notices are incorporated into station procedures."

19 Do you see that?

20 A Yes.

21 Q What was that about, sir?

22 A I don't remember.

23 Q Do you keep notes of GORB meetings?

24 A I do, if it is something that I particularly feel  
25 I could do something about or have a particular concern.

1

Miller

174

2 Otherwise, I depend upon the secretary.

3 Q Do you retain your notes?

4 A No, not after I do what I want to do with it.

5 Q About how long does it take you to do what  
6 you want to do with them?

7 A It varies, it depends on what it is.

8 Q How about if there was a concern about the  
9 manner in which temporary change notices are incor-  
10 porated into station procedures, would that be a  
11 concern of yours?

12 A Well, it could be, and if I had a concern, I  
13 would either make a telephone call or I would see some-  
14 body who is knowledgeable in that area and get the  
15 answer, and satisfy myself relative to that, and I  
16 would throw my paper away.

17 Q But you don't keep your own set of notes  
18 or minutes or memoranda of GORB meetings?

19 A No. I am not a minute taker.

20 Q Let us look at Page 3, the top sentence,  
21 "How many times have operator errors occurred because  
22 of ambiguous procedure? One or two LER's were written  
23 as a result of ambiguous procedure on TMI 2."

24 Do you see that?

25 A Yes.

1  
2 Q Did that raise a concern in you when you  
3 saw this?

4 A Yes, that raised a concern to everybody.

5 Q Well, how often have ambiguous procedures  
6 been identified at TMI 2?

7 A I don't recall.

8 Q Was the question answered, how many times  
9 have operator errors occurred because of ambiguous  
10 procedure?

11 A I don't know the answer to that, either.

12 Q Would you have made a note to yourself  
13 about this particular subject when it was raised?

14 A Probably not.

15 Q Would you take any action yourself when  
16 this subject was raised of operator errors based on  
17 ambiguous procedure?

18 A Probably only verbal action. If it was in an  
19 area that I felt concern about sufficient to do some-  
20 thing, then I would ask questions.

21 Q Is this an area where you would have suffi-  
22 cient concern to ask questions?

23 A I don't think I did, no.

24 Q Do you remember this discussion at the GORB  
25 meeting of June 6, 1978?



1  
2 A I remember several discussions about this problem  
3 of writing procedures that are clear and non-conflicting,  
4 and understandable. I remember that discussion several  
5 times.

6 Q The question of --

7 A It is a very difficult thing to do, and so every-  
8 body has a concern about that in writing constructions.

9 Q Are you familiar with how the operating  
10 procedures at TMI 2 were written?

11 A Not specifically, no.

12 Q Do you have any general information on that?

13 A No, I was not that close to that effort.

14 Q Did you ever hear any information about  
15 how those operating procedures were written?

16 A I know when they were first written. I could  
17 never get enough people in there to do the job, and it  
18 is always a very difficult area to get the work done,  
19 and you need technical people to do it, and that part  
20 I remembered lots of discussion on, but I don't  
21 remember anything specific.

22 Q Do you know how the company resolved that  
23 question, given the fact that it was hard to get  
24 technical people in?

25 A We tried to hire more people, experienced people.

1  
2 Q Let us look down Page 3 to Item 1F,  
3 Licensee Event Reports. Do you see that paragraph, sir?

4 A Yes.

5 Q It says "There was a general GORB comment  
6 regarding the number of LER's generated since TMI 2  
7 received its Operating License," and then it says  
8 "The plant staff noted that the initial LER's were  
9 issued using a strict interpretation of the STS."  
10 Is that the Standard Technical Specification?

11 A Yes.

12 Q And is the strict interpretation referred  
13 to the NRC's strict interpretation, or the company's

14 A I think it is the company's interpretation of the  
15 NRC's standard technical specs.

16 Q And the next sentence says that "Met Ed and  
17 the NRC have negotiated a more lenient position on the  
18 interpretation of STS requirements." Do you see that?

19 A Yes.

20 Q Was that position reported to the GORB?

21 A It is reported here, and that's all that I  
22 suppose it would be reported. If it is a matter of  
23 information for GORB, what efforts they were making,  
24 and the success they were having, they wouldn't go into  
25 detail.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Q What about the substantive content of that negotiation?

A Not unless there was some specific safety-related item would it come up for detail.

Q To your knowledge, was that negotiation or the result of that negotiation put in writing?

A I don't know.

MR. GORINSON: Counsel, I would like to request a copy of all documents relating to the negotiations between the NRC and Met Ed on a more lenient position on the interpretation of the STS requirements, including whatever the result of that negotiation was.

MR. YUSPEH: What item number is this?

MR. GORINSON: That's 1F of Exhibit 11.

(Continued on following page.)

1  
2 Q It is also stated in that sentence "That  
3 the number of LER's generally double when STS are used."

4 A Yes.

5 Q Do you see that?

6 A Yes.

7 Q Do you remember who provided the GORB with  
8 that information?

9 A No, I don't.

10 Q But it would have been somebody in attendance  
11 at the meeting?

12 A I would say yes. It refers to so-called GRR  
13 numbers, which come through on these forms.

14 Q I see. So these Licensee Event Report  
15 statements would refer to GRR 265 and GRR 273?

16 A I would say yes, they came about because of the  
17 GORB was given those documents, and so there must have  
18 been questions asked, and these were some of the answers  
19 that were given.

20 MR. GORINSON: Counselor, if we haven't  
21 already been supplied with it, I would like copies  
22 of GRR 265 and 273.

23 Q Now, the TMI 2 experience is comparable to  
24 other nuclear plants using STS. Are you familiar with  
25 which other nuclear plants use the Standard Technical

2 Specifications?

3 A No, I am not. The ones that have come onstream  
4 about the time that 2 did, I am sure use the Standard  
5 Technical Specs.

6 Q Do you know if Davis-Besse 1 uses the  
7 standard specifications?

8 A No, I don't.

9 Q Looking down the page where it says  
10 "Operations," it refers to a presentation on an April 23,  
11 1978 reactor trip and ES incident. Is that emergency  
12 safeguards or engineered safeguards incident?

13 A I am not sure.

14 Q It says there that "The event caused both  
15 violations and STS action statement entries."

16 What is an STS action statement entry?

17 A I don't know specifically. The tech specs  
18 require certain action statements, and that's what that  
19 refers to.

20 Q These minutes would be prepared by  
21 Mr. Reppert in his capacity as secretary?

22 A That's right.

23 Q When it says "The event caused both  
24 violations," is that violation of the tech specs?

25 A Where is that, I don't see it.

1  
2 Q The same sentence, "The event caused both  
3 violations and STS action statement entries."

4 A I would say yes. They are referring to the  
5 tech specs when they have a violation, and when they do,  
6 then they have to make certain statements.

7 Q Then look at the next sentence where it says  
8 "Operator action was prompt and correct except that they  
9 were not aware of the fact that they were dealing with  
10 a major steam leak and therefore feedwater should have  
11 been secured."

12 A Yes.

13 Q If the operators weren't aware that they  
14 were dealing with a major steam leak, how could their  
15 action have been prompt and correct?

16 A I don't know enough about the incident to comment.

17 Q You were provided, though, according to this  
18 paragraph, with a copy of the report of April 23,  
19 1978 reactor trip?

20 A Well, that's probably true.

21 Q But all you would be doing is reviewing  
22 it after the event?

23 A That's right.

24 Q And what would be the GORB's function in  
25 reviewing it after the event?

2 A If any member of GORB thought it had any safety-  
3 related concern, then it gets more action.

4 Q And that more action would be what?

5 A Well, that depends on what the incident is, and  
6 what it takes.

7 Q How about an incident where ---

8 A They would want to be assured what action was  
9 taken, and what correction was taken so it wouldn't  
10 happen again if it was that kind of an incident.

11 Q It says, among other things, that "The  
12 operators will be given additional training which will  
13 include review of this transient and all other trips."

14 Do you see that?

15 A Yes.

16 Q Who would have responsibility for implementing  
17 that decision of the GORB?

18 A Well, the unit superintendent sits on these  
19 meetings as well as the station superintendent, and  
20 they're the ones whose responsibility it is to get  
21 this information down the line and get action taken.

22 Q On June 6, 1978, the unit superintendent  
23 would have been Gary Miller, would it not?

24 A On June --

25 Q June 6, 1978.

1  
2 A I suppose so. He was acting in double capacity  
3 there for a while.

4 Q And do you remember what the reasoning  
5 was that the operators will be given additional training  
6 which will include review of this transient and all other  
7 trips?

8 A I don't remember the specifics, no.

9 Q Now, in the last paragraph there it says  
10 "GPUSC has formed a task force to perform an independent  
11 review."

12 A Yes.

13 Q Does GPUSC form task forces to deal with  
14 every transient that takes place?

15 A I don't know. I am sure if there is any problems  
16 in the way it was carried out or any unknown factors,  
17 that they would.

18 Q And therefore, would it be fair to conclude  
19 that the GPUSC considered the 4/23/78 event to be fairly  
20 significant?

21 A Yes. It doesn't say -- it says GPU, it doesn't  
22 say GORB, so that somebody in the Service Company reviewed  
23 this and sat up this, I guess, rather than GORB.

24 Q And it says also, does it not, that the  
25 GORB would take no further action except to compare the



2 TMI report to the GPUC report at this time?

3 A That's right.

4 Q And the results of this comparison would be  
5 presented at the next GORB meeting?

6 A Yes.

7 MR. GORINSON: Counsel, I would like to  
8 request a copy of the next GORB meeting, No. 31,  
9 because it has not been supplied to us.

10 MR. YUSPEH: Do you know the date?

11 MR. GORINSON: No, I don't. All I know  
12 is No. 31.

13 A 30 or 31?

14 Q This is No. 30, and according to the last  
15 page of this, the next meeting was scheduled for  
16 September 26th and 27th, 1978.

17 MR. YUSPEH: I am sorry?

18 MR. GORINSON: The last page of Exhibit  
19 No. 11 shows that the next GORB meeting was  
20 scheduled for September 26th and 27th, 1978.

21 Q Now, let us look at the next page, still  
22 under the same item "Operations," and it says that  
23 "The GORB is concerned about design problem information  
24 getting to the Forked River project. The Committee was  
25 told about a mechanism for passing on information but it

1

Miller

185

2 is not being used extensively." Do you see that?

3 A No, I don't.

4 Q At the top of Page 4.

5 A Yes.

6 Q Was anyone in the meeting able to explain  
7 why design problem information was not being forwarded  
8 to the Forked River project or was not being used  
9 extensively?

10 A No, I don't recall. I remember the discussion  
11 about passing information on, and I don't recall the  
12 specifics that were taken relative to this statement.

13 Q It was suggested, it doesn't say by whom,  
14 but that a letter be sent to the Forked River group  
15 recommending that the TMI 2 design problems and other  
16 generic PWR problems be considered in the Forked River  
17 design.

18 Do you see that?

19 A Yes.

20 Q Was that letter sent?

21 A I don't know specifically.

22 Q Was it ever reported back to the GORB whether  
23 that letter was, in fact, sent?

24 A Not to my knowledge.

25 MR. GORINSON: Counsel, I would like to

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Miller

186

request a copy of any letter sent to the Forked River group talking about TMI 2 design problems and other generic TWR problems.

MR. YUSPEH: Off the record.

(Discussion held off the record.)

Q Now, looking at the next paragraph, it says "The GORB also recommended that Met Ed be asked about their procedures to review incidents at other nuclear stations."

Do you see that?

A Yes.

Q That's labeled "Action Item No. 31."

What is an action item?

A The chairman will specify action item, and then he gives them to certain people and wants an action taken and a report made back.

Q Is that set out in writing some place, who has been given the assignment on a particular action item?

A I don't know. I think in many cases it is, but many times it may be just a telephone call from the chairman.

Q If it was in writing, would it be maintained by the GORB secretary?

1

Miller

187

2 A If it came from the GORB, it would be.

3 Q Is this statement that is here on the page,  
4 what would be referred to as Action Item No. 31, or is  
5 that a separate document?

6 A That's a separate document. It spells out more  
7 specifically what is wanted and who is to do it.

8 MR. GORINSON: Counsel, I would like GORB  
9 Action Items Nos. 30 and 31.

10 Q Do you know what caused GORB to ask Met Ed  
11 about their procedures to review incidents at other  
12 nuclear stations?

13 A Well, we know that Met Ed keeps close touch with  
14 the other nuclear plants, particularly B&W plants.  
15 They also, through EEI committees hear reports on all  
16 the plants of incidents and what GORB was encouraging  
17 him to do was to follow up on this information so that  
18 they could learn what effect it has on their own efforts.

19 Q Was it GORB's feeling that Met Ed was not  
20 following up on what they were hearing?

21 A I don't think so. I think it is just a matter  
22 of emphasis, because they give reports to GORB verbally  
23 on the things they learn about other plants and how  
24 they relate to Three Mile Island.

25 Q So, for example, would the GORB have been

2 presented with a report about the incident at Davis-  
3 Besse 1 plant on December 24, 1977 by the Met Ed  
4 management?

5 A I don't recall. If they did, I wasn't there.  
6 I don't remember it, although I know specifically that  
7 the Met Ed and GPU people knew about it.

8 Q They knew about it?

9 A Yes.

10 Q How do you know they knew about it?

11 A They told me.

12 Q When did they tell you that?

13 A I am repeating myself from last Thursday, but  
14 Mr. Arnold told me and Jeff Fritzen told me. He is  
15 an engineer in the Generation Division of Met Ed.

16 Q And they knew about it at or about the  
17 time it took place?

18 A Yes.

19 Q Do you know whether they made any recommenda-  
20 tions as to procedures to take account of the Davis-  
21 Besse 1 transient?

22 A Not that I know of specifically. There was a major  
23 difference, I understand, between that incident, because  
24 that unit was just starting up, and it only happened at  
25 a very low load.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Q I see. And except for the fact that that unit was operating at 9 percent power and TMI 2 was operating at 97 percent power, when the accident occurred on March 28, 1979, were there any other major differences between the two incidents, to your knowledge?

A Not to my knowledge, but that's a major difference.

Q Did Mr. Arnold or Mr. Fritzen ever ask the Training Department to examine the Davis-Besse 1 September 24, 1977 incident, if you know?

A I don't know specifically.

(Continued on Page 190.)

8.1  
ew

1  
2 Q Has that subject come up since March 28,  
3 1979 in the GORB?  
4 A No, not to my knowledge.  
5 Q Has anybody raised that subject with you?  
6 A I think Mr. Arnold is the one that told me about  
7 it, and then I asked him, and he said Fritzen knew  
8 more about it, and then I asked Fred Fritzen, and  
9 Fritzen himself had it investigated, and others also.  
10 It had been a subject of considerable discussion within  
11 the GPU engineering organization and the Met Ed.  
12 Q That was at the time of the incident?  
13 A Following the incident.  
14 Q Had they had any discussions with Babcock  
15 & Wilcox?  
16 A Oh, yes. It came up in the so-called owner's  
17 group. These are people who have B&W reactors.  
18 Q Do you know if Met Ed keeps minutes of  
19 the owner's group meetings?  
20 A There are written documents that come through.  
21 I don't know whether B&W puts them together or how.  
22 I have seen one or two. I don't know who puts them  
23 together, whether it is a trip report by the engineer  
24 or whether it comes from B&W. I didn't examine it that  
25 close.

1

Miller

191

8.2

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. GOFINSON: Counsel, let me request all documents from the owner's group, if they exist, that are in the GPU family's possession from September 1, '77 forward.

Q Let us go on.

Item 3A deals with small break LOCA. Do you see that?

A Yes.

Q And that as a result of certain class of small break LOCA there was to be a new operator action. Do you see that in the second paragraph?

A Yes.

Q And that was "to use operator action during the early stages of the accident to effectively mitigate the accident consequences."

A Yes.

Q And that was to consist of, was it not, a control room LOCA operator?

A Yes.

Q Who is trained to recognize the systems and respond to a small break LOCA?

A Yes.

Q Can you tell me what kind of training someone goes through to become a small break LOCA operator?



1

Miller

192

8.3

2 A No, I don't know specifically. I have heard them  
3 talk about these special training efforts relative to  
4 these type of incidents, but I never went into detail  
5 with them.

6 Q And it says also in that paragraph, "A  
7 proposed hardware fix will be submitted to the NRC by  
8 mid-summer 1978." Do you see that?

9 A Yes.

10 Q What is a hardware fix?

11 A It means some piece of equipment either would be  
12 changed or added.

13 Q And according to that paragraph, the fix  
14 will eliminate the need for operator action?

15 A Yes.

16 Q It is correct to characterize the creation  
17 of a control room LOCA operator as a procedural fix?

18 A I don't know enough about this thing specifically  
19 to answer that.

20 Q But this was presented to the GORB, was it  
21 not?

22 A Yes.

23 Q And for what purpose was it presented to  
24 the GORB?

25 A Their information as to what they were doing

8.4

1  
2 about these kinds of problems. Without specifically  
3 telling them all the details of what they were doing,  
4 they wanted them to know that they were doing them.

5 Q But a small break LOCA could potentially  
6 affect the public health and safety, could it not?

7 A I would say it could, yes, but not apt to or  
8 likely, but it depends on how it is treated.

9 Q The incident on March 28, 1979 was, in  
10 effect, a small break LOCA, was it not?

11 A I would say yes.

12 Q So in certain circumstances, a small break  
13 LOCA could at least potentially affect the public  
14 health and safety, isn't that correct?

15 A Yes.

16 Q And for that reason that procedure would  
17 be presented to the GORB for its review?

18 A Not in detail. GORB doesn't usually review  
19 procedures in detail.

20 Q But what is the purpose then of presenting  
21 this to the GORB?

22 A To inform the GORB that they were doing this  
23 training.

24 Q And what action was the GORB supposed to  
25 take upon receiving this review that was not in detail?